



“When You Talk - We Listen!”



MANITOBA PUBLIC UTILITIES BOARD

Re :

MANITOBA HYDRO  
NEEDS FOR AND ALTERNATIVES TO  
PREFERRED DEVELOPMENT PLAN  
TECHNICAL CONFERENCE

Ed Wojczynski - Facilitator

HELD AT:

Public Utilities Board  
400, 330 Portage Avenue  
Winnipeg, Manitoba  
September 5, 2013  
Pages 1 to 253

| 1  | APPEARANCES     |                  |
|----|-----------------|------------------|
| 2  | Bob Peters      | ) PUB Counsel    |
| 3  | Anita Southall  | ) PUB Counsel    |
| 4  | Sven Hombach    | ) PUB            |
| 5  | Hollis Singh    | )                |
| 6  | Kurt Simonsen   | )                |
| 7  | Wally Koschik   | )                |
| 8  | Roger Cathcart  | )                |
| 9  | Larry Buhr      | )                |
| 10 | Jan Carr        | )                |
| 11 | Josee Lemoine   | )                |
| 12 |                 |                  |
| 13 | Scott Thomson   | ) Manitoba Hydro |
| 14 | Ed Wojczynski   | )                |
| 15 | Patti Ramage    | )                |
| 16 | Marla Boyd      | )                |
| 17 | Colleen Curlick | )                |
| 18 | Dale Friesen    | )                |
| 19 | Lloyd Kuczyk    | )                |
| 20 | Lois Morrison   | )                |
| 21 | Joanne Flynn    | )                |
| 22 | David Cormie    | )                |
| 23 | Judy Clendenan  | )                |
| 24 | Liz Carriere    | )                |
| 25 | Cheryl Pilek    | )                |

|    |                       |                       |
|----|-----------------------|-----------------------|
| 1  | APPEARANCES (Con't)   |                       |
| 2  | Terry Miles           | )Manitoba Hydro       |
| 3  | David Bowen           | )                     |
| 4  | Hanri Jacobs          | )                     |
| 5  | Nicole Fitkowski      | )                     |
| 6  |                       |                       |
| 7  | Boris Fichot          | )Independent Experts  |
| 8  | John Athas            | )                     |
| 9  | Dean Peaco            | )                     |
| 10 | John Todd             | )                     |
| 11 | Robert Sinclair       | )                     |
| 12 | Craig Sabine          | )                     |
| 13 | Pelino Calaiacovo     | )                     |
| 14 |                       |                       |
| 15 | Brent Dempsey         | )Province of Manitoba |
| 16 |                       |                       |
| 17 | Byron Williams        | )CAC (Manitoba)       |
| 18 | Meghan Menzies        | )                     |
| 19 | Bill Harper           | )                     |
| 20 | Will Braun            | )                     |
| 21 |                       |                       |
| 22 | William Gange         | )GAC                  |
| 23 | Peter Miller          | )                     |
| 24 | James Magnus-Johnston | )                     |
| 25 |                       |                       |

|    | APPEARANCES (Con't)        |        |
|----|----------------------------|--------|
| 1  |                            |        |
| 2  | Antoine Hacault            | )MIPUG |
| 3  | Patrick Bowman             | )      |
| 4  | Melissa Davies             | )      |
| 5  |                            |        |
| 6  | Jessica Saunders           | )MMF   |
| 7  | Rick Hendriks              | )      |
| 8  | Lauren Reeves              | )      |
| 9  | Marci Riel                 | )      |
| 10 |                            |        |
| 11 | John Dalton (via chat)     | )      |
| 12 | Mary Neal (via chat)       | )      |
| 13 | Rick Horocholyn (via chat) | )      |
| 14 | Sarah Keyes (via chat)     | )      |
| 15 | Wesley Stevens (via chat)  | )      |
| 16 |                            |        |
| 17 |                            |        |
| 18 |                            |        |
| 19 |                            |        |
| 20 |                            |        |
| 21 |                            |        |
| 22 |                            |        |
| 23 |                            |        |
| 24 |                            |        |
| 25 |                            |        |

|    |  |          |
|----|--|----------|
|    |  | 5        |
| 1  | TABLE OF CONTENTS                          |          |
| 2  |  | Page No. |
| 3  |  |          |
| 4  | Opening Comments                           | 6        |
| 5  |  |          |
| 6  | Load Forecast Presentation                 | 19       |
| 7  | DSM and Energy Efficiency Presentation     | 58       |
| 8  | MISO Marketplace, Export Sales, and US     |          |
| 9  | Interconnection Update Presentation        | 121      |
| 10 | Long-term Electricity Price Forecasting    |          |
| 11 | Presentation                               | 150      |
| 12 | Power Resource Planning, Alternatives, and |          |
| 13 | Economic Evaluations Presentation          | 166      |
| 14 |  |          |
| 15 | Certificate of Transcript                  | 253      |
| 16 |  |          |
| 17 |  |          |
| 18 |  |          |
| 19 |  |          |
| 20 |  |          |
| 21 |  |          |
| 22 |  |          |
| 23 |  |          |
| 24 |  |          |
| 25 |  |          |

1 --- Upon commencing at 9:07 a.m.

2

3 THE FACILITATOR: Good morning,  
4 everybody. My name's Ed Wojczynski. I'm the division  
5 manager of Manitoba Hydro responsible for -- on behalf  
6 of Manitoba Hydro for the NFAT process and making the  
7 arrangements and leading the panel, and it's my  
8 pleasure to kick this off today.

9 The various lawyers are still outside  
10 making various arrangements, but I think we'll start  
11 without them because we're already running a little bit  
12 late. Just at the outset what we'd like to do is, as  
13 we did at the previous technical conference, just go  
14 around, quickly saying who everybody is.

15 But before we do that, we've -- our  
16 president, Scott Thomson, we invited him to come and  
17 just say a few words to kick this off. This is a  
18 pretty important milestone for us as a company, and so  
19 we thought it would be appropriate to have Scott say a  
20 few words. So, Scott...?

21 MR. SCOTT THOMSON: Good morning,  
22 everyone. Glad you could be here with us today, and  
23 welcome to the second NFAT technical conference.

24 As you know, Manitoba Hydro's mandate is  
25 to provide electricity to meet the needs for the

1 province in an economic and efficient manner. Our NFAT  
2 submission sets out how we propose to fill that mandate  
3 going forward.

4                   The NFAT business case sets out the best  
5 long-term options to meet Manitoba elec -- Manitoba's  
6 electricity needs now and into the future. We've  
7 examined numerous future options: in total, fifteen  
8 (15) plans with underlying assumptions, resulting in  
9 twenty-seven (27) different scenarios for each plan to  
10 look at what we -- what we found to be the most  
11 beneficial for the province as a whole.

12                   First and foremost, we're committed to  
13 ensuring that we serve the needs -- the energy needs of  
14 Manitobans, which continue to grow due to Manitoba's  
15 expanding economy and population. Our analysis based  
16 on current outlook and assumptions demonstrates that  
17 continuing to develop our hydro power resources is --  
18 is in the best long-term interest of the province and  
19 our customers.

20                   Our analysis also demonstrates that  
21 expanding our extraprovincial interconnection capacity,  
22 and our export and import arrangements, lowers the cost  
23 of supplying Manitobans and enhances the overall set of  
24 benefits. Our Preferred Development Plan provides  
25 Manitobans lower long-term rates, greater reliability

1 and security of supply, superior environmental and  
2 socioeconomic benefits, job creation, and cash  
3 transfers to the province, when we -- we compare these  
4 to the other options and alternatives that we've  
5 considered.

6 I'd like to assure you that the  
7 executive and board at Manitoba Hydro have given these  
8 issues extensive time and energy, and are in support of  
9 the -- the development plan that we're putting forward.

10 I'd like to acknowledge that there have  
11 been many questions raised. Welcome.

12

13 (BRIEF PAUSE)

14

15 MR. SCOTT THOMSON: I was saying that  
16 many questions have been raised about our -- our plans  
17 and the path that we're proposing for the future.  
18 These are frequently related to our capital cost  
19 estimates, future energy prices, the market for hydro  
20 power in the US -- in the US, demand-side management  
21 activities, wind generation, and, of course, natural  
22 gas generation, which was the underlying base case that  
23 we compared all of our alternative plans to.

24 In past presentations and in the media  
25 I've asked that judgment on these matters and indeed



1 our Preferred Development Plan be reserved until the  
2 proposals have been presented and analyzed in the  
3 appropriate independent public forum. That time has  
4 now come. And we're looking forward to having that  
5 opportunity as we move forward with the PUB review  
6 process.

7 Our filing represents the first stage of  
8 the review process. You -- the panel, Intervenors, and  
9 various technical experts are now going to test the  
10 evidence that we've submitted. At the end of the  
11 process the PUB will make their recommendations to the  
12 province based on all the evidence that will be  
13 presented and the testimony heard -- heard in the coming  
14 proceedings.

15 I guess I'll -- I'll divert here a  
16 little bit and -- and just acknowledge that as we've  
17 laid out our plan, what we presented doesn't lock us  
18 into a course of action for twenty (20) years, although  
19 there are some decisions that need to be made in the  
20 next twelve (12) to eighteen (18) months that will --  
21 will set us down one (1) of the pathways that we've --  
22 we've outlined in our submission.

23 And as economic circumstances change,  
24 underlying assumptions are proven out or -- or need to  
25 be adjusted, that will have an impact on -- on our

1 plans as we move forward. I guess what I'm trying to  
2 say is that this isn't a static, you know, point of no  
3 return that we're here at now, but we do have to make  
4 some decisions and what -- we do have to make those  
5 decisions based on all the information that we have  
6 available to us today, using the best information that  
7 we have available.

8                   So we -- we do look forward to the  
9 review process. It's going to be an extensive one.  
10 And -- and your participation in it as Intervenors and  
11 interested parties is -- is what will make it a success  
12 for -- for Manitoba. I'd like to thank you again for  
13 participating today. And I'll turn things over to Ed  
14 now.

15                   THE FACILITATOR: Thanks, Scott. Scott  
16 had volunteered to answer a few high level, general  
17 questions if anybody had -- not detailed NFAT  
18 questions, not cross-examination. Patti, right?  
19 Where's Patti? Not cross-examination, right, Patti?

20                   MS. PATTI RAMAGE: No cross.

21                   THE FACILITATOR: Yeah. But if there  
22 are any general, high level questions that you might  
23 have for Scott. Looks like he's getting off easy.  
24 Okay. Well, thank you, Scott.

25                   MR. SCOTT THOMSON: I'm sure I'll see

1 you all again.

2 THE FACILITATOR: Okay. Thanks, Scott.  
3 We're going to -- there's an agenda that had -- it's  
4 gone around before, our agenda is on the table. We're  
5 going to start off with Lois Morrison who's going to do  
6 the DSM and load forecast, but -- yes. Oh, thank you.

7 I know there are a lot of people here  
8 and we're going to be spending two (2) days together,  
9 so I thought maybe if we just quickly went around the  
10 room -- just one (1) time we're going to do this, I  
11 promise -- just quickly say who -- who you are and  
12 maybe, you know, which organization you're with, just  
13 very quickly. And maybe we'll start here.

14

15 (BRIEF PAUSE)

16

17 MR. WILLIAM GANGE: Bill Gange, counsel  
18 to Green Action Centre.

19 DR. PETER MILLER: Peter Miller, Green  
20 Action Centre.

21 MR. JAMES MAGNUS-JOHNSTON: James  
22 Magnus-Johnston, Green Action Centre.

23 MR. RUSS TYSON: Russ Tyson, TyPlan  
24 Consulting, working with the PUB.

25 MR. BORIS FICHOT: Boris Fichot, with

1 Knight Piesold. We'll be looking at the cost estimates  
2 from the independent perspective.

3 MR. HOLLIS SINGH: Hollis Singh, Public  
4 Utilities Board.

5 MR. BOB PETERS: My name is Bob Peters,  
6 legal counsel to the Public Utilities Board.

7 MR. WALLY KOSCHIK: My name is Wally  
8 Koschik, advisor to the Public Utilities Board on  
9 transmission matters.

10 MS. ANITA SOUTHALL: Good morning.  
11 Anita Southall, counsel for the Public Utilities Board.

12 MS. MEGHAN MENZIES: Meghan Menzies,  
13 Consumers' Association of Canada, Manitoba branch.

14 MS. JESSICA SAUNDERS: Jessica  
15 Saunders. I'm counsel to the Manitoba Metis  
16 Federation.

17 MR. RICK HENDRIKS: Rick Hendriks,  
18 consultant to the Manitoba -- Manitoba Metis  
19 Federation.

20 MS. LAUREN REEVES: Lauren Reeves, at  
21 the Manitoba Metis Federation.

22 MS. MARCI RIEL: Good morning. I'm  
23 Marci Riel, Manitoba Metis Federation.

24 MR. JOHN ATHAS: John Athas, with La  
25 Capra Association, working as the independent eval --

1 expert for the PUB.

2 MR. DAN PEACO: Dan Peaco, with La  
3 Capra Associates, also independent expert, PUB.

4 MR. BILL HARPER: Bill Harper. I'm a  
5 consultant for CAC.

6 MR. WILL BRAUN: Will Braun,  
7 Interchurch counsel, and Hydro Power and CAC advisory  
8 group.

9 MR. BYRON WILLIAMS: Byron William,  
10 counsel CAC (Manitoba).

11 MR. ANTOINE HACAULT: Antoine Hacault,  
12 counsel, MIPUG.

13 MR. PATRICK BOWMAN: I'm Patrick  
14 Bowman, with InterGroup Consultants, and I work with  
15 the MIPUG group.

16 MS. MELISSA DAVIES: Melissa Davies,  
17 InterGroup Consultants, MIPUG group.

18 MR. ROGER CATHCART: Roger Cathcart,  
19 accounting regulatory advisor to PUB.

20 MR. LARRY BUHR: Larry Buhr, advisor to  
21 the PUB on engineering matters.

22 MR. JOHN TODD: John Todd, Elenchus,  
23 independent expert with the PUB.

24 MR. ROBERT SINCLAIR: Robert Sinclair,  
25 Potomac Economics, independent expert for PUB.

1 MR. CRAIG SABINE: Craig Sabine, MNP.  
2 Also independent expert for PUB on macro-environment.

3 MR. KURT SIMONSEN: Kurt Simonsen,  
4 associate secretary, PUB.

5 MS. JAN CARR: Jan Carr, advisor to the  
6 PUB.

7 MR. PELINO COLAIACOVO: Pelino  
8 Colaiacovo, Morrison Park Advisors, and independent  
9 expert for the PUB.

10 MS. JOSEE LEMOINE: Josee Lemoine,  
11 project manager with the PUB.

12 MS. MARLA BOYD: Marla Boyd, counsel to  
13 Manitoba Hydro.

14 MR. BRENT DEMPSEY: Brent Dempsey,  
15 Province of Manitoba.

16 MS. COLLEEN CURLICK: Colleen Curlick,  
17 Manitoba Hydro. I work on the DSM initiative.

18 MS. PATTI RAMAGE: Patti Ramage,  
19 counsel to Manitoba Hydro.

20 MR. DALE FRIESEN: Dale Friesen,  
21 Manitoba Hydro.

22 MR. LLOYD KUCZYK: I'm Lloyd Kuczyk.  
23 I'm the vice president of Customer Care and Energy  
24 Conservation for Manitoba Hydro.

25 MS. LOIS MORRISON: Lois Morrison,

1 Manitoba Hydro.

2 MS. JOANNE FLYNN: Joanne Flynn,

3 Manitoba Hydro.

4 MR. DAVID CORMIE: David Cormie,

5 Manitoba Hydro.

6 MR. SVEN HOMBACH: Sven Hombach, legal

7 counsel to the PUB.

8 MS. JUDY CLENDENAN: Judy Clendenan,

9 Manitoba Hydro.

10 MS. LIZ CARRIERE: Liz Carriere,

11 Manitoba Hydro.

12 MS. CHERYL PILEK: Cheryl Pilek,

13 Manitoba Hydro.

14 MR. TERRY MILES: Terry Miles, Manitoba

15 Hydro.

16 MR. DAVE BOWEN: Dave Bowen, Manitoba

17 Hydro.

18 MS. HANRI JACOBS: Hanri Jacobs,

19 Manitoba Hydro.

20 THE FACILITATOR: Okay. So a good, big

21 crowd. A few housekeeping items. If you haven't

22 already discovered this, the bathrooms are right on the

23 other side of this wall in the corridor leading off the

24 -- the next hallway. Fire escape, should something

25 happen, which I'm sure it won't but you never know, is

1 where Lynn Warkinton is, through that door. You  
2 continue down and turn left, and then turn left again.  
3 But if anything does happen, I can guarantee you we'll  
4 have Hydro people telling you where to go.

5 And I -- I'm sure you're aware of this,  
6 but please mute your cell phones, including Hydro  
7 staff. And I think we're ready to go.

8 Are there any logistical questions or  
9 schedule agenda questions before we get going? Okay.  
10 Ah. Yes. Thanks for reminding me.

11 MS. NICOLE FITKOWSKI: Okay. So, so  
12 far I have John Dalton, Mary Neal, Rick, I don't know  
13 how to pronounce his last name, H-O-R-O-C-H-O-L-Y-N --

14 THE FACILITATOR: Horocholyn.

15 MS. NICOLE FITKOWSKI: -- and then  
16 we've got Sarah Keyes, Susan Geller, Wes -- Wesley  
17 Stevens. Those are all the people who have logged in  
18 so far.

19 THE FACILITATOR: Okay. So if I could  
20 ask Lois to come forward. And while she's coming  
21 forward, maybe I'll just -- oh, sorry, something more?

22

23 (BRIEF PAUSE)

24

25 THE FACILITATOR: So if you're going to



1 speak, please speak into a mic.

2

3 (BRIEF PAUSE)

4

5 MS. PATTI RAMAGE: Okay. And just  
6 before Lois begins, one (1) of the things, because  
7 there's so many new faces here today that weren't at  
8 the previous technical conference, we just wanted to  
9 cover very briefly, Ed mentioned it about the cross-  
10 examination, but one (1) of the things we're asking  
11 people is that when they ask questions, it's of  
12 clarification of materials here as opposed to going  
13 into the cross-examination mode of, Why didn't you do  
14 this, or, Why isn't it this. It's to understand what  
15 we are presenting, not to go to that next step.

16 That's not where we're at, at this  
17 process, and that's not what this -- the technical  
18 conference is intended. It's just -- it -- it's a  
19 clarification process to understand our materials.  
20 This puts our presenters at far more ease that I say  
21 this at the beginning, just so everybody is working  
22 from the same page. So we'd appreciate that.

23 THE FACILITATOR: And there...

24

25 (BRIEF PAUSE)

1 THE FACILITATOR: Yes. When you speak,  
2 please say your name first. And that was Patti Ramage,  
3 our legal counsel.

4 MS. PATTI RAMAGE: Ramage.

5 THE FACILITATOR: Ramage. Sorry.  
6 Sorry. And if you have a question, raise your hand and  
7 someone will bring you a mic to use.

8

9 (BRIEF PAUSE)

10

11 THE FACILITATOR: Oh, at the beginning  
12 I did. I'm Ed Wojczynski, the division manager at  
13 Manitoba Hydro who is responsible for the NFAT, amongst  
14 other things. I have been planner, project developer,  
15 Aboriginal partnership negotiator, transmission  
16 engineer, research associate at the University of  
17 Saskatchewan, and a few other things.

18 As Patti is indicating, the idea here  
19 today is we're -- we're presenting material that is  
20 inside our submission already. The PUB had asked that  
21 we have this process to facilitate a better  
22 understanding of what's in there, recognizing we  
23 haven't gone through that full interrogatory process  
24 and our -- our witn -- we -- frankly, most of the  
25 witnesses have just come off of many months of fifteen

1 (15) hour days, Saturdays, Sundays.

2 And we really haven't got ourselves  
3 prepared for, you know, the cross-examination kind of  
4 stuff that -- and this is going to be transcribed.

5 And I understand it could be a -- form some kind of  
6 evidence, or will be -- could be evidence. So that's  
7 why we're being a little bit careful about this cross-  
8 examination issue, so...

9 But please do feel free to ask questions  
10 and you don't have to just wait until the end. If you  
11 -- if there's some questions that would suit being  
12 asked at the time, that probably works. Is that okay  
13 with you, Lois? Yes, must be. Okay. So I -- so one  
14 (1) last thing, any last questions or thoughts?

15 No? Okay. So we can get started then.  
16 Okay. Thank you.

17

18 LOAD FORECAST PRESENTATION:

19 MS. LOIS MORRISON: I'm a little  
20 worried that something's going to fall off on me and  
21 I'll be wearing it shortly. So thank you very much.  
22 As -- as Ed mentioned, I'm Lois Morrison. I'm the  
23 division manager of Consumer Marketing and Sales.

24 And I'm here today to provide a short  
25 review of the information that's included within our

1 filing and that we presented at the technical  
2 conference in July. And so for those of you that were  
3 here with us in July, this will be a review. And for  
4 those of us that are -- those of you that are new,  
5 please feel free to -- well, everybody can ask all the  
6 questions that you'd like related to the materials that  
7 we've provided. But hopefully I can provide some  
8 clarity as to what we've included.

9                   Our load forecast -- the load forecast  
10 is a key input to our planning -- to our Power Resource  
11 Plan and to our integrated financial forecast. Our  
12 forecast is prepared annually, with adjustments through  
13 the forecast to recalibrate to represent our most  
14 likely case.

15

16                   (BRIEF PAUSE)

17

18                   MS. LOIS MORRISON: I don't know if  
19 it's working.

20

21                   (MOVED TO SLIDE 3)

22

23                   Ms. LOIS MORRISON: So for today what  
24 I'm going to walk through is our 2012 forecast. And  
25 I'm going to speak briefly to the analysis of

1 variability and accuracy and then talk briefly again to  
2 our 2013 forecast update. As I mentioned, we update  
3 our forecast annually to represent -- to include the  
4 updated market information.

5 Obviously, from the time we began our  
6 preparation for this filing to today, we had a  
7 significant period of time go by. So we have an  
8 updated forecast.

9

10 (BRIEF PAUSE)

11

12 MS. LOIS MORRISON: Under our 2012  
13 forecast, we are pre -- we have seen -- sorry. Over  
14 the last twenty (20) years, our gross firm energy has  
15 grown about 329 gigawatt hours per hour, or 1.7 percent  
16 per year. And under our 2012 forecast we are  
17 anticipating that growth at a higher rate, forecasting  
18 it to grow at 453 gigawatt hours, or 1.6 percent per  
19 year, over the next twenty (20) years. Whoops.

20

21 (MOVED TO SLIDE 4)

22

23 MS. LOIS MORRISON: In addition, we are  
24 -- we have seen -- in our gross peak -- we've seen our  
25 gross peak over the last twenty (20) years grow by 44

1 megawatt hours -- 44 megawatts and 1.2 percent per  
2 year. And we're fo -- forecasting that growth to  
3 increase to 83 megawatts, or 1.6 percent per year, over  
4 the next twenty (20) years.

5

6 (MOVED TO SLIDE 5)

7

8 MS. LOIS MORRISON: Now, there are a  
9 number of factors driving that increased growth that  
10 we'll discuss in more detail.

11 Manitoba Hydro prepares their load  
12 forecast on a sector basis. We indi -- we forecast  
13 each sector individually. We look at -- the three (3)  
14 sectors that we look at are the residential, gra --  
15 general service mass market, and the general service  
16 top consumers are all forecasted separately using  
17 methodologies that best reflect their unique market  
18 characteristics. We then combine those as -- forecasts  
19 together to come up with an overall forecast, which we  
20 just described.

21 As with most forecasts, we start with  
22 the energy of the -- the actual energy consumed within  
23 the most recent year and then forecast forward. So in  
24 the 2012 forecast year we would start with 2011 as our  
25 base year. During that year, we consumed 24,376

1 gigawatt hours, and we forecast forward from there.

2

3

(MOVED TO SLIDE 6)

4

5

MS. LOIS MORRISON: So beginning with  
6 the residential sector. Our residential sector ha --  
7 has seen growth over the last twenty (20) years of 87  
8 gigawatt hours, or 1.4 percent per year. Going into --  
9 looking forward to the next twenty (20) years, we're  
10 anticipating that sector to continue to grow but at a  
11 rate of 132 gigawatt hours, or 1.6 percent per year.

12

The primary drivers for this growth are  
13 population and a market share of electric heat. So  
14 under the 2012 forecast, we were anticipating annual  
15 population growth to be at approximately 1.2 percent  
16 per year. And we are also anticipating -- we also have  
17 been observing an increase in use of electric space and  
18 water heating, which is driving up the -- the average  
19 or the -- the per unit -- or per customer energy use.  
20 And these have been driving up our residential  
21 forecast.

22

23

(MOVED TO SLIDE 7)

24

25

MS. LOIS MORRISON: One (1) of the

1 items that we discussed briefly at the technical  
2 conference in July was the population forecast and why  
3 is Manitoba anticipating to see such -- so much more  
4 growth, or are we -- are we anticipating something  
5 different from other jurisdictions.

6           As I mentioned during that presentation,  
7 we use a consensus -- we develop our forecasts based upon  
8 a consensus forecast. We purchase forecasts from other  
9 organizations to develop our forecast. And for the  
10 purposes of our discussion today, I thought it would be  
11 worthwhile for us to look at.

12           We did get permission from one (1) of  
13 the -- one (1) of the forecasters that we purchase from  
14 -- that would be the Conference Board of Canada -- to  
15 display this information. And the purpose of this is  
16 to give some context to Manitoba's growth or the  
17 projections of Manitoba's growth.

18           The dark black line represents the 2013  
19 forecast for population growth. I am -- I apologize  
20 for speaking to the 2013 year. However, we did not  
21 have this data for the 2012 year, which is what was  
22 used in the 2012 forecast. But this provides the same  
23 contextual information.

24           So the 2013 forecast that we are using  
25 in all of our 2013 assumptions is denoted by the black



1 -- the heavy black line, and that represents our  
2 projections. However, what's interesting to note of  
3 the Conference Board of Canada's projections is each  
4 province is denoted by a different-coloured line. And  
5 the dark -- the heavier green line is Manitoba, their  
6 projection of Manitoba's forecasted growth, annual  
7 growth.

8                   And what we can see is that in the early  
9 years, like 2012 to 2020, roughly, '22, Manitoba is one  
10 (1) of the top three (3) provinces for growth, expected  
11 growth, annual growth. Then as we get into the future  
12 years of 2022, they're anticipating Manitoba to grow at  
13 a higher -- or a lar -- a higher rate than the other  
14 provinces in Canada.

15                   And so, really, this is what's a key  
16 consideration in our forecast moving forward. Every --  
17 as the population in Manitoba increases, the number of  
18 customers in Manitoba increases; more houses et cetera.  
19 So this is having an influence on our projections of  
20 growth for the residential sector.

21                   Turning to our general service mass  
22 market. Sorry, I wasn't keeping up with myself.

23                   MR. ROGER Cathcart:     Mr. Roger  
24 Cathcart. Just a quick question. The 2012 Conference  
25 Board of Canada forecast was used in the NFAT filing?

1 MS. LOIS MORRISON: The Conference  
2 Board of Canada 2012 forecast is one (1) of the  
3 forecasts --

4 MR. ROGER CATHCART: Yes.

5 MS. LOIS MORRISON: -- that we  
6 purchased to come up with our consensus forecast which  
7 was used in the 2012 filing. The 2012 filing -- or  
8 2012 population forecast was anticipating 1.2 percent  
9 growth annually. Our 2013 forecast, which I will speak  
10 to later, is anticipating 1.1 percent growth annually.

11 MR. ROGER CATHCART: So -- so a  
12 downward -- both are available -- you said that one (1)  
13 wasn't available or you just didn't use one (1) --

14 MS. LOIS MORRISON: We didn't --

15 MR. ROGER CATHCART: -- in your  
16 presentation.

17 MS. LOIS MORRISON: -- have the data --  
18 going back. So we didn't have the detailed data by  
19 provinces --

20 MR. ROGER CATHCART: Okay.

21 MS. LOIS MORRISON: -- for the twelve  
22 (12) year of the Conference Board of Canada's forecast.  
23 So in order to provide the context of the other  
24 jurisdictions in Canada, I'm -- I'm presenting the  
25 2013.

1 MR. ROGER CATHCART: Okay, thanks Lois.

2 MS. LOIS MORRISON: So -- but what we  
3 did see -- or what was communicated to us was that that  
4 same trend or representation was what was present in  
5 the 2012.

6

7 (MOVED TO SLIDE 8)

8

9 MS. LOIS MORRISON: So looking to the  
10 general service mass market. This includes all of our  
11 commercial industrial customers, other than our top  
12 consumers. And that would be the top seventeen (17)  
13 largest users in Manitoba. So this encapsulates every  
14 -- all the other commercial industrial customers. Now,  
15 in this sector we have seen, over the last twenty (20)  
16 years, average annual low growth of 115 gigawatt hours,  
17 or 1.6 percent per year. And that is -- we are  
18 anticipating that growth to continue into the future at  
19 a rate of 161 gigawatt hours a year, or 1.7 percent per  
20 year, over the next twenty (20) years.

21 And again, the primary drivers for the  
22 growth in this sector are the population and gross  
23 domestic product. So obviously, if your economy is  
24 projected to grow, your industry will grow, you'll have  
25 more customers and such. Population grows -- well, if

1 there's more people in the province, there's more  
2 schools, there's more healthcare. There's more  
3 services being introduced to meet -- to serve that  
4 increasing population. That's where we've seen a  
5 correlation in our growth for commercial customers. So  
6 both of those are driving growth.

7

8 (MOVED TO SLIDE 9)

9

10 MS. LORIS MORRISON: Looking further at  
11 our top consumers, the top consumers sector has grown  
12 over the last twenty (20) years. You can see by the  
13 blue line that obviously top consumers have a more  
14 dynamic growth pattern than the general service mass  
15 market or the residential customer base.

16 And you can see that over the last  
17 twenty (20) years, that sector has grown by 1,800  
18 gigawatt hours, represents the approximately overall  
19 average of 2 percent per year. However, if you look at  
20 the last ten (10) years, even with the economic  
21 slowdown that we experienced in the -- beginning in  
22 2008, we saw an overall growth of two (2) hun -- a net  
23 growth of 200 gigawatt hours in that sector.

24 So forecasting forward, we're  
25 anticipating that -- that gro -- that sector to

1 continue to grow at a rate of 108 gigawatt hours per  
2 year, or 1.7 percent, over the next twenty (20) years.

3                   Manitoba Hydro prepares their forecast  
4 for the top consumers based on individual customers for  
5 the short term. We tal -- we -- we work with the  
6 individual customers through our key and major account  
7 representatives to identify what their short-term  
8 committed plans are for growth. Those are factored  
9 into the short term. And that's represented by the  
10 first stage of that red line. The first three (3),  
11 four (4) dots/periods of that red line is representing  
12 what those short-term committed plans are for those  
13 individual sectors and individual customers.

14                   We then look at what can we anticipate  
15 seeing, going on past that period of time. It's --  
16 it's very difficult to forecast forward growth for  
17 individual customers beyond those years within a  
18 reasonable manner. So what we do is we do a forecast  
19 forward based on what past experience has been, and we  
20 apply some consistency to the forecast. We can't  
21 anticipate that in, say, 2024 we're going to have one  
22 (1) large expansion that's going to represent a 500  
23 gigawatt hour expansion. So what we do is we look at  
24 the past history and project forward based on that as  
25 to what we can anticipate to see in terms of this

1 sector.

2                   And those of you familiar with  
3 forecasting recognize that there's uncertainty in  
4 forecasting; it's inherent characteristic to all  
5 forecasting. However, our forecast represents Manitoba  
6 Hydro's best estimate of Manitoba's future energy  
7 requirements based upon the information that's  
8 available today and our past experience.

9                   Recognizing that there's uncertainty in  
10 the forecast, Manitoba Hydro includes an estimate of  
11 the magnitude of potential variation from the forecast  
12 due to long-term economic effects, such as changes to  
13 population, changes to economic growth, and such. This  
14 is based on a probabilistic analysis. And so what this  
15 chart represents is the variation that could occur due  
16 to changes in our forecast or in -- to economic growth  
17 into the future and what the impact might be to our  
18 load.

19                   And so based upon this, you can see that  
20 there would be approximately a plus or minus 2,555  
21 gigawatt hour difference under our 2012 forecast, based  
22 on variability -- economic variability.

23                   What this means is that there's a --  
24 when we do our probabilistic analysis, what it means is  
25 that there's a 10 percent probability of -- under the

1 2012 forecast -- of the load being less than 30,870  
2 gigawatt hours in thir -- 2031/'32, and being there's a  
3 10 percent probability of the load being greater than  
4 39,980 gigawatt hours in 2031/'32. And that's  
5 variation around our projected load for '31/'32 of  
6 33,425 gigawatt hours.

7 MR. JOHN TODD: Question -- oh, sorry,  
8 John Todd, Elenchus. What's the -- what's the database  
9 you're using to come up with the 10 percent variability  
10 in growth rates? I mean, on what is that based?

11 MS. LOIS MORRISON: It's a  
12 probabilistic analysis based on past experience. It's  
13 a regression analysis. We look at the weather adjust -  
14 - we take the weather-adjusted load from the past  
15 twenty-five (25), thirty (30) years, and we regress it  
16 against the economic charact -- the -- the actual  
17 versus the -- what was act -- what was fore -- oh,  
18 sorry. I have to actually go to my expert on the exact  
19 details as to how we derived it, but it is based on a  
20 regression analysis, because I will not say it in a  
21 proper way.

22 MR. BOB PETERS: Hi, Lois. It's Bob  
23 Peters. If we can go back to Slide 9, please, the one  
24 (1) just before this.

25 Could you tell us the dip that occurs

1 from about '08 to -- to '12, what the factors are that  
2 caused your top seventeen (17) clients to reduce that  
3 load, and -- well, I'll have a couple others, but let's  
4 start with that one, please.

5 MS. LOIS MORRISON: Well, the -- the  
6 reduction in 2008, it's actually -- the majority of  
7 that would have actually occurred in 2008. And that  
8 was the loss of one (1) major load. One (1) major top  
9 consumer is the primary driver for that reduction.

10 MR. BOB PETERS: And, Lois, looking at  
11 the red line, you indicated the first three (3) dots of  
12 red are based on face-to-face meetings between Manitoba  
13 Hydro personnel and, as I understood it, the -- the top  
14 seventeen (17) customers, and that gave you your  
15 forecast for those three (3) years?

16 MS. LOIS MORRISON: Yes, what we do is  
17 our -- we -- our load forecasting group meets with our  
18 key account representatives and major account  
19 representatives that represent these seventeen (17)  
20 customers. And those representatives provide us with  
21 the information that we've been provided -- that  
22 they've been provided by the customers as to what their  
23 committed projects are.

24 So if they've already committed to, say,  
25 a transmission interconnection study to service certain



1 load requirement, that is all brought forward and --  
2 and accumulated to come up with what we anticipate to  
3 see the growth in those different customers.

4 MR. BOB PETERS: And my last quest --  
5 my last question, Lois, is in 2015, at the end of the  
6 third red dot, the green line comes in and it -- would  
7 it be a correct interpretation to say that, based on  
8 what your top seventeen (17) customers have told you,  
9 after 2015, there -- the load for these seventeen (17)  
10 customers goes flat?

11 MS. LOIS MORRISON: Well, what we do is  
12 -- okay, so what the green line is doing is it's  
13 demonstrating the short-term forecast, but we hold it  
14 constant. So one (1) -- at an individual basis.

15 So really what -- what -- from the last  
16 presentation, what I was demonstrating is how -- when I  
17 talked more about our methodology for the top  
18 consumers, I talked about how we forecast them  
19 separately and then -- for the short term. And then we  
20 add on the -- what we call our potential large  
21 industrial load growth as a -- as a -- an annual basis  
22 into the future to count for unexpected load growth  
23 that is lon -- more long term in nature.

24 Now, the green line is representing  
25 where we've -- where we've held constant after that

1 three (3) years, what those different customers have  
2 indicated. So we've just -- we've just straight-lined  
3 it after that. And then we add on the -- the 100  
4 gigawatt hours a year going into the future.

5 MR. BOB PETERS: All right. And when I  
6 said it was my last question, you know that wasn't  
7 quite true. The -- the 100 gigawatts a year for the  
8 potential large industrial load that you mentioned,  
9 what is the basis that Manitoba Hydro calculates that  
10 number?

11 MS. LOIS MORRISON: That 100 gigawatts  
12 hours a load -- sorry, 100 gigawatt hours a year load  
13 is based on the -- what I mentioned, the 1,800 gigawatt  
14 hours of growth over the last twenty (20) years. And  
15 so -- okay, so last time I had a slide that  
16 demonstrated what we did for calculating that.

17 So the 100 gigawatt hours a year is an  
18 average that we use. And then every year we double-  
19 check to make sure, is that average still reasonable.  
20 Rather than adjusting it up and down every year, we --  
21 we double-check to make sure that that one hundred  
22 (100) is still reasonable.

23 And if I can go back to my...

24

25 (MOVED TO SLIDE 10)

1 MS. LOIS MORRISON: Okay. If I go back  
2 to -- if you look at the growth -- the hist -- over the  
3 last twenty (20) years, we had historical growth on  
4 average of 92 gigawatt hours a year. So when you take  
5 -- of this sector, over the last twenty (20) years,  
6 we've seen unexpected growth, growth that wasn't  
7 planned for in our forecast specifically of 92 gigawatt  
8 hours.

9 And so that's how we come up with the  
10 one hundred (100), is so when we first started doing  
11 this forecast, we did an analysis and it was  
12 approximately 100 gigawatt hours. So that's what we  
13 used going forward. And every year, as I say, we  
14 double-check, does that still make sense, does that  
15 still meet the threshold of reasonability.

16 So we feel that that's still a  
17 reasonable approximation for what the growth going  
18 forward will be.

19 MS. NICOLE FITKOWSKI: Well, it's not a  
20 question, it's just a comment from people that are on  
21 the eConnect. They're having a difficult time hearing  
22 the questions that people are asking. They can hear  
23 the speaker. But the people who are asking questions,  
24 you are very faint, so maybe speak a little louder in  
25 your mic so they can hear the questions.

1

2

(BRIEF PAUSE)

3

4

MS. LOIS MORRISON: Okay.

5

6

(MOVED TO SLIDE 11)

7

8

MS. LOIS MORRISON: So as we mentioned,

9

uncertainty in forecasting is an inherent

10

characteristic. And Manitoba Hydro recognizes that.

11

But Manitoba Hydro is satisfied with the methodology

12

and approach we've undertaken. As part of our annual

13

processes, we look at the accuracy of our past

14

forecasts to -- again, it's basically performing a

15

reasonability check. And our objective is to be within

16

1 percent per year of every year being forecast.

17

So we do an analysis based on a five (5)

18

year forecast and a ten (10) year forecast. And so we

19

are targeting to be within 5 percent on our five (5)

20

year forecasts, or within 5 percent of -- have actual

21

energy consumption be within 5 percent of what we

22

forecast for each -- for the five (5) year forecast,

23

and within 10 percent for the ten (10) year forecast.

24

25

(MOVED TO SLIDE 12)

1 MS. LOIS MORRISON: And what the chart  
2 here shows is that for the majority of our forecasts,  
3 we are well within meeting our target of 5 percent.  
4 When we look at our ten (10) year forecast, we are  
5 again meeting that target of being within 10 percent.  
6 And so we feel quite comfortable that the methodology  
7 and the -- and the modifications that we're making year  
8 to year to improve the methodo -- the -- the forecasts  
9 are delivering reasonable forecasts and forecasts that  
10 re -- represent the most likely scenario.

11 The one (1) thing that I would note is  
12 that the forecast assumes average expected economic  
13 conditions. We do not forecast for unexpected periods  
14 of recession or growth. What the -- what some people  
15 might see when they're looking at these is that it  
16 looks like we have periods of over-forecasting and  
17 under-forecasting. That's not a character -- that's  
18 not an outcome of the methodology so much as an outcome  
19 of the -- the cycles that we're looking at.

20 So, for example, when you're looking at  
21 the period leading up to 2002 -- sorry, for the -- when  
22 you look at the period of 2002 to 2007, it would look  
23 like we were under-forecasting. Well, we were -- we  
24 were not so much under-forecasting as we had forecast  
25 based on average expected or expected economic growth,

1 and what we were going into was a period of economic  
2 growth, unexpected economic growth. So for each of  
3 those five (5) years, we're going to be under what was  
4 actually -- we be un -- looking to be under-  
5 forecasting.

6                   When we go to the period -- when we go  
7 to the period of 2008 forward, you can see that our  
8 five (5) year forecast would have been projecting some  
9 increased growth based on past history, but our ten  
10 (10) year forecasts are -- still be showing that we  
11 were expecting lower growth.

12                   So really it's -- again, we -- these --  
13 this is more of a demonstration of those fluctuations  
14 around unexpected periods of growth and recession. But  
15 the overall target of being within the -- the 5 percent  
16 or within 10 percent for those te -- five (5) and ten  
17 (10) year forecasts has been met.

18

19                   (MOVED TO SLIDE 13)

20

21                   MS. LOIS MORRISON: So as -- as I  
22 mentioned earlier, we update our forecast every year as  
23 market conditions change and as better information  
24 comes available. We have updated -- since the  
25 preparation of the fi -- information for the filing, we

1 have updated our forecast to represent the information  
2 for 2013.

3                   And under our 2013 forecast, we're  
4 projecting that over the next twenty (20) years our  
5 load growth will be at a rate of 413 gigawatt hours, or  
6 1.5 percent per year. And this is slightly lower than  
7 what was proje -- presented under our 2012 forecast.  
8 There are two (2) factors that are influencing that,  
9 and the primary factors are the population forecast.  
10 As we talked about earlier, the population forecast  
11 under the 2012 was projecting a 1.2 percent per year  
12 increase, and under the updated 2013 forecast we were -  
13 - we are seeing a projection, based upon the consensus  
14 forecast, of 1.1 percent per year.

15                   The other thing that we introduced in  
16 2013 is we recognized concerns around the increasing  
17 use of space heating in the -- in the residential  
18 sector, primarily in what we term to be the south gas  
19 available area. It would not necessarily be so much in  
20 Winnipeg, but in the areas outside and surrounding  
21 Winnipeg where we're seeing an increased use of  
22 electricity for space heating. In addition to overall,  
23 we're seeing an increased use of electricity for water  
24 heating.

25

1 (MOVED TO SLIDE 14)

2

3 MS. LOIS MORRISON: Now, what we've  
4 done is, we have adjusted our load forecast to  
5 represent initiatives that we are in the process of  
6 bringing in, that we have brought in, and are looking  
7 to expand to help customers make better choices; and to  
8 make sure that the appropriate price signals are in  
9 place for customers to choose natural gas for their  
10 space heating, as opposed to electric.

11 And so both of those factors have  
12 resulted in a decrease in our firm energy projections  
13 for our 2013 forecast. That -- those same influencers  
14 result in our forecast for total peak being reduced --  
15 now we're fore -- forecasting a growth rate of 76  
16 megawatts and 1.5 percent per year over the next twenty  
17 (20) years.

18

19 (MOVED TO SLIDE 15)

20

21 MS. LOIS MORRISON: So, to summarize  
22 the main changes between the 2013 forecast and the 2012  
23 forecast, we can see that -- and -- and I'll focus more  
24 so on the 2031/'32 year. In 2031/'32, under the 2012  
25 forecast, we were projecting energy requirements of



1 33,425 gigawatt hours. Under the 2013 forecast, that's  
2 reduced by approximately 1,200 gigawatt hours to 32,265  
3 gigawatt hours as being our most likely energy  
4 requirements in the future.

5 We also see a reduction in our demand  
6 requirements from 6,032 megawatts to 5,886 megawatts in  
7 2031/'32. The change in our annual load -- in our  
8 annual growth rate is -- instead of anticipating a 450  
9 gigawatt hour growth rate, we're looking at a 420  
10 gigawatt hour a year growth rate. And the annual --  
11 and that represents a percentage of change of 0.1  
12 percent between the -- the two (2) forecasts.

13

14 (MOVED TO SLIDE 16)

15

16 MS. LOIS MORRISON: Okay. So something  
17 didn't quite happen right when it's transferred over.  
18 So what we were trying to demonstrate here is, this is  
19 going back to our discussion of variability, and when  
20 we do our analysis for load forecasting and we look at  
21 the -- the probability -- the -- the potential for load  
22 to vary, so -- due to economic adjustments, and what we  
23 were attempting to demonstrate here by the red line,  
24 the heavy red line represents the 2012 forecast. The  
25 heavy yellow line represents the 2013 forecast.

1                   Now, the lighter -- or the thinner red  
2 lines represent the bands of variability around our  
3 2012 forecast, and the thinner, yellow lines represent  
4 the bands of variability that we were anti -- that we  
5 were projecting around our 2013 forecast.

6                   And what we were simply trying to  
7 demonstrate here was that both the '12 and '13  
8 forecasts fall within the bands of variability that are  
9 being projected. So, Byron...?

10                   MR. BYRON WILLIAMS: Lois, I'm not  
11 going to be like Bob -- oh, it's Byron Williams. I'm  
12 not going to be like Bob Peters and pretend I'm going  
13 to ask three (3) questions and ask twelve (12) but --

14                   MS. LOIS MORRISON: Are you going to  
15 ask twelve (12)?

16                   MR. BYRON WILLIAMS: No, I -- hopefully  
17 just one (1) or two (2). Just -- if you can just  
18 remind me -- and I'm trying to remember from your July  
19 presentation -- when we look at the 2013 load forecast  
20 as compared to the 2012 load forecast, am I right in  
21 suggesting to you that in the 2013 load forecast your  
22 expected DS -- incremental DSM savings are lower, as  
23 well?

24                   MS. LOIS MORRISON: Well, in the 2013  
25 forecast we do -- so -- so we do not -- we -- we

1 forecast demand-side management separate from the load  
2 forecasts. They're not inclu -- they're not together.  
3 So the 2013 forecast is done separately from this. It  
4 does not include any of the program anticipated savings  
5 for DSM, so it's not factored in here. So any  
6 additional DSM savings would be additional reductions  
7 to this.

8 Only one (1) question, Byron?

9 MR. BYRON WILLIAMS: They took the mic  
10 away.

11 MS. LOIS MORRISON: Oh.

12 MR. BYRON WILLIAMS: It's all good.

13 MS. LOIS MORRISON: Okay.

14 MS. NICOLE FITKOWSKI: Philippe Dunsky  
15 has a question.

16 MR. PHILIPPE DUNSKY (VIA CHAT): To  
17 what extent does the forecast account the anticipated  
18 rate increase further impact on new and existing load?

19 MS. LOIS MORRISON: Our load forecast,  
20 we went through the methodology in quite a bit more  
21 detail in the July session, where we talked about how  
22 rate changes are included within the methodology for  
23 load forecasting.

24 We do not include a price elasticity  
25 within our load forecast, simply because in the past we

1 have not seen in a -- when we do our regression  
2 analysis we have not seen the price changes to be able  
3 to demonstrate a -- an ef -- an -- a demonstrable  
4 change within our forecast.

5                   We did use price differentials between  
6 natural gas and electricity to determine fuel choice,  
7 or which customers would be choosing electric heat  
8 versus natural gas heat. But that was the only wa --  
9 factor that we used in our price elasticity. That's  
10 the only way we used pricing within our forecast.

11                   So we do not cons -- we do not include a  
12 price elasticity within the forecast.

13                   MR. RICK HENDRIKS: Rick Hendriks. You  
14 indicated when you first put this up that it didn't  
15 transfer over well, so I'm assuming there's an error on  
16 this graph somewhere and I --

17                   MS. LOIS MORRISON: Well, it --

18                   MR. RICK HENDRIKS: -- I suspect it's  
19 with the material that's been slid down. Can I --

20                   MS. LOIS MORRISON: Yeah, that's all it  
21 is. The shading should move up.

22                   MR. RICK HENDRIKS: Yeah. Can I just  
23 ask that -- that this graph be -- when it's posted to  
24 the site, be corrected and also that the -- that a  
25 legend be included for the -- for the meaning of the

1 lines?

2 MS. LOIS MORRISON: Oh, yeah, we can do  
3 that.

4 MR. JOHN TODD: Lois, John Todd,  
5 Elenchus. I think you mentioned that when you've  
6 looked for elasticities in the past, you haven't found  
7 any and therefore you haven't included them. Do you --

8 MS. LOIS MORRISON: We -- we haven't  
9 said that there isn't. What we said is --

10 MR. JOHN TODD: Yeah.

11 MS. LOIS MORRISON: -- we haven't been  
12 able to demonstrate one (1) that we can use in our  
13 forecasting to --

14 MR. JOHN TODD: Right.

15 MS. LOIS MORRISON: -- predict future  
16 behaviour.

17 MR. JOHN TODD: And to iden --  
18 presumably to identify one (1), you'd need enough of a  
19 rate increase relative to inflation to pick that up?

20 MS. LOIS MORRISON: M-hm.

21 MR. JOHN TODD: Has there been any  
22 experience in Manitoba Hydro in the past with  
23 cumulative real rate increases comparable to what's  
24 anticipated in the current development plan?

25 MS. LOIS MORRISON: This would be

1 subject to check, because we're go -- might be going  
2 past my tenure.

3 MR. JOHN TODD: In your -- in your --  
4 maybe compared to the life of Manitoba Hydro.

5 MS. LOIS MORRISON: In -- in --  
6 Manitoba Hydro's rate strategy has generally been with  
7 -- been slow, small incremental rate increases. In  
8 fact, we went through a period of time where there were  
9 -- I -- which was part of my tenure actually, of about  
10 approximately ten (10) years where there were no rate  
11 increases.

12 So we -- we do not have our own personal  
13 experience where we could state that we've experienced  
14 a, say, a one (1) year 10 percent rate increase that we  
15 could incorporate into the analysis, that I am aware  
16 of.

17

18 (MOVED TO SLIDE 17)

19

20 MS. LOIS MORRISON: So in summary, I  
21 just would like to point out again, or reiterate, that  
22 we -- our forecast is updated annually to reflect the  
23 most current available market data. And we feel that  
24 this represents Manitoba Hydro's best estimate of  
25 future energy requirements. The forecast models and

1 methods are adjusted wherever appropriate to make  
2 improvements, and we feel that those have been very  
3 effective.

4 And someone has a question.

5 MS. NICOLE FITKOWSKI: Philippe Dunsky  
6 has another question.

7 MR. PHILIPPE DUNSKY (VIA CHAT): To  
8 what extent are new and anticipated energy efficiency  
9 codes and/or standards included in the load forecast?  
10 Please be specific.

11 MS. LOIS MORRISON: I -- the -- we  
12 include in the -- when we're doing our forecasts, we  
13 forecast the growth for each sector then we subtract  
14 our forecasts for codes and standards. The codes and  
15 standards that we subtract are the ones that are  
16 already in place. The influence of those codes and  
17 standards that are already in place or that have been -  
18 - that have been noted to be go -- be coming in, in the  
19 near term, that have actually been committed to. So  
20 those -- those -- the impact of those codes and  
21 standards are removed from our load forecast.

22 I can't pull the number right off the  
23 top of my head as to what that represents. It is  
24 denoted in our 2013/2016 Power Smart Plan what the  
25 influence of codes and standards are that are included

1 within our load forecast.

2

3 (BRIEF PAUSE)

4

5 MR. RICK HENDRIKS: Sorry, I might be  
6 getting ahead of myself here. Rick Hendriks. You  
7 noted that it's included in your Power Smart Plan --  
8 maybe I could defer this question to the DSM discussion  
9 --

10 MS. LOIS MORRISON: Yeah.

11 MR. RICK HENDRIKS: -- but -- so when  
12 you speak of DSM in the load forecast, it appears that  
13 your own -- that you're not including the effective  
14 codes and standards, you're only talking about your  
15 programs. So can you just clarify me what exactly is  
16 Manitoba Hydro's -- like normally when I think of DSM,  
17 I would think of a wide variety of things, such as  
18 programs, effects of standards and codes --

19 MS. LOIS MORRISON: M-hm.

20 MR. RICK HENDRIKS: -- conservation  
21 rates --

22 MS. LOIS MORRISON: M-hm.

23 MR. RICK HENDRIKS: -- the whole box.  
24 Can you just describe what you mean when you say,  
25 "DSM"?



1 MS. LOIS MORRISON: Okay. We mean the  
2 same thing but it's how we -- I am going to wear this  
3 soon. What we -- it's how we bin it. So when we talk  
4 about our overall conservation initiatives, we talk  
5 about all those components. Within -- within our Power  
6 Smart Plan, we denote all those different factors that  
7 you -- or those components that you spoke to. How we  
8 treat them in our integrated resource planning process  
9 and our load forecasting process is what we're speaking  
10 to now.

11 In terms of our load forecast, we reduce  
12 our load forecast to reflect the future effect of codes  
13 and standards in place. So, for example, Manitoba has  
14 introduced a energy code requirement under their Part 9  
15 Building Code, which would be residential housing. The  
16 influence of that code is reflected in our load  
17 forecast becau -- the future effect of that code is  
18 reflected in our load forecast because that is a code  
19 in place.

20 If, perhaps, through one (1) of  
21 initiatives -- so one (1) of our incentive-based  
22 programs -- we are hoping to or working towards getting  
23 better codes in place, that would be denoted within the  
24 Power Smart Plan because that is not yet in place.

25 So those load forecast reflects the

1 codes that are in place or expected to be in place in  
2 the near term, not the ones we're hoping to influence.

3 MR. RICK HENDRIKS: Rick Hendriks  
4 again. Thanks for that clarification.

5 So when you look at the effect of DSM on  
6 the load forecast, are you saying that the effect of  
7 DSM is all of those things? Because when I read the --  
8 when I read your -- your NFAT here, it seemed that DSM  
9 only referred to the programs. So, in other words, the  
10 effect of codes and standards is somehow subtracted  
11 first --

12 MS. LOIS MORRISON: Yes. So --

13 MR. RICK HENDRIKS: -- from the load  
14 forecast?

15 MS. LOIS MORRISON: Yeah.

16 MR. RICK HENDRIKS: And then you look  
17 at your -- effect of your programs?

18 MS. LOIS MORRISON: Yeah.

19 MR. RICK HENDRIKS: Okay.

20 MS. LOIS MORRISON: So -- so we're not  
21 double-counting.

22 MR. RICK HENDRIKS: Okay.

23 MS. LOIS MORRISON: So -- so what  
24 happens is the effective codes and standards that are  
25 in place as I described are removed from our load

1 forecast. Then, with all of our DSM planning, we only  
2 include -- we want to make sure we're not double-  
3 counting, so we take only those programs, savings, and  
4 initiative savings that are separate from codes and  
5 standards and we pass that to the integrated resource  
6 planning process folks. And then they take our load  
7 forecast; they do their models based on that. So they  
8 do -- they create the net load requirement.

9 MR. RICK HENDRIKS: Okay. So Rick  
10 Hendriks again. Just to clarify then, have you  
11 determined the overall effect of codes and standards,  
12 conservation rates, and your programs on the load  
13 forecast? That would make it easier for us to compare  
14 between other jurisdictions. Everybody does it a bit  
15 differently.

16 MS. LOIS MORRISON: Well, we would  
17 simply take -- we do that in Chapter 4. In Chapter 4,  
18 they do present the load impact net of DSM. And -- and  
19 there is a section where they show -- and what they've  
20 done is they've taken our load forecast and just taken  
21 off the program savings to demonstrate that.

22 MR. RICK HENDRIKS: Right. When you  
23 say, "DSM," though there --

24 MS. LOIS MORRISON: Sorry.

25 MR. RICK HENDRIKS: -- you're only

1 referring to the program savings?

2 MS. LOIS MORRISON: The in -- what you  
3 could call the -- the incremental program savings, yes.

4 MR. RICK HENDRIKS: Right. So what --  
5 how -- how does one determine the overall effect of  
6 codes and standards, conservation rates, and programs  
7 on the load forecast?

8 MS. LOIS MORRISON: So you're asking us  
9 to go back to our load forecast, pull out the codes,  
10 and rebuild our load forecast --

11 MR. RICK HENDRIKS: You got it.

12 MS. LOIS MORRISON: -- without codes  
13 and standards.

14 MR. RICK HENDRIKS: Yes.

15 MS. LOIS MORRISON: We don't -- we  
16 don't have that listed anywhere. We don't have that  
17 outlined in any one (1) spot.

18 MR. RICK HENDRIKS: But you have the  
19 data?

20 MS. LOIS MORRISON: We have the data.

21 MR. RICK HENDRIKS: Okay.

22 MR. ROGER CATHCART: Hi. Roger  
23 Cathcart. Just a quick question. When you said that  
24 it's in your 2013 Power Smart -- 2013 to 2016 Power  
25 Smart Plan, you mean it's in Appendix E to your 2013 to

1 '16 Power Smart Plan?

2 MS. LOIS MORRISON: Yes, it's the

3 Appendix E --

4 MR. ROGER CATHCART: In Appendix E.

5 MS. LOIS MORRISON: -- as part of the  
6 filing.

7 MR. ROGER CATHCART: And if you go to  
8 Appendix E, you see 824 point -- 842.4 gigawatt hours  
9 of savings on -- due to codes and standards. And at  
10 the top of it, you say that the Power Smart Plan has  
11 4.9 percent savings over the load forecast --

12 MS. LOIS MORRISON: Yes.

13 MR. ROGER CATHCART: -- including codes  
14 and standards?

15 MS. LOIS MORRISON: Yeah, that's  
16 including codes and standards.

17 MR. ROGER CATHCART: So would it be  
18 possible to break down the difference between what is  
19 DSM versus what's codes and standards and give us a  
20 table of -- of that?

21 MS. MARLA BOYD: I think you're asking  
22 as an IR.

23 MR. ROGER CATHCART: No, I -- I don't,  
24 but it's -- if it's available. I'm sorry.

25 MS. MARLA BOYD: Now you're in trouble.

1 Marla Boyd. I -- I don't think that -- that we can  
2 give you those kind of detailed breakdowns here. If  
3 you're looking for an Information Request, certainly it  
4 can be part of that process. But in terms of what  
5 we're providing today, you've gone kind of beyond what  
6 Lois can do off the top of her head.

7 MS. LOIS MORRISON: Yes.

8 MR. ROGER CATHCART: My bad.

9 MS. NICOLE FITKOWSKI: I have another  
10 question from Philippe Dunsky. So he says:

11 MR. PHILIPPE DUNSKY (VIA CHAT): So can  
12 we assume that the future codes and standards are not  
13 accounted for? Just to be clear, I'm referring to the  
14 ones Manitoba Hydro -- Manitoba Hydro is hoping to  
15 influence in the future, not the ones already committed  
16 to or adopted.

17 MS. LOIS MORRISON: The ones that we  
18 are hoping to achieve are reflected in the Power -- the  
19 in -- the individual program savings. Maybe to use the  
20 -- the distinction that was denoted earlier, they would  
21 be within that program savings that would go to the  
22 resource planning Group under our -- our -- what we  
23 call our Power Smart Plan.

24 So the future ones that we're hoping to  
25 achieve through our initiatives and such are denoted in

1 our plan, but they're in the second bin, the bin of the  
2 what we call DSM net of codes and standards.

3 MR. BILL HARPER: Bill Harper, with  
4 CAC. Lois, on pages 668 -- and you probably don't have  
5 to turn it up, this is the one where you show the  
6 sectoral forecasts for -- for re -- for residential and  
7 for the GS mass markets. And when you look at the  
8 information there, in both cases, the forecasts going  
9 forward, the growth rate there was higher than if I  
10 looked back in -- in time.

11 And, you know, that's something pe --  
12 people normally compare, is how are things -- you know,  
13 why... I just want to make sure those numbers really  
14 aren't -- I want to put a proposition to you because I  
15 think, from what you're saying, those numbers really  
16 aren't comparable because your historical numbers would  
17 have all the DSM built into them, whereas your  
18 forecasts don't have all of the DSM that you're  
19 planning in the future built into them.

20 So it would be incorrect for me to  
21 really compare the historical growth rates you've got  
22 here with your for -- forecast growth rates. Is -- is  
23 that a fair comment?

24 MS. LOIS MORRISON: That is -- that is  
25 correct. The his -- because we forecast forward from

1 the actual energy consumption used in that year, that's  
2 deemed to be including all past energy efficiency  
3 initiative, the result of all past energy efficiency  
4 and conservation effects.

5 MR. BILL HARPER: Right.

6 MS. LOIS MORRISON: So there is a  
7 different in those -- in those factors.

8 MR. BILL HARPER: One would then have  
9 to compare the -- what's post-DSM --

10 MS. LOIS MORRISON: Yeah.

11 MR. BILL HARPER: -- to the numbers  
12 you've got here in the past to sort of get an apples-  
13 to-apples comparison then?

14 MS. LOIS MORRISON: That's correct.

15 MR. BILL HARPER: Okay, thanks.

16 MS. LOIS MORRISON: Okay. So going  
17 back to my summary. We -- our forecast models are up -  
18 - and methods are updated and adjusted where  
19 appropriate to make improvements. And as I mentioned,  
20 we are quite comfortable with the adjustments that  
21 we've made. And our forecasting accuracy over the long  
22 term demonstrates that the meth -- demonstrates that  
23 these methodologies are reasonable and reliable.

24 MR. BYRON WILLIAMS: Lois, Byron  
25 Williams, CAC. Just go -- following up to Bill's



1 question. When you are looking at forecasting  
2 accuracy, and I'm not -- are you -- the original  
3 forecasts exclude --

4 MS. LOIS MORRISON: We add back in the  
5 DSM that we've achieved. So that would be the end of  
6 my presentation. If there are any other questions, I'd  
7 be happy to take them.

8 THE FACILITATOR: Are there any more  
9 questions on this part? Lois is doing the load  
10 forecast and the DSM. And I thought maybe, Lois, we  
11 would take a ten (10) minute break before going onto  
12 the next one. Does that make sense for you?

13 MS. LOIS MORRISON: Yeah, I'd  
14 appreciate that.

15 THE FACILITATOR: Okay. But -- but  
16 before we move on, any questions on the load forecast  
17 part of it? Going once, going twice, gone.

18 It's eleven (11) after 10:00. Why don't  
19 we go fourteen (14) minutes to 10:25 sharp. And I  
20 guess, Lois -- if you had a load forecast question that  
21 popped into your head over coffee, I -- I suspect she  
22 might be willing to answer it. Okay, thanks, 10:25.  
23 Thanks.

24

25 --- Upon recessing at 10:11 a.m.

1 --- Upon resuming at 10:26 a.m.

2

3 THE FACILITATOR: Okay. Good aft --  
4 good morning, again. It's Ed Wojczynski again. So  
5 we'll get started. And our second presentation again  
6 will be Lois, with the load forecast. And I guess  
7 we'll just get started.

8

9 DSM AND ENERGY EFFICIENCY PRESENTATION:

10 MS. LOIS MORRISON: So I want to thank  
11 you for the opportunity to come to speak to Manitoba  
12 Hydro's DSM plan and how it fits within the submission  
13 for this public hearing.

14 Today what we're going to walk through  
15 is primarily what information we have provided in the  
16 chap -- in Chapter 4 of the submission. I'm going to  
17 speak briefly to our 2013 to '16 Power Smart plan,  
18 which is our current approved plan; talk to Manitoba  
19 Hydro's approach to accessing economic opportunities;  
20 and the -- and speak to additional DSM and the  
21 potential study.

22 As before, if you have any questions  
23 throughout the discussion, please feel free to ask.  
24 Hello. Mr. Todd would like the mic.

25 MR. JOHN TODD: John Todd again,

1 Elenchus. Just a high-level question. Your DSM plans  
2 have gone on for a number of years. With the NFAT in  
3 your development plan, it's sort of different than  
4 business as usual. It's something of a much bigger  
5 scale.

6 Has that had any impact on your DSM  
7 planning? I mean, do you do anything different because  
8 you've got this large expenditure looming ahead?

9 MS. LOIS MORRISON: We had -- what we  
10 did do was we under -- we did initiate the potential  
11 study. The potential study was initiated for both --  
12 for two (2) purposes: one (1) recognizing we were  
13 moving into the NFAT analysis and, two (2) it is  
14 relatively -- it -- it's important that every so often  
15 you take that step back and look at your market as a  
16 whole and make sure that your programs or your -- your  
17 plan is in alignment with what's coming on the horizon.

18 So that was what we did do in -- in  
19 anticipation of the upcoming NFAT.

20

21 (BRIEF PAUSE)

22

23 MR. JOHN TODD: Yeah, just to follow  
24 up. Oh, sorry, John Todd, continuing. Has -- has  
25 Manitoba Hydro ever done or contemplated doing an

1 integrated resource plan?

2 MS. LOIS MORRISON: I think Ms. Flynn  
3 and Mr. Wojczynski say that we regularly do an  
4 integrated resource plan.

5 THE FACILITATOR: If you're -- it's Ed  
6 Wojczynski. If you're referring to an integrated  
7 resource plan in the sense of having DSM options in  
8 parallel -- in portfolio sense with supply options and  
9 then in effect finding an optimal level of DSM at the  
10 same time you're looking at your supply option and all  
11 the other things on your system, we have done that in  
12 the past. That was how the -- a number of years ago,  
13 not recently, how the DSM levels were obtained.

14 And actually, as those who are -- well,  
15 not many of you would have been in attendance  
16 yesterday, at the technical -- no, pre-hearing  
17 conference. But what we explained to everybody there  
18 yesterday is that we are going to be -- with this DSM  
19 market potential study, Lois and her people, as she's  
20 going to explain right away, are going to be developing  
21 an updated DSM plan for -- over the next number of  
22 months and also look at a higher level of DSM beyond  
23 the base plan, somewhat similar to the sensitivities we  
24 did, or approaching those.

25 Proba -- it won't be the same as those,

1 and that that would then be don -- applied into a  
2 economic power resource planning evaluation to assess  
3 the two (2) layers -- two (2) levels of DSM. So to  
4 that degree, that would be an integrated resource  
5 planning process. We're not looking at individual  
6 programs, but two (2) major levels of it.

7 Does that answer your question?

8

9 (BRIEF PAUSE)

10

11 THE FACILITATOR: We are -- we are  
12 going to be doing that.

13

14 (BRIEF PAUSE)

15

16 THE FACILITATOR: Okay.

17 MR. JOHN TODD: You -- you ment --  
18 yeah. You mentioned that you had -- sorry, John Todd  
19 continuing. You mentioned you had done sort of a full  
20 IRP in the conventional sense of it's a resource to  
21 optimize.

22 Could -- do you know when in the past  
23 that was done?

24 THE FACILITATOR: Ed Wojczynski again.  
25 Actually, I don't remember how long ago was that. Was

1 it ten (10) years ago, Joanne? I don't -- you know,  
2 we'd have to get back to you in -- exactly when that  
3 was. I don't know if -- Lloyd, if you remember, but --  
4 no. It was certainly many years ago. It was not  
5 recently.

6 MS. LOIS MORRISON: It was in my early  
7 years.

8 THE FACILITATOR: Yes. I was manager  
9 of -- of resource planning then and Lois was manager of  
10 something or another.

11 MS. LOIS MORRISON: No, I wasn't  
12 manager of anything then.

13 THE FACILITATOR: Oh, okay. Anyways,  
14 I'm guessing fifteen (15) years ago, but I -- you know,  
15 something in that order.

16 MS. LOIS MORRISON: Fifteen (15) to  
17 twenty (20), yeah.

18 THE FACILITATOR: Does -- does that  
19 satisfy your...

20 MR. JOHN TODD: Yes.

21 THE FACILITATOR: Okay.

22

23 (MOVED TO SLIDE 3)

24

25 MS. LOIS MORRISON: Okay. Okay. So --

1 sorry, this is -- so we'll be -- we'll be speaking to  
2 additional DSM as Mr. Wojczynski mentioned and  
3 potential study.

4

5                   So it's important, when looking forward,  
6 that you look at where you've been. And so we would  
7 like to note that for Manitoba Hydro -- Manitoba  
8 Hydro's Power Smart initiative has accomplished over  
9 the last twenty (20) years.

10                   We've achieved a hundred and ninety  
11 (190) -- 1,990 gigawatt hours of energy savings of --  
12 of electricity savings, 586 megawatts of electricity  
13 savings, and 700 -- 77 million cubic metres of natural  
14 gas savings. We've invested to date \$537 million in  
15 energy efficiency, of which four hundred and thirty-six  
16 (436) is specifically for electricity sav -- energy  
17 efficiency.

18

19                   (MOVED TO SLIDE 4)

20

21                   MS. LOIS MORRISON: Looking forward  
22 under our current plan, we will be investing and saving  
23 still more. We are projecting additional savings of  
24 1,552 gigawatt hours per year and 490 megawatts of  
25 electricity savings and 59 million cubic metres of

1 natural gas. This is -- will be through an investment  
2 of \$421 million in energy efficiency, of which three  
3 hundred and twenty-six (326) will be for electricity  
4 DSM.

5                   Through our planned DSM initiatives,  
6 we're anticipating that plus -- participating customers  
7 can expect to save \$52 million in the year '27/'28.  
8 Cumulatively, that repre -- that will be \$486 million  
9 in their electricity bills by '27/'28.

10

11                   (MOVED TO SLIDE 5)

12

13                   MS. LOIS MORRISON: When we combine our  
14 efforts to date with what we're projecting to achieve  
15 over the next fifteen (15) years, we anticipate savings  
16 -- we will have saved by 2027/'28 3,113 gigawatt hours,  
17 and 846 megawatts of electricity savings, and 126  
18 million cubic metres of natural gas. It'll represent  
19 an investment in DSM or energy conservation of \$958  
20 million, of which 762 million will have been in  
21 electricity efficiency.

22                   So -- oh.

23                   MR. BILL HARPER: Bill Harper. I'm  
24 sorry, if you go back, I was just trying to understand  
25 -- if you could just clarify, because your numbers on



1 the slide, the gigawatt hours had per year. Exact --  
2 exactly what does a 3,133 gigawatt hours per years  
3 represent? Is that the total area under the curve for  
4 the entire --

5 MS. LOIS MORRISON: No. It represents  
6 that in '27/'28, if you accumulate all the activity,  
7 not the savings, but if you say for every CFL, every  
8 house insulated, every T8 converted to T -- every T8  
9 conversion, every T5 conversion, you add all that up,  
10 by '27/'28 the load will have been reduced by 3,118  
11 gigawatt hours.

12 MR. BILL HARPER: And -- and just to  
13 follow up. Bill Harper again. That's assuming that  
14 every program you put in place since 1990, those  
15 savings are continuing all the way through to 2028?

16 MS. LOIS MORRISON: It's net of those  
17 ones that don't continue.

18 MR. BILL HARPER: Okay. Fine. Thanks.

19 MS. LOIS MORRISON: We do -- we do  
20 factor in ones where they drop off.

21 MR. BILL HARPER: Okay. Thanks.

22 MR. JOHN TODD: John Todd. When you  
23 say, "dropping off," is that programs that sop -- stop  
24 or is that persistence of measure that are put in  
25 place?

1 MS. LOIS MORRISON: Persistence of  
2 measures.

3 MR. JOHN TODD: Okay.

4

5 (MOVED TO SLIDE 7)

6

7 MS. LOIS MORRISON: So how do we come  
8 up with our plan? We thought for the -- for the  
9 purposes of our discussion it would be worthwhile to --  
10 to have a quick discussion about how -- how do we get  
11 here? How did we get to the 2000 -- to our -- to our  
12 current Power Smart Plan?

13 So our DSM strategy is to pursue all  
14 economic energy efficiency opportunities. So the  
15 question is: Why do  
16 we focus on economic opportunities?

17 DSM is a part of Manitoba Hydro's  
18 integrated resource plan. The -- all options for --  
19 under that plan for meeting future requirements are  
20 assessed using standard economic evaluation. And so  
21 DSM is also examined, based upon an economic  
22 perspective.

23

24 (MOVED TO SLIDE 8)

25

1 MS. LOIS MORRISON: When we're looking  
2 at DSM opportunities, each DSM opportunity is an  
3 independent decision. Manitoba Hydro assesses the  
4 economics of pursuing each energy efficiency  
5 opportunity individually. And this is consistent with  
6 assessing the -- each supply side option on its own  
7 merits.

8 So for our approach, all categories, as  
9 I mentioned, are -- each initiative is looked at  
10 individually for all categories. All customers pay for  
11 the whole cost, therefore, it's important to consider  
12 the need of -- we need to consider the full costs in  
13 the installed kilowatt hour.

14 With DSM opportunities it's important to  
15 recognize that the relevant costs associated with the  
16 DSM opportunity is the total cost of the DSM  
17 opportunity, which includes the participating  
18 customers' cost in addition to the Utility's  
19 investment.

20 Similar to supply-side options,  
21 ratepayers ultimately pay the entire cost of DSM  
22 options. With DSM, the initiatives are paid for by the  
23 participating customer and by the ratepayers via the  
24 Utility's investment in the DSM options. This is why  
25 we look the resource cost.

1                   So when we are looking at demand-side  
2 management and assessing the economics of an initiative  
3 or an opportunity, we look at a variety of metrics.  
4 However, as we've just stated, we look at the resource  
5 costs to determine which initiatives we will be  
6 pursuing.

7                   So when -- when we are looking at an  
8 initiative, the first screen of an independent  
9 technology or a measure is based on a more simplified  
10 resourced cost assessment. So what we're looking at  
11 when we're looking at an energy conservation initiative  
12 or a energy efficiency initiative is what's the benefit  
13 of those energy savings or the value of the time --  
14 that -- all the energy savings in the future, what's  
15 the value of those? We present value that. And we  
16 also include any measurable non-energy benefits, so if  
17 there's water savings, if there's a reduction in  
18 maintenance costs. Those all come in on the benefit  
19 side. Then we compare it to the cost of the product,  
20 cost of installing that kilowatt hours saved.

21                   So that's a simplified approach. We  
22 look at that. If the measure is -- has a greater  
23 benefit than cost, it's a measure that we'll pursue  
24 from -- under Manitoba Hydro's Power Smart initiatives.

25                   After we've -- we've looked at it from

1 that -- oh, sorry.

2 MR. DAN PEACO: Dan Peaco, La Capra  
3 Associates. Could you just describe briefly how you  
4 determine the marginal value of energy savings?

5 MS. LOIS MORRISON: The marginal value  
6 of the energy savings is provided to us by our resource  
7 planning group. And I believe Ms. Flynn will be able  
8 to speak to that in more detail later on. It's a --  
9 they -- we are provided that value. And it's a  
10 forecast that is over time, so each year is different,  
11 and it differs by a winter value for energy, and a  
12 summer value for energy, and for on-peak and off-peak.

13 So that is applied against the energy  
14 savings. And for that specific measure it may have  
15 different characteristics as to when those energy  
16 savings are going to be realized. That's factored into  
17 the analysis of the benefit. And so we compare that to  
18 the product cost.

19 Sorry, we need the mic for...

20 MR. JOHN ATHAS: John Athas, La Capra  
21 Associates. I just want -- do you get only one (1)  
22 forecast for those energy savings that you use? Just a  
23 single forecast or do you have multiple energy savings  
24 costs?

25 MS. LOIS MORRISON: We -- for the --

1 the value, the dollar value for those energy savings?

2 MR. JOHN ATHAS: Yes.

3 MS. LOIS MORRISON: The dollar value of  
4 the energy savings is provided to us based on the type  
5 of customer. We do get -- because there's certain  
6 customers that are, say, transmission customers,  
7 they'll have a different value because of the -- the  
8 fact that there's maybe no distribution line losses and  
9 such.

10 MR. JOHN ATHAS: But there isn't any --  
11 it's, essentially, one set of -- future for fuel costs  
12 and economics and the like?

13 MS. LOIS MORRISON: Yes, we receive one  
14 (1) set. And as I mentioned, so -- so from the -- the  
15 first level screening we look solely on the cost side  
16 just at the product cost. Once the measure has been  
17 identified as being economic, then we take the step  
18 back and we look at the program design. We look at  
19 what market barriers and what strategies need to be  
20 incor -- to -- pursued and are available to reduce or  
21 eliminate market barriers.

22 At that point, when we start looking at  
23 the overall program and the overall -- the best way to  
24 -- to reach that market, then we'll bring into that  
25 analysis again -- we'll look again at all these

1 components, but we'll add in the program administration  
2 and delivery costs, what does it cost for the Utility,  
3 what does the Utility have to invest to get that  
4 product to the marketplace, okay.

5

6 (MOVED TO SLIDE 13)

7

8 MS. LOIS MORRISON: So in Chapter 4,  
9 Figure 4.1.2, we show the levelized resource costs of  
10 the programs that are included within our 2000 -- our  
11 current approved Power Smart plan. And as you can see  
12 here, the -- the bars represent the level -- the -- the  
13 levelized resource cost. So it's the cost of the  
14 installed measure and the Utility's investment to  
15 support that levelized over the kilowatt hours saved  
16 over the life of the measure.

17 So the -- what you can see there -- what  
18 we were -- we were hoping to demonstrate with this is  
19 that you can see that the -- the resource cost varies  
20 by opportunity. So some are -- are -- the same as any  
21 other supply-side options. Some are less expensive.  
22 Some are more expensive. But they are all -- what  
23 we're doing is we're pursuing those ones that are  
24 falling below -- that are -- that appear to be economic.

25 So the approach taken -- the approach or

1 strategy undertaken by Manitoba Hydro to pursue each  
2 DSM opportunity is determined by -- after undertaking a  
3 detailed assessment of each opportunity. The  
4 subsequent approach taken by Manitoba Hydro may consist  
5 of an incentive-based program or other financial tools,  
6 such as financing, an education awareness initiative, a  
7 code or regulation initiative, or a combination of the  
8 available approaches.

9           We may do an -- we may do one (1) or two  
10 (2) of those. We may do all three (3) in terms of how  
11 we're going to pursue a strategy. We may outline all  
12 of those components within -- once we've identified an  
13 opportunity as economic.

14           The degree or context of Manitoba  
15 Hydro's support for a specific opportunity is dependent  
16 on many factors, including the economics of the DSM  
17 product -- opportunity from the various perspectives.  
18 So, we'll talk about this in a little more detail  
19 again.

20           But there's -- we look at the economics  
21 from the resource perspective as we demonstrate here,  
22 and -- and as we've talked to you before. We look at  
23 it from the customer's perspective, and we look at it  
24 from the Utility's perspective when we are looking at  
25 the design and how we're going to come to market.



1                   The -- we also look at where in the  
2 stage, or what stage the product or the opportunity is  
3 in terms of the market acceptance curve. And this --  
4 this -- this approach is all outlined in more detail in  
5 Appendix E with the Power Smart plan.

6                   We'll note that there are opportunities  
7 that are being explored, but that aren't being pursued  
8 as an incentive-based program, because they are not  
9 economic at this time, or they are not cost effective  
10 at this time, such as solar domestic water heating.

11                  Manitoba Hydro continues to monitor  
12 these opportunities and will pursue them at the  
13 appropriate time. Manitoba Hydro's approach for  
14 supporting these types of DSM opportunities may include  
15 education, awareness, or research, or other types of  
16 approaches that help customers understand the  
17 technology and move forward until such time that it --  
18 and we'll continue to monitor it until the time where  
19 it becomes economic.

20                  MS. NICOLE FITKOWSKI:     Philippe Dunsky  
21 is asking:

22                  MR. PHILIPPE DUNSKY (VIA CHAT):     What  
23 exactly is the six dollars and sixty-nine cents (\$6.69)  
24 per kilowatt hour? Is --

25                  MS. LOIS MORRISON:     Oh, I apol -- I

1 apologize.

2 MS. NICOLE FITKOWSKI: He:

3 MR. PHILIPPE DUNSKY (VIA CHAT): Is  
4 this an average blended avoided cost that blends in  
5 energy and capacity across all sectors and load shapes?  
6 And how aligned is this with the proposed NFAT  
7 investment?

8 MS. LOIS MORRISON: I can answer the  
9 first part of the question. The six point nine (6.9)  
10 cent -- six point six-nine (6.69) cents, or six point  
11 seven (6.7) cents, is the levelized value of the  
12 avoided cost that we use in our analysis for comparing  
13 to the economics -- or the economic benefit of the  
14 energy efficiency opportunities.

15 I am not sure how to answer his follow-  
16 up question related to the -- how closely that's  
17 aligned to -- maybe that's -- hi, Peter.

18 DR. PETER MILLER: Peter Miller. What  
19 is bioenergy opt -- optimization, and how do you  
20 measure the -- the savings on that?

21 MS. LOIS MORRISON: Bioenergy  
22 optimization is the use of bioenergy to produce  
23 electricity or to offset the requirement for  
24 electricity. It's site-specific. So it would be such  
25 -- something such as where you have a waste product

1 that can be burned to create electricity or to create  
2 fuel -- sorry, heat to offset the requirement for  
3 electric load.

4                   It's -- we've been looking at a number  
5 of projects working with a number of the Hutterite  
6 colonies where we're using their, say, pellets and such  
7 that are a bio product of -- a biological product to  
8 burn to create the heat or to -- to meet the heating  
9 requirements of the customer.

10                   DR. PETER MILLER:    So that benefit  
11 would accrue entirely to the customer or does Hydro  
12 have any of that benefit?

13                   MS. LOIS MORRISON:   All we're talking  
14 about here is the -- the benefit is the offsetting the  
15 energy requirement, same as any other energy efficiency  
16 opportunity. It's a -- it's a load that we don't have  
17 to meet because it's being met in an alternative way.  
18 It's being met by having a reduced energy consumption  
19 at the site.

20                   MR. BILL HARPER:    This is probably a  
21 little bit of a follow -- oh, Bill Harper. It's a bit  
22 of a follow up to what Philippe was saying.

23                   The six point six-nine (6.69) cents, I  
24 assume that's levelized over a certain period of time  
25 in the future, either ten (10) years, twenty (20) years

1 --

2 MS. LOIS MORRISON: Thirty (30) years.

3 MR. BILL HARPER: So -- so thirty (30)  
4 years. And, so that -- and would you agree that it --  
5 and each -- each of these measures will actually have a  
6 different lifetime, and so that I guess if you had a  
7 five (5) year lifetime measure, the five (5) year  
8 levelized cost would be something different than six  
9 point six-nine (6.69) cents?

10 MS. LOIS MORRISON: Yes, it would be.

11 MR. BILL HARPER: Yes. So this is sort  
12 of a rough ben -- benchmark?

13 MS. LOIS MORRISON: Yes, we don't  
14 normally publish -- and I'll leave that to the lawyers  
15 to talk to what we do provide and don't provide. We  
16 don't normally publish like the five (5) year  
17 levelized, six (6) -- ten (10) year levelized, and --  
18 and such. We tend to, when we're putting public  
19 documents out, talk to just the one (1) thirty (30)  
20 year levelized value.

21 MR. BILL HARPER: Okay. But when  
22 you're doing your analysis of projects --

23 MS. LOIS MORRISON: It's specific to --

24 MR. BILL HARPER: It's specific --

25 MS. LOIS MORRISON: -- the energy --

1 the life of the savings and the timing of the savings.

2 MR. BILL HARPER: Okay. That's what I  
3 want to clarify. Thanks.

4 MS. LOIS MORRISON: Yeah.

5 MS. NICOLE FITKOWSKI: Philippe Dunsky  
6 is asking:

7 MR. PHILIPPE DUNSKY (VIA CHAT): Follow  
8 up. If the six point six nine (6.69) cents is meant to  
9 represent the average avoided cost, is that avoided  
10 cost based on the projected cost of new energy and  
11 capacity proposed in the NFAT?

12 THE FACILITATOR: Ed Wojczynski. We'll  
13 deal with that in the afternoon. That's more of a  
14 resource planning kind of question than the DSM group.

15

16 (BRIEF PAUSE)

17

18 MS. LOIS MORRISON: Okay. So I will...

19

20 (MOVED TO SLIDE 14)

21

22 MS. LOIS MORRISON: So to -- to assist  
23 in assessing the metrics -- the merits of various  
24 approaches to supporting and promoting DS -- a DSM  
25 opportunity, Manitoba Hydro, as I mentioned, uses a

1 number of metrics in -- in assessing what our approach  
2 would be. Those metrics are used as guidelines to  
3 determine what level of investment, what we should  
4 pursue, what level of investment we would be looking  
5 at. This is done -- when I say it's a guideline it's  
6 done in consideration of some qual -- along with the  
7 quantitative metrics, it's -- it's done in  
8 consideration with some qualitative metrics.

9           We want to make sure that we're  
10 considering equity within our design in terms of what  
11 we can offer to our customers, so we want to make sure  
12 there's reasonable participation for targeted ratepayer  
13 sectors, such as say, lower income. And we also want  
14 to make sure that there's an overall -- that the  
15 overall strategy contributes towards a balanced energy  
16 conservation strategy.

17           So what we look at when we're  
18 determining our approach to DSM is we look at all of  
19 the metrics together. And, as I mentioned, we look  
20 first is -- is the -- is the econ -- is the opportunity  
21 economic from a resource perspective. Once we've  
22 determined that then it becomes: Okay, well, given  
23 that there's two (2) parties here, how -- how is that  
24 cost shared? How is the cost of getting that kilowatt  
25 hour installed shared?

1                   So we -- as we mentioned, whether the --  
2 the customers pay for the resource, whether it's  
3 through the purchase of the measure directly or by all  
4 our customers as a ratepayer. So that's why we come to  
5 that analysis.

6                   So we look at customer payback. What's  
7 an acceptable payback for customers -- sorry?

8                   MR. JOHN ATHAS: Lois, I'm just wonder,  
9 do you have a -- John Athas, from La Capra Associates.  
10 Do you have a number for -- to how the measures that  
11 were on that prior bar chart all add up to for savings  
12 --

13                   MS. LOIS MORRISON: What they add up to  
14 for savings?

15                   MR. JOHN ATHAS: Yes.

16                   MS. LOIS MORRISON: Or what they --

17                   MR. JOHN ATHAS: So that if you --  
18 because you said that that defines the measures that  
19 are cost effective. And a prior slide you said that  
20 your objective is to pursue all cost effective measures  
21 and DSM. So I was wondering if you had a total of what  
22 that delivers if you did all of those.

23                   MS. LOIS MORRISON: What that is, is if  
24 we go all the way back there.

25

1 (MOVED TO SLIDE 4)

2

3 MS. LOIS MORRISON: What that  
4 represented, those bars, represented the -- the program  
5 components, like the incentive-based program components  
6 where -- that we are investing in to get to the 1,552  
7 gigawatt hours. The 1,552 gigawatt hours includes both  
8 codes and standards and -- like, future codes and  
9 standards and incentive-based programs.

10 I can't recall off the top of my head,  
11 I'd have to -- all my books are back there.

12 MR. JOHN ATHAS: Just was -- this in --  
13 if I understand you correctly, the --

14 MS. LOIS MORRISON: Yes?

15 MR. JOHN ATHAS: -- all of the programs  
16 in those bars are -- if you go forward with them, they  
17 produce a component of that number that you had at --

18 MS. LOIS MORRISON: Yes.

19 MR. JOHN ATHAS: And not -- it's not  
20 some subset of those from the rest of the testing  
21 process?

22 MS. LOIS MORRISON: No. This is --  
23 this -- these are the ones that are in our current  
24 plan, and they're contributing towards the projected  
25 savings that we're going to be achieving over the next



1 fifteen (15) years.

2 MR. JOHN ATHAS: Are there other ones  
3 that -- have these -- has this list been pruned down to  
4 this list by any of the other tests other than the  
5 total resource cost test?

6 MS. LOIS MORRISON: There are measures  
7 that are not included because they don't meet the total  
8 resource cost test. There are measures right now that  
9 we are exploring. And once we have developed the  
10 strategy we will be implement -- we will be introducing  
11 them into our next iteration of the plan.

12 There's a number of measures that we're  
13 exploring right now that do meet that total resource  
14 cost test measure, or appear to right now as a -- as a  
15 -- they appear to be economic from a resource  
16 perspective. For example, we just recently launched a  
17 community-based geothermal initiative. That is  
18 economic but it's not in this list because it's not in  
19 our current plan.

20 We -- we've, in the past, included only  
21 those programs that were approved for implementation.  
22 We are revisiting that approach given the outcomes of  
23 the DSM potential study, that we would be looking at  
24 other opportunities and -- that might be coming in the  
25 future.

1                   So I don't know if I'm answering your  
2 question as to what you're looking for that -- that may  
3 not be there. This was for characterization purposes  
4 just to show that under our current plan, that the  
5 costs vary -- can vary quite significantly. So I'm not  
6 sure what you're looking for in terms of an overall  
7 number.

8                   MR. JOHN ATHAS: I -- I think I'm all  
9 set right now.

10                  MS. LOIS MORRISON: Oh, okay.

11                  MR. JOHN TODD: John Todd, Elenchus. I  
12 want to make sure I understand this correctly. So for  
13 purposes of the current filing, the DSM impacts that  
14 are offsetting load forecast, are those both based only  
15 on the current Power Smart plan? There's no projected  
16 incremental savings over the future years that will  
17 result from additional measures becoming economic.  
18 There's just no pro -- no projected additional DSM  
19 that'll come into the Power Smart program --

20                  MS. LOIS MORRISON: The -- the --

21                  MR. JOHN TODD: -- in future years?

22                  MS. LOIS MORRISON: The base case in  
23 that analysis includes the Power Smart plan. There --

24                  MR. JOHN TODD: Today's -- today's  
25 Power Smart?

1 MS. LOIS MORRISON: Today's Power Smart  
2 plan. The -- there were sensitivities done to look at  
3 increasing beyond and -- and representing that  
4 additional DSM in terms of what the -- how economic --  
5 or what the -- how attractive the different options  
6 were under those scenarios with increased energy  
7 conservation initiatives.

8 MR. JOHN TODD: Okay, but that's done  
9 as a sensitivity. It's not done as -- you do not have  
10 a projection that as time goes by and as the price of  
11 electricity goes up --

12 MS. LOIS MORRISON: M-hm.

13 MR. JOHN TODD: -- and as trends in  
14 costs perhaps go down, you don't -- you have no  
15 projection of the expansion of the Power Smart plan  
16 over the years that is built into the base case?

17 MS. LOIS MORRISON: Not built into the  
18 base case.

19 MR. JOHN TODD: Okay.

20 MS. LOIS MORRISON: What we've built in  
21 -- like what is in the base case in terms of these  
22 plans, these -- they do represent growth over time of  
23 investment in -- in programs. So it's -- it's -- they  
24 -- they do include -- like, for example, there's --  
25 like we have under our Home Inflation Program, there's

1 continuing ongoing new projects coming forward. Like  
2 there is --

3 MR. JOHN TODD: Right.

4 MS. LOIS MORRISON: -- a forecast under  
5 that program that projects participation and such. So  
6 there is future savings within this plan.

7 MR. JOHN TODD: Right.

8 MS. LOIS MORRISON: What it doesn't  
9 include is those projects that definitely -- that are  
10 not economic, so it doesn't include things like solar  
11 domestic water heating. It doesn't include  
12 technologies like heat pump water heaters which aren't  
13 viable in our market. So things like that aren't  
14 included.

15 MR. JOHN TODD: It doesn't include any  
16 new programs coming into the plan?

17 MS. LOIS MORRISON: It doesn't include  
18 any pro -- new programs that have not been approved,  
19 no.

20 MR. JOHN TODD: Oh, okay. In the last  
21 five (5) years, do you know how many new programs have  
22 been brought into your Power Smart plan, roughly?

23 MS. LOIS MORRISON: In the last five  
24 (5) years? Off the top of my head, I can't say how  
25 many specifically.

1 MR. JOHN TODD: I mean, it's more than  
2 zero?

3 MS. LOIS MORRISON: Yes, it's more than  
4 zero. In fact, we did just launch one (1). And -- and  
5 as I mentioned, we -- we are revisiting that strategy.  
6 That's based on the -- as I mentioned, looking at the  
7 DSM market potential study and looking at filling the  
8 gap in the future years, that we would be looking at  
9 readjusting that.

10 MR. JOHN TODD: And how likely is it in  
11 the next five (5) years there'll be no new programs?

12 MS. LOIS MORRISON: Very unlikely,  
13 considering we just launched one (1) in June.

14 MR. JOHN TODD: Yeah. So there's more  
15 likely to come that's not reflected in the current  
16 projections --

17 MS. LOIS MORRISON: Yeah.

18 MR. JOHN TODD: -- except through the  
19 sensitivity analysis?

20 MS. LOIS MORRISON: Yes. It's --

21 MR. JOHN TODD: Okay.

22 MS. LOIS MORRISON: -- demonstrated  
23 through the sensitivity analyses.

24 MS. NICOLE FITKOWSKI: Philippe Dunsky  
25 has a question.

1 MR. PHILIPPE DUNSKY (VIA CHAT): You've  
2 referred several times to the details contained in the  
3 Power Smart plan, example, projected saving to 2028.  
4 Can you point me in the document you're referring to?  
5 The plan I see as Appendix E doesn't seem to have  
6 everything beyond 2016. So I seem -- I -- so I assume  
7 I'm looking in the wrong place.

8 MS. LOIS MORRISON: Yes. We -- we  
9 changed slightly. With the introduction of the  
10 Manitoba Energy Savings Act we now provide a three (3)  
11 year plan for the -- for our Power Smart plan, but  
12 there is a supplemental document called the fifteen  
13 (15) year supplemental, which is part of that Appendix  
14 E also. So there's -- it's -- there's two (2) reports  
15 that constitute Appendix E. And so if -- if you could  
16 turn to the -- the second report within that appendix  
17 that's titled, "The 2013 to 2016 Power Smart Plan,  
18 Fifteen (15) Year Supplemental -- Supplementary  
19 Report," all that be -- beyond the 2016 information  
20 would be available. Okay.

21

22 (MOVED TO SLIDE 14)

23

24 MS. LOIS MORRISON: Sorry. So going  
25 back to this, when we -- when we look at how -- how we

1 allocate the costs, we look at -- as I mentioned, we  
2 look at the payback to the customer, we look at what  
3 the benefit to the customer as compared to their cost,  
4 so participating customer benefit-cost ratio. We look  
5 at the -- the Utility's costs, and we look at it from a  
6 variety of perspectives also. We look at it from what  
7 the levelized utility cost is. We look at the rate  
8 impact measure. And we look at the NPV, what is the  
9 net present value difference between the benefits and  
10 the costs.

11

12 (MOVED TO SLIDE 15)

13

14 MS. LOIS MORRISON: So in looking at  
15 the levelized utility costs, as demonstrated in Figure  
16 4.13 of the Chapter 4 filing -- of the filing, what we  
17 demonstrate here is the levelized utility cost denoted  
18 by the blue bar, it varies quite differently.

19 But what we compare that to, when we're  
20 looking at a -- an opportunity we compare that to the  
21 net benefit to the Utility, which would be denoted by  
22 the little yellow dot, which is the marginal benefit  
23 for that opport -- for that program or that opportunity  
24 minus the revenue reduction. So it's the net benefit  
25 to the Utility.

1                   And -- and -- so when we're doing our  
2 analysis we look at it from that perspective. We -- we  
3 look at it from that perspective because the -- the  
4 levelized utility cost for DSM opportunities can't  
5 simply be assessed against the Corporation's proxy,  
6 because it's a single value. So when we're doing our  
7 analysis, similar to what Mr. Harper spoke to before,  
8 we look at the value, or -- of the -- and the timing of  
9 those energy sav -- we look at the -- the value of  
10 those energy savings based on the timing of those  
11 energy savings. And so we want to make sure that we're  
12 having a full picture of -- of what that is.

13                   So it's not simply a matter of comparing  
14 that to the levelized utility cost of six point nine  
15 (6.9) cents. We -- sorry, the levelized marginal value  
16 of six point nine (6.9) cents. We look at it on a  
17 case-by-case basis and on where those energy savings  
18 arrive.

19                   The next -- oh, sorry.

20                   MR. RICK HENDRIKS:     Just -- Rick  
21 Hendriks here. Just to clarify then, when I look at  
22 refrigerator retirement, that --

23                   MS. LOIS MORRISON:     Yes.

24                   MR. RICK HENDRIKS:     -- has a negative  
25 net benefit from Hydro's perspective?



1 MS. LOIS MORRISON: From the  
2 perspective of the -- the revenue loss is greater than  
3 the benefit received in terms of the avoided cost on  
4 the -- the marginal values, yes.

5 MR. RICK HENDRIKS: From the Utility's  
6 perspective?

7 MS. LOIS MORRISON: From the Utility's  
8 perspective.

9 MR. RICK HENDRIKS: Right. But from  
10 the consumer's perspective it's a different story?

11 MS. LOIS MORRISON: Yes.

12 MR. RICK HENDRIKS: Yes.

13 MS. LOIS MORRISON: And -- and that's a  
14 very good point. We -- we look -- as I say, we look at  
15 all the metrics when we're determining how we're going  
16 to approach a program. The refrigerator retirement  
17 program is one (1) that is very unique in that when we  
18 were designing it we wanted to make sure that we had a  
19 program that -- our focus was to remove these second  
20 fridges, these fridges that were underutilized. My  
21 second fridge -- I admit I have a second fridge, is  
22 very well utilized. I have two (2) small boys. I have  
23 lots of milk and yogurt, and eggs, and I just can't  
24 keep up. So mine is not under-utilized.

25 But for those people that have the one

1 (1) or two (2) cans of pop, or maybe the one (1) or two  
2 (2) beers, or maybe only use it once in a while when  
3 they have extra company, what we're encouraging them to  
4 do is remove it from their -- their house. And so we  
5 were -- we were -- those energy savings were worthwhile  
6 to us.

7                   But when we went out to the marketplace  
8 to -- to re -- to recover them, to bring them in, we  
9 wanted to make sure that we were also considering, from  
10 an environmental stewardship perspective, that they  
11 were being recycled properly. And so that's that  
12 balancing when you're doing program design.

13                   We wanted to make sure that what we did  
14 was environmentally responsible. What -- and so that  
15 meant that the cost of this program had a higher cost  
16 on the Utility side in order to gain those savings.  
17 But from a resource perspective, factoring in all those  
18 costs, it was still economic overall.

19                   So the Utility was willing to invest  
20 more to make sure that we were doing the right things  
21 to get those energy savings, but overall the resource  
22 was economic. Does that make sense?

23                   MR. RICK HENDRIKS:    So the total  
24 Utility cost becomes positive because you're recouping  
25 this?

1 MS. LOIS MORRISON: No, the resource  
2 cost. So if you looked back at this.

3

4 (MOVED TO SLIDE 12)

5

6 MS. LOIS MORRISON: The marginal value  
7 of the -- the marginal value of the savings plus --  
8 compared to the overall costs was economic.

9 But the Utility's perspective, because  
10 if you take the marginal value of the energy savings  
11 and take off the revenue we're losing from that fridge  
12 not being run, means that it's a cost to the ratepayer.  
13 The ratepayer is paying. There's -- there's a --  
14 there's potentially a rate impact --

15 MR. RICK HENDRIKS: Right --

16 MS. LOIS MORRISON: -- however --

17 MR. RICK HENDRIKS: -- so you recoup  
18 the costs.

19 MS. LOIS MORRISON: Pardon?

20 MR. RICK HENDRIKS: You recoup the  
21 costs from ratepayers.

22 MS. LOIS MORRISON: Yes.

23 MR. RICK HENDRIKS: Yes. So that's  
24 what I said, yeah.

25 MS. LOIS MORRISON: Okay. Sorry, yes.

1 MR. RICK HENDRIKS: Okay.

2 MR. JOHN TODD: Sorry, I'm lost. John  
3 Todd again. I mean, I'm asking a lot of questions  
4 'cause this is actually one (1) of my areas.

5 MS. LOIS MORRISON: Yes --

6 MR. JOHN TODD: Okay.

7 MS. LOIS MORRISON: -- I believe we're  
8 going to spend a lot of time together.

9 MR. JOHN TODD: Yeah. So -- and I'm  
10 sorry, I haven't -- it's probably all in your evidence  
11 and I'll read all about it anyway, but, since I'm not  
12 quite there yet...

13 So, conceptually, a program could pass  
14 the TRC and be rejected based on the levelized utility  
15 cost?

16 MS. LOIS MORRISON: No.

17 MR. JOHN TODD: Okay. So if it passes  
18 the TRC it's in -- and this is just a matter of --

19 MS. LOIS MORRISON: How do we share the  
20 cost between the Utility and the customer?

21 MR. JOHN TODD: So this becomes a  
22 program design issue?

23 MS. LOIS MORRISON: Yes.

24 MR. JOHN TODD: Okay.

25

1 (MOVED TO SLIDE 16)

2

3 MS. LOIS MORRISON: As I mentioned, we  
4 don't look at just one (1) metric when we're -- when  
5 we're making our assessment. We look at -- we also  
6 look at the rate impact measure test and we look at the  
7 -- we look at the rate impact measure test and we look  
8 at the benefits, the utility from the net benefits, the  
9 utility from a actual NPV perspective.

10 So when we look at the rate impact  
11 measure test we look at -- what it's telling us is  
12 directionally if there's going to be a rate impact. Is  
13 it going to be a positive influence on rates or a  
14 negative influence on rates?

15 Overall our power -- our current Power  
16 Smart plan has a rate impact measure benefit-cost ratio  
17 of zero point nine (0.9) and has a negative NPV of  
18 \$36.4 million. What that's telling us is it's -- it's  
19 nearly one (1). It's -- it's a very small impact. So  
20 we're -- we're quite satisfied with what we're -- what  
21 -- with the performance of that.

22 But the interesting thing to note is  
23 that the rate impact measures -- benefit-cost ratios  
24 can range quite drastic -- quite significantly. We  
25 have one benefit-cost ratio for the CO2 sensors ranging

1 from two (2) -- it ranges from two point one (2.1) to  
2 the zero point six (0.6) for the refridge --  
3 refrigerator retirement program and commercial  
4 chillers.

5 We also see that the NPV can range quite  
6 significantly, from \$25 million for the commercial new  
7 building program to negative \$28 million for the  
8 commercial lighting program. So there's -- there's --  
9 it comes back to what we talked about before.

10 This is -- you know, how do we share the  
11 cost between the -- the customer and the ratepayer in  
12 order to have a balanced portfolio of offerings.

13

14 (MOVED TO SLIDE 17)

15

16 MS. LOIS MORRISON: So we spoke a  
17 little bit about this -- oh, sorry.

18 MR. DAN PEACO: Dan Peaco, Le Capra. I  
19 just -- can you explain how the rate impact measure is  
20 used in determining your overall program?

21 MS. LOIS MORRISON: It's -- the rate  
22 impact measure benefit-cost ratio, it's only used to --  
23 to -- it -- it differs by program. We look at it and  
24 we say, Okay, well, you know, we would like to not have  
25 a rate impact on customers. However, is this a program

1 that, you know, in order to have greater involvement in  
2 the market, do we need to invest more on our  
3 ratepayers' behalf in order to get that energy savings.  
4 Or -- it's -- it's do we need to invest to get those  
5 energy savings, or can we balance it off between the  
6 benefits to the customers?

7                   It's really on a case-by-case and  
8 program-by-program basis how we look at it, and that's  
9 why it can vary quite drastically.

10                   DR. PETER MILLER: Peter Miller. Lois,  
11 when you talk about balancing the participating  
12 customer and the ratepayer, do you -- does that mean --  
13 does it have an impact on rates, or does it have an  
14 impact on the total bills, including the savings from  
15 some customers?

16                   Shouldn't it -- shouldn't the comparison  
17 be, does it reduce the cost to Manitobans in general,  
18 averaging in the savings for the -- the participants?

19                   MS. LOIS MORRISON: That analysis at  
20 the higher level is what we'll be looking at in more  
21 detail when we do our -- but from a program  
22 perspective, like individual program perspective, where  
23 -- when we -- when I talk balancing between the  
24 customer and -- and the Utility, it's really what does  
25 the Utility need to invest to get the customer to

1 change their behaviour or to make that different  
2 decision.

3                   And it's really -- it's more of a  
4 marketing-based approach of what -- what do they need  
5 in order to encourage them to undertake that measure?  
6 Do I need to provide an incentive, or is financing all  
7 that's required? Is -- if the customer is willing --  
8 if the customer is going to realize a payback on their  
9 investment within, say, one and a half (1 1/2) years,  
10 or even within six (6) months, the Utility may not be  
11 required to invest as much unless it's a technology  
12 that's early in its curve and needs more attention  
13 drawn to it to get the customers to be aware,  
14 interested, and accepting.

15                   So it really comes down to a case-by-  
16 case basis when I'm talking about balancing and --  
17 between the Utility and the -- and the customer at this  
18 level.

19                   DR. PETER MILLER:     Peter Miller  
20 following up. No, I'm talking about at the aggregate  
21 level.

22                   MS. LOIS MORRISON:     Yes.

23                   DR. PETER MILLER:     When you -- a RIM  
24 test is an impact on rates that all customers pay, but  
25 some customers would have lower bills, having received



1 savings.

2                   And so wouldn't it be more appropriate  
3 to look at an aggregate bill impact and when you -- as  
4 the -- the comparison?

5                   MS. LOIS MORRISON: We will be looking  
6 at -- when we look at the design, we do look at the  
7 cust -- participating customers' perspective and we are  
8 looking at the reduction they see in their bill. And  
9 that's the other part of what we're looking at when I  
10 talk about balancing between the two (2).

11                   From the aggregate level, what you're  
12 describing there, we recognize that although we try to  
13 offer a program -- a portfolio that offers programs so  
14 that all people have the opportunity to participate,  
15 not all people do. And so we, as a utility, try to be  
16 responsible and not put pressure -- upward pressure on  
17 rates as much as possible.

18                   So -- but what you're describing in  
19 terms of that overall analysis is what we will be  
20 looking at when we do our -- our additional analysis  
21 that Mr. Wojczynski referred to earlier, from the  
22 financial perspective.

23

24

(MOVED TO SLIDE 17)

25

1 MS. LOIS MORRISON: Okay. So -- so we  
2 talked a little bit about this in terms of how our  
3 program -- our design -- plan is constructed and that  
4 we are looking at some new opportunities coming  
5 forward.

6

7 (MOVED TO SLIDE 18)

8

9 MS. LOIS MORRISON: So I'm going to  
10 flip over to our discussion of additional DSM  
11 opportunities. Now, as mentioned, Manitoba Hydro is  
12 continuing and we're economically feasible expanding  
13 our commitment to demand-side management.

14 To complement our ongoing and internal  
15 efforts to identify and quantify potential energy  
16 efficiency opportunities in savings, Manitoba Hydro  
17 contracted a third-party consultant to undertake a DSM  
18 market potential study in concert with the Corporation.  
19 The study broadly examines, at a conceptual level, the  
20 market potential for existing energy efficient  
21 technologies which are economic in Manitoba and those  
22 technologies that may be on the horizon.

23 Really, to put it into context, we were  
24 taking a step back to -- to really kind of come up with  
25 an idea, is -- is it as big as a Chevy Volt or is it as

1 big a bus? Electric bus, preferably, but -- so, that  
2 when we're doing our planning, are we on the right  
3 track? Are we -- are we moving in the right direction?  
4 Are there opportu -- we -- we feel we have a good grasp  
5 of what the opportunities are. What does it look like  
6 going forward?

7

8

(MOVED TO SLIDE 19)

9

10 MS. LOIS MORRISON: And with that, with  
11 the study, what we looked at was four (4) levels of  
12 potential. We looked at technical potential, which is  
13 the absolute level of demand-side management without  
14 regard for costs and other barriers. So it's what  
15 technically can we do regardless of how much it costs;  
16 whether or not the customer wants you to do it or is  
17 even willing to let you do it. What technically can  
18 you do? And it represents a theoretical level.

19

The other -- the next step we looked at  
20 is the economic potential, what represents for the --  
21 for the purposes of this study we looked solely at the  
22 economics of the technology from its installed product  
23 cost perspective. We didn't apply any -- what might be  
24 involved in -- costs involved in delivering it to the  
25 market or increasing market acceptance. It's solely

1 looking at the energy benefits compared to what the  
2 installed cost of that product is.

3           And so, from an economic potential,  
4 under that approach what you're looking at is if we  
5 replace every inefficient product with the economic  
6 efficient product, what's the maximum? So it, again,  
7 represents a theoretical level, but it's representing  
8 the adoption of all the energy efficient measures that  
9 are cost effective.

10           Then you start -- the next step is we  
11 looked at market potential which represents the  
12 absolute level of savings that are technically  
13 feasible, economically attractive, and assuming ideal  
14 market conditions. Ideal market conditions, we know  
15 they -- they -- you know, those of us that work in  
16 marketing know they don't exist, but we can come --  
17 certain markets can come closer to it.

18           But what we're talking about here is  
19 that we recognize that even if all the market  
20 conditions are perfect for you to come to market with  
21 your product, there's still those people that will not  
22 buy it. So what can we reasonably expect to achieve --  
23 or, sorry, what can -- what could we expect to achieve  
24 even if the market conditions were perfect? What could  
25 we expect to achieve if -- recognizing that there's

1 still customer behaviour and customer decision-making  
2 coming into play?

3                   The next step we looked at was  
4 achievable potential. And this is recognizing that  
5 markets are not perfect and not ideal. And, therefore,  
6 we are looking at factoring in that there's the cu --  
7 the customers' decision-making process and the fact  
8 that you do have to intervene, and educate, and create  
9 incentives for customers to participate.

10

11                   (MOVED TO SLIDE 20)

12

13                   MS. LOIS MORRISON: So the process that  
14 was undertaken in the study is outlined in -- in detail  
15 in Chapter 2 of the DSM market potential study, which I  
16 believe is Appendix 4.3 of the filing. And I will try  
17 to go through this very quickly. I -- we -- we thought  
18 it might be valuable to provide some insight into the  
19 detail of what was undertaken.

20

                  Under the potential study, the first  
21 step was identifying the segments -- the sectors and  
22 the segments that Manitoba Hydro was interested in  
23 looking at in more detail. And once we identified  
24 those se -- sectors and segments, we did the market --  
25 we -- we assigned a market characteristics -- we -- we

1 defined the market characteristic.

2                   So what we did was we took the energy  
3 consumption across for one (1) -- for a base year and  
4 applied that energy across all the sectors, across all  
5 the segments, across all the end uses, and across all  
6 the technology to come up with a base year, what the  
7 base year looked like in terms of all of those end  
8 uses.

9                   Then, from there, the -- they modelled -  
10 - they forecast from each end use forward what the  
11 energy consumption might look like in terms of growth  
12 and such and -- or retraction, to come up with -- to --  
13 to try to align with what our current forecast is. At  
14 that point, we had our baseline forecast.

15                   After that we then took the step back,  
16 and using the -- the consultant's universal measure  
17 list, which identifies energy efficiency measures  
18 covering all major types of the end-use equipment, as  
19 well as devices and actions to reduce energy  
20 consumption, looked at each of those different  
21 technologies at the measure screening stage, and took  
22 the fore -- those baseline forecasts for each of those  
23 technologies and applied -- at the technical level we  
24 applied the most econom -- the most energy efficient  
25 technology at each of those points within that

1 forecast, and then that developed our technical  
2 potential. Then we said, Okay, which of those measures  
3 are economic?

4 Now, some of those econ -- some of those  
5 measures may not have been economic today, but in this  
6 analysis were they economic in future years. And so  
7 the way the model worked was they assessed if that  
8 measure was economic today, then that -- the most  
9 energy efficient economic model was applied to the --  
10 the most economic ener -- the most energy efficient  
11 economic op -- option was applied to that technology.  
12 If it wasn't, then it went to the next year.

13 And is it economic now? Well, now we'll  
14 put the most econ -- the most energy efficient economic  
15 model so.

16 MR. JOHN TODD: John Todd again.

17 MS. LOIS MORRISON: Hello.

18 MR. JOHN TODD: So sort of a follow-up  
19 to my previous question about forecasting DSM.

20 MS. LOIS MORRISON: Yes.

21 MR. JOHN TODD: Do you have a plan to  
22 take this work and use it as the basis for forecasting  
23 what you expect to achieve, in terms of DSM from new  
24 programs, in order to adjust and get a -- a better net  
25 load forecast?

1 MS. LOIS MORRISON: We aren't  
2 specifically -- the model is -- the model is owned by  
3 the consultant. We aren't planning to necessarily use  
4 the model that they have, but we'll be using all of the  
5 information that is incorp -- that -- that we've  
6 developed through this process to better align what our  
7 opportunities would be.

8 All of this information that's arising  
9 out of this DSM potential study is going to be used to  
10 come up with our next iteration. First and foremost,  
11 the next iteration of our Power Smart plan -- because,  
12 as outlined under the Manitoba Energy Savings Act, we  
13 are required to provide an updated plan every year.  
14 And -- pardon?

15 MR. JOHN TODD: The next step in the  
16 forecast?

17 MS. LOIS MORRISON: We have not --  
18 honestly, no, we have not looked at using this model  
19 specifically to -- to start doing our load forecasting.

20 MR. BYRON WILLIAMS: Byron Williams,  
21 CAC. Lois, just in terms of the DSM potential study,  
22 after getting the results, has Hydro undertaken any  
23 sort of comparative analysis with other jurisdictions  
24 to examine whether the results from this study are an  
25 outlier compared to other jurisdictions?



1 MS. LOIS MORRISON: No, we haven't. We  
2 -- as you know, we recently received it so we haven't  
3 done any additional analysis at this point.

4 MS. NICOLE FITKOWSKI: Philippe Dunsky  
5 is asking:

6 MR. PHILIPPE DUNSKY (VIA CHAT): When  
7 did this study begin?

8 MS. LOIS MORRISON: The study began  
9 approximately two (2) years ago.

10 MR. RICK HENDRIKS: Rick Hendriks.  
11 Just to follow on Byron's question there, I think --  
12 just a suggestion -- that a comparison between  
13 jurisdictions would be helpful. BC Hydro's Integrated  
14 Resource Plan shows net growth after DSM of 300  
15 gigawatt hours per year. You're showing net growth of  
16 450 gigawatt hours per year. You have essentially the  
17 same population growth, so.

18 MS. PATTI RAMAGE: Excuse me. I think  
19 we're -- we're no longer clarifying the materials.  
20 We're either going into Information Requests or  
21 evidence.

22 MR. RICK HENDRIKS: So --

23 MS. PATTI RAMAGE: And I don't think  
24 that's the purpose here.

25 MR. RICK HENDRIKS: Fair enough, I

1 agree. So you indicated in your earlier comments on  
2 the load forecast that population is a main driver  
3 here.

4 What are the other drivers of the load  
5 growth?

6 MS. LOIS MORRISON: The -- the main  
7 drivers of the load growth in Manitoba for the  
8 residential sector, as we mentioned, is the population.  
9 And as I showed in that chart, BC Hy -- BC's population  
10 isn't one of the ones that's above -- like, they're not  
11 one of the top projected areas for growth in terms of  
12 population.

13 The other factor that we talked about  
14 was that -- that constitutes the majority of our growth  
15 in the residential sector, and it also is one (1) of  
16 the primary drivers for the growth in our commercial  
17 sector.

18 People move here, we -- they move here,  
19 right? We're -- we're -- we are not able to reduce --  
20 we would rather not reduce the number of people moving  
21 here, because economic growth is a good thing for the  
22 province.

23 The other thing driving the residential  
24 sector, as I mentioned, is that increasing -- increased  
25 saturation of electric heat in what we deem to be the -

1 - the gas available area south of -- around the city of  
2 Winnipeg and that. And, as I mentioned in our 2013  
3 forecast, we have reduced -- we've -- we've implemented  
4 a reduction to reflect measures that we're taking to  
5 try to better educate customers and send the  
6 appropriate signals to them that they shouldn't be  
7 choosing -- that it's not in their best interest to  
8 choose electric heat if they have natural gas  
9 available. Sorry, is...

10 MR. RICK HENDRIKS: I had one (1) other  
11 -- one (1) other question.

12 MS. LOIS MORRISON: Okay.

13 MR. RICK HENDRIKS: Just going back to  
14 your -- your table there, that showed the six point  
15 six-nine (6.69) marginal cost there, now is that an --  
16 an average of -- do you have a variable rate structure,  
17 I guess, is my question?

18 MS. LOIS MORRISON: A variable rate  
19 structure from our -- what we charge customers?

20 MR. RICK HENDRIKS: Yes.

21 MS. LOIS MORRISON: We do not. We have  
22 a unit -- we have a rate structure that has a minimum  
23 monthly payment and has one (1) block for the  
24 residential. The commercial sector has a construct,  
25 which we have the minimum and then we have, depending

1 on the size of the commercial, they'll have a demand  
2 charge and a monthly energy charge.

3 MS. NICOLE FITKOWSKI: Philippe Dunsky  
4 is asking:

5 MR. PHILIPPE DUNSKY (VIA CHAT): Have  
6 you verified to what extent the load forecasts are  
7 aligned with your own load forecasts?

8 MS. LOIS MORRISON: Yes, we have looked  
9 at that.

10 MR. JOHN ATHAS: John Athas again. Do  
11 you -- can you give me an idea as to what kind of --  
12 qualitatively, what kind of assumptions were made to  
13 get achievable? Because obviously in there is some  
14 implication of what kind of aggressiveness you will  
15 have at trying to get participation.

16 MS. LOIS MORRISON: What we did was, we  
17 relied primarily upon adoption curves that were used by  
18 the Northwest Power and Conservation Council's sixth  
19 plan. So the consultant provided us with what might be  
20 a -- a good -- provided us with a starting point, and  
21 then we just adjusted them to reflect what would be  
22 characteristics representative of the Manitoba market.

23 So we were -- this -- this is a -- it --  
24 it's -- it's supposed to represent an approximation.  
25 And so, as with any forecast, there's going to be a

1 band around the -- the line. And what we did was, we  
2 relied on the consultant to provide us with what was a  
3 reasonable adoption curve, or adoption rates, to  
4 represent both the market and the achievable.

5 MR. JOHN ATHAS: So almost like a  
6 business as usual kind of program?

7 MS. LOIS MORRISON: The achievable is  
8 representing more so, you know, what is reasonable to  
9 achieve within the marketplace, based on past  
10 experience by other utilities. It also reflects our  
11 past experience. And so that's -- so, as I mentioned,  
12 the starter point was the Northwest Power's adoption  
13 curves. And then where we -- we were able to say, you  
14 know, we had better experience, or that's not a  
15 technology that's well-accepted here -- like, for  
16 example, there were things that we couldn't include in  
17 our analysis, such as setting back the hot water tank  
18 because it's against -- it's -- it's against our  
19 plumbing code to do that. So those types of things  
20 were brought into the analysis.

21 MS. NICOLE FITKOWSKI: Philippe Dunsky  
22 is asking another question.

23 MR. PHILIPPE DUNSKY (VIA CHAT): Can  
24 you elaborate on your previous answer, re alignment of  
25 load forecasts? Specifically, how close were there,

1 and what significant differences did you find?

2 MS. LOIS MORRISON: I -- I don't have  
3 that off the top of my head.

4 MR. BILL HARPER: Bill Harper,  
5 actually. Maybe just a little bit more simpler. You  
6 said this work started two (2) years ago, so I -- I  
7 would assume that you would have been aligning this  
8 with the 2011 forecast, or the 2010 forecast?

9 MS. LOIS MORRISON: 2011 forecast.

10 MR. BILL HARPER: Okay. So just so we  
11 know what -- thanks.

12 MS. LOIS MORRISON: Yeah.

13 MR. DAN PEACO: Dan Peaco. On the --  
14 the economic potential, did you use the same six point  
15 nine (6.9) of what it cost numbers, or is there a  
16 different number in there?

17 MS. LOIS MORRISON: No, we used eight  
18 point five (8.5).

19 MR. DAN PEACO: Eight point five (8.5).

20 MS. LOIS MORRISON: Yes.

21 MR. DAN PEACO: And the basis for that?

22 MS. LOIS MORRISON: That was the  
23 marginal value that was current at the time when we  
24 initiated the study.

25 MR. DAN PEACO: Okay.

1 THE FACILITATOR: Just a quick  
2 logistical question. We were scheduled to stop at  
3 11:30. I see you've got about eight (8) overheads  
4 left. Lots of interest here. Ed -- Ed Wojczynski.  
5 Lois, when I look at the overheads it looks like  
6 they're fairly substantial overheads, right?

7 MS. LOIS MORRISON: I -- I can -- I can  
8 get through them.

9 THE FACILITATOR: Okay. So what if we  
10 got through the overheads quickly, and then see about a  
11 few questions, see what time it is. And if necessary  
12 we can always follow up after lunch with the questions  
13 'cause we do have some meetings that are -- are  
14 supposed to be occurring over the lunchtime. So from a  
15 logistical point of view, that would probably work  
16 best.

17 Would that be okay with people? Okay, I  
18 -- I see one (1) person nodding. Thank you, Bob. And  
19 Lois nodding. So that for me is a unanimous. And, go  
20 for it, Lois.

21

22 (MOVED TO SLIDE 21)

23

24 MS. LOIS MORRISON: Okay. So the next  
25 slide although is busy does -- I -- I was just trying

1 to -- to demonstrate the -- the level of detail that we  
2 looked at in terms of the potential study in terms of -  
3 - as I mentioned we talked about -- we looked at the  
4 sectors. The sectors are straight -- straightforward.  
5 Residential, commercial, and industrial. And then we  
6 broke it down into individual segments. So within each  
7 of those segments we looked at end uses and  
8 technologies, so. See -- see, that was quick.

9

10 (MOVED TO SLIDE 22)

11

12 MS. LOIS MORRISON: So overall the  
13 findings of the -- the study indicate that across all  
14 sectors the energy savings range from 1,300 -- sorry,  
15 1,135 gigawatt hours for achievable potential to 2,029  
16 -- sorry, 2,915 gigawatt hours for market achievable  
17 potential into the 2027/'28 year. We focussed on the  
18 '27/'28 year because that's aligned with our Power  
19 Smart plan and so that's what we were looking at when  
20 we were comparing to the potential study.

21 At this point in time our current  
22 projected savings under our current plan represent  
23 about 62 percent of the forecast achievable potential  
24 in 2027/'28.

25



1 (MOVED TO SLIDE 23)

2

3 MS. LOIS MORRISON: Looking at the  
4 results of the study for the achievable potential and  
5 the market potential across the sectors, what they  
6 identified was opportunities.

7 The opportunities are relatively evenly  
8 proportioned across all three (3) sectors with more  
9 being identified for the residential and commercial  
10 sector. The areas that we -- that they identified in  
11 the study with the -- the great -- the greatest  
12 opportunity for the residential sector obviously is in  
13 the heating -- in the area of heating, being envelope  
14 and systems, lighting, and water heating. Those are  
15 the top three (3). We -- for commercial it was  
16 ventilation, lighting, and cooling. And in industrial  
17 it was motors, pumps, and lighting. So all of those  
18 are -- are relatively not surprising.

19

20 (MOVED TO SLIDE 24)

21

22 MS. LOIS MORRISON: So what we looked  
23 at -- and where that brings us to is today and going  
24 forward. So what we can see is -- or what Manitoba  
25 Hydro is going to be doing in the next little while we

1 -- as we described is we're going to be looking to  
2 closing the gap.

3                   So as I mentioned we will be updating  
4 our Power Smart plan in order to make sure that we are  
5 meeting the directives under the ener -- Manitoba  
6 Energy Savings Act where we have to provide an updated  
7 plan by March 31st of 2014 and every year after in  
8 consultation with the provincial government. And we  
9 will be using the potential study findings to help us  
10 develop that plan. In addition, we're going to be  
11 evaluating the possibility of going to higher levels of  
12 DSM.

13

14                   (MOVED TO SLIDE 25)

15

16                   MS. LOIS MORRISON: So for the purposes  
17 of this submission, because the potential study wasn't  
18 available in time for us to do the analyses that we  
19 wanted to do in preparation, we did look at -- we did  
20 include a sensitivity analysis for increased DSM. And  
21 we included increasing DSM savings by one point five  
22 (1.5) times, and similarly a stress test for increased  
23 DSM savings was undertaken at four (4) times the  
24 current planned DSM.

25                   And based on the results of the market

1 potential study, and as evidenced in the chart shown,  
2 the sensitivity analyses capture the potential for  
3 increasing Manitoba Hydro's DSM plans to include both  
4 reasonable and additional ideal market threshold energy  
5 savings. Really, what we're -- what we are stating  
6 here, and as we stated in chapter 7, is that the  
7 sensitivity analyses that we used, and the stress test  
8 threshold that we used, remains reasonable with the  
9 final outcome of the DSM potential study findings.

10 MR. ROGER CATHCART: Hi, Roger  
11 Cathcart. Very quickly, the four (4) times current  
12 level of savings, is that savings to sales ratio? Does  
13 it -- does it equate to 1.5 percent, or 1 percent? I  
14 was --

15 MS. LOIS MORRISON: I'm not sure I'm  
16 following -- when we did the four (4) times DSM, what  
17 we said was in -- in the -- in the scenario analyses  
18 and the stress test that our resource planning group  
19 did, was they basically took our current plan and took  
20 every year and multiplied it by one-point-five (1.5),  
21 and every year multiplied it by four (4), to --

22 MR. ROGER CATHCART: Multiplying the  
23 savings?

24 MS. LOIS MORRISON: Save -- the energy  
25 reduction --

1 MR. ROGER CATHCART: Savings.

2 MS. LOIS MORRISON: -- resulting from  
3 our plan --

4 MR. ROGER CATHCART: Okay.

5 MS. LOIS MORRISON: -- was multiplied  
6 by.

7 MR. ROGER CATHCART: Okay. Well, thank  
8 you.

9 MS. LOIS MORRISON: And so, as I -- as  
10 I stated, the -- the initial -- that the -- the one  
11 point five (1.5) times DSM and the four (4) times DSM  
12 still remains reasonable when we look at the achievable  
13 coming in at one point six (1.6) times, or 159 percent  
14 of our current plan in '27/'28. And at four (4) --  
15 four point one (4.1) times, or 408 percent of our  
16 current plan in '27/'28.

17

18 (MOVED TO SLIDE 26)

19

20 MS. LOIS MORRISON: And so, in summary,  
21 Manitoba Hydro is continuing, and where feasible -- and  
22 where economically feasible, we're expanding our  
23 commitment to demand-side management. As demonstrated  
24 in Chapter 12, and Ms. Flynn and Mr. Wojczynski will  
25 speak to this in more detail, increasing DSM within a

1 reasonable range for this analysis did not change our  
2 conclusion.

3                   And Manitoba Hydro will be updating its  
4 Power Smart planning consultation with the government,  
5 as required by the Energy Savings Act, by March 31st,  
6 2014. And we will be incorporating the information  
7 contained within the DSM market potential study to do  
8 so. In the process of updating our DSM plan, we are  
9 going to be evaluating the possibility of a higher  
10 level of DSM. And Power Smart staff have already been  
11 assessing emerging energy efficiency opportunities, and  
12 the Corporation intends to pursue these opportunities  
13 at the appropriate time. Thank you.

14                   THE FACILITATOR: So just a couple of  
15 questions that are just burning to be asked right now  
16 rather than after -- Ed Wojczynski -- than after lunch?  
17 Burning number 1.

18                   MR. DAN PEACO: Dan Peaco. You  
19 mentioned the fuel savings, or the heating savings  
20 programs. Did you look at fuel switching as part of  
21 this study?

22                   MS. LOIS MORRISON: Not as part of this  
23 study, no. We -- this study focussed on energy  
24 efficiency. It did not look at fuel switching between,  
25 say, electricity and then natural gas. We did, as I

1 mention, account for that in our update to the 2013  
2 load forecast, to represent -- I believe it's a 360  
3 gigawatt hour reduction in load, specifically related  
4 to encouraging -- or, encouraging and sending the  
5 appropriate messaging to customers to choose natural  
6 gas in natural gas available areas.

7 THE FACILITATOR: One (1) more  
8 question, and we're running a little bit over time,  
9 already. Just -- okay. Oops. Hang on, there's one  
10 (1) from the...

11 MS. NICOLE FITKOWSKI: Philippe Dunsky  
12 is asking:

13 MR. PHILIPPE DUNSKY (VIA CHAT): Please  
14 confirm the study included or excluded fuel switching  
15 demand response codes and standards.

16 MS. LOIS MORRISON: The study did not  
17 address fuel switching from the perspective of moving  
18 from, say, electric heat to natural gas. Like, the --  
19 the study, for us, was done for both electricity and  
20 natural gas, because we provide energy efficiency  
21 programming for both fuels. When we looked at the  
22 study, it focussed on solely the energy efficiency  
23 component. It didn't look at fuel switching, and it  
24 did not look at demand response specifically. We do  
25 recognize that there's demand savings as a result of

1 the energy efficiency improvements.

2                   Now, in terms of codes and standards, it  
3 netted out -- the analysis did reflect codes that were  
4 anticipated to be in -- that are in place and  
5 anticipated to be coming in place, and the savings are  
6 recognizing that there might be -- we -- we didn't  
7 specifically say 'X' is for codes and standards going  
8 to the future.

9                   We do recognize though that there may be  
10 opportunities to advance codes in that, and that would  
11 be part of an overall marketing strategy with a -- with  
12 that program. So we do look at -- in setting the  
13 baseline forecast and the opportunity for energy  
14 savings. It did include -- it did net out the codes  
15 and standards that are existing today and likely to  
16 come in place. Like the minimum energy performance  
17 standards for lighting that's coming, that was netted  
18 out of -- so these savings that are being projected are  
19 -- are not including savings that would be achieved  
20 through say something like the minimum energy  
21 performance standards for lighting.

22                   THE FACILITATOR: So I think we're  
23 running ten (10) minutes late and there's some meetings  
24 that are supposed to happen. We said we would take an  
25 hour and a half for lunch. I wonder if we couldn't

1 just stick to coming back at 1:00, and -- and I think,  
2 Lois, you -- as long as you drink some water over lunch  
3 you'll be able to answer some questions at one o'clock,  
4 if there are any at that time.

5 MS. LOIS MORRISON: Sure.

6 THE FACILITATOR: So if you have any  
7 questions, if you could hold them till then. And we'll  
8 take our break for lunch.

9 There's lunch outside, Barb? Okay,  
10 lunch is outside. Take a break. Back here at one  
11 o'clock. Thank you.

12

13 --- Upon recessing at 11:41 a.m.

14 --- Upon resuming at 1:01 p.m.

15

16 THE FACILITATOR: Okay. Hello. So Ed  
17 Wojczynski again. We're starting again. We cut off a  
18 little bit because of running out of time. And Lois  
19 finished her presentation, but what we had said if  
20 there were some questions that had not been asked yet,  
21 this would be the time. Lois is still here. She's had  
22 a glass of water to deal with her parched throat.

23 Are there any questions for Lois on her  
24 DSM presentation this morning?

25 Okay. I don't see any. So then we're



1 going to follow through as per the agenda. We've got  
2 Davie Cormie starting off and Joanne. Dave...?

3

4 MISO MARKETPLACE, EXPORT SALES, AND US INTERCONNECTION  
5 UPDATE PRESENTATION:

6 MR. DAVID CORMIE: Thank you, Ed. It  
7 appears that I have a presentation because something --  
8 I think something has been handed out, but I really  
9 don't have a presentation. I'm -- I'm more here this  
10 afternoon to answer questions on the MISO market, the  
11 status of the export sales, and the status of the US  
12 interconnection. Nothing -- let's see what we have  
13 here.

14

15 (MOVED TO SLIDE 2)

16

17 MR. DAVID CORMIE: So essentially the  
18 filing was reflecting the state of my world in the  
19 export market as of mid-August. It's only been a  
20 couple of weeks since then, so not a lot has changed.

21 For those who don't know me, I'm the  
22 division manager of Power Sales and Operations and I'm  
23 responsible for Manitoba Hydro's activities in the  
24 wholesale market outside of Manitoba. That includes  
25 our activities in the United States, Saskatchewan,

1 Alberta, Ontario, now Quebec, and potentially New York  
2 in -- in the near term. So all those activities  
3 associated with -- from five (5) minute energy trading  
4 out to long-term export transactions are part of my  
5 responsibilities.

6                   The filing in Chapter 5 talks about our  
7 export markets, and there's a major focus in there on  
8 the MISO. Sections 5.4 to 5.4(ii) talk about the MISO  
9 market; that's where Manitoba Hydro sells the majority  
10 of its electricity. Sales to Canadian entities are a  
11 relatively small portion of our sales portfolio.

12                   Appendix 5 talks about MISO, five point  
13 one (5.1), and describes the market products, and the  
14 operation of the market and locational market --  
15 marginal pricing in Appendix 5.2. So if there's  
16 anything in the filing that you've read that -- in  
17 these areas that you have questions you want  
18 clarification on, I can answer those questions now.  
19 There's a lot to understand there.

20

21                   (BRIEF PAUSE)

22

23                   MR. DAVID CORMIE: Yes, Peter?

24                   DR. PETER MILLER: Dave -- Peter

25 Miller. I believe somewhere in there, there was a

1 discussion of MISO doing a hydro/wind -- hydro/wind  
2 complementarity study. Is that -- is my memory  
3 correct?

4 MR. DAVID CORMIE: Yes, in the -- in  
5 the filing we talk about a Manitoba Hydro MISO wind  
6 synergy study that MISO has done to determine the value  
7 to the MISO market, the utilities in MISO. And then  
8 MISO states the value of a major new interconnection  
9 with Manitoba Hydro and Manitoba Hydro proceeding with  
10 the development of large hydro in Manitoba.

11 That study has now been issued in draft  
12 form, and that was done either earlier this week or  
13 late last week. And so that's now available. We can  
14 provide a link to that so you can look at those  
15 results. It's in draft form out -- out for stakeholder  
16 comment, and we expect it will be finalized very  
17 shortly.

18 The study shows the significant benefits  
19 to the MISO footprint by having a strong connection  
20 between the storage that's available in Manitoba and --  
21 and the benefits from increased efficient operation of  
22 the generation fleet in MISO, the lowering of LMP  
23 prices, the benefits to load, the -- the benefits of  
24 the rapid response generation that Manitoba Hydro has,  
25 and how the size of the interconnection is critical to

1 maximizing the values to the -- to the MISO footprint.

2                   And, so that study has been going on for  
3 probably three (3) -- is it three (3) years, Daryl?

4 About three (3) years. And some of -- some very  
5 detailed modelling, I think right down to the five (5)  
6 minute dispatch and the response of Hydro reservoirs to  
7 LMP prices for the planned development of the wind  
8 resource in the United States.

9                   And so that study was important to  
10 Manitoba Hydro because we are asking the State of  
11 Minnesota to permit the construction of a large line  
12 for the benefit of the development of hydro resources  
13 in Manitoba, and there has to be demonstrated benefits  
14 in the US to -- to do that. And we -- we're using the  
15 study to help justify the permitting of that line.

16                   DR. PETER MILLER: Peter Miller again.  
17 So that's supportive of the 750 megawatt line then?

18                   MR. DAVID CORMIE: Absolutely, yeah.

19                   DR. PETER MILLER: Yeah. And what are  
20 the implications for the product that you market? It  
21 seems when you just ply -- supply base power, you're --  
22 you know, like a coal generator or -- or base gas  
23 generator, and you're not getting the value of -- of  
24 hydro, that complementarity or synergy?

25                   MR. DAVID CORMIE: Well, the -- the

1 value of the interconnection is that it increases the  
2 price that Manitoba Hydro can see it at -- at the  
3 border because there is a reduced congestion at the  
4 interface. We're able to sell more energy on peak,  
5 sell less energy off peak, by using our storage. And  
6 so Manitoba Hydro benefits from having access to higher  
7 prices.

8 US utilities benefit from having lower  
9 prices because when you connect a low-price region to a  
10 high-price region, you get levelization of prices. So  
11 our prices go up, their prices go down, and there's a  
12 sharing of benefits there. And so we -- we benefit by  
13 getting a better -- better price for our product. They  
14 benefit by having access to the storage and -- and  
15 having the responsive -- and hydro units available to  
16 deal with the -- the uncertainty associated with --  
17 that's been created by the large-scale development of  
18 wind generation in the US.

19 DR. PETER MILLER: But that's just  
20 opportunity sales as you describe it. Can you write  
21 long-term, dependable contracts in partnership with  
22 wind in the States?

23 Does -- does it open that -- that  
24 possibility?

25 MR. DAVID CORMIE: The export contracts

1 allow us to -- the physical dispatch of the generation  
2 is in response to the market price. And -- and so you  
3 -- you have to see the export contract as a financial  
4 hedge. They've locked in their fixed prices, and  
5 they're not really worrying about what's happening to  
6 the real-time prices. But the Manitoba Hydro power  
7 system will respond to the nodal price.

8                   And -- and so they get the efficiencies  
9 associated -- you know, although that -- that resource  
10 has been committed to that customer, its dispatch is  
11 still in response to the -- the MISO real-time price.

12                   So you have the -- right now we have  
13 2,200 megawatts of export capability, and it'll become  
14 around 3,000 megawatts of export capability once we  
15 build the new line. And so you have a bigger -- a  
16 bigger interconnection and therefore the battery effect  
17 is better and -- and you get the -- the responsiveness.  
18 And that -- that happens regardless of -- of whether  
19 there is a firm power contract in place.

20                   So they contract for a -- a product,  
21 they contract for the capacity, but that doesn't  
22 dictate the dispatch of the generation. The dispatch  
23 of the generation is dictated by the moment-by-moment  
24 pricing levels that Manitoba Hydro sees at the border.  
25 That's -- that's just under the --

1 DR. PETER MILLER: You are describing  
2 your current dependable contracts?

3 MR. DAVID CORMIE: And the -- and the  
4 new contracts.

5 DR. PETER MILLER: And the new? Okay.

6 MR. DAVID CORMIE: Yeah. Yes?

7 MR. ROBERT SINCLAIR: Yeah, Robert  
8 Sinclair, Potomac Economics. Our area is the MISO  
9 markets. And when I reviewed the filing, I noticed in  
10 Chapter 5 you mentioned some of the developments in the  
11 MISO market: the gradual demand growth and the  
12 impending retirements, and some of the -- you also  
13 mentioned some of the environmental trends.

14 I was just wondering whether those  
15 discussions actually lead to a specific assumption in  
16 some of the calculations? For instance, for  
17 retirements, do you make a -- do you make a assumption  
18 about retirements, and does that feed into the -- some  
19 of the financial calculations?

20 MR. DAVID CORMIE: Actually, the -- the  
21 retirement of generation would -- reflects in our price  
22 consultant's view of what the forward -- the future  
23 prices of electricity will be. So Manitoba Hydro is  
24 not making those assumptions. We go to the five (5)  
25 independent pricing consultants, who do their own

1 modelling of supply and demand balance; what the new  
2 resources are going to be; what it's going to cost to  
3 run them; and, thence, the market price.

4                   So, you know, each of the consultants  
5 has its own view of -- of how the generation fleet in  
6 the United States will be developed over time, and how  
7 it will -- how the environmental regulations will  
8 evolve, and -- and how the utilities will respond to  
9 that through their investment decisions.

10                   MR. ROBERT SINCLAIR:    Okay.

11                   MR. DAVID CORMIE:    And so that -- that  
12 will affect the long-run price that Manitoba Hydro  
13 shows in -- it -- it -- for sales of electricity from  
14 dependable resources that we have yet to commit to.  
15 For the sale prices that utilities are willing to pay  
16 for the purchase of firm power from Manitoba, that's  
17 dependent on their specific situation and their risk  
18 tolerance, their desire to have a balanced portfolio of  
19 resources.

20                   You know, they want to hedge against  
21 being an all-gas utility.  They -- they worry about  
22 environmental constraints in the future, future  
23 regulation, their -- their need to provide their  
24 customers with rate stability.  And -- and so all those  
25 -- all those factors feed into their desire to purchase



1 the product that Manitoba Hydro has available.

2 MR. ROBERT SINCLAIR: Okay. So if  
3 we're looking for -- and this is Robert Sinclair again.  
4 If we're looking for the specific assumptions about  
5 retirements, energy, environmental impacts on prices,  
6 those would be found in the consultants' energy price  
7 forecast -- export price forecast.

8 Is that correct?

9 MR. DAVID CORMIE: Ultimately they will  
10 all reflect in the price that the consultant has -- has  
11 -- will -- provides Manitoba Hydro through its  
12 forecast.

13 MR. ROBERT SINCLAIR: Okay. So will  
14 that also include any changes, expected changes, in  
15 capacity market structure? Any changes in transmission  
16 investments in MISO?

17 MR. DAVID CORMIE: To the extent that -  
18 - that their models are dependent -- that -- that are  
19 dependent on that, it -- it would.

20 MR. ROBERT SINCLAIR: Okay.

21 MR. DAVID CORMIE: Now, we -- those are  
22 proprietary models. We don't really know what they're  
23 doing, what they're assuming, but we -- we test the --  
24 the -- their models for -- to -- to ensure that they  
25 have the relevant factors that we consider important.

1 And, you know, somebody can say, I have a model. Okay,  
2 well, tell me what's in your model. Oh, you do this,  
3 this, and this, and this is the technology that you're  
4 using. We understand that. Okay. The results would  
5 then -- would then be credible and -- and we would  
6 accept -- accept them.

7 THE FACILITATOR: One (1) second.  
8 Some of the discussion on what the -- Ed -- Ed  
9 Wojczynski. Some of the discussion on what the  
10 forecast models do to the export price, it's probably  
11 better -- when Joanne does her presentation. Dave is  
12 top-notch on all this stuff, but on the -- the forecast  
13 consultants, really that's -- Joanne deals with them.

14 MR. DAVID CORMIE: Yeah, Joanne's going  
15 to go through in -- in the next presen -- all of the  
16 various issues that you're talking about, and -- and  
17 the view that one (1) consultant is actually taking.  
18 So maybe that will help.

19 MR. BILL HARPER: Bill -- Bill Harper.  
20 I -- I think one (1) -- well, one (1) of the decisions  
21 I think your president -- your president said there was  
22 some decisions you had to make in the next twelve (12)  
23 -- twelve (12) to eighteen (18) months. And reading  
24 the application, I believe one (1) of those is whether  
25 you build an interconnection and whether it's two-fifty

1 (250) or seven (7) -- seven-fifty (750). And the same  
2 -- coupled with that, there's some uncertainties, you  
3 know: Is there going to be a large 300 megawatt  
4 contract with WPS? Who's going to provide financing if  
5 you build a large station?

6                   And I guess -- so I just want to get my  
7 mind wrapped around what exactly is -- is the timeline  
8 on which you have to make a decision in terms of  
9 whether or not you're going to build an interconnect,  
10 like, the date? And at that point in time, do you have  
11 to decide at the same time whether it's two-fifty (250)  
12 or seven-fifty (750), or can that decision come a  
13 little bit later? Or it comes a little bit later but  
14 at a price because it would cost you something if you  
15 had to change your plan from one to another?

16                   If you could maybe sort of just  
17 elaborate on -- on that -- on that a little bit,  
18 because, you know, the long -- excuse me, the longer  
19 those timelines can go, the more you're liable to be  
20 certain about whether or not you have a WPS contract or  
21 whether or not you've got another investor to build in  
22 the line or something.

23                   So I was trying to understand the time  
24 frame in which you actually have to make those  
25 decisions.

1 MR. DAVID CORMIE: Yes, with regard to  
2 the sizing of the interconnection, Minnesota Power, in  
3 order to achieve an in-service date for a 230 kV line  
4 that will meet their needs and the -- and the  
5 requirements of the contract to start deliveries on  
6 that line in 2020, means that we need -- they need to  
7 file as soon as possible their certificate need with  
8 the Minnesota regulator.

9 So that's driving a -- an early decision  
10 on the size of the line. And -- and...

11

12 (BRIEF PAUSE)

13

14 MR. BILL HARPER: I'm sorry, I was  
15 trying to clarify whether that was on the size of the  
16 line or whether, in fact, you need any line?

17 MR. DAVID CORMIE: No, there's no doubt  
18 that a line is required. A line is required by  
19 contract. The question is will it be a two-thirty  
20 (230) line or a 500 kV line. So that's -- that's why  
21 we're -- you know, we're -- we're trying to work with  
22 WPS to -- to firm up their commitment. And that will  
23 affect our decision ultimately whether we continue to  
24 work with MP on a big line or whether we let them  
25 default back to the smaller line that's specifically

1 required under contract.

2 THE FACILITATOR: It's Ed Wojczynski.  
3 Just to supplement that. The timing from the  
4 transmission line routing, siting, and approval process  
5 is they have started on the seven-fifty (750) line  
6 ,which Dave already referred to and they -- both in  
7 Manitoba and the US.

8 And that if, let's say, one (1) year  
9 from now the seven-fifty (750) option gets dropped in  
10 favour of the two-fifty (250) option, what we've been  
11 told by the licence or the -- pardon me, the -- the  
12 transmission people on both the States and Canada, they  
13 could do that flip from seven-fifty (750) to two-fifty  
14 (250) a year from now and still meet a 2020 in-service  
15 date. But if you go beyond that, you start having to  
16 start -- delay the project.

17 MR. BYRON WILLIAMS: Byron Williams,  
18 CAC. Dave, you'll -- you'll correct me, as usual, if  
19 I'm -- I'm wrong here. But in terms of investment in -  
20 - in the big line south of the -- south of the border,  
21 as I understand it WPS is out of the picture now.

22 And I guess if you can elaborate on --  
23 on how Hydro intends to keep its investment in that at  
24 49 percent or -- or otherwise, what -- what's going on  
25 with that?

1 MR. DAVID CORMIE: Yes, as -- as you've  
2 indicated, Byron, the Wisconsin Public Service said  
3 they -- they are not interested in investing in US  
4 transmission. They're still in -- interested in  
5 purchasing power. And so we're -- we're continuing to  
6 negotiate the 300 megawatt sale agreement with them.

7 In the meantime, we are working with  
8 Minnesota Power under an arrangement where we would be  
9 the minority investor in the line and Minnesota Power  
10 would be the majority investor in the US. And -- and  
11 those negotiations are underway. And I -- I really  
12 can't tell you much more than that. But we are -- we  
13 are developing business arrangements that preserves  
14 that option of proceeding with the 500 kV line.

15 MR. BYRON WILLIAMS: Recognizing  
16 there's not much -- it's Byron again. Recognizing that  
17 there's some uncertainty there, when do we expect more  
18 certainty, Dave? In a year?

19 What time frame are we looking at?

20 MR. DAVID CORMIE: More certainty over  
21 what?

22 MR. BYRON WILLIAMS: Your potential  
23 arrangements with Minnesota Power, in terms of the big  
24 line and a contribution to it.

25 MR. DAVID CORMIE: Well, there -- there

1 won't be certainty until the big line -- until we --  
2 until we go through the NFAT process, we get a  
3 government order in council approving our plans. There  
4 -- there will -- and we get all regulatory approval in  
5 the United States and Canada.

6                   So we are proceeding assuming that there  
7 will be a large line built, and we're putting the  
8 business arrangements in place necessary for Minnesota  
9 Power and Manitoba Hydro to make that happen in the  
10 United States. And -- and as Ed -- Ed said, if in a  
11 year from now we have to revert back to a smaller line  
12 those business arrangements will be much simpler but we  
13 -- we -- there will be a line. It's just a matter of  
14 whether it will be a big line or a small line.

15                   DR. PETER MILLER: Peter Miller. I  
16 believe the filing said you're willing to put up two-  
17 thirds of the capital cost of the 750 megawatt line.  
18 How do you square that with the 49 percent ownership?

19                   MR. DAVID CORMIE: Well, ownership and  
20 -- and cost sharing are two (2) different things. So  
21 we -- we may have to cover -- well, we will have to --  
22 we will have to cover the additional costs associated  
23 with building a larger line. Minnesota Power is not  
24 going to pay more for transmission service than they  
25 have to to serve their sale.

1                   The ownership structure is something  
2 that -- that Manitoba Hydro has decided for a matter of  
3 policy that we won't be the majority owner in a  
4 transmission asset in the United States. And -- and so  
5 that's a policy decision.

6                   It still means that -- that doesn't mean  
7 that Minnesota Power is willing to fund the -- the  
8 additional 133 megawatts of transfer capability. That  
9 has to be funded by Manitoba Hydro. And we're working  
10 on an arrangement with them so that that happens.

11                   DR. PETER MILLER:   How do you recover  
12 your investment in such a line?

13                   MR. DAVID CORMIE:   We recover our  
14 investment in such a line by building a large  
15 generating station at Conawapa, and the benefits will  
16 flow to Conawapa. It's -- that's where the benefits  
17 from the -- from the Preferred Development plan flow  
18 because that line is existent and -- and those costs  
19 are -- are built into the -- into the analysis.

20                   MR. ROGER CATHCART:   Just to foll --  
21 Roger Cathcart. Just to follow up to that question  
22 from Peter. If you're going to fund two-thirds of the  
23 capital costs of the project but cap your investment to  
24 less than 50 percent, how do you recover the next 16  
25 percent? Are you going to build that into pricing or



1 are -- are you tying it back to opportunities that  
2 might come in the future from the generation?

3 MR. DAVID CORMIE: Well, this is  
4 getting into the business case of the Preferred  
5 Development plan, and -- and the Preferred Development  
6 Plan assumes that all those costs are -- are --

7 MR. ROGER CATHCART: Okay

8 MR. DAVID CORMIE: -- are part of the  
9 Preferred Development plan. And -- and in the same way  
10 we have to recover the cost of building 100 -- paying  
11 for 100 percent of the cost of the transmission on the  
12 Canadian side of the border.

13 MR. ROGER CATHCART: Okay. That's  
14 fair. Thank you.

15 MR. DAVID CORMIE: Yeah. So -- and  
16 then -- and we'll -- and -- and Ed and Joanne will be  
17 able to talk about that as -- 'cause it's -- it's (1)  
18 one of the scenarios.

19

20 (MOVED TO SLIDE 3)

21

22 MR. DAVID CORMIE: So with regard to  
23 the export sales agreements that are tied to the  
24 Preferred Development plan, there are four (4)  
25 agreements: the Minnesota Power 250 megawatt sale

1 agreement, an energy exchange agreement, we have the  
2 option with NSP of selling them 125 megawatts subject  
3 to us building new hydro, and we have a sale agreement  
4 signed with Wisconsin Public Service for 100 megawatts  
5 that goes to Wisconsin on existing transmission.

6                   Those -- those -- all those transactions  
7 are tied to the construction of -- of new generation  
8 and so those are the transactions that we're talking  
9 about here.

10                   There are other transactions that --  
11 that are -- are coming out of existing facilities that  
12 we're not talking about and, you know, these are short-  
13 term agreements that are -- that are taking place. And  
14 so those -- those are not part of our -- not part of  
15 the filing. And -- and those contracts, there are  
16 summaries in Appendix 6.1 that talk about the details  
17 of those.

18                   With regard to the sale negotiations  
19 with Wisconsin Public Service, we are in active  
20 negotiations with them to finalize a power purchase  
21 agreement. And all I can say is that they're underway  
22 and -- and Wisconsin has shown every -- the interest  
23 necessary to continue negotiating. They -- they feel  
24 there's value in this, and we're -- we're working on a  
25 power purchase agreement with them. And we -- we have

1 set a deadline of having that agreement being available  
2 for this -- this process to see later on in -- in this  
3 -- in this year.

4 In addition to that, in the filing we  
5 talk about our MOU with Saskatchewan. And we're in  
6 negotiations with Saskatchewan for several  
7 transactions, and those negotiations are underway.  
8 Some of that is out of existing facilities and some of  
9 that would be dependent upon the development of new  
10 hydro resources as part of the Preferred Development  
11 Plan.

12

13 (MOVED TO SLIDE 4)

14

15 MR. DAVID CORMIE: And I -- I think the  
16 -- one (1) other transaction, and I'm not sure that  
17 it's listed here, is the Great River -- Great River  
18 energy seasonal diversity agreement. Manitoba Hydro  
19 and Great River signed the 200 megawatt seasonal  
20 diversity agreement in August. So that transaction is  
21 now going through the approval process. And we will --  
22 we expect that that agreement will be approved at both  
23 companies this fall.

24

25 You may have noticed in the Winnipeg  
Free Press a few weeks ago, there was a -- an -- a

1 notice with the National Energy Board filing for the  
2 export permit associated with that transaction. So  
3 that -- that transaction is -- is well in hand. And  
4 that diversity agreement has been part of the -- the  
5 base case of -- in -- in all the scenarios that we've -  
6 - that we've looked at in the NFAT process.

7 With regard to the -- Ed, did you...

8 THE FACILITATOR: Just -- Ed  
9 Wojczynski, David, just a small comment in the 2013  
10 update, that we added five (5) more years to that  
11 diversity, right?

12 MR. DAVID CORMIE: Yeah, the diversity  
13 agreement goes to 2030. It's -- it -- we're  
14 terminating the existing 150-megawatt agreement six (6)  
15 months early, to align with the 50-megawatt transaction  
16 with Great River so that, in effect, we will restart  
17 the transaction at 200 megawatts in -- and -- and carry  
18 that on till 2030. It's a fifteen and a half (15 1/2)  
19 year transaction.

20 Again, it's a capacity swap, and  
21 involves the transfer of transmission assets to  
22 Manitoba Hydro. And, essentially, there's no new  
23 facilities required for it and there's no net cost to  
24 either utility to engage in this transaction. It  
25 provides 200 megawatts of -- of winter capacity and

1 about 1.7 terawatt hours of dependable energy a year  
2 for the period of the agreement. So that's -- again,  
3 that's all part of the -- the base assumptions that --  
4 that's in every scenario that we've looked at.

5 DR. PETER MILLER: Peter Miller again.  
6 Is -- is that conditional on the new inter-tie? Or  
7 that goes with the existing inter-ties?

8 MR. DAVID CORMIE: The transmission  
9 arrangements between Manitoba Hydro and Great River  
10 Energy are on the existing inter-tie. And we're just  
11 rolling those -- we're rolling those transmission  
12 arrangements over. It doesn't involve -- it doesn't  
13 involve the new interconnection.

14 DR. PETER MILLER: It -- Peter Miller  
15 again. If you have a new inter-tie, presumably you  
16 could increase diversity arrangements, and you could  
17 increase it more with the seven-fifty (750) than with  
18 the two-fifty (250). Is -- are those correct  
19 assumptions?

20 MR. DAVID CORMIE: More diversity is a  
21 possibility, yes, because Manitoba Hydro is a winter  
22 peaker and US utilities are summer peakers. So there  
23 is -- given that there is firm transmission available,  
24 we could entertain more. It's our expectation that we  
25 will continue to roll over the diversity arrangement we

1 have with NSP when the existing arrangement expires in  
2 2025. Whether we want more than 550 megawatts of  
3 diversity, we haven't determined whether that's the --  
4 economic for Manitoba Hydro to do.

5 DR. PETER MILLER: Peter Miller. But  
6 you wouldn't anticipate any difficulties finding a  
7 counterparty for a higher diversity exchange?

8 MS. PATTI RAMAGE: Peter, I think we're  
9 going outside the filing again with that. We're --  
10 we're now going ahead. I don't --

11 MR. DAVID CORMIE: Yeah, you're asking  
12 me to brainstorm, so.

13 MS. PATTI RAMAGE: Yeah.

14 MR. DAVID CORMIE: That's not part of  
15 our filing, but I can talk to you about that  
16 afterwards. But it -- there -- there are some issues  
17 associated with that, so.

18 MR. ROGER CATHCART: Roger Cathcart.  
19 Dave, you said earlier that the decision to hold only  
20 49 percent of the transmission ownership interest was a  
21 policy decision. Are there any restrictions or  
22 anything for you to hold a higher than 49 percent? Or  
23 are there any implications that you can provide here  
24 without -- just on holding more than 49 percent, given  
25 that your current capital investment might -- might

1 exceed 49 percent?

2 MR. DAVID CORMIE: Manitoba Hydro has  
3 decided that it will not be the majority owner of a  
4 transmission line in the United States. It creates a  
5 lot of issues for us and --

6 MR. ROGER CATHCART: Can you share any  
7 of those issues that -- just for background?

8 MR. DAVID CORMIE: I don't -- I don't  
9 think so, not at this time. We -- we -- you know,  
10 we're -- we're still...

11 MS. PATTI RAMAGE: No, I think we're --  
12 we're getting ahead of ourselves again at -- at this --

13 MR. DAVID CORMIE: Yeah.

14 MR. ROGER CATHCART: Sorry. Roger  
15 Cathcart. Sorry, I -- that'll be part of the IR  
16 process. Thank you.

17 MS. PATTI RAMAGE: Thanks, Roger.

18 MR. DAVID CORMIE: So with regard to  
19 the interconnection, the MISO Manitoba Hydro wind  
20 synergy study draft report has been issued. And we  
21 talked about the importance of building the  
22 transmission line, but really the value that's  
23 generated is because Manitoba Hydro's developing new  
24 hydro resources that are capable of swinging.

25 So the -- the study has pointing -- is

1 pointing to the generation resource. Without the  
2 interconnection the generation resource can't be  
3 responsive to the -- to the price signals that MISO is  
4 sending. And so it's really the -- the trans -- it  
5 supports the decision to build a large line so that the  
6 Manitoba storage can be effective in -- in following  
7 the MISO price signal.

8                   And -- and it -- I'd invite you to read  
9 the report and it'll -- it -- it -- you can see from  
10 there how building a line without building the  
11 generation doesn't -- doesn't really provide any  
12 benefits.

13                   With regard to the interconnection,  
14 Manitoba Hydro and Minnesota Power signed a letter of  
15 intent in the middle of August to -- to talk about the  
16 specific issues that will be dealt with in the term  
17 sheet that will lay the -- out the business case for  
18 Manitoba Hydro and Minnesota Power investing in the US  
19 portion of the transmission lines.

20                   And that term sheet negot -- those  
21 negotiations are underway and -- and the results of  
22 that are -- are still pending. And until we have the  
23 interconnection term sheet, Minnesota Power won't file  
24 their certificate of need, because they can't file  
25 their certificate of need until they know what the



1 business arrangements are so they can go to their  
2 regulator and say, Here's -- here's the implications  
3 for ratepayers in Minnesota.

4 And we can't proceed with a -- a  
5 facilities construction agreement with MISO until that  
6 -- until that term sheet is -- is finalized.

7 MR. WILLIAM GANGE: David, Bill Gange.  
8 The intercon -- interconnection term sheet, once it has  
9 been signed, will that be -- will -- will that document  
10 be a confidential document, or will that be something  
11 that will be available to us in the NFAT process?

12 MR. DAVID CORMIE: Like all the  
13 contracts, it will be part of the set of contracts that  
14 will be confidential but will be available to those  
15 people who have -- have -- through their -- through the  
16 confidential process that -- that's been established.  
17 So as soon as we have a term sheet we will -- we will  
18 be filing that on a confidential basis.

19

20 (BRIEF PAUSE)

21

22 MR. WALLY KOSCHIK: Wally Koschik,  
23 advisor to the PUB on transmission matters. I have two  
24 (2) questions. And one (1) is in regard to the  
25 transmission ownership question. As far as I

1 understand, this would be a first for Manitoba Hydro  
2 owning transmission facilities outside of the province.  
3 Also, given that the MISO is in an open access  
4 transmission regime, obviously this facility should  
5 attract some transmission services revenue. That is,  
6 you know, third parties will use the transmission and  
7 will have to pay for it.

8                   Does Manitoba Hydro expect to receive  
9 revenue from transmission services on that facility?  
10 That's the first question. Then the second question  
11 is, regarding the 250 megawatt and 750 megawatt line, I  
12 presume -- am I correct in understanding that the two-  
13 fifty (250) and the seven-fifty (750) would represent  
14 the increase in Manitoba to US transfer capability?  
15 Are those nominal figures, or are they supported by  
16 system studies with the MISO or with Minnesota Power or  
17 with joint technical teams, or are they just nominal  
18 estimates? A 230 kV line should give you this much. A  
19 500 kV line should give you this much.

20                   Or are they -- you know, do they have  
21 some standing through studies?

22                   MR. DAVID CORMIE: The -- well, you're  
23 -- you're correct, this would be the first time that  
24 Manitoba Hydro would own assets in the United States.  
25 We will have the rights to all the firm transmission

1 that's available as a result of our investment. So  
2 third parties will not be eligible to use that as that  
3 line.

4                   With regard to the issue of netbacks  
5 from MISO, I can't speak to that. I -- I don't know  
6 the answer to that, and that will have to be  
7 determined.

8                   With regard to the -- the design of the  
9 interconnection, we've gone through the MISO TSR  
10 process. We've done system impact studies that have  
11 led to facility studies that have led to detailed  
12 designs, and we're in the corridor selection process.  
13 So there are -- there are electrical engineering  
14 studies supporting those transfer capabilities. Those  
15 are firm limits and they are incremental to the  
16 existing transfer capability between Canada and the  
17 United States.

18                   In addition to that, we're also getting  
19 750 megawatts of firm import capability with the 750  
20 megawatt export capability. So it's not just a export,  
21 it's an import capability. So that's probably as  
22 important to Manitoba Hydro as -- as the export  
23 capability, but they've all -- they've -- they've --  
24 these ratings are all as a result of Utility and -- and  
25 MISO system studies.

1                   And they're not just a nominal -- we've  
2 gone to this stage because we need to have a hard  
3 estimate of what that -- that line is going to cost.  
4 So we know which breakers need to be built. We know  
5 how many towers need to be built. We know the size of  
6 the conductor. We know what the other facilities that  
7 are affected need to be.

8                   MR. WALLY KOSCHIK:     So that 750  
9 megawatts import capability that's an increase from  
10 seven hundred (700) to --

11                  MR. DAVID CORMIE:     Yes.

12                  MR. WALLY KOSCHIK:     -- to fourteen  
13 fifty (1,450)?

14                  MR. DAVID CORMIE:     Yes.

15                  MR. WALLY KOSCHIK:     Okay. Thank you.

16                  MR. DAVID CORMIE:     Whereas with the  
17 two-fifty (250) we don't get that trans -- in -- in --  
18 we don't get that import capability.

19                  THE FACILITATOR:     Dave --

20                  MR. DAVID CORMIE:     Yes?

21                  THE FACILITATOR:     -- Ed Wojczynski. I  
22 might have missed it. On your first overhead there was  
23 the SaskPower, and could you just elaborate on what  
24 that is about? Or maybe you did and I missed it.

25                  MR. DAVID CORMIE:     What I said, Ed, was

1 that there have -- has been an MOU signed between  
2 Manitoba Hydro and -- and SaskPower, and that's been  
3 publicly announced that there will be discussions for  
4 power sales ranging from 25 megawatts up to 500  
5 megawatts.

6 Saskatchewan is seeing relatively high  
7 rates of load growth, they've got a huge capital  
8 program, and they're interested in purchasing large  
9 amounts of hydro from Manitoba Hydro. So we're -- we -  
10 - we're working with them to deal with their short-term  
11 need as well as their -- as -- as well as their long-  
12 term need that would be met from facilities that were  
13 built as part of the Preferred Development plan.

14 Except for very small amounts of power  
15 sales, it will be -- it will -- we will have to build  
16 new transmission into Saskatchewan for a major power  
17 sale. So part of the process of understanding the  
18 costs and the benefits of -- of a power sale is what  
19 are the -- what -- what transmission studies you have  
20 to do and what -- what investment both companies would  
21 have to make.

22 And so those transmission studies are  
23 underway so that the parties can come together and find  
24 out, Is -- is there an opportunity here and does it  
25 make economic sense for both companies.

1 (BRIEF PAUSE)

2

3 MR. DAVID CORMIE: Okay. If there's  
4 other questions you can catch me at break.

5

6 LONG-TERM ELECTRICITY PRICE FORECASTING PRESENTATION:

7 MS. JOANNE FLYNN: Good afternoon. I'm  
8 Joanne Flynn, and I'm the division manager of Power  
9 Planning for Manitoba Hydro. I guess we'll just wait a  
10 sec while the presentation comes up.

11

12 (BRIEF PAUSE)

13

14 MS. JOANNE FLYNN: Okay. I'll try this  
15 again. Oh, this sounds like it's on. Okay. My name  
16 is Joanne Flynn, and I'm the division manager of Power  
17 Planning at Manitoba Hydro. Okay. Let's see if this  
18 thing works.

19

20 (MOVED TO SLIDE 2)

21

22 MS. JOANNE FLYNN: All right. And the  
23 topic for this afternoon is the long-term electricity  
24 price forecasting at Manitoba Hydro. So Manitoba Hydro  
25 seeks the opinion of a number of independent price

1 forecast consultants, whose perspectives form Manitoba  
2 Hydro's consensus electricity price forecast as part of  
3 our resource planning process.

4 Now, Manitoba Hydro considers the  
5 consensus electricity price forecast to be confidential  
6 and so the -- the specifics are -- are not -- are not  
7 available. What we have provided in Appendix 9.3 is a  
8 description of the price forecasting methodology.

9

10 (MOVED TO SLIDE 3)

11

12 MS. JOANNE FLYNN: And in addition to  
13 that, we indicated at the technical conference in July  
14 that we would provide an electricity price forecast in  
15 the NFAT submission. And the price forecast that has  
16 been provided will -- will give a general indication of  
17 the expected trend of future electricity prices in  
18 MISO.

19 It's a twenty (20) year price forecast  
20 prepared by The Brattle Group. It's their two (2) --  
21 2013 work. And in chapter 3, it can be found in Figure  
22 3.13, or -- or there's a -- a summary of it in Figure  
23 3.13. The Brattle Group is one (1) of the independent  
24 price forecast consultants that Manitoba Hydro uses to  
25 produce the consensus export price forecast. So what

1 they do is they produce eleven (11) distinct scenarios.

2

3 (MOVED TO SLIDE 4)

4

5 MS. JOANNE FLYNN: And 'scenarios' is a  
6 word used by the Brattle Group. In the context of the  
7 NFAT submission, we use 'scenarios' in a different  
8 context but because we are providing the -- the Brattle  
9 price forecast, this is the -- this is the wording they  
10 use. So they have eleven (11) distinct scenarios that  
11 -- that are included in their work.

12 Figure 3.13 picks three (3) of these  
13 scenarios. The base case, and a scenario that would  
14 provide the upper bound, and one (1) that would provide  
15 the lower bo -- bound of prolonged pricing. The full  
16 report is available in Appendix 3.1.

17

18 (MOVED TO SLIDE 5)

19

20 MS. JOANNE FLYNN: So this is the  
21 figure that you will find in Chapter 3, and it pulls  
22 together the three (3) scenarios. And these are -- the  
23 scenarios as named by the Brattle Group, so high CO2,  
24 base case, and extreme low. The base case forecast is  
25 for the Minnesota Hub, and they project that on-peak



1 energy prices will increase in real terms on average  
2 about 4 percent per year over the forecast horizon.

3                   The forecast horizon here is twenty (20)  
4 years. This graph is expressed in dollars per megawatt  
5 hour in 2013 US dollars per -- per megawatt hour. The  
6 High CO2 scenario assumes the introduction of a more  
7 substantial carbon price starting in the 2016 time  
8 frame, while the Extreme Low scenario assumes no carbon  
9 price at all.

10                   And what you can -- can also see is that  
11 there's a considerable uncertainty around the key  
12 factors that drive energy prices and so there is  
13 approximately a fifty dollar (\$50) difference between  
14 the highest and lowest price scenario by the end of the  
15 forecast horizon.

16

17                   (MOVED TO SLIDE 6)

18

19                   MS. JOANNE FLYNN: So the Brattle price  
20 forecast is only one (1) of a number that Manitoba  
21 Hydro uses in the consensus price forecast and  
22 therefore it's only indicative of a single perspective  
23 and doesn't necessarily reflect absolute pricing levels  
24 outlined in the consensus export price forecast.

25                   Well that it all that I was going to

1 present in terms of -- of long-term price forecasting.

2 Are there any questions on that?

3 MR. RICK HENDRIKS: Rick Hendriks. Can  
4 you just go back to the previous graph there?

5

6 (MOVED TO SLIDE 5)

7

8 MR. RICK HENDRIKS: Okay. You  
9 mentioned that the -- the bottom line is the 'no carbon  
10 price'. Is that -- is that correct?

11 MS. JOANNE FLYNN: That's correct.

12 There's no carbon included in the low.

13 MR. RICK HENDRIKS: Okay. So -- and  
14 I'm assuming because of the jump in the base case  
15 there's a carbon price introduced around 2019?

16 MS. JOANNE FLYNN: That's -- yeah, I  
17 believe that's -- that's --

18 MR. RICK HENDRIKS: Okay. So between  
19 now and 2019, why is there a difference between the  
20 base case and the Extreme Low?

21 MS. JOANNE FLYNN: Well, there's --  
22 there's other factors that they are forecasting; like,  
23 carbon is only one (1) of the factors that is being  
24 forecasted in it. So this is there whole -- what are  
25 their assumptions for load growth; what are their

1 assumptions for what resources will be in place; and --  
2 so it's all of the assumptions that they're making;  
3 that they have determined sort of a -- a low -- like  
4 eleven (11) different scenarios of what --

5 MR. RICK HENDRIKS: Okay.

6 MS. JOANNE FLYNN: -- what that future  
7 would --

8 MR. RICK HENDRIKS: Thank you.

9 MS. JOANNE FLYNN: -- look like.

10 MR. RICK HENDRIKS: I'm just -- yeah, I  
11 misunderstood what you had said. Okay.

12 So the -- the Extreme Low is not only  
13 that there's no carbon price, another -- a number of  
14 other things have contributed --

15 MS. JOANNE FLYNN: That's right.

16 MR. RICK HENDRIKS: -- to low price?

17 MS. JOANNE FLYNN: Yeah.

18 MR. RICK HENDRIKS: Okay. I just  
19 wanted to clarify that. Thanks.

20 MS. JOANNE FLYNN: Okay.

21 MR. CRAIG SABINE: Hi Joanne. Craig  
22 Sabine for MPUB (phonetic). I have three (3)  
23 questions, two (2) very quick I'm sure, and one (1)  
24 more substantive, I suppose.

25 One (1), the carbon in the Extreme Low

1 scenario is there a voluntary carbon market at all  
2 assumed or is it no carbon price from a regulated  
3 compliance-driven --

4 MS. JOANNE FLYNN: My understanding, or  
5 recollection, I guess, is that there's just no carbon  
6 assumed in it for -- like, just no carbon.

7 MR. CRAIG SABINE: Okay.

8 MS. JOANNE FLYNN: But probably your  
9 best bet is to go to the appendix and --

10 MR. CRAIG SABINE: Sure.

11 MS. JOANNE FLYNN: -- have a look.

12 MR. CRAIG SABINE: Sure. Two (2),  
13 you're not able to divulge who the other consultants  
14 were at all --

15 MS. JOANNE FLYNN: -- only Brattle?  
16 And are he products -- or the studies that were used,  
17 were they product-based? Because typically what I know  
18 of firms like Brattle, and I can make some assumptions  
19 on who some of the other firms might have been, but you  
20 -- they'll have products that are sort of their views  
21 on -- on the world. And they'll also do one-offs, or -  
22 - or, you know, specialized runs for a client.

23 MS. JOANNE FLYNN: Right.

24 MR. CRAIG SABINE: So can -- can you  
25 divulge whether they were product based, or -- or one-

1 off based?

2 MS. JOANNE FLYNN: There's actually a  
3 mix --

4 MR. CRAIG SABINE: Okay.

5 MS. JOANNE FLYNN: -- in -- in play, in  
6 terms of the -- the overall suite of consultant.

7 MR. CRAIG SABINE: Okay. Thank you.

8 MS. NICOLE FITKOWSKI: I have a  
9 question from Mary Neal:

10 MS. MARY NEAL (VIA CHAT): Do the  
11 independent consultants forecast off-peak and on-peak  
12 prices? And also, do they forecast capacity prices?

13 MS. JOANNE FLYNN: Yes, they forecast  
14 all of them.

15 MR. ROBERT SINCLAIR: So you say --  
16 Robert Sinclair. You say that the other consultants'  
17 studies can't be divulged. You mean they can't be  
18 divulged in your filing? Can they be divulged to -- to  
19 us for further analysis, confidentially --

20 MS. JOANNE FLYNN: Yes, they can.  
21 They're part of the confidential process.

22 MR. ROBERT SINCLAIR: Okay. And when  
23 you get your various consultants' forecasts, how much  
24 analysis do you put into it to sort of combine them?

25 MS. JOANNE FLYNN: A lot of the

1 analysis that we put into it is in ensuring that we  
2 understand what the consultants have done, so that we  
3 are using the -- the information correctly. But in  
4 terms of how much judgment we apply to it, very little.

5 MR. ROBERT SINCLAIR: So you try to  
6 avoid judgment?

7 MS. JOANNE FLYNN: Yes.

8 MR. ROBERT SINCLAIR: Okay. And the --  
9 the process you use to aggregate these forecasts, is  
10 that also available to us?

11 MS. JOANNE FLYNN: To aggregate them?

12 MR. ROBERT SINCLAIR: To -- you must  
13 use five (5) of them to come up with a single number,  
14 right? It's a process --

15 MS. JOANNE FLYNN: Yes. It's a simple  
16 averaging process.

17 MR. ROBERT SINCLAIR: Okay. And is  
18 that available too?

19 MS. JOANNE FLYNN: Under the  
20 confidential process, yes.

21 MR. ROBERT SINCLAIR: Okay.

22 MR. DAN PEACO: Dan Peaco. Just to  
23 follow up on that question. So your consensus view  
24 from these five (5) consultant studies is a -- is a  
25 single price strip?

1 MS. JOANNE FLYNN: A single price  
2 strip? As opposed to on-peak, off-peak?

3 MR. DAVID PUTNAM: No, as opposed to,  
4 for example, I'm assu -- I'm presuming each of the five  
5 (5) would have similar kind of scenarios.

6 Did you do any price scenario analysis  
7 with your -- in your economic analysis, or did you  
8 simply use a -- a single consensus. If you took an  
9 average of these three (3), plus -- times five (5), and  
10 came up with a single price forecast, is that what --  
11 is that you're using in your -- your economic analysis?

12 MS. JOANNE FLYNN: What we use is we  
13 use a ref -- reference price, and we have the twenty-  
14 seven (27) scenarios that combine high and low prices,  
15 where high and low prices are included in --

16 MR. ROBERT SINCLAIR: So you come up  
17 with a -- a reference in the high and a low?

18 MS. JOANNE FLYNN: Consensus. All  
19 three (3) are consensus.

20 MR. ROBERT SINCLAIR: Okay. And then  
21 you use that in -- in your economic analysis?

22 MS. JOANNE FLYNN: Correct.

23 MR. ROBERT SINCLAIR: Okay. Thanks.

24 MS. NICOLE FITKOWSKI: Mary Neal has a  
25 question:

1 MS. MARY NEAL (VIA CHAT): Do the  
2 consultants include any potential impacts of new  
3 Manitoba Hydro generation into the price forecast?

4 MS. JOANNE FLYNN: The con -- the  
5 consultants are doing what I would describe as a  
6 fundamentals based analysis with their -- and they have  
7 models that support that. So they're looking at what  
8 their view is out in the future for that market area.  
9 So they may or may not consider what -- they may or may  
10 not consider what Manitoba Hydro is doing as  
11 significant to the outcome of their models.

12 MR. ROGER CATHCART: Hi. Roger  
13 Cathcart. Just quickly, these forecasts are done  
14 annually, or purchased annually?

15 MS. JOANNE FLYNN: They have been for  
16 the last several years. Historically, they haven't  
17 always been done on an annual basis.

18 MR. ROGER CATHCART: Okay. The NFAT  
19 filing is based on what vintage forecasts?

20 MS. JOANNE FLYNN: Good question.  
21 Okay. So the -- the 2012 analysis, so the analysis  
22 year you see in chapters 9 and 10 of the -- of the  
23 submission, they're based on, basically, the 2012  
24 planning assumptions. But the export price was one (1)  
25 of the assumptions that we adjusted partway through the



1 year to try and get, you know, sort of the -- the best  
2 information we could before we had to lock down our  
3 assumptions, and basically that adjustment was  
4 primarily downward on -- from the 2012 base  
5 assumptions.

6 Chapter 12, which is our 2013 update,  
7 has the 2013 planning assumptions to the 2013 forecasts  
8 of export price forecast. And what we found is that,  
9 on -- on a reference basis, that the adjustment was now  
10 -- from -- from the 2012 assumption we made for the  
11 analysis, the 2013 price forecast has gone up from that  
12 value.

13 MR. ROBERT SINCLAIR: Robert Sinclair.  
14 When you say you made an adjustment from 2012 to 2013,  
15 you said "we", you meant your consultants or yourself?

16 MS. JOANNE FLYNN: It was informal with  
17 the consultants, sort of a polling of the consultants,  
18 and the use of other consultants, as well. So, yeah,  
19 it -- it wasn't a full fledged price forecast, but a  
20 sense of where the forecasts were going.

21 MR. ROBERT SINCLAIR: Yeah. And as we  
22 go through the discovery process, will your consultants  
23 be available to respond to technical questions about  
24 their forecasts?

25 MS. JOANNE FLYNN: I don't know the

1 answer to that right now.

2 MS. NICOLE FITKOWSKI: Joanne, I have a  
3 question from John Dalton:

4 MR. JOHN DALTON (VIA CHAT): Is there  
5 any effort to confirm the consistency of the consensus  
6 forecasts and the assumptions used for evaluation DSM  
7 programs? I.e., does the assessment of DSM of  
8 potential cons -- potential consider the value of  
9 energy in ex -- in export markets?

10 MS. JOANNE FLYNN: Can you read the  
11 question again?

12 MR. JOHN DALTON (VIA CHAT): Is there  
13 any effort to confirm the consistency of the consensus  
14 forecasts and the assumptions used for evaluating DSM  
15 programs? I.e., does the assessment of DSM of  
16 potential consider the value of energy in export  
17 markets?

18 MS. JOANNE FLYNN: Okay. Well, I'll --  
19 I'll try this for an answer, if -- I hope I'm answering  
20 the question.

21 The -- the values that are -- the  
22 marginal costs that are provided to our hydro staff to  
23 do the DSM evaluations are based on the same  
24 information as we're getting from the consensus price  
25 forecasts. So I would say that there is consistency

1 there.

2 MR. ROGER CATHCART: Hi. Roger  
3 Cathcart. Just a follow up from my previous question.  
4 2012 vintage were used for 2012, 2013 forecasts, same  
5 five (5) consultants, and other consultants. You said  
6 there were other consultants.

7 MS. JOANNE FLYNN: The -- the  
8 adjustment to 2012 included a mix of consultants. That  
9 included more than the -- the original five (5)  
10 consultants.

11 MR. ROGER CATHCART: All right --

12 MS. JOANNE FLYNN: The 2013 is -- we --  
13 we did a bit of an alignment internally in terms of  
14 some of our forecasts, and we've used six (6)  
15 consultants in 2013.

16 MR. ROGER CATHCART: Okay. And -- and  
17 how did you -- what kind of framework did you throw  
18 around this alignment?

19 MS. JOANNE FLYNN: Basically it was  
20 driven by wanting to ensure we have aligned the natural  
21 gas and electricity price forecasts.

22 MR. RICK HENDRIKS: Yeah. Rick  
23 Hendriks. Along the same lines, just can you give us a  
24 sense of -- of the direction, or the -- the framework  
25 around the terms that you're giving to these

1 consultants before you provide -- they provide you with  
2 the price forecast?

3 MS. JOANNE FLYNN: I actually -- I  
4 don't know if I can remember them off the top of my  
5 head, but they are included in Appendix 9.3 under the  
6 export price methodology section.

7 But, you know, basically we're telling  
8 them we want a Minnesota Hub price. We want it to be  
9 prolonged pricing, not trying to forecast the business  
10 cycles over the years, and to -- to consider -- we --  
11 we're looking for the -- those different products, the  
12 on-peak pro -- product, off-peak, and capacity.

13 MR. RICK HENDRIKS: Rick Hendriks  
14 again. And did you follow up? Like, in terms of when  
15 you get the material back, what sort of validation  
16 process do you use to ensure that you're actually  
17 comparing apples to apples, that these folks have  
18 actually made the same, or very similar assumptions  
19 about future conditions?

20 MS. JOANNE FLYNN: There's -- there's  
21 quite an extensive process where we deal with each of  
22 the consultants individually. And -- like that is what  
23 the majority of our analysis is, is making sure that we  
24 understand what they have done in their -- in their  
25 process.

1 (BRIEF PAUSE)

2

3 MS. JOANNE FLYNN: All right. That  
4 looks like we've exhausted the questions.

5 THE FACILITATOR: Are there anymore  
6 questions for Dave or Joanne on the price forecast, or  
7 MISO, or on the export contract update that Dave gave  
8 us?

9

10 (BRIEF PAUSE)

11

12 THE FACILITATOR: It doesn't look like  
13 it. We're -- this part went a little bit faster than  
14 we projected. We were told to leave lots of room for  
15 questions, which we did. We could start, but I -- but  
16 I think what we should do is Joanne is also the next  
17 presenter, so I think what we should do is give her a  
18 chance to collect her stuff. And why don't we take a -  
19 - a thirteen (13) minute break and come back at a  
20 quarter after 2:00.

21

22 --- Upon recessing at 2:01 p.m.

23 --- Upon resuming at 2:21 p.m.

24

25 THE FACILITATOR: Okay. Good

1 afternoon. So we'll get started again. It's the last  
2 presentation of the afternoon. This is the  
3 presentation which in all likelihood we'll need to wrap  
4 over into tomorrow morning. We did set it up that way  
5 in the agenda, so. There's quite a few overheads on  
6 it, but we -- Joanne will be coming back and starting  
7 up at nine o'clock in the morning on the same  
8 presentation, assuming we don't get through it.

9                   And I guess, Joanne, we can ask  
10 questions as we go along, just like --

11                   MS. JOANNE FLYNN: Oh, absolutely.

12 There's a lot of --

13                   THE FACILITATOR: Yeah.

14                   MS. JOANNE FLYNN: -- different topics  
15 being covered.

16                   THE FACILITATOR: Okay.

17

18                   (MOVED TO SLIDE 2)

19

20 POWER RESOURCE PLANNING, ALTERNATIVES, AND ECONOMIC  
21 EVALUATIONS PRESENTATION:

22                   MS. JOANNE FLYNN: Okay. So -- so  
23 chapter 4, the list of chapters that was on the front  
24 slide there, chapter 4 is the need for new resources  
25 chapter. And I've picked a couple slides to kind of

1 summarize the essence of -- of that portion of the  
2 chapter anyway.

3                   And what I've picked is Figure 4.19 our  
4 of Chapter 4, which is the winter peak capacity. So it  
5 reflects the need for new resources as it pertains to  
6 winter peak capacity, based on these 2012 adjusted  
7 assumptions that we were talking about, used for the  
8 main evaluations in the NFAT submission.

9                   It shows the capacity balance as either  
10 a surplus, if you look on the right-hand side of the  
11 slide -- left-hand side of the slide -- if you're  
12 looking at it the same way -- and as a deficit, on the  
13 right-hand side of the slide. So this is capacity, so  
14 it's -- the units are megawatts and it's showing the  
15 years from 2012/'13 to 2031/'32.

16                   And what you see is that the Manitoba  
17 Hydro system will have a surplus of winter peak  
18 capacity until the year '25/'26. And at that point  
19 there will no longer be sufficient capacity in the  
20 winter available to meet forecast peak demand and  
21 export commitments.

22

23   (MOVED TO SLIDE 3)

24

25                   Now, similarly, this is the -- this is

1 the graph for energy, which is Figure 4-21 in Chapter  
2 4, and this shows, again, the same -- same thing, the  
3 dependable energy balance is either a surplus or  
4 deficit for the next twenty (20) years. And in the  
5 case of energy, it is the year '22/'23 where we're  
6 showing a deficit that begins.

7                   And since the persistent dependable  
8 energy deficit begins earlier than the persistent  
9 winter peak capacity deficit, it's the shortfall of  
10 dependable energy that drives the need for new  
11 resources in the year '22/'23.

12                   And that is all I was going to cover on  
13 the need for new resources.

14

15                   (MOVED TO SLIDE 4)

16

17                   MS. JOANNE FLYNN: So now we'll move on  
18 to chapter 7, which covers the screening of Manitoba  
19 resource options. And in that chapter we went through  
20 sixteen (16) resource technologies that are potentially  
21 suitable for utility-scale generation. That's -- those  
22 are the -- the resources that we're -- or the  
23 technologies that we're interested in.

24                   The characteristics were grouped into  
25 categories and those categories are: technical,



1 environmental, social poss -- policy, and economic.  
2 And they are summarized in Table 7.1 in Chapter 7. So  
3 the high level screening of technologies uses a -- a  
4 general characterization as to whether the technology  
5 is suitable to proceed to the next stage of evaluation.

6                   Now, one (1) of the -- one (1) of the  
7 charateri -- characteristics I'm going to talk about  
8 here is -- is cost. And this -- the -- the graph that  
9 is shown on here is also part of the chapter, and it's  
10 giving levelized cost information. So levelized cost  
11 is standard measure that we use and it provides the  
12 costs of constructing and operating a generating  
13 resource over its life, and it's represented in units  
14 as dollars per megawatt hour. And it is a useful  
15 measure for screening technologies, but it -- what it  
16 does not do is indicate the value of the generation.  
17 It's simply a cost measure associated with the unit of  
18 energy.

19                   So to determine the value of additional  
20 ener -- generation to the system, the impact of not  
21 just a single resource and not just the cost of that  
22 resource but of the entire development plan on the  
23 system needs to be considered, as well as the value  
24 from the market and the ability to meet Manitoba  
25 Hydro's planning criteria.

1 (MOVED TO SLIDE 5)

2

3 MS. JOANNE FLYNN: So we do use  
4 levelized costs at the screening level. Beyond that we  
5 go into -- into full system evaluation.

6 Okay. There's a question here?

7 MR. JOHN ATHAS: Thank you. John  
8 Athas. Could you explain what the -- on that prior  
9 chart what the min and max -- how that's...

10 MS. JOANNE FLYNN: Okay. The -- the  
11 min -- well, okay, let me think for a sec here.

12 That is the range that's looked at --  
13 now, there's two (2) different slide -- two (2)  
14 different graphs that are provided in the chapter. One  
15 (1) is on the basis of EIA -- US EIA information, and  
16 the other is Manitoba based resource costs. And so  
17 what it is, is it's the ranges that are provided for  
18 that information. So the light blue being, of course,  
19 the higher cost -- higher costs associated with those  
20 particular resources.

21 DR. PETER MILLER: Peter Miller. Just  
22 to clarify, you -- we have enhanced geothermal and  
23 biomass here. The biomass refers to biomass for  
24 electrical generation rather than the previous one  
25 presented by Lois as a heat substitute for -- for

1 electric heat by the end user?

2 MS. JOANNE FLYNN: Right. This is not  
3 from the customer view, this is utility scale.

4 DR. PETER MILLER: And similarly, the -  
5 - the geothermal is not what you'd find in your home  
6 but going deep into the earth where it's hot --

7 MS. JOANNE FLYNN: That's correct.  
8 Where you can --

9 DR. PETER MILLER: -- and produces  
10 steam?

11 MS. JOANNE FLYNN: -- put a plant on  
12 top of it, yes.

13 DR. PETER MILLER: Okay.

14 MS. JOANNE FLYNN: Okay. So the  
15 screening process shown in Chapter 7 yields the  
16 following resource technologies that would advance to  
17 the next stage of evaluation. So additional DSM,  
18 hydro, wind, natural gas fired, and imports.

19 So we take these resources and we  
20 formulate them into development plans, and all of the  
21 development plans must be able to meet our domestic  
22 load and existing firm export commitments. They must  
23 be able to meet our planning criteria. And the plans  
24 are determined also considering various strategic  
25 business opportunities and are comparatively evaluated

1 to identify the optimal plan.

2                   So, for example, development plans with  
3 new transmission interconnections incorporate  
4 opportunities to serve export market customers and  
5 increase our US interconnection capability. A  
6 development plan that provides the opportunity to  
7 minimize capital investment uses natural-gas-based  
8 generation resources sufficient to meet only Manitoba  
9 Hydro's expected domestic load and existing firm export  
10 commitments.

11

12                   (MOVED TO SLIDE 8)

13

14                   MS. JOANNE FLYNN: Now, I'll just talk  
15 a little bit more about the new US interconnection and  
16 how we've treated it in the evaluation. So as -- as  
17 David had explained, there's two (2) interconnection  
18 projects that are considered. So the 750 megawatt  
19 import/export, or the small line which would have a 50  
20 megawatt import capability as assumed for the NFAT  
21 submission analysis and 250 megawatts of export. The  
22 interconnections will consist of two (2) parts: so the  
23 portion constructed in Manitoba and the portion  
24 constructed in the US.

25                   Manitoba Hydro is responsible for the

1 cost and development of the interconnection facilities  
2 in Manitoba. US and counterparties are responsible for  
3 the development of the US portion of the  
4 interconnection projects. And for the plans that  
5 include a new 750 megawatt interconnection, the cost of  
6 those interconnection facilities in the US is assumed  
7 to be shared in -- in varying degrees by the US  
8 counterparties and Manitoba Hydro.

9           As -- as David also mentioned, Manitoba  
10 Hydro will only enter into arrangements where it will  
11 not own more than the 49 percent of the interconnection  
12 facilities in the US. And in return for that, we get  
13 the benefits of having the right to use and/or sell a  
14 proportionate share of that transmission service  
15 sometime in the future.

16           Further, there are five (5) plans that  
17 have a 750 megawatt interconnection assumed in it. And  
18 there are two (2) plans, and the plan numbers will be  
19 coming up, and they are certainly documented in the  
20 submission. So there's two (2) plans that assume the  
21 WPS investment in transmission and 300 megawatt sale.  
22 And in those plans the assumption on the cost of not  
23 just the capital cost, but also ongoing operating and  
24 costs associated with the US portion of the  
25 interconnection, is 40 percent of those costs.

1                   And in the other three (3) plans that  
2 have a 750 megawatt interconnection -- and those are  
3 three (3) plans that do not assume a sale to WPS or, of  
4 course, any investment in interconnection if there is  
5 no sale. And those are the ones where Manitoba Hydro  
6 will be responsible for approximately two-thirds (2/3)  
7 of the capital and ongoing operating costs, so the  
8 total of the capital and operating costs together.

9                   DR. PETER MILLER:    If -- Peter Miller.  
10 If WPS has said they're not interested in investing in  
11 transmission, how do you get just a 40 percent level of  
12 capital costs and -- and operating costs?

13                   MS. JOANNE FLYNN:    Those -- those two  
14 (2) plans, it -- it's -- it's a matter of timing here.  
15 We had already been through a lot of our analysis  
16 before that became clear, that they were not willing to  
17 invest in the transmission. So we have two (2) plans  
18 that still have them investing in the transmission. So  
19 it's showing you the difference between a party that  
20 will invest in the transmission and a party that --  
21 that doesn't.

22                   DR. PETER MILLER:    So five (5) and  
23 fourteen (14) are now off the table because WPS's  
24 recent position that they won't invest?

25                   MS. JOANNE FLYNN:    They -- what those

1 plans represent is what it would look like if another  
2 party were to in -- invest. But it is using the  
3 specifics around the WPS arrangement. And as I said,  
4 that's a -- that's a matter of timing around the -- the  
5 analysis, in terms of -- of their decision.

6 THE FACILITATOR: Ed Wojczynski.  
7 Joanne, maybe just a small comment though. Five (5)  
8 and fourteen (14) do have the WPS sale -- 300 megawatt  
9 sale. So it has two (2) components, the investment and  
10 the WPS sale. So that -- as Dave said earlier, the WPS  
11 sale itself is still on the table.

12 So five (5) and fourteen (14) are there  
13 but -- but they're not quite representing what we're  
14 looking at because it has the investment. But it's --  
15 it's not that they're fully off the table. Yes.

16 MR. ROGER CATHCART: Roger Cathcart.  
17 Just for clarification. Five (5) and fourteen (14) are  
18 alternatives that have a WPS three hundred (300) sale,  
19 but the assumption about WPS actually contributing to  
20 the capital for the transmission is something that is  
21 in it but maybe shouldn't be.

22 Or -- or that's the part of it that  
23 should be removed from those alternatives?

24 MS. JOANNE FLYNN: And actually it is -  
25 - plans 5 and 14 are as if WPS was going to invest in

1 the transmission. If -- it's plan 15 that would be --  
2 that is a comparison where it still maintains the WPS  
3 300 megawatt sale but does not have them investing in  
4 transmission. So there are -- the three (3) plans --  
5 six (6), twelve (12), and fifteen (15) -- that have --  
6 oh, sorry, I -- I think that's -- there's no WPS sale  
7 at all, right.

8                   Okay. So six (6), twelve (12), and  
9 fifteen (15) are the three (3) plans with no WPS sale  
10 or investment.

11                   MR. BILL HARPER: Bill Harper. I think  
12 -- is it fair to say that -- and maybe they can comment  
13 to that -- one (1) -- one (1) of the prospects now is  
14 something that isn't here which is a three hundred  
15 (300) WPS sale following this analysis with a two-  
16 thirds (2/3) capital investment by Manitoba Hydro?

17                   That's really one of the things that's  
18 on the table now?

19                   MS. JOANNE FLYNN: Right. The -- the  
20 terms and conditions for the WPS sale are still being  
21 negotiated, yes.

22

23                   (MOVED TO SLIDE 10)

24

25                   MS. JOANNE FLYNN: Okay. This is the



1 table of -- that describes the fifteen (15) development  
2 plans, and you can find it in -- it's Table 9.3,  
3 Chapter 9. It gives you the plans. The numbers of the  
4 plans are the order of capital investment. And I will  
5 be explaining more about that as -- as we go forward.  
6 But really what that means is the least -- it's -- it's  
7 ordered in the least capital investment plan to the  
8 highest capital investment plan.

9                   You've got a short name next to it, and  
10 then a brief description of what the components of that  
11 plan are. So basically all I've done here is split it  
12 up over three (3) slides. And I wasn't going to go  
13 through what each of the plans are. That's available  
14 to you in -- in nine point three (9.3).

15

16   (MOVED TO SLIDE 11)

17

18                   MS. JOANNE FLYNN:   Whoops, I think that  
19 might have been too far.

20

21   (MOVED TO SLIDE 13)

22

23                   MS. JOANNE FLYNN:   Okay. So I'm just  
24 going to give you a brief overview, I guess, of the  
25 three (3) chapters that have economic evaluation

1 information in them, and then we'll get into some of  
2 the more hardcore stuff related to those chapters.

3 So Chapter 9 -- oh.

4

5 (BRIEF PAUSE)

6

7 MR. JOHN ATHAS: Just a clarifying  
8 question on -- on your needs that you showed in the  
9 front. Did that include any of the firm contracts that  
10 are contingent upon the -- the hydro developments?

11 MS. JOANNE FLYNN: No. Those are only  
12 existing contracts. Those are contracts that were  
13 signed and can be served out of the resources -- out of  
14 the existing resources that we have.

15 MR. JOHN ATHAS: Okay. Thank you.

16 MS. JOANNE FLYNN: Yeah.

17 MS. NICOLE FITKOWSKI: Philippe Dunsky  
18 is asking:

19 MR. PHILIPPE DUNSKY (VIA CHAT): Since  
20 stress tests don't allow you to use DSM to optimize the  
21 system, what would it take for your model to include  
22 DSM among resource options?

23

24 (BRIEF PAUSE)

25

1 MS. PATTI RAMAGE: That's not a  
2 question arising out of the filing. I think that's  
3 going to the next step, so I don't think Joanne can  
4 answer that.

5 MS. JOANNE FLYNN: Okay. So Chapter 9  
6 covers the economic evaluations from the reference  
7 scenario perspective. So it's based on the inputs and  
8 assumptions based on what I will further be describing  
9 as that reference scenario.

10 The referenced scenario represents the  
11 most likely outcome for the factors affecting Manitoba  
12 Hydro's future. And for the purposes of the main  
13 analysis in the NFAT submission, these assumptions and  
14 forecasts for the referenced scenario were based on the  
15 2012 resource planning assumption.

16 So this is the question that Roger asked  
17 earlier about what -- what the assumptions were. And  
18 this is where we adjusted the price forecast downward,  
19 the electricity price forecast downward as -- for those  
20 -- for those evaluations.

21

22 (MOVED TO SLIDE 14)

23

24 MS. JOANNE FLYNN: Chapter 10 covers  
25 economic uncertainty analysis, probabilistic analysis,

1 and sensitivities, and introduces the concept of  
2 scenarios and presents probabilistic analysis on twelve  
3 (12) of the development plans using the factors that  
4 have a high impact on the economics.

5                   This is also where you would find the  
6 sensitivity analysis on drought, climate change, load  
7 growth, and in-service delay. And at the end of the  
8 chapter is also an uncertainty analysis summary  
9 provided in Table 10.15. I won't be talking about the  
10 sensi -- those sensitivities or the uncertainty  
11 analysis summary.

12

13                   (MOVED TO SLIDE 15)

14

15                   MS. JOANNE FLYNN: Chapter 12 is the  
16 2013 update on selected development plans. And those -  
17 - those evaluations are based on the assumptions and  
18 forecasts from the 2013 planning assumptions. And this  
19 is the chapter that contains the DSM sensitivity and  
20 stress test. And that test is evaluating the  
21 attractiveness of higher levels of DSM -- or sorry,  
22 what it's -- what they're doing is demonstrating  
23 whether the preferred plan remains attractive under  
24 higher levels of DSM, not the attractiveness of higher  
25 levels of DSM. That's a separate exercise.

1 (MOVED TO SLIDE 16)

2

3 MS. JOANNE FLYNN: So now going back to  
4 chapter 9. So chapter 9 we're going to some of the  
5 assumptions and then get into some of the results. So  
6 the analysis and evaluations -- oh, yes?

7 MR. RICK HENDRIKS: I notice -- this is  
8 Rick Hendriks here. I notice you're going to go into  
9 some detail on chapter 9, so I just had a quick  
10 question about -- that applied to a number of -- of  
11 sections that you just went over there fairly quickly.

12 MS. JOANNE FLYNN: Okay.

13 MR. RICK HENDRIKS: How are you -- how  
14 do you deal with -- with escalation? So in -- in two  
15 (2) ways I ask that question. So, for example,  
16 Conawapa is several years away.

17 MS. JOANNE FLYNN: M-hm.

18 MR. RICK HENDRIKS: And so obviously  
19 you have a capital cost estimate that -- you know, of a  
20 certain standard at this point. Do you simply straight  
21 line escalate that in terms of determining what the  
22 capital cost would be in 2026? Or how do you account  
23 for trends in say component costs to that? So say the  
24 cost of steel could be trending in a certain direction  
25 at this time, concrete could be trending in a certain

1 direction; so it's not just a point to consideration,  
2 you'd be looking at the trend.

3 So how -- how does Hydro do that?

4 MS. JOANNE FLYNN: They would -- first  
5 -- first of all, I will say that the economic  
6 evaluations are -- are based on base costs, not in-  
7 service costs, okay? And there is a whole process  
8 behind that, and we happen to have one (1) of our  
9 capital estimating experts in the room, so I'll turn it  
10 over to Dave.

11 MR. DAVE BOWEN: Dave Bowen, Manitoba  
12 Hydro. In terms of capturing escalation for capital  
13 costs, I'll get into this in a little more detail  
14 tomorrow, but -- but when we do our estimates, it's --  
15 we -- we first establish a point estimate which is in  
16 current day dollars overnight costs. And then, like --  
17 like many others in the room, we're quite concerned  
18 about escalation, and certainly what's occurred in the  
19 last decade or more.

20 So -- so when we establish our in-  
21 service costs, we -- once we -- once we establish our  
22 base cost, which is based on our point estimate, we  
23 apply escalation rate to -- to an interest rate to  
24 bring it to an in-service cost. But we also look at  
25 the risk of escalation exceeding what we've typically

1 used as CPI to escalate our cost. And, for that  
2 reason, we've actually established a -- a reserve for  
3 escalation to help better deal with the -- the risk of  
4 escalation. And so that's -- that's what we've --  
5 we've done.

6 MR. RICK HENDRIKS: Okay. So thank you  
7 for that. So our related question would go back to the  
8 chart you had there, the bar chart, in which you  
9 excluded certain resources.

10 So how do you deal with de-escalation?  
11 So, for example, solar photo -- photovoltaic is de-  
12 escalating at a fairly rapid pace. So to take only the  
13 point price right now, it's not really an indication of  
14 what role it might play within your planning period.  
15 So it -- it's too expensive now, but is it -- how do  
16 you determine that it's too expensive twenty (20) years  
17 out?

18 MS. JOANNE FLYNN: What -- we -- we do  
19 -- one (1) of the appendices is our emerging technology  
20 reports, which -- which report -- which -- which  
21 recognizes what's going on with solar photovoltaic.  
22 Basically what you've got is hydro is a long lead time  
23 resource. Many of the other options are not, you don't  
24 have that sort of long lead time associated with them.

25 So what we do from a planning

1 perspective is -- is we put in the resources that are  
2 one (1) of the least cost resources at this point in  
3 time. And that doesn't prevent us from doing any kind  
4 of optimization out into the future. And in fact, Ed's  
5 going to talk quite a bit about optimization tomorrow  
6 afternoon.

7                   So the economic -- the straight economic  
8 analysis that I'm going to talk about, it does assume  
9 that over the -- the study horizon that we're going to  
10 put these specific resources in. But we realize that  
11 because you can make those decisions out in time that  
12 we'll optimize them when we'll have -- when we're --  
13 when we need to make the decisions. We don't need to  
14 optimize those decisions today.

15

16                   (BRIEF PAUSE)

17

18                   MR. BILL HARPER: Bill Harper. Could  
19 you just -- in terms of the economic analysis issue --  
20 I just wanted to be clear, because rea -- reading the  
21 application, I must have meant I probably read it too  
22 quickly and I wasn't clear -- the -- the perspective  
23 you're taking in terms of costs and benefits becoming  
24 is that -- is that costs incurred by Manitoba Hydro or  
25 total costs and benefits regardless of where?



1                   And I guess the issue being sort of the  
2 parsing between the different partners that are obvious  
3 -- parties that are obviously involved in the overall  
4 project, and some being First Nations. So I was just  
5 curious whether it was total cost, total benefits, or  
6 whether it was looking at what's coming to Manitoba  
7 Hydro and an economic evaluation from that perspective?

8                   MS. JOANNE FLYNN: We -- our analysis  
9 considers the full value of the project in the economic  
10 evaluations.

11                   Okay. All right. Incremental economics  
12 -- yeah?

13                   THE FACILITATOR: Maybe I'd just  
14 supplement that.

15                   MS. JOANNE FLYNN: Okay.

16                   THE FACILITATOR: Oh, Ed Wojczynski.  
17 The economic evaluation, as Joanne just said, takes the  
18 total capital costs and takes the total revenue, and  
19 looks at it from that Manitoba Hydro project kind of  
20 point of view. We have -- in Keeyask, we have co-  
21 owners, co-investors, income sharers. In Conawapa  
22 we're expecting it'll be income sharing, and we're  
23 receiving that in our analysis.

24                   And where we show the capital sharing on  
25 Keeyask and the income sharing on Keeyask and Conawapa,

1 that's done on the financial analysis, 'cause the  
2 income sharing will be based on how the -- the  
3 profitability of the project and you can -- on a -- on  
4 a year-by-year basis and that's picked up in the  
5 financials.

6 MS. NICOLE FITKOWSKI: Philippe Dunsky  
7 has a question:

8 MR. PHILIPPE DUNSKY (VIA CHAT): How --  
9 has your analysis accounted for the increased risk  
10 associated with long lead time resources? If so, how?

11 MS. JOANNE FLYNN: I think that's a big  
12 part of what the probabilistic analysis is about, is  
13 recognizing that there's uncertainty in the results --  
14 there's uncertainty in the future and therefore we need  
15 to look at not just a reference case assumption, but  
16 the -- something broader than that.

17 Okay. All right. We'll try one (1)  
18 more time.

19 Incremental economics. So incremental  
20 economics means that we are going to compare one (1)  
21 alternative against another. And what we're doing is  
22 we start with the least cost -- least capital cost  
23 investment plan and we test whether it is worthwhile to  
24 make the additional increment of investment required to  
25 get to the next -- to the next plan. So what that

1 means is that the cost and benefits that are common to  
2 all development plans are not included in the analysis,  
3 as these values are the same for each development plan.

4                   Likewise, sunk costs are not included in  
5 the economic evaluations. Total costs are included in  
6 the financials but sunk costs are not included in the  
7 economic evaluations as these represent money that's  
8 already been spent or commitments that can't be changed  
9 relative to the decision point when choosing among the  
10 plans.

11                   For the purpose of this submission, all  
12 costs incurred were estimated to be incurred prior to  
13 June of 2014 are considered as sunk. And -- and that's  
14 because these have been made to protect the in-service  
15 dates for Keeyask and Conawapa generating stations as  
16 well as the US interconnection and the export  
17 agreements. And that date was chosen because according  
18 to the schedule the NFAT panel report will have been  
19 made public and the Government of Manitoba will have  
20 made a decision on the development plan by that date.  
21 So that was the date chosen for -- for sinking the  
22 costs.

23                   Least-capital cost investment  
24 alternative, I want to talk about that for a moment.  
25 From an economic analysis perspective it is typical to

1 look at a do-nothing option for comparing alternatives.  
2 But Manitoba Hydro doesn't have a do-nothing option.  
3 As -- as we talked about in the need for new resources  
4 earlier in the presentation and in chapter 4, the need  
5 is being driven by persistent, dependable energy  
6 deficits which start in the year '22/'23. So this  
7 means that Manitoba Hydro is required to make some form  
8 of an investment to continue to provide dependable and  
9 reliable supply of power for the needs of the province.

10 In the case of our analysis, then, the  
11 closest representation of a do-nothing alternative is  
12 the least-capital cost investment. So all our  
13 comparisons are to the least-capital cost investment.

14

15 (MOVED TO SLIDE 17)

16

17 MS. JOANNE FLYNN: We are using  
18 standard economic analysis, net present value. The net  
19 present value is calculated by discounting the annual  
20 costs and annual revenues to a common point in time.  
21 And this allows for alternatives with different streams  
22 of costs and revenues that occur at different times to  
23 be compared on an equivalent basis at a single point in  
24 time.

25 All of the cash flows of costs and

1 revenues are discounted using a real discount rate  
2 which removes the effective inflation, and the net  
3 present value is expressed in 2014 constant dollars  
4 throughout the evaluation. So when we do the net  
5 present value the higher cost option is considered to  
6 be economically preferable if it provides a positive  
7 incremental net present value.

8

9 (MOVED TO SLIDE 18)

10

11 MS. JOANNE FLYNN: Now, I'm going to  
12 get into a few of the assumptions, the major  
13 assumptions. Okay, yes...?

14 MR. PATRICK BOWMAN: Oh, it's Patrick  
15 Bowman. It was on the previous slide, actually. I  
16 don't know if that -- and I guess my question is just:  
17 If -- was any consideration given to using different  
18 discount rates to different scenarios or plans based on  
19 the -- the degree to which they represent opportunities  
20 as opposed to the -- the simpler pathways like one (1)  
21 and two (2)?

22

23 (MOVED TO SLIDE 17)

24

25 MS. JOANNE FLYNN: Yes, consideration

1 was given to that and -- but what we did is we used a -  
2 - a discount rate. And in the probabilistic analysis,  
3 when it -- it also goes -- it goes through a high and  
4 low. Yes...?

5 MR. PELINO COLAIACOVO: This is Pelino  
6 Colaiacovo from MPA. Just to clarify, so I realize you  
7 use -- you tested different discount rates but across  
8 scenarios, across -- across options, did you use the  
9 same range of discount rates for each option or were  
10 some options given higher or lower discount rates?

11 MS. JOANNE FLYNN: The same discount  
12 rates were used across all options.

13 MR. PELINO COLAIACOVO: Pelino  
14 Colaiacovo with Morrison Park Advisors.

15 THE FACILITATOR: Ed -- Ed Wojczynski.  
16 Just maybe to supplement that answer. We did not use  
17 different discount rates for different scenarios. We,  
18 as -- consciously as a corporate policy, we took the  
19 approach that given the -- the large size of the  
20 investment we're talking about and the long time frames  
21 and -- that the more appropriate approach was to do an  
22 extensive assessment of the full range of scenarios.  
23 And rather than use something like a hurdle rate,  
24 rather instead do a detailed risk assessment and be  
25 assessed and weigh-in what the risks are rather than

1 trying to do it through a hurdle rate kind of approach.

2

3 (MOVED TO SLIDE 18)

4

5 MS. JOANNE FLYNN: Okay. Some of the  
6 major planning assumptions. And this first slide  
7 describes the economic lives of new generation  
8 resources. This is found in Appendix 9.3. And you can  
9 see the -- how much of a -- of a range there is in the  
10 life of different types of assets. So sixty-seven (67)  
11 years for the average mix of hydroelectric generating  
12 stations, wind at twenty (20), simple cycle thirty  
13 (30), same with combined cycle, and transmission  
14 stations at thirty-five (35) years, and transmission  
15 lines at fifty (50) years.

16

17 (MOVED TO SLIDE 19)

18

19 MS. JOANNE FLYNN: So the total study  
20 life is a period of seventy-eight (78) years. It goes  
21 out to 2092. And it combines two (2) approaches, a  
22 thirty-five (35) year detailed evaluation period, and  
23 then a long-life asset evaluation period for the  
24 remainder. And the cash flow components for each of  
25 the plans is available in the economic summary tables

1 in Section 3 of Appendix 9.3.

2 So how we deal with the study life  
3 beyond the thirty-five (35) year detailed study period  
4 is firstly from a capital perspective. Replacement  
5 costs are assumed for assets that reach the end of  
6 their economic lives.

7 MR. ROGER CATHCART: I -- Roger  
8 Cathcart. Hi, Joanne. Ed mentioned that you didn't  
9 run hurdle rates. Did you do -- did you do any  
10 analysis on internal rates of return and hurdle rates  
11 on any of these alternatives?

12 MS. JOANNE FLYNN: No, we used net  
13 present value.

14 MR. ROGER CATHCART: Okay. Okay.  
15 Thank you.

16

17 (MOVED TO SLIDE 20)

18

19 MS. JOANNE FLYNN: Okay. So beyond the  
20 thirty-five (35) year study period, we took the net  
21 product -- so firstly from a capital cost perspective,  
22 for assets that reached the end of their service life -  
23 - or their economic lives before the end of the long  
24 study period, so for assets that are twenty (20) years  
25 in length, then they would be replaced several times



1 before the end of the study period from a capital cost  
2 perspective.

3                   From a net production cost perspective,  
4 so this is where we're including major capital  
5 operating and maintenance investments for hydro and --  
6 and anything else, and also extending the average net  
7 revenues over the -- or extending the average revenues  
8 as well. And this is all done averaging over the last  
9 three (3) years of results from the thirty-five (35)  
10 year detailed study.

11                   So just to give you a little bit of  
12 perspective on that, this is from the net production  
13 cost perspective, so not -- not how the capital will be  
14 reinvested but what effect it has from a net production  
15 cost perspective. So you can see the -- the timeline  
16 here is going from the year 2000 to the year 2100. And  
17 you can see where the -- the net associated with --  
18 with the All Gas Plan, compared to the Preferred  
19 Development plan, how much of a difference there is  
20 between those plans as you go over -- through the  
21 years.

22                   So this is one (1) of the reasons that  
23 we've extended the -- the -- put the second part to the  
24 study, and taken it out to seventy-eight (78) years, is  
25 to try and more realistically capture the value.

1 There's no escalation beyond the thirty-five (35)  
2 years. It's kind of frozen in time, and just -- and  
3 just moved out.

4 MR. JOHN ATHAS: John Athas again. Can  
5 -- can you go back to that chart for a minute.

6 Does -- from earlier discussions -- I  
7 understand what you're doing with the averaging there,  
8 but one (1) of the influences on that -- those two (2)  
9 lines is off syst -- sales to the US?

10 MS. JOANNE FLYNN: Yes.

11 MR. JOHN ATHAS: And if you -- and the  
12 sales to the US are based on how much surplus hydro you  
13 have above domestic?

14 MS. JOANNE FLYNN: Yes.

15 MR. JOHN ATHAS: So wouldn't that be  
16 going away over the -- in this later time period in the  
17 cases that are heavily hydro versus -- and -- and thus  
18 have a different trend line to them after this -- for  
19 the second thirty-five (35) years than the all gas, for  
20 instance?

21 MS. JOANNE FLYNN: Could you repeat  
22 that, please?

23 MR. JOHN ATHAS: Sure. Wouldn't the  
24 erosion of the amou -- amount of available surplus  
25 water for the -- for sales -- opportunity sales to the

1 US, and firm sales, mean that the hydro plans would  
2 have a very different trend in their post thirty-five  
3 (35) -- second thirty-five years than perhaps an all  
4 gas plan, which didn't rely on surplus sales?

5 MS. JOANNE FLYNN: Well, I mean, that  
6 is what -- that is part of the benefit that is being  
7 shown here, is that they will continue to produce value  
8 from the sale of surplus energy.

9 MR. JOHN ATHAS: But they wouldn't  
10 necessarily have -- the surpluses would be dwindling  
11 over time, wouldn't -- if I understand your modelling  
12 process --

13 MS. JOANNE FLYNN: Well, the --

14 MR. JOHN ATHAS: -- as your -- as your  
15 domestic load grows?

16 MS. JOANNE FLYNN: Right. But this --  
17 this is one (1) plan compared to another, so domestic  
18 load is not a consideration in this.

19 MR. JOHN ATHAS: But the line that you  
20 would credit the revenue on -- I just want to make sure  
21 that the line you credit the revenue on is essentially  
22 being kept constant at the -- at the last -- at the  
23 last three (3) years average, to kind of make sure I  
24 was sticking with the -- the agenda of today of just  
25 getting clarifying questions.

1 THE FACILITATOR: Maybe I could jump in  
2 here. The -- Joanne knows the answer, but I think it's  
3 -- when you're standing up there it's harder to follow  
4 the questions.

5 At that point in time, once you're that  
6 far out, all the dependable from the hydro is used up  
7 and all you're selling is non-dependable hydro. So  
8 that is constant as an average after that. You've used  
9 up all the dependable hydro and that revenue is  
10 strictly unfirm hydro. So that doesn't get smaller  
11 anymore.

12 Every time you add another hydro station  
13 you increase the amount of -- of unfirm energy on the  
14 average that's available for sale. As the Manitoba  
15 load grows you have to add more combustion turbines, or  
16 maybe by then we'll add solar cells, or maybe by then  
17 we'll add more wind, whatever it is it, doesn't matter.  
18 That's what's --

19 MR. JOHN ATHAS: I -- I understand from  
20 your question now. If that -- so just to make sure I -  
21 - I follow you, but make sure I understand what you  
22 said.

23 So the -- so there is no -- the surplus  
24 dependable is gone by 2032, the last -- like, the years  
25 they get into an average. Is -- do you know if there's

1 a bookkeeping of the depend -- of the dependable energy  
2 surplus going away for each of the plans in the -- in  
3 the application?

4 MS. JOANNE FLYNN: Well, the -- in the  
5 submission, we -- we provide the supply demand tables,  
6 which are the dependable energy tables, so you can see  
7 what happens with each plan out in time.

8 MR. JOHN ATHAS: Okay. Thank you.

9

10 (MOVED TO SLIDE 22)

11

12 MS. JOANNE FLYNN: Okay. We -- we  
13 talked briefly about sunk costs. What -- what this  
14 table does, and it's available in the appendix, is it -  
15 - it highlights the different in-service dates that are  
16 used in the different plans for Keeyask and Conawapa,  
17 and the economic analysis is done on -- on base costs,  
18 billions of 2014 dollars.

19 It identifies the amount of sunk costs  
20 that we're talking about for each of the in-service  
21 years for Keeyask and Conawapa, and comes down to the  
22 valuation costs that -- in total that we're using. And  
23 the cash flows for these is what is also available in  
24 those many, many pages at the end of Appendix 9.3.

25

1 (MOVED TO SLIDE 23)

2

3 MS. JOANNE FLYNN: Now, we -- we've  
4 talked about the discount rate, and what this table  
5 does is it shows you the components of the discount  
6 rate. And what we're using is Manitoba Hydro's real  
7 weighted average cost of cap -- capital. It's  
8 calculated using the long-term interest rate and  
9 associated with debt and -- and imputed interest rate  
10 associated with equity which are then weighted by  
11 Manitoba Hydro's targeted capital structure of 75:25.  
12 Okay.

13 And what the table shows is the weighted  
14 average cost of capital in both nominal and real terms.  
15 So from the economics perspective we're using real  
16 rates. And this one is for the rate used for the 2012  
17 NFAT reference scenario.

18 So you see five point zero five (5.05)  
19 in the right-hand corner there. The -- the weighted  
20 average cost of capital of -- is seven point zero five  
21 (7.05) in nominal terms and five point zero five (5.05)  
22 in real terms. The inflation rate used is 1.9 percent  
23 to determine the weighted average cost of capital in  
24 real terms.

25 The 2013 -- the 2013 real weighted

1 average cost of capital is 5.4 percent using the same  
2 formula and methodology.

3 MR. JOHN TODD: John Todd. The risk  
4 analysis looks at the individual scenarios. That  
5 should give you -- or does it give you the ability to  
6 quantify sort of comparative levels of risk for the  
7 different scenarios?

8 MS. JOANNE FLYNN: Effectively, yes. I  
9 -- we have the cumulative probability distributions  
10 that -- that compare a complete set of scenarios  
11 against each other.

12 MR. JOHN TODD: So have you considered  
13 that in the normal capital market scene that different  
14 levels of risk would require different risk premia to  
15 be attached to them that could be used in the analysis  
16 for comparing different scenarios with different risks?

17 MS. JOANNE FLYNN: Yes. And this is  
18 what Ed was talking about, that instead of using --  
19 using a percentage add-on to the interest rate to  
20 represent risk, that we've done a more detailed study  
21 of what the risks are. So -- and -- and I guess in  
22 addition to that, what is included in the -- the long-  
23 term debt rate for Manitoba Hydro is over and above  
24 market interest rates, is the provincial guarantee fee  
25 of 1 percent.

1 MR. JOHN TODD: But, unless I missed  
2 it, there's no differential across different scenarios  
3 with different loads of risk.

4 Is that right?

5 MS. JOANNE FLYNN: There is no  
6 differential in discount rates between --

7 MR. JOHN TODD: Yes. So it's just a --  
8 it's a -- it's an analysis of the risks in the  
9 different scenarios but under sort of -- with the same  
10 discount rate -- the PVs cannot be compared using  
11 scenario-based risk adjusted discount rates.

12 Is that right? That has not been done,  
13 but could it be done with the numbers you've got?  
14 Could you quantify the risk and quantify risk premium  
15 for that?

16 MS. JOANNE FLYNN: I -- I'm not sure if  
17 we could or couldn't, at this point.

18 THE FACILITATOR: We're -- we're  
19 probably getting to a slight different topic, but  
20 implicit in the assumption Joanne just mentioned that  
21 provincial debt guarantee fee. Our operating  
22 assumption, whether there's always -- there's always a  
23 risk that we might be wrong, of course -- is that with  
24 the different plans con -- that we have with the  
25 underlying basic capital expenditure, it does increase



1 significantly for some of the plans versus others, but  
2 that we are -- we have the benefit of the provincial  
3 guarantee, and that the operating assumption is that  
4 the interest rate we get charged will not differ from  
5 plan to plan. But -- but that's -- there's always a  
6 risk we're wrong on that. That's one (1) of the --  
7 that's one (1) of the reasons we pay the -- the 1  
8 percent debt guarantee fee.

9 MR. JOHN TODD: The -- I'm going back a  
10 few years. Wasn't the risk -- the -- the premium paid  
11 to the province is because you're getting a below  
12 market rate, in effect, by having the government  
13 guarantee. And isn't that just sort of to bring you  
14 back to what would be a -- a normal market rate for  
15 Manitoba Hydro on a standalone basis, or -- or a proxy  
16 for that?

17 MS. PATTI RAMAGE: Yeah. John, I think  
18 we're once again -- we're going beyond what we have up  
19 here for these folks to answer today. There -- there  
20 are other people who aren't in the room who might be  
21 able to do that, for example, in an IR, but not the  
22 folks here. Thanks.

23 MR. JOHN ATHAS: John. Just a simple  
24 one. This example is very helpful for a 75:25. Is  
25 there -- if -- in -- in some of the plans, the capital

1 structure varies over time. At that point, do you  
2 change the cost of equity at debt at any point in the  
3 analysis?

4 MS. JOANNE FLYNN: No, the -- the  
5 equity is always -- it's -- it's fixed at 75:25.

6 MR. JOHN ATHAS: Okay. So those are  
7 the numbers, even if the capital structure was to go up  
8 to, like a 90 percent debt at some point in time --

9 MS. JOANNE FLYNN: Right. From -- from  
10 a discount rate perspective, it -- it stays -- it's --  
11 this is the calculation.

12 MR. JOHN ATHAS: Okay. Both the  
13 discount rate and the cost of borrowing that gets into  
14 the financial modelling? Okay.

15 MS. JOANNE FLYNN: Yeah, based -- based  
16 on the long-term debt rates, yes.

17 MR. JOHN ATHAS: Okay. Thank you.

18

19 (MOVED TO SLIDE 24)

20

21 MS. JOANNE FLYNN: All right. One (1)  
22 of the other major assumptions is the export and import  
23 contracts that are a part of the -- the portfolio. And  
24 the details of these are -- they're split into those  
25 sales that are common to all development plans, and

1 those that are contingent upon development. So a  
2 summary of that information is -- is supplied in the  
3 appendix.

4                   And the other point that I was going to  
5 -- to touch on here, was this item of cash transfers to  
6 the province. And the economic evaluations of the  
7 development plans include capital taxes and water  
8 rentals as costs, which are paid to the Province of  
9 Manitoba. The provincial guarantee fee is embedded in  
10 the discount rate that is used. And these -- these  
11 transfers to the province are considered as costs to  
12 Manitoba Hydro, but they do provide benefit to the  
13 provincial government and, indirectly, to Manitoba --  
14 to Manitobans.

15                   As assumptions, the water rental rate,  
16 the capital tax rate, and the provincial guarantee fee  
17 are assumed to remain the same throughout the entire  
18 study period. So no in -- no -- no increase of any  
19 kind to those three (3) costs. And there is more  
20 description on -- on what these are in the appendix.

21                   So -- and I will be showing -- I wanted  
22 to -- to bring this up at this point. I will be  
23 showing the -- the chart of the numbers, and how that -  
24 - how that affects the numbers.

25

1 (MOVED TO SLIDE 26)

2

3 MS. JOANNE FLYNN: So now starting into  
4 the incremental economics analysis. The first chart  
5 that I've shown here is Table 9.4. And it is the  
6 Keeyask-22, followed by Gas Development Plan compared  
7 to the All Gas Development Plan. The All Gas  
8 Development Plan is plan number 1, which means it is  
9 the least capital investment development plan. So --  
10 and that -- so that is -- that is our closest  
11 representation of the do no -- do nothing plan.

12 The order of the development plans is  
13 based on the principle that we will undertake the  
14 lowest capital cost option available unless the  
15 incremental investment associated with the more costly  
16 option provides greater incremental benefits when  
17 evaluated at the reference scenario discount rate of  
18 5.05 percent.

19 The All Gas Development Plan, as the one  
20 requiring the lowest capital investment, is then  
21 compared to development plans of increasingly higher  
22 investment. In this case in this table, the All Gas  
23 development plan is being compared to the development  
24 plan with the next lowest capital investment, plan  
25 number 2, Keeyask-22, followed by gas.

1                   What you see in the table and all these  
2   tep -- step charts that are in Chapter 9 is you see the  
3   list of the plans and you see the incremental MPV in  
4   millions of 2014 dollars using the 5.05 discount rate.

5                   So what this means is it's not that the  
6   net present value of the entire plan is 887 million,  
7   that is the -- the net present value associated with  
8   the increment of investment over the All Gas Plan.

9                   MR. ROBERT SINCLAIR:   Okay.  So --  
10   Robert Sinclair.  So obviously the -- the benefit --  
11   additional benefit from the K22 or the Keeyask is that  
12   there's these opportunity sales and also the other  
13   dependable exports.

14                  Did -- did I hear at one (1) point that  
15   any dependable surplus is sold as a dependable export?  
16   Is that right?  If there's dependable capacity that's  
17   not needed for load then it's assumed to be sold as a  
18   firm export?

19                  MS. JOANNE FLYNN:   Yeah.  Yes, the  
20   assumption is that if we have surplus dependable energy  
21   that isn't captured in a term sheet or a signed  
22   contract, that we make the assumption that we will be  
23   able to sell that energy to -- to a third party at the  
24   long-term price.

25                  MR. ROBERT SINCLAIR:   The long-term

1 price.

2 MS. JOANNE FLYNN: M-hm.

3 MR. ROBERT SINCLAIR: And then the --  
4 and that's -- that's in your forecast?

5 MS. JOANNE FLYNN: Right.

6 MR. ROBERT SINCLAIR: Right. And so  
7 the opportunity sales or the sales out of the  
8 undependable energy --

9 MS. JOANNE FLYNN: M-hm.

10 MR. ROBERT SINCLAIR: -- is sold at a -  
11 - is there a separate forecast for, like a spot price?

12 MS. JOANNE FLYNN: Yes.

13 MR. ROBERT SINCLAIR: Okay. Thanks.

14

15 (MOVED TO SLIDE 27)

16

17 MS. JOANNE FLYNN: Okay. So this is  
18 one (1) of the bigger step charts that we have in  
19 chapter 9, and this one provides a comparison of a  
20 number of development plans that include either the  
21 250-megawatt or the 750-megawatt US interconnection.

22 And in terms of how to read the chart or  
23 what the chart is telling us, you can see if you look  
24 through the All Gas column that what we're doing -- or  
25 what -- what is happening here is the All Gas Plan is

1 compared to every other plan that's on the page. So  
2 what this is showing us is that every plan on this page  
3 has over a billion dollars worth of incremental net  
4 present value or net benefit over and above the  
5 investment in the All Gas Plan.

6 As you go across the page, it does -- it  
7 kind of does the work for you in -- in providing the  
8 comparisons to each of the other plans that are on the  
9 page. So you can see in the second column, those are  
10 all the comparisons to the -- to Plan 4: Keeyask 19,  
11 Gas 24 with the two-fifty (250) line.

12 What you see if you look across to the  
13 Plan 12 line or column, you see that the comparison of  
14 Plan 13 to Plan 12 is yielding a negative value. So  
15 this is where there is not as much benefit from making  
16 that investment in Plan 13 over Plan 12.

17 And one (1) of the numbers that I'd like  
18 you to keep in mind is the comparison of Plan 14 to  
19 Plan 1, because we'll use it as a reference, as sort of  
20 a place -- place that you can come back to and have a  
21 base of -- base information of -- of sixteen ninety-six  
22 (1,696) or a billion six ninety-six (696) over the All  
23 Gas Plan.

24

25

(MOVED TO SLIDE 28)

1 MS. JOANNE FLYNN: Now, this is the  
2 chart that has the cash transfers to the province kind  
3 of built into it. So the numbers that you see in --  
4 hopefully it looks blue to you, on -- on sort of the  
5 left-hand portion of the chart. Those are the  
6 economics and the net present values that you've been  
7 seeing in the step charts.

8 So this is where the cash transfers to  
9 the province are treated as costs to Manitoba Hydro.  
10 The provincial guarantee fee is embedded in the five  
11 point zero five (5.05) discount rate. And those are  
12 the net present values that result. When we look at  
13 the water rentals and capital taxes, we split that out  
14 from the provincial guarantee fee and shown what impact  
15 the actual cash transfers to the province have.

16 So if you were to look at -- oh, let's  
17 just look at Plan 2, Keeyask 22 gas. So there's the  
18 eight eighty-seven (887) that we saw. And the water  
19 rentals and capital taxes for this development plan  
20 that would be transferred to the province -- and this  
21 is over the long study life period, would be four  
22 hundred (400) -- an additional 486 million. And the 1  
23 percent guarantee fee would represent another 577  
24 million in cash transferred to the province.

25 If you go down and look at Plan 14,



1 there's that sixteen ninety-six (1,696), which is the  
2 net present value compared to the All Gas Plan. In  
3 addition to that, water rentals and capital taxes under  
4 this plan for the total study life would result in a  
5 transfer to the province of a billion and ninety-four  
6 (94). And these are present value dollars, not in-  
7 service dollars, not the -- the dollars of the day. In  
8 addition to that, the provincial guarantee fee would  
9 result in a further transfer to the province of a  
10 billion two forty-seven (247). So fairly significant  
11 effects.

12 MR. JOHN TODD: John Todd again. If  
13 I'm thinking about this correctly, it's basically  
14 viewing the debt guarantee free as, should we say, free  
15 to the province, no impact. Has any analysis been done  
16 on whether the guarantee of this level of incremental  
17 debt could have an impact on the cost of debt to the  
18 province?

19

20 (BRIEF PAUSE)

21

22 MS. PATTI RAMAGE: Yeah, again, John,  
23 those are witnesses who aren't here. It's not --  
24 hasn't been done, but it's not something that Joanne  
25 certainly can speak to.

1 MR. RICK HENDRIKS: Rick Hendriks here.  
2 There's a couple points in the -- sorry to reflect my  
3 ignorance of the relationship between Manitoba Hydro  
4 and your shareholder, there's a couple times in the --  
5 in the NFAT when it says that the PDP will pay  
6 dividends. And I don't know if that's a euphemism for  
7 "good things," or whether that means that Manitoba  
8 Hydro pays dividends to the province. And if that's  
9 the -- is that a yes or a no? Do you pay a dividend  
10 other than these fees?

11 MS. JOANNE FLYNN: No. So -- but that  
12 word must be used in a different context than -- than -  
13 -

14 MR. RICK HENDRIKS: Right. So it  
15 doesn't mean dividend in the financial sense, it just  
16 means --

17 MS. JOANNE FLYNN: No. That's right.

18 MR. RICK HENDRIKS: -- good things?

19 MS. JOANNE FLYNN: Yeah.

20 MR. PATRICK BOWMAN: It's Patrick  
21 Bowman. Pardon me, I -- I guess I have two (2)  
22 questions about this. One (1) is, just to make sure  
23 that we're understanding the graph correctly, if we  
24 look at something like say Case 2 and Case 9, for  
25 example, on -- on the chart, the total length of the

1 bar is the sum total of the benefits to the government  
2 and ratepayers without getting into how they're carved  
3 up, and the coloured sections then go into how those  
4 are carved up.

5                   Is that a fair summary of what it's  
6 trying to portray?

7                   MS. JOANNE FLYNN:    Yes.

8                   MR. PATRICK BOWMAN:    So looking at  
9 something like Case 9 and Case 2, the total length of  
10 the bar of Case 9 would suggest that there's overall  
11 benefits to Case 9 as compared to 2.  It's a -- overall  
12 for Manitoba it's a better scenario, but because of the  
13 scale of government charges that would occur,  
14 ratepayers are actually worse off with Case 9 than Case  
15 2?  Just to understand if we're reading the graph  
16 correctly.

17                   Is that fair?

18                   MS. JOANNE FLYNN:    Yeah.

19                   MR. PATRICK BOWMAN:    Okay.  The other  
20 question is:  In terms of the discussion earlier today  
21 about the WPS investment, how does one look at Cases 14  
22 and 15 here in terms of what is now available as  
23 scenarios?  As I understand it, 14 has the sale and the  
24 investment, and 15 has neither the sale nor the  
25 investment --

1 MS. JOANNE FLYNN: Correct.

2 MR. PATRICK BOWMAN: -- and really  
3 we're sort of in a halfway. We have the sale but no --  
4 or the potential for the sale but not the investment.

5 Is that correct?

6 MS. JOANNE FLYNN: Yes. The -- the  
7 sale is still under negotiation. So it's -- there's  
8 still a term sheet around it and ongoing negotiations,  
9 as David described. So -- but we don't know what the  
10 terms and conditions are going to be at this point. So  
11 that's why in Plan 15 we just took it out altogether  
12 and -- Plan 14 though does have both.

13 MR. PATRICK BOWMAN: But Plan 15 has  
14 all the same facilities as 14.

15 Is that correct?

16 MS. JOANNE FLYNN: Yes.

17 MR. PATRICK BOWMAN: And it assume --  
18 it would assume as I understand it all the firm energy  
19 -- all the dependable energy is sold under -- under  
20 long-term pricing?

21 MS. JOANNE FLYNN: Yes.

22 MR. PATRICK BOWMAN: So if -- so it  
23 could just as easily encapsulate a scenario where that  
24 long-term sale is to WPS as any other party.

25 Is -- is that fair?

1 MS. JOANNE FLYNN: Yes, that -- that's  
2 why we did it that way. It's -- what -- what you'll  
3 see when we get to the probabilistic analysis is that  
4 when you don't have fixed prices because the long-term  
5 export prices are, you know, sub -- subject to risk,  
6 whereas contract prices, of course, are contract prices  
7 so they're not.

8 So you see a difference in that when you  
9 get to the -- the probabilistic analysis. You don't  
10 see it so much when you look at the reference case  
11 here.

12 MR. PATRICK BOWMAN: So -- so the  
13 difference in financial results between fourteen (14)  
14 and fifteen (15) are in part due to the fact that  
15 there's no investment, in part due to the fact that the  
16 sale isn't necessarily confirmed to WPS at a fixed  
17 price.

18 MS. JOANNE FLYNN: M-hm.

19 MR. PATRICK BOWMAN: It's at a price  
20 that has a risk associated with it.

21 Is it in part due to the fact that WPS  
22 is -- like I -- I want to ask the question correctly  
23 but -- but WPS's price is preferable to what you would  
24 otherwise imagine you'd get on the market? Like, are  
25 we losing the WPS sale and filling that void with a

1 generic marketing of that same energy, only a negative  
2 financial impact because of risk, or does it also make  
3 a negative financial impact because of the -- the  
4 likely price to be received under the -- the most  
5 likely scenarios?

6 MS. JOANNE FLYNN: I think we might be  
7 crossing into confidential territory.

8 Is there another question?

9 DR. PETER MILLER: Peter Miller.  
10 Fourteen (14), just to be clear, that's investment by  
11 Manitoba Hydro in US transmission?

12 MS. JOANNE FLYNN: That's WPS sale and  
13 them investing. There's still --

14 DR. PETER MILLER: Them investing?

15 MS. JOANNE FLYNN: Them investing. So  
16 this is where --

17 DR. PETER MILLER: Okay.

18 MS. JOANNE FLYNN: -- the cost to  
19 Manitoba Hydro of investing would be the 40 percent --

20 DR. PETER MILLER: Okay.

21 MS. JOANNE FLYNN: -- of the total  
22 cost. So when you see WPS sale and investment together  
23 in brackets that means they're investing.

24 DR. PETER MILLER: Their investment?

25 MS. JOANNE FLYNN: Yeah.

1 DR. PETER MILLER: So fifteen (15)  
2 would be our investment?

3 MS. JOANNE FLYNN: Yes.

4 DR. PETER MILLER: And -- all right.  
5 And that's why -- and that would create more debt,  
6 which would mean more debt guarantee fees to the  
7 province, and -- okay.

8 MS. JOANNE FLYNN: Yes. It's just  
9 marginally higher, yes.

10 DR. PETER MILLER: Thank you.

11 MS. JOANNE FLYNN: Okay. I'm going to  
12 move onto the chapter 10 probabilistic analysis unless  
13 you have any further questions on the reference  
14 economics.

15

16 (MOVED TO SLIDE 29)

17

18 MS. JOANNE FLYNN: Okay. So Chapter 10  
19 as -- this is the same -- same slide I showed you  
20 before. I just didn't want to dive into the -- the  
21 probabilistic stuff. So we're going to talk about  
22 scenarios and then we're going to show you the  
23 probabilistic analysis on twelve (12) of the  
24 development plans.

25

1 (MOVED TO SLIDE 30)

2

3 MS. JOANNE FLYNN: Okay. So the first  
4 step is looking at the highest impact factors. And  
5 Figure 10.1 appears in chapter 10 and provides a  
6 tornado diagram which shows the impact of uncertainty  
7 in ten (10) individual factors. And the length of the  
8 bar, which you can see in this sort of squished up  
9 diagram, is -- shows the impact of varying each factor  
10 from low to high.

11 So the high impact factors are  
12 electricity and natural gas prices, discount rate, and  
13 capital costs. And then the low impact factors include  
14 O&M cost and changes in water rental and capital tax  
15 rates.

16 Now, it's important to note that the  
17 impact refers to the uncertainty in each factor, not  
18 the factor itself. So, for example, what this doesn't  
19 tell you; it doesn't tell you that O&M is unimportant.  
20 O&M is important. What it means is that there's not  
21 much uncertainty around what the O&M costs are going to  
22 be and so that impact is what is relatively unimportant  
23 in the context of all these factors. So the  
24 uncertainty analysis focuses on the high impact  
25 factors.



1 (MOVED TO SLIDE 31)

2

3 MS. JOANNE FLYNN: So -- now the energy  
4 prices factors -- so we've got these three (3) factors  
5 group here: energy prices for the purposes of economic  
6 evaluation, discount rate, and capital costs. So  
7 what's included in the energy prices factors are  
8 natural gas, electricity, and carbon prices together.

9 And natural gas is a significant factor  
10 in the determination of electricity prices in the North  
11 American market. The effect of natural gas prices on  
12 electricity export prices is imbedded in the energy  
13 prices, as is the effect of carbon. So this is because  
14 our price forecasters, they consider natural gas prices  
15 and carbon prices when they give us the electricity  
16 export price forecasts.

17 There are a number of economic  
18 indicators but the one that is -- is applicable to the  
19 economic evaluation is the discount rate. The capital  
20 cost group includes the generation costs for all  
21 resource types, transmission costs, and applicable real  
22 escalation.

23 So what -- yes?

24 MR. JOHN ATHAS: Just -- just for  
25 clarity. Is the -- John Athas again. Is the discount

1 meaning the full cost of capital, so you changed the --  
2 the interest rates as well in the analysis, or did you  
3 just change the -- the discount rate that you used to -  
4 -

5 MS. JOANNE FLYNN: No, it was developed  
6 from the full slate of economic indicators. So those  
7 were changed and then recalculated.

8 MR. JOHN ATHAS: Okay. Thank you.

9 MR. JOHN TODD: The -- is the analysis  
10 assume -- is it in real or nominal terms?

11 MS. JOANNE FLYNN: The economic one is  
12 in real terms. The financials are in nominal, in  
13 service costs.

14 MR. JOHN TODD: Right. Okay. Now, if  
15 I'm reading this correctly, you're assuming that the  
16 different factors are totally uncorrelated. They're --  
17

18 MS. JOANNE FLYNN: Oh, the different  
19 factors?

20 MR. JOHN TODD: Yeah. So it's random  
21 as to whether --

22 MS. JOANNE FLYNN: M-hm.

23 MR. JOHN TODD: -- one is high or low  
24 and so on?

25 MS. JOANNE FLYNN: Yes. We didn't do -

1 - we didn't do cross-correlations across the groups of  
2 factors.

3 MR. JOHN TODD: Has any consideration  
4 been given sort of looking historically whether there  
5 is any correlation? I mean, is that based on analysis  
6 that says they're not correlated, or is that just you  
7 didn't think -- didn't worry about it?

8 MS. JOANNE FLYNN: Well, I -- I do  
9 think there is a fairly lengthy process to come up with  
10 the -- with the groupings and with how they were  
11 treated, so I do think there is some consideration of  
12 that, but we'd have to get our expert witness to -- to  
13 be talking about that in more detail.

14 It might be helpful to look at what is  
15 in Appendix 9.3, because it's a fairly lengthy  
16 description of what was done in terms of determining  
17 the probabilities.

18 MS. NICOLE FITKOWSKI: Joanne...?

19 MS. JOANNE FLYNN: Yes.

20 MS. NICOLE FITKOWSKI: I have John  
21 Dalton who asks:

22 MR. JOHN DALTON (VIA CHAT): Do you  
23 recall what uncertainty bounds were considered for the  
24 Conawapa capital costs?

25 MS. NICOLE FITKOWSKI: And then a

1 second question:

2 MR. JOHN DALTON (VIA CHAT): Were  
3 different --

4 MS. PATTI RAMAGE: That's a topic for  
5 tomorrow.

6 MS. NICOLE FITKOWSKI: Okay. So the  
7 next question is:

8 MR. JOHN DALTON (VIA CHAT): Were  
9 different uncertainty bounds assumed for different  
10 termino -- terminology types, exa -- example, hydro  
11 versus gas projects?

12 MS. JOANNE FLYNN: I think --

13 MS. PATTI RAMAGE: That is tomorrow  
14 also.

15 MS. JOANNE FLYNN: I -- I think we  
16 might have something a little bit later on coming up on  
17 that. Let's -- let's hold off on -- on that one.

18 Okay. So we've got reference high and  
19 low for each of these three (3) groups of factors. So  
20 the twenty-seven (27) scenarios, they're simply the  
21 three (3) times energy prices times the three (3)  
22 discount rates, times three (3) capital costs. And  
23 that gives you your twenty-seven (27) scenarios.

24

25 (MOVED TO SLIDE 32)

1 MS. JOANNE FLYNN: So now in terms of  
2 representing them, one (1) of the tools we've used is  
3 what's called a quilt. So what this lets you do is  
4 provide a framework for comparing the twelve (12)  
5 development plans under the twenty-seven (27)  
6 scenarios. So the left-hand side of the chart, which  
7 is kind of grey looking, it has the three (3) factors  
8 listed: energy prices, discount rate, and capital  
9 costs; low reference high for each one of them. So  
10 that gives you the twenty-seven (27) scenarios.

11 And the plans are listed across the  
12 columns, so that you have, when it's fully populated,  
13 twenty-seven (27) times fourteen (14) cases of -- of  
14 outputs to look at.

15 So just to kind of introduce it, I've  
16 only put three (3) lines on here, so the -- the line  
17 that is labelled "Ref/Ref/Ref", which is referenced  
18 energy prices, referenced discount rates, and  
19 referenced capital costs, if you look across the line,  
20 you'll see that eight-eighty-seven (887) for Plan 2,  
21 Keeyask gas, and you'll see the sixteen-ninety-six  
22 (1,696) under Plan 14. So there's the same line that  
23 we've been talking about in chapter 9.

24 The other examples on this chart are low  
25 energy prices with referenced discount rate and

1 referenced capital costs on the top part of the chart;  
2 and high -- high energy prices with referenced discount  
3 rates, and referenced capital costs on the bottom of  
4 the chart.

5                   The colour red indicates a negative NPV,  
6 and the colour green indicates a positive NDP -- NPV.  
7 And this is when comparing the All Gas Ref/Ref/Ref case  
8 as the single base point for comparison. So everything  
9 is subtracted, considering that that reference point,  
10 which is represented by a zero on the chart in column  
11 1. And what you'll see is when we put them all  
12 together, the colours are -- are useful in looking at  
13 what the outcomes are.

14                   The table then provides a measure of  
15 relative performance between each of the twelve (12)  
16 development plans and the All Gas Ref/Ref/Ref case, for  
17 the three (3) scenarios identified. So for -- sorry,  
18 for all of the scenarios in this case.

19                   The darkest colours of green represent  
20 an NPV that's equal to or greater than \$3 billion. And  
21 the darkest colours of red represent a net present  
22 value that is equal to or less than \$3 billion  
23 negative. The colours become lighter as the net  
24 present value approaches zero.

25

1 (MOVED TO SLIDE 33)

2

3 MR. CRAIG SABINE: Craig Sabine again.  
4 I may have missed this, so forgive me if I did. But  
5 the -- the Ref case discount rate is the same as the  
6 real WAC, as I understand it?

7 MS. JOANNE FLYNN: Yes, it is. Yes.

8 MR. CRAIG SABINE: So there was a -- so  
9 there was sort of a methodological approach behind the  
10 Ref discount rate. How did you arrive at the low and -  
11 - on the low and the high side?

12 MS. JOANNE FLYNN: I'm just getting to  
13 that.

14 MR. CRAIG SABINE: Oh, thank you.

15

16 (MOVED TO SLIDE 34)

17

18 MS. JOANNE FLYNN: Okay. So now we'll  
19 -- we'll talk about how we established the probability  
20 weightings. And, again, it's -- it's described in more  
21 detail in -- in Appendix 9.3.

22 But there is sort of a common approach  
23 used. So, first of all, identifying the relationships  
24 among the variables. So, typically, with some form of  
25 a model of the relationships among the variables in

1 each of the representative areas: so energy prices,  
2 discount rates or economic indicators, and capital  
3 costs.

4                   Then a probability assessment was done.  
5 And that was basically done on historical data and also  
6 using expert judgment. And from that the actual inputs  
7 of what the high and low range or probab --  
8 probabilities were -- or the probabilities for all of  
9 them were identified in that way.

10

11                   (MOVED TO SLIDE 35)

12

13                   MS. JOANNE FLYNN: So the probabilities  
14 on energy prices -- or -- well, I guess just -- just to  
15 speak in general first, what we recognized is that the  
16 combinations of the highest impact fact -- factors  
17 don't have the same likelihood of occurring. So when  
18 we look at these what you see is the reference case  
19 representing the most likely and having the highest  
20 probability. So for energy prices it's 55 percent.  
21 For the other two (2) it's at 50 percent, representing  
22 that most likely outcome.

23                   In the case of energy prices, instead --  
24 or in -- in all cases instead of just looking at it as  
25 a -- as a normal distribution, and high and low would



1 be the same, and -- and the reference would be the most  
2 likely case, it was recognized that in each case that  
3 it wasn't going to be symmetric. So for energy prices  
4 there is a higher probability for energy prices being  
5 low than energy prices being high. For the discount  
6 rate, there is a higher probability that the discount  
7 rate will be higher -- or high, than it is that it will  
8 be low. And for the capital costs there's also the  
9 recognition that it's more likely that the capital  
10 costs will be high than they will be low.

11 MR. ROGER CATHCART: Hi, it's Roger  
12 Cathcart one (1) more time. How did you pick the  
13 relative probabilistic weightings for 15 percent higher  
14 versus 35 percent for the discount rate? Like was it  
15 judgmentally selected or was -- was a distribution run?

16

17 (MOVED TO SLIDE 34)

18

19 MS. JOANNE FLYNN: Well, this is where  
20 -- that's -- that's what I just described in the  
21 previous slide. So this common approach was used to  
22 develop a relationship amongst the variables. So the -  
23 - the same approach was used for all three (3) of the  
24 factors, and it is explained in some detail in Appendix  
25 9.3.

1 MR. ROGER CATHCART: Okay. I'll go  
2 through it. Thank you.

3 MS. JOANNE FLYNN: Okay.

4 MR. ROGER CATHCART: Just one (1) more  
5 question though. The probabilistic anl -- anly --  
6 analysis quilt, does it cover all the alternatives?

7 MS. JOANNE FLYNN: It covers twelve  
8 (12) of them.

9 MR. ROGER CATHCART: Okay. Why does it  
10 -- why would the others not be on it?

11 MS. JOANNE FLYNN: From an -- from the  
12 chapter perspective of analyzing all fifteen (15) of  
13 them, there were definitely plans that were not going  
14 to be -- there -- there wasn't going to be any value in  
15 having further evaluation on them. But what we have  
16 included in the appendix is the quilt for all fifteen  
17 (15).

18

19 (BRIEF PAUSE)

20

21 MS. JOANNE FLYNN: Yep...?

22 MR. JOHN ATHAS: Just clarifying, on  
23 the -- when -- so all the other parameters, besides  
24 electric, gas -- in the energy prices it was electric  
25 and gas and --

1 MS. JOANNE FLYNN: Carbon.

2 MR. JOHN ATHAS: -- and carbon. In the  
3 discount rate it was just changing costs of money --  
4 just changing the cost of borrowing and the cost of  
5 equity?

6 MS. JOANNE FLYNN: No, the -- the full  
7 slate of economic indicators, so like all the borrowing  
8 rates, the escalation, like, the CPI, all -- all of the  
9 components of economic indicators were -- were  
10 considered.

11 MR. JOHN ATHAS: Okay. Did that  
12 change? Is -- is load forecast in that bailiwick?

13 MS. JOANNE FLYNN: No. No, load  
14 forecast is treated as a sensitivity, as a separate  
15 analysis, a separate sensitivity in chapter 10.

16 MR. JOHN ATHAS: Okay. And in capital  
17 costs it's the capital costs of all investments?

18 MS. JOANNE FLYNN: Yes.

19 MR. BILL HARPER: I -- I -- Bill  
20 Harper. I just want to follow up on the answer you  
21 just gave because my understanding was the discount  
22 rates you're using here were real discount rates.

23 MS. JOANNE FLYNN: Yes, they are.

24 MR. BILL HARPER: And, so to some --  
25 but you just said to some extent that the -- that they

1 varied with inflation. One (1) -- one (1) of the  
2 underlying reasons as to why these things were varying  
3 was the whole slate of variant inflation as well. And  
4 I thought this whole analysis was done exclusive of  
5 what -- inflation could be 15 percent, it could be 3  
6 percent. Everything was done in real dollars.

7 MS. JOANNE FLYNN: But there's a  
8 relationship between interest rates and inflation, or  
9 CPI. And so that relationship was made -- was  
10 considered when looking at the high and low.

11 MR. BILL HARPER: Oh, so -- so the  
12 reason why your discount rate would change in terms of  
13 your real cost of borrowing is because you're  
14 implicitly assuming as interest rates change there's  
15 not a percent -- percent change in the -- in the  
16 borrowing rate.

17 MS. JOANNE FLYNN: Well, it's --

18 MR. BILL HARPER: Excuse me, as  
19 inflation changes there's not a one (1) to one (1)  
20 lockstep in the change in the -- in -- in --

21 MS. JOANNE FLYNN: You know, there may  
22 or may not be. I -- I think if you take a look at  
23 Appendix 9.3 it will give you a better description  
24 because I know all the economic indicators are list --  
25 are shown there and -- and how they were treated.

1 MR. BILL HARPER: Okay, thank you.

2 MS. JOANNE FLYNN: Okay.

3 MS. NICOLE FITKOWSKI: Philippe --

4 Philippe Dunsky asks:

5 MR. PHILIPPE DUNSKY (VIA CHAT): Are  
6 the uncertainty bounds the same irrespective of the  
7 resource option? If so, how did the account of the  
8 inherently different risk levels associated with  
9 shorter or longer resource -- resource lead times?

10 MS. JOANNE FLYNN: Yes, the factors are  
11 the same -- or the probabilities are the same or  
12 applied to all development plans. Let me think about  
13 that.

14 In terms of -- of the different risks  
15 between the different plans, I think Ed explained this  
16 earlier, that what we were looking at is not trying to  
17 use rates to represent risk but to try and include in  
18 the -- in the assumptions the risk for each of the  
19 plans.

20

21 (MOVED TO SLIDE 36)

22

23 MS. JOANNE FLYNN: Okay. So once we  
24 have established the probabilities we can do  
25 probabilistic analysis. So -- so the quilt is -- does

1 not have probabilities applied to the values. The  
2 values in the quilt can be -- can be viewed as being  
3 equal. Equal probability to each one of the factors is  
4 what's shown in the quilt.

5                   When we do probabilistic analysis we're  
6 now using the probabilities associated with each of  
7 those factors. So we pulled this table off of one (1)  
8 of the S-curves that is shown in the -- in the chapter.  
9 I would have shown you all -- all of them but it  
10 doesn't really fit on the page.

11                   So what this is is a chart that shows --  
12 or a table that shows, I think, all of the seven fifty  
13 (750) plans. And what you see on it, we've put for  
14 reference the -- the Ref/Ref/Ref, NPV. So these are  
15 the NPVs out of chapter 9 or out of the quilt.

16                   And there you see Plan 14 at sixteen  
17 ninety-six (1,696). So that's the same number that you  
18 saw in chapter 9 and earlier in this chapter on the  
19 quilt. What the probabilities allow you to do is  
20 calculate the weighted average or the expected value  
21 for each of the plans.

22                   So you can see that is on the bottom  
23 line of this table. So where the NPV under reference  
24 assumptions is sixteen ninety-six (1,696), the expected  
25 value is a billion and eighty-five (85). So that's

1 taking into account the application of the  
2 probabilities.

3                   The P10 value is -- represents the tenth  
4 percentile value. So only 10 percent of the outcomes  
5 would be less than that value. And the P90, only 10  
6 percent of the values would be higher than that value.  
7 And we -- and they're labelled as risk and reward.

8                   As you see that the risk numbers, P10  
9 numbers, in this case all of them are negative. The  
10 P90 have pretty high positive values. That's sort of  
11 indicative of the range of potential outcomes when you  
12 consider the uncertainty of the -- that -- that is  
13 captured in the twenty-seven (27) discrete scenarios.

14

15                   (MOVED TO SLIDE 37)

16

17                   MS. JOANNE FLYNN: This is -- we've  
18 just called it a 'box plot' on here, but it's also  
19 called a 'box and whisker plot'. And it's another  
20 method that allows you to visualize the range of net  
21 present values for the different development plans  
22 being considered. The box plot is based on the same  
23 NPV information used to develop the NPVs in the quilt,  
24 but uses the probabilities.

25                   The probability is then used to develop

1 the percentile shown -- shown in the table. And in  
2 this table, it's -- the -- the box is the 25th and 75th  
3 percentiles. And the lines, or the whiskers, are the  
4 10th and 90th percentiles. The expected value is shown  
5 as the dash inside the box. The smaller the size of  
6 the box, the less the variability. And the shorter the  
7 whiskers, the lower the risk and the upside potential.

8 MR. ROBERT SINCLAIR: Robert Sinclair.  
9 Plan number 14 doesn't have a gas investment. Is that  
10 right?

11 MS. JOANNE FLYNN: Sorry, what's that?

12 MR. ROBERT SINCLAIR: Plan number 14,  
13 there's no gas investment?

14 MS. JOANNE FLYNN: There -- there's  
15 probably gas investment out in time, but the major  
16 components of the plan are Keeyask and Conawapa. So  
17 that's what the short name at the top is telling you.  
18 Keeyask 2019, Conawapa 2025, as the major components of  
19 the plan.

20 MR. ROBERT SINCLAIR: I -- I was  
21 looking at the Preferred Plan description. It doesn't  
22 have any gas at any point. Are you saying that it's  
23 implicit that there'll be gas at some point?

24 MS. JOANNE FLYNN: Where -- where are  
25 you looking at the description?



1 MR. ROBERT SINCLAIR: In the executive  
2 summary.

3 MS. JOANNE FLYNN: Okay. If you look  
4 at chapter 8, there's a table in chapter 8 that lists  
5 all of the resources for each of the development plans.

6 MR. ROBERT SINCLAIR: And there's gas  
7 there?

8 MS. JOANNE FLYNN: I'm thinking there's  
9 gas later on after Conawapa. Because we're going out  
10 to 2035.

11 MR. ROBERT SINCLAIR: Okay. Because I  
12 noticed that there was a increase in peak demand  
13 presented earlier today on -- for domestic load.

14 MS. JOANNE FLYNN: Right.

15 MR. ROBERT SINCLAIR: And I also  
16 understand that the hydro syst -- hydro additions  
17 themselves won't provide any extra peak capacity.

18 Is that correct?

19 MS. JOANNE FLYNN: The hydro resources?

20 MR. ROBERT SINCLAIR: Right. The extra  
21 ones.

22 MS. JOANNE FLYNN: Yes, they will.  
23 Yes.

24 MR. ROBERT SINCLAIR: I was under the  
25 impression that they provided only energy.

1 MS. JOANNE FLYNN: No, no.

2 MR. ROBERT SINCLAIR: Okay.

3 MS. JOANNE FLYNN: No, definitely not.

4 Both -- both capacity and energy. Yeah.

5 MR. ROBERT SINCLAIR: Okay. Thanks.

6 MS. JOANNE FLYNN: Okay. Well, okay.

7 How is everybody doing? Because we're going to go into

8 S-curves.

9 THE FACILITATOR: We've got another

10 thirty-seven (37) minutes to go. Why don't we take

11 seven (7) minute break? And I can tell you, we're

12 getting into S-curves, for those who don't know them,

13 you need to have a fresh mind. It also gives Joanne a

14 chance to rest a bit.

15

16 --- Upon recessing at 3:53 p.m.

17 --- Upon resuming at 4:01 p.m.

18

19 THE FACILITATOR: So we've had our

20 break, and Joanne will carry on and introduce us to S-

21 curves. I've had a few people ask me -- the agenda

22 says we're going to finish at 4:30, and some people

23 have various commitments, whatever. We are finishing

24 at 4:30 sharp, and then starting again at 9:00 in the

25 morning. And, obviously, Joanne, I don't think you're

1 finishing today. So try.

2 MS. JOANNE FLYNN: Now, what I would  
3 suggest is that we get through the S-curves and --  
4 because after that is the 2013 -- the twenty (20) --  
5 2013 update. And that would be a good point to break  
6 and start.

7 THE FACILITATOR: So why don't you,  
8 Joanne, finish the S-curves and then stop for  
9 questions. And -- and even if we're not at 4:30 we'll  
10 stop then.

11 MS. JOANNE FLYNN: Yeah.

12 THE FACILITATOR: Okay.

13 MS. JOANNE FLYNN: That's what I would  
14 suggest.

15

16 (MOVED TO SLIDE 38)

17

18 MS. JOANNE FLYNN: So the S-curve is  
19 known as a cumulative distribution function. And what  
20 it allows you to do is display the full range of  
21 values, in our case for each of the twenty-seven (27)  
22 discrete scenarios, with an individual li -- or with a  
23 single line. So that gives you sort of the snapshot  
24 all at once of the twenty-seven (27) discrete  
25 scenarios.

1                   The points are connected linearly so we  
2 did not employ a smoothing function on these lines. We  
3 left them somewhat jagged as you will see. Each of the  
4 twenty-seven (27) discrete points is -- is plotted.  
5 And the other thing to note about this is that the rank  
6 of a particular scenario will not be the same in all of  
7 the plans. So although we've got different plans side-  
8 by-side, Plan number 1 can be in a different place in -  
9 - in any one (1) of the development plans.

10                   And if you want to see that a little  
11 more clearly, I would direct you to the scatter plot in  
12 chapter 10, because the -- each of the twenty-seven  
13 (27) scenarios is presented for -- for the development  
14 plans, or for the twelve (12) development plans, and  
15 there's different symbols for them so you can see that  
16 they're not all in the same order.

17

18                   (MOVED TO SLIDE 39)

19

20                   MS. JOANNE FLYNN: Okay. So this is  
21 Figure 10.11 out of chapter 10, and it shows four (4)  
22 of the development plans with -- which are there to  
23 serve Manitoba loads. So there's no assumptions of an  
24 export line or the firm sales that we've been talking  
25 about. Oh, and I'm on slide 41. Oh, sorry, you're

1 right, thirty-nine (39).

2                   Now, what we see on this chart is the  
3 four (4) plans. So I guess first of all, the -- the  
4 percentages are going up the middle. So this is the  
5 probab -- this is the percentiles. So from zero to a  
6 hundred percent. And the zero line across the bottom  
7 is the net present value dollars. So millions of 2014  
8 net present value dollars and the range is going from  
9 minus 8 billion to plus 8 billion.

10                   The table is in the corner that shows  
11 the -- the reference scenario net present value. So  
12 you can see once again that once -- one (1) point of  
13 reference of eight eighty-seven (887) for Keeyask 22  
14 gas.

15                   You see the expected values -- and for  
16 these four (4) plans you're seeing expected values for  
17 the All Gas and for the Wind/Gas plans that are  
18 negative. And you see positive net present values for  
19 the other two (2) plans that are shown on this -- on  
20 this graph.

21                   The P10 and P90 are also shown so you  
22 can see how much upside potential and how much downside  
23 risk there is to these plans. So if we look at the  
24 Wind/Gas plan and they're colour coded so Wind/Glass --  
25 Gas plan number 3, in the light blue; the Keeyask Gas

1 plan number 2 in the purple; the All Gas Plan number 1  
2 in the orangey colour; and Plan number 7, simple cycle  
3 gas turbines followed by Conawapa in the green, sort-  
4 of-grey, colour.

5 Now, because the negative numbers on the  
6 bottom of the scale are on the left side of the chart,  
7 and the positive numbers are on the right side of the  
8 chart, the more to the right the plan is the more value  
9 the plan will have.

10 So in the case of the Wind/Gas with the  
11 assumptions made in the 2012 analysis and the  
12 probabilities applied, the results of the twenty-seven  
13 (27) scenarios show the Wind/Gas plan crosses over the  
14 zero line around the 60th percentile. So 60 percent --  
15 or values below the 60th percentile are all negative  
16 net present values.

17 Now, this is compared to the All Gas  
18 Plan. All of the comparisons are still to that  
19 Ref/Ref/Ref scenario for the -- or case for the All Gas  
20 Plan. Yes...?

21 MR. JOHN ATHAS: These are relative to  
22 the All Gas, you said?

23 MS. JOANNE FLYNN: The All Gas  
24 reference. Reference energy price, reference discount  
25 rate, reference capital costs. So just like in the

1 quilt, you see the zero for the All Gas ref/ref/ref,  
2 all the net present values shown on that quilt are  
3 incremental to that zero.

4 MR. JOHN ATHAS: So the -- a different  
5 branch on the uncertainty tree does -- they -- all  
6 those outcomes for the different plans aren't compared  
7 to the outcome of the All Gas Plan on that branch?  
8 They're compared to the reference/reference/reference?

9 MS. JOANNE FLYNN: Yeah. There's a  
10 single point of -- of comparison, and that is to the  
11 All Gas reference case.

12 MR. JOHN ATHAS: Can you help me out --  
13 help me understand the relevance of comparing the  
14 preferred plan -- Preferred Development plan at one  
15 future to the All Gas Plan at another future?

16 MS. JOANNE FLYNN: That is the --  
17 basically we've developed twenty-seven (27) scenarios,  
18 and we don't know which future is likely, but we are  
19 looking at still the least cost thing that -- that we  
20 could do. And that is put in the All Gas Plan, because  
21 it's our representation of a do-nothing plan.

22 MR. JOHN ATHAS: Yeah, I understand  
23 about the plan choice as the reference. I'm just  
24 trying to understand the -- the appropriateness of  
25 comparing a -- two (2) plans at different futures and

1 saying that that tells me which one I prefer.

2 MS. JOANNE FLYNN: What it's showing  
3 you is the range of risk from highs to lows on an  
4 incremental basis.

5 MR. JOHN ATHAS: Okay.

6 MR. RICK HENDRIKS: Rick Hendriks.  
7 Apologies for the math question but I just want to make  
8 sure I understand. When I look at the All Gas example  
9 on this S-curve, it doesn't cross -- two (2) questions.  
10 It doesn't cross at the 50 percent mark, so it's not  
11 crossing at what intuitively in my mind is the  
12 reference point. But I assume though that the area,  
13 okay, under the curve to the left of the zero point is  
14 equal to the area above the curve to the right of the  
15 zero point, and that's how you get a zero NPV.

16 MS. JOANNE FLYNN: Yes.

17 MR. RICK HENDRIKS: Okay. So my second  
18 understanding is correct. Just mathematically I'm  
19 trying to make sense of why this -- the line does not  
20 cross at 50 percent.

21 MS. JOANNE FLYNN: I -- I'm thinking  
22 why the line doesn't cross at fifty (50) -- yeah. I --  
23 I'm thinking it's -- it's because of the twenty-seven  
24 (27) discrete points and then they're -- they're  
25 connected.



1 THE FACILITATOR: And another way to  
2 explain what Joanne has said is that ref/ref/ref is not  
3 50 percent.

4 MR. RICK HENDRIKS: Right, it's not the  
5 expected value.

6 THE FACILITATOR: No.

7 MR. RICK HENDRIKS: It's a reference  
8 value. Okay. That --

9 MS. JOANNE FLYNN: That's right.

10 MR. RICK HENDRIKS: -- that'll make --  
11 make more sense. Okay, thank you.

12 MS. JOANNE FLYNN: Okay. So one (1) of  
13 the concepts that is used in looking at the S-curves is  
14 this concept of dominance. And a plan can be said to  
15 be dominated if it is completely to the left of other  
16 plans. So in this case, the Wind/Gas plan is  
17 completely dominated by the other plans on the page.  
18 So there are no combination, no scenario, in which the  
19 All Gas Plan has a value greater than the -- than the  
20 other plans.

21 When you look at the All Gas Plan, which  
22 is in the orange, you see it -- at the 50th percentile  
23 generally it -- it's starting to cross into the -- into  
24 the minus net present values, and the plan can be  
25 described as having a greater downside risk than there

1 is upside potential. And you see the values stretching  
2 out beyond the \$6 billion negative mark and reaching  
3 maybe not quite a \$2 billion positive mark. And if you  
4 look at the P10 value and the P90 value, that gives you  
5 somewhat of an indication of where those values are  
6 following at -- falling at the 10th and 90th  
7 percentile.

8                   Some would still consider the All Gas  
9 Plan to be dominated by the Keeyask gas and the simple  
10 cycle Conawapa plan. Those two (2) plans are clearly  
11 better than either of the All Gas or Wind/Gas. So what  
12 this means is that we would be better off putting in a  
13 hydro plant than -- than pursuing plans with -- that  
14 are strictly gas or a combination of wind and gas in  
15 their entirety.

16

17                   (MOVED TO SLIDE 40)

18

19                   MS. JOANNE FLYNN: So the -- the next  
20 graph is Figure 10.18. And what we've done in this --  
21 in this graph is, we've selected the second plan, so  
22 Keeyask22 gas, as one (1) of the best plans from the  
23 previous four (4) that we'd looked at and then compared  
24 it to a plan that has a small interconnection. So it's  
25 plan 4, Keeyask19 gas 24, with the two-fifty (250)

1 line.

2                   And although the -- the distance might  
3 not look to be that great, the expected value is -- is  
4 saying that the Plan 4 has a higher expected value than  
5 Plan 2. So nine seventy-one (971) compared to five  
6 sixty-four (564). And if you look at the reference  
7 values, and this is slide 40, the -- it's -- it's  
8 telling you -- it's giving you the same message, that  
9 plan 4 at thirteen forty-six (1,346) is a higher value  
10 than the Keeyask22 gas with no interconnection at eight  
11 eighty-seven (887).

12                   In this plan, both of them seem to have  
13 more downside risk than they do upside potential. But  
14 when looking between these two (2) plans, again, you  
15 could say that the Keeyask19 gas 24, with the two-fifty  
16 (250) line, dominates the plan that doesn't have an  
17 interconnection.

18                   So it's showing that it's more  
19 beneficial to advance Keeyask and invest in a small  
20 interconnection, than to consider any of the  
21 development plans without a new US interconnection.  
22 And I haven't shown you all of the plans without any --  
23 with -- without an -- an interconnection. But if you  
24 consider what you see in chapter 9, and look at the --  
25 the twelve (12) plans in -- in chapter 10, that --

1 that's what you'll see. So moving -- oh, yeah...?

2 MR. JOHN TODD: Thank you. John Todd.  
3 This is sort of going back, but I'm trying to get my  
4 handle on how we compare these. But you've got three  
5 (3) variables: energy prices, discount rate, and  
6 capital costs.

7 MS. JOANNE FLYNN: Yes.

8 MR. JOHN TODD: If I go back to slide  
9 30, the energy prices is a high impact factor, being  
10 electricity and natural gas prices?

11 MS. JOANNE FLYNN: Right.

12 MR. JOHN TODD: So if I'm interpreting  
13 that correctly, that means that the variance in -- in  
14 energy prices imply -- assumes that the variance in the  
15 electricity price and the variance in the gas price is  
16 identical.

17 Is that right?

18 MS. JOANNE FLYNN: Well, the natural  
19 gas prices, for the most part for this analysis, the  
20 natural gas prices are embedded in the electricity  
21 price forecast. The natural gas costs that we would  
22 have outside of the electricity price forecast realm  
23 are the cost of natural gas, of burning -- the -- the  
24 burn cost for natural gas resources in Manitoba, which  
25 is pretty small.

1                   So the reason that we're -- we're doing  
2 it that way is because basically our price forecast  
3 consultants have taken those things into consideration  
4 in doing their price forecasts, the natural gas and the  
5 carbon, and embedded that in the export -- or  
6 electricity export price forecast. So in the energy  
7 prices that we're relying on in the analysis.

8                   MR. JOHN TODD:    Okay. So the only  
9 place that the natural gas price comes into play is the  
10 burn rate for All Gas scenario. And to the extent that  
11 gas is the marginal supply, therefore, the costs -- the  
12 price-maker for electricity, it's actually -- the  
13 variance in electricity price you're looking at and  
14 whether -- and part of that variance is picked up if --  
15 if gas is no longer the marginal production. That's  
16 just all pick -- that's irrelevant to this analysis  
17 because you're just looking at the variance in the  
18 electricity price?

19                   MS. JOANNE FLYNN:    Right.

20                   MR. JOHN TODD:    Okay. So it's almost -  
21 - so really, if you look back at the high impact, I  
22 think what I just heard is that the electricity prices,  
23 the high impact to the natural gas price is not a -- is  
24 not a high impact factor.

25                                    Is that right?

1 MS. JOANNE FLYNN: It's considered  
2 because it's a -- it's a big driver of the electricity  
3 price.

4 MR. JOHN TODD: But if you've got  
5 electricity prices they're collinear, so you can sort  
6 of say that's -- that's not really part of the  
7 analysis.

8 Is that right?

9 MS. JOANNE FLYNN: Right. Because --  
10 yes, we're saying that it's been considered in it  
11 because it's such a big part of the electricity prices.  
12 So it is hard to kind of separate those two (2) things  
13 out.

14 But yeah, it's not like there's this  
15 whole big separate --

16 MR. JOHN TODD: Yeah. For all this --

17 MS. JOANNE FLYNN: -- initiative about  
18 --

19 MR. JOHN TODD: For this analysis it's  
20 only the electricity, variance in electricity prices  
21 that matters.

22 MS. JOANNE FLYNN: Yes. Yeah. Okay.  
23 All right. So I'll go through one (1) last S-curve.

24

25 (MOVED TO SLIDE 41)

1 MS. JOANNE FLYNN: And this is slide  
2 41. And what this comparison is is that same two-fifty  
3 (250) line that we looked at on the previous S-curve,  
4 so Plan 4, and it's being compared against Plan 14,  
5 which is the Preferred plan.

6 And generally, at -- and what you see  
7 here is you see -- now -- now what you're looking at is  
8 you're looking at one (1) hydro plant followed by gas,  
9 and a two (2) hydro plant plan. And you see higher  
10 upside potential on the Preferred plan and a little bit  
11 more downside risk. And you see less upside potential  
12 with the natural gas and a little bit -- oh, actually,  
13 I guess there's a little bit more downside risk for the  
14 natural gas plan -- or the plan with natural gas.

15 But you see a crossover at the 50th  
16 percentile. So at the 50th percentile the Preferred  
17 plan is to the right of the -- or sorry, to the left of  
18 the -- of Plan 4, which means that at those lower  
19 percentiles that the -- the Gas plan is giving you  
20 preferred values.

21 So while some would say -- if you look  
22 at the expected value you see a difference of ten  
23 eighty-five (1,085) to nine seventy-one (971), you see  
24 at the -- at the ref/ref/ref values, which is the most  
25 likely, that the Preferred plan is sixteen ninety-six

1 (1,696) compared to thirteen forty-six (1,346), there's  
2 more upside potential with the -- with the plan, that  
3 there would be some confidence that the Preferred plan  
4 would be the superior of the plans.

5                   But from an economics perspective in --  
6 in our analysis, and because the plants have these very  
7 different characteristics -- so you're looking at  
8 Conawapa versus gas, you're looking at a seventy-fifty  
9 (750) line versus a two-fifty (250) line, that the  
10 decision -- well, it wouldn't be made solely on the  
11 economics anyway, but from an economics perspective  
12 we're not saying clearly that we can choose between  
13 these plans, that other considerations should be  
14 considered, that the tradeoffs between the plans, the  
15 values of -- and the characteristics of the plans need  
16 to be considered, and the financials and multiple  
17 accounts and the optionality need to be considered  
18 before a decision is made on -- on which plan would be  
19 considered the better plan.

20                   And that is all I was going to do.  
21 Okay. There's questions. So I'll just go back.

22                   MR. JOHN ATHAS: John Athas again.  
23 Joanne, can you -- can you take your observations that  
24 you've made here and go back to the box and whisker  
25 chart comparing four (4) and fourteen (14), and tell us



1 about how you would -- how you read that and  
2 observations versus this?

3

4 (BRIEF PAUSE)

5

6 MS. JOANNE FLYNN: Oh, right. Right  
7 there. Okay. I was thinking it was way back. It's  
8 not really way back. So on -- on the box and whiskers  
9 what we see is the -- it's -- it's very clear in the  
10 All Gas and the Wind/Gas plan the length of the whisker  
11 down. So that's downside risk.

12 So when you look at -- you know, as  
13 compared to an S-curve, you're going to see -- and  
14 that's what you see on the S-curve. You see those  
15 values that are like approaching \$8 billion on the --  
16 on the S-curve, and that's that whiskery part trailing  
17 out there.

18 So what this is showing you is you're  
19 seeing the box at the 25th and 75th percentiles. The  
20 expected value is the dash in the box. And the -- the  
21 end of the whisker point is the -- either the 10th or  
22 the 90th percentile. So in terms of -- of what it's  
23 showing you is, again, you see the -- so the Plan 14 is  
24 -- is the one (1) coloured at the end, and you see an  
25 expected value that is fairly high in the box. It's

1 got the highest expected value of all the plans on the  
2 page. And you see that it has one (1) of the highest,  
3 if not the highest, upside potential.

4                   It does have downside risk, because it's  
5 a big capital investment plan. So discount rate is an  
6 important factor when you have two (2) hydro plants  
7 because of all the upfront capital investment. And the  
8 benefit though, of the two (2) hydro plants, or the  
9 upside potential, especially with the seven-fifty (750)  
10 line, is the ability to -- to sell the surplus energy  
11 into the market. And from a probabilistic perspective  
12 you would get the benefit of the high energy prices.

13                   MR. JOHN ATHAS: Sorry, I just wanted  
14 to make that -- I mean, I would assume that the box  
15 part of this is shaped like it is because it's for  
16 people that would use this the 25:75 points are more  
17 relevant in their decision -- in their thought process  
18 than -- than 90:10?

19                   MS. JOANNE FLYNN: Yeah, I think -- I  
20 think you could look at it that way.

21                   MR. JOHN ATHAS: And so could -- could  
22 you say in that regard how you would -- how you would  
23 think that in this 25:75 boxes, 4 and 14 compare?

24                   MS. JOANNE FLYNN: Okay. So one (1) of  
25 the points about the boxes is the smaller the box the

1 less risk there is. So Plan 4 would appear to have a  
2 slightly smaller box than Plan 14. What it doesn't  
3 have from the whisker perspective is it doesn't have  
4 the upside potential. The upside potential is taken  
5 into consideration, and -- and the downside risk, when  
6 the expected value is created. So you see the expected  
7 value is higher for the -- for Plan 14 than it is for  
8 Plan 4.

9

10 (BRIEF PAUSE)

11

12 MR. WALLY KOSCHIK: Thanks. It's Wally  
13 Koschik again, PUB advisor. Just a very fundamental  
14 question about this analysis. How -- how is the  
15 variability of the water captured from year-to-year in  
16 the analysis? Is it some kind of Monte Carlo  
17 simulation? Some kind of averaging? Obviously, the --  
18 the large surpluses in certain years when there's high  
19 flows has to be captured. How -- how is that done?

20 MS. JOANNE FLYNN: That's done in the -  
21 - in the basic modelling. And when we do our -- when  
22 we develop our plans and run them through the model,  
23 the model uses all ninety-nine (99) flow years, the --  
24 the entire historical record. So what you're seeing is  
25 the average of all flow years. The revenues and costs

1 associated with the average of all flow years.

2

3

(BRIEF PAUSE)

4

5 THE FACILITATOR: This is the last  
6 question by -- this is the last question by the way.  
7 No, no, tomorrow morning there is still time. Joanne  
8 is not going away. Don't worry.

9 MR. WALLY KOSCHIK: So are you saying a  
10 calculation is done for every one (1) of ninety-nine  
11 (99) flow scenarios?

12 MS. JOANNE FLYNN: Yes. For every  
13 plan, yes.

14 MR. WALLY KOSCHIK: For -- oh, I see.  
15 Okay. And that's --

16 MS. JOANNE FLYNN: Yeah.

17 MR. WALLY KOSCHIK: -- averaged?

18 MS. JOANNE FLYNN: It's the average of  
19 all those outcomes of -- of --

20 MR. WALLY KOSCHIK: Okay.

21 MS. JOANNE FLYNN: -- applying each  
22 water condition to the plan.

23 MR. WALLY KOSCHIK: Okay. Gotcha.  
24 Thank you.

25 MS. JOANNE FLYNN: Okay.

1 MR. WALLY KOSCHIK: I thought that was  
2 it. I had forgotten.

3 MS. JOANNE FLYNN: Okay.

4 THE FACILITATOR: So we're going to cut  
5 it off now. Tomorrow morning, Joanne will carry on  
6 with her presentation. If you have more questions on  
7 the S-curves or any other part of the presentation, of  
8 course, she'll be just super-glad to answer them then.  
9 Otherwise, we'll -- we'll see you in the morning.  
10 Thank you.

11

12 --- Upon adjourning at 4:28 p.m.

13

14

15

16 Certified correct,

17

18

19

20 \_\_\_\_\_

21 Cheryl Lavigne, Ms.

22

23

24

25

|                      |            |                     |                     |                    |
|----------------------|------------|---------------------|---------------------|--------------------|
| <hr/> \$ <hr/>       | 85:4,13    | 247:8               | 30:25               | <b>12</b> 9:20     |
| <b>\$2</b> 242:3     | 89:17 90:1 | 249:24              | 31:3,9              | 26:22 32:1         |
|                      | 92:4       | 250:2,24            | 34:25               | 36:25              |
| <b>\$25</b> 94:6     | 93:4,19    | 252:10              | 36:18,23            | 42:7,13,15         |
| <b>\$28</b> 94:7     | 96:9 102:3 | <b>1,085</b> 247:23 | 37:4,5              | 91:4               |
|                      | 106:15     |                     | 38:10,16,1          | 116:24             |
| <b>\$3</b> 222:20,22 | 107:10,11, | <b>1,135</b> 112:15 | 7 46:10,14          | 130:22,23          |
| <b>\$36.4</b> 93:18  | 23 111:18  | <b>1,200</b> 41:2   | 57:11 62:1          | 161:6              |
| <b>\$421</b> 64:2    | 115:13     |                     | 75:25               | 176:5,8            |
| <b>\$486</b> 64:8    | 117:17     | <b>1,300</b> 112:14 | 76:17               | 180:3,15           |
|                      | 118:7,10   | <b>1,346</b> 243:9  | 119:23              | 207:13,14,         |
| <b>\$50</b> 153:13   | 130:7,17,2 | 248:1               | 160:22              | 16 215:23          |
| <b>\$52</b> 64:7     | 0,24 133:8 | <b>1,450</b> 148:13 | 176:23              | 221:4              |
|                      | 137:17     |                     | 179:24              | 222:15             |
| <b>\$537</b> 63:14   | 139:16     | <b>1,552</b> 63:24  | 215:12,18           | 226:8              |
|                      | 145:24     | 80:6,7              | 216:5,7             | 236:14             |
| <b>\$6</b> 242:2     | 151:23     | <b>1,696</b> 207:22 | 227:15              | 243:25             |
| <b>\$6.69</b> 73:23  | 152:14     | 209:1               | 231:4,5             |                    |
| <b>\$8</b> 249:15    | 153:20     | 221:22              | 236:12,21           | <b>121</b> 5:9     |
| <b>\$958</b> 64:19   | 154:23     | 230:17,24           | 243:25              | <b>125</b> 138:2   |
|                      | 155:23,25  | 248:1               |                     | <b>126</b> 64:17   |
|                      | 160:24     |                     | <b>10.1</b> 216:5   |                    |
| <hr/> 0 <hr/>        | 169:6      | <b>1,800</b> 28:17  | <b>10.11</b> 236:21 | <b>13</b> 38:19    |
| <b>0.1</b> 41:11     | 170:15     | 34:13               |                     | 42:7 71:6          |
|                      | 176:13     | <b>1,990</b> 63:11  | <b>10.15</b> 180:9  | 165:19             |
| <b>0.6</b> 94:2      | 182:8      |                     | <b>10.18</b> 242:20 | 177:21             |
| <b>0.9</b> 93:17     | 183:19     | <b>1.1</b> 26:10    | <b>10:00</b> 57:18  | 207:14,16          |
| <b>08</b> 32:1       | 184:2      | 39:14               | <b>10:11</b> 57:25  | <b>132</b> 23:11   |
|                      | 186:17,20  | <b>1.2</b> 22:1     | <b>10:25</b>        | <b>133</b> 136:8   |
|                      | 189:20     | 23:15 26:8          | 57:19,22            |                    |
| <hr/> 1 <hr/>        | 193:22     | 39:11               | <b>10:26</b> 58:1   | <b>14</b> 40:1     |
| <b>1</b> 1:23 9:21   | 194:8      | <b>1.4</b> 23:8     |                     | 57:19              |
| 11:10                | 195:17     |                     | <b>100</b>          | 77:20              |
| 17:6,10              | 199:25     | <b>1.5</b> 39:6     | 34:3,7,11,          | 86:22              |
| 19:14                | 201:6,7    | 40:16               | 12,17,22            | 174:23             |
| 23:25                | 202:21     | 114:22              | 35:10,12            | 175:8,12,1         |
| 24:12,13             | 204:8      | 115:13,20           | 137:10,11           | 7,25               |
| 25:10                | 205:14     | 116:11              | 138:4               | 179:22             |
| 26:2,12,13           | 206:18     | <b>1.6</b> 21:18    |                     | 207:18             |
| 29:22                | 207:17,19  | 22:3 23:11          | <b>108</b> 29:1     | 208:25             |
| 31:24 32:8           | 208:22     | 27:17               | <b>10th</b> 232:4   | 211:21,23          |
| 33:14                | 210:22     | 116:13              | 242:6               | 212:12,14          |
| 36:16                | 221:2      | <b>1.7</b> 21:15    | 249:21              | 213:13             |
| 37:11                | 222:11     | 27:19 29:2          |                     | 214:10             |
| 42:17 43:8           | 225:12     | 141:1               | <b>11</b> 36:6      | 221:13,22          |
| 45:12,18             | 226:4      | <b>1.9</b> 198:22   | 57:18               | 230:16             |
| 46:14                | 228:1,19   |                     | 152:1,10            | 232:9,12           |
| 49:20,21             | 230:7      | <b>1/2</b> 96:9     | 155:4               | 247:4              |
| 52:17                | 236:8,9    | 140:18              | 177:16              | 248:25             |
| 59:12                | 237:12     | <b>1:00</b> 120:1   |                     | 249:23             |
| 69:21                | 238:1      | <b>1:01</b> 120:14  | <b>11:30</b> 111:3  | 250:23             |
| 70:14 72:9           | 241:12     |                     | <b>11:41</b> 120:13 | 251:2,7            |
| 76:19                | 242:22     | <b>10</b> 28:20     | <b>115</b> 27:16    | <b>15</b> 7:8 19:1 |
|                      | 246:23     |                     |                     |                    |

|                     |                     |                    |                    |                     |
|---------------------|---------------------|--------------------|--------------------|---------------------|
| 40:19               | 28:19,22            | <b>2/3</b> 174:6   | 39:7,11            | 153:7               |
| 62:14,16            | 39:8 41:12          | 176:16             | 40:22,24           | <b>2019</b>         |
| 64:15 81:1          | 42:17               | <b>2:00</b> 165:20 | 41:24              | 154:15,19           |
| 86:13,18            | 59:12,13            | <b>2:01</b> 165:22 | 42:3,20            | 232:18              |
| 87:12               | 61:3,6              | <b>2:21</b> 165:23 | 160:21,23          | <b>2020</b> 25:9    |
| 140:18              | 72:10               | <b>20</b> 9:18     | 161:4,10,1         | 132:6               |
| 176:1,5,9           | 78:23               | 21:14,19,2         | 4 163:4,8          | 133:14              |
| 177:1               | 86:14               | 5 22:4             | 167:6              | <b>2022</b> 25:12   |
| 180:13              | 89:22               | 23:7,9             | 179:15             | <b>2024</b> 29:21   |
| 211:22,24           | 90:1,2              | 27:15,20           | 198:16             | <b>2025</b> 142:2   |
| 212:11,13           | 94:1 97:10          | 28:12,17           | 238:11             | 232:18              |
| 213:14              | 101:15              | 29:2 34:14         | <b>2012/'13</b>    | <b>2026</b> 181:22  |
| 215:1               | 105:9               | 35:3,5             | 167:15             | <b>2027/'28</b>     |
| 225:13              | 110:6               | 39:4 40:17         | <b>2013</b> 1:22   | 64:16               |
| 226:12,17           | 121:15              | 62:17 63:9         | 21:2               | 112:17,24           |
| 228:5               | 135:20              | 75:25              | 24:18,20,2         | <b>2028</b> 65:15   |
| <b>150</b> 5:11     | 145:24              | 101:11             | 4,25               | 86:3                |
| <b>150-megawatt</b> | 150:20              | 151:19             | 26:9,25            | <b>2030</b>         |
| 140:14              | 155:23              | 153:3              | 39:2,3,12,         | 140:13,18           |
| <b>159</b> 116:13   | 156:12              | 168:4              | 16                 | <b>2031/'32</b>     |
| <b>16</b> 41:14     | 166:18              | 183:16             | 40:13,22           | 31:2,4              |
| 53:1 58:17          | 170:13              | 191:12             | 41:1,25            | 40:24 41:7          |
| 93:1                | 172:17,22           | 192:17,24          | 42:5,19,21         | 167:15              |
| 136:24              | 173:18,20           | 235:4              | ,24 43:3           | <b>2032</b> 196:24  |
| 168:20              | 174:14,17           | <b>200</b> 28:23   | 52:24,25           | <b>2035</b> 233:10  |
| 181:1               | 175:9               | 139:19             | 58:17              | <b>2092</b> 191:21  |
| <b>161</b> 27:19    | 181:15              | 140:17,25          | 86:17              | <b>21</b> 111:22    |
| <b>166</b> 5:13     | 189:21              | <b>2000</b> 66:11  | 107:2              | <b>2100</b> 193:16  |
| <b>17</b> 27:12     | 191:21              | 71:10              | 118:1              | <b>22</b> 25:9      |
| 32:2,14,19          | 194:8               | 193:16             | 140:9              | 112:10              |
| 33:8,9              | 204:25              | <b>2002</b>        | 151:21             | 197:10              |
| 46:18               | 208:17              | 37:21,22           | 153:5              | 208:17              |
| 94:14               | 210:21,24           | <b>2007</b> 37:22  | 161:6,7,11         | 237:13              |
| 97:24               | 211:9,11,1          | <b>2008</b> 28:22  | ,14                | <b>22/'23</b>       |
| 188:15              | 5 221:20            | 32:6,7             | 163:4,12,1         | 168:5,11            |
| 189:23              | 224:21              | 38:7               | 5                  | 188:6               |
| <b>18</b> 9:20 98:7 | 237:19              | <b>2010</b> 110:8  | 180:16,18          | <b>23</b> 113:1     |
| 130:23              | 238:1               | <b>2011</b> 22:24  | 198:25             | 198:1               |
| 189:9               | 239:25              | 110:8,9            | 235:4,5            | <b>230</b> 132:3,20 |
| 191:3               | 240:9               | <b>2012</b> 20:24  | <b>2013/2016</b>   | 146:18              |
| <b>19</b> 5:6 99:8  | 242:10              | 21:12,16           | 47:24              | <b>24</b> 113:20    |
| 191:17              | 243:5,14            | 22:24              | <b>2014</b> 114:7  | 202:19              |
| 207:10              | 246:12              | 23:14              | 117:6              | 207:11              |
| <b>190</b> 63:11    | 247:9               | 24:21,22           | 187:13             | 242:25              |
| <b>1990</b> 65:14   | 250:6,8             | 25:9,24            | 189:3              | 243:15              |
| <hr/>               | <b>2,029</b> 112:15 | 26:2,7,8           | 197:18             |                     |
| 2                   | <b>2,200</b> 126:13 | 27:5 30:21         | 205:4              |                     |
| <hr/>               | <b>2,555</b> 30:20  | 31:1               | 237:7              |                     |
| <b>2</b> 11:8       | <b>2,915</b> 112:16 |                    | <b>2015</b> 33:5,9 |                     |
|                     | <b>2.1</b> 94:1     |                    | <b>2016</b> 52:24  |                     |
|                     |                     |                    | 86:6,17,19         |                     |

|                     |                     |                     |                    |                    |
|---------------------|---------------------|---------------------|--------------------|--------------------|
| <b>24,376</b> 22:25 |                     | <b>30,870</b> 31:1  | 114:23             | <b>436</b> 63:16   |
| <b>247</b> 209:10   | <hr/>               |                     | 115:11,16,         | <b>44</b> 21:25    |
| <b>25</b> 31:15     | 3                   | <b>300</b> 105:14   | 21                 | 22:1               |
| 114:14              | <b>3</b> 20:21      | 131:3               | 116:11,14          | <b>450</b> 41:8    |
| 149:4               | 22:13               | 134:6               | 137:24             | 105:16             |
| <b>25/'26</b>       | 25:10               | 173:21              | 139:13             | <b>453</b> 21:18   |
| 167:18              | 29:10               | 175:8,18            | 152:3              | <b>486</b> 208:22  |
| <b>25:75</b>        | 32:11,15            | 176:3,15            | 153:2              | <b>49</b> 133:24   |
| 250:16,23           | 34:1 42:13          |                     | 166:23,24          | 135:18             |
| <b>250</b> 131:1,11 | 62:23               | <b>31</b> 217:1     | 167:4              | 142:20,22,         |
| 133:10,14           | 72:10               | <b>31/'32</b> 31:5  | 168:2,15           | 24 143:1           |
| 137:25              | 86:10               | <b>31st</b> 114:7   | 188:4              | 173:11             |
| 141:18              | 113:8,15            | 117:5               | 207:10             | <b>490</b> 63:24   |
| 146:11,13           | 124:3,4             | <b>32</b> 220:25    | 236:21             |                    |
| 148:17              | 137:20              | <b>32,265</b> 41:2  | 237:3,16           | <hr/>              |
| 172:21              | 151:10,21           | <b>326</b> 64:3     | 242:23,25          | 5                  |
| 207:11              | 152:12,21,          | <b>329</b> 21:15    | 243:4,9            | <b>5</b> 1:22 22:6 |
| 242:25              | 22 155:22           | <b>33</b> 223:1     | 247:4,18           | 36:17,19,2         |
| 243:16              | 159:9,19            | <b>33,425</b> 31:6  | 248:25             | 0,21,22            |
| 247:3               | 167:23              | 41:1                | 250:23             | 37:3               |
| 248:9               | 174:1,3             |                     | 251:1,8            | 38:3,8,15,         |
| <b>250-megawatt</b> | 176:4,9             | <b>330</b> 1:20     | <b>4.1</b> 116:15  | 16 64:11           |
| 206:21              | 177:12,25           | <b>34</b> 223:16    | <b>4.1.2</b> 71:9  | 76:7,16            |
| <b>253</b> 1:23     | 192:1               | 225:17              | <b>4.13</b> 87:16  | 84:21,24           |
| 5:15                | 193:9               | <b>35</b> 191:14,22 | <b>4.19</b> 167:3  | 85:11              |
| <b>25th</b> 232:2   | 195:23              | 192:3,20            | <b>4.3</b> 101:16  | 122:3,6,12         |
| 249:19              | 203:19              | 193:9               | <b>4.9</b> 53:11   | 124:5              |
| <b>26</b> 116:18    | 207:4               | 194:1,19            | <b>4:01</b> 234:17 | 127:10,24          |
| 204:1               | 220:19,21,          | 195:3               | <b>4:28</b> 253:12 | 140:10             |
| <b>27</b> 7:9       | 22 221:7,16         | 224:11              | <b>4:30</b>        | 152:18             |
| 159:14              | 222:17              | 225:14              | 234:22,24          | 154:6              |
| 206:15              | 225:23              | <b>36</b> 229:21    | 235:9              | 158:13,24          |
| 220:20,23           | 228:5               | <b>360</b> 118:2    | <b>40</b> 173:25   | 159:5,9            |
| 221:5,10,1          | 237:25              | <b>37</b> 231:15    | 174:11             | 163:5,9            |
| 3 231:13            | 244:5               | 234:10              | 214:19             | 170:1              |
| 235:21,24           | <b>3,000</b> 126:14 | <b>38</b> 235:16    | 242:17             | 173:16             |
| 236:4,13            | <b>3,113</b> 64:16  | <b>39</b> 236:18    | 243:7              | 174:22             |
| 238:13              | <b>3,118</b> 65:10  | 237:1               | <b>400</b> 1:20    | 175:7,12,1         |
| 239:17              | <b>3,133</b> 65:2   | <b>39,980</b> 31:4  | 208:22             | 7,25               |
| 240:24              | <b>3.1</b> 152:16   |                     | <b>408</b> 116:15  | <b>5,886</b> 41:6  |
| <b>27/'28</b>       | <b>3.13</b>         | <hr/>               | <b>41</b> 236:25   | <b>5.05</b>        |
| 64:7,9              | 151:22,23           | 4                   | 246:25             | 198:18,21          |
| 65:6,10             | 152:12              | <b>4</b> 21:21      | 247:2              | 204:18             |
| 112:18              | <b>3:53</b> 234:16  | 29:11               | <b>413</b> 39:5    | 205:4              |
| 116:14,16           | <b>30</b> 31:15     | 51:17               | <b>420</b> 41:9    | 208:11             |
| <b>28</b> 207:25    | 76:2,3,19           | 58:16               | <b>4-21</b> 168:1  | <b>5.1</b> 122:13  |
| <b>29</b> 215:16    | 191:13              | 63:19 71:8          |                    | <b>5.2</b> 122:15  |
|                     | 216:1               | 80:1 87:16          |                    | <b>5.4</b> 122:8   |
|                     | 244:9               | 99:11               |                    | 199:1              |



|  |  |  |   |   |
|--|--|--|---|---|
| <p><b>5.4(ii)</b> 122:8</p> <p><b>50</b> 136:24<br/>172:19<br/>191:15<br/>224:21<br/>240:10,20,<br/>22 241:3</p> <p><b>500</b> 29:22<br/>132:20<br/>134:14<br/>146:19<br/>149:4</p> <p><b>50-megawatt</b><br/>140:15</p> <p><b>50th</b> 241:22<br/>247:15,16</p> <p><b>55</b> 224:20</p> <p><b>550</b> 142:2</p> <p><b>564</b> 243:6</p> <p><b>577</b> 208:23</p> <p><b>58</b> 5:7</p> <p><b>586</b> 63:12</p> <p><b>59</b> 63:25</p> <hr/> <p>6</p> <p><b>6</b> 5:4 23:3<br/>76:17<br/>96:10<br/>140:14<br/>153:17<br/>163:14<br/>176:5,8</p> <p><b>6,032</b> 41:6</p> <p><b>6.1</b> 138:16</p> <p><b>6.69</b> 74:10<br/>75:23 76:9<br/>77:8<br/>107:15</p> <p><b>6.7</b> 74:11</p> <p><b>6.9</b> 74:9<br/>88:15,16<br/>110:15</p> <p><b>60</b> 238:14</p> <p><b>60th</b><br/>238:14,15</p> | <p><b>62</b> 112:23</p> <p><b>668</b> 55:4</p> <p><b>67</b> 191:10</p> <p><b>696</b> 207:22</p> <hr/> <p>7</p> <p><b>7</b> 23:23 66:5<br/>115:6<br/>131:1<br/>168:18<br/>169:2<br/>171:15<br/>234:11<br/>238:2</p> <p><b>7.05</b> 198:21</p> <p><b>7.1</b> 169:2</p> <p><b>700</b> 63:13<br/>148:10</p> <p><b>75:25</b> 198:11<br/>201:24<br/>202:5</p> <p><b>750</b> 124:17<br/>131:1,12<br/>133:5,9,13<br/>135:17<br/>141:17<br/>146:11,13<br/>147:19<br/>148:8<br/>172:18<br/>173:5,17<br/>174:2<br/>230:13<br/>248:9<br/>250:9</p> <p><b>750-megawatt</b><br/>206:21</p> <p><b>75th</b> 232:2<br/>249:19</p> <p><b>76</b> 40:15</p> <p><b>762</b> 64:20</p> <p><b>77</b> 63:13</p> <p><b>78</b> 191:20<br/>193:24</p> <hr/> <p>8</p> | <p><b>8</b> 27:7 66:24<br/>111:3<br/>172:12<br/>233:4<br/>237:9</p> <p><b>8.5</b><br/>110:18,19</p> <p><b>824</b> 53:8</p> <p><b>83</b> 22:3</p> <p><b>842.4</b> 53:8</p> <p><b>846</b> 64:17</p> <p><b>85</b> 230:25</p> <p><b>87</b> 23:7</p> <p><b>887</b> 205:6<br/>208:18<br/>221:20<br/>237:13<br/>243:11</p> <hr/> <p>9</p> <p><b>9</b> 28:8 31:23<br/>49:14<br/>160:22<br/>177:3<br/>178:3<br/>179:5<br/>181:4,9<br/>205:2<br/>206:19<br/>210:24<br/>211:9,10,1<br/>1,14<br/>221:23<br/>230:15,18<br/>243:24</p> <p><b>9.3</b> 151:7<br/>164:5<br/>177:2,14<br/>191:8<br/>192:1<br/>197:24<br/>219:15<br/>223:21<br/>225:25<br/>228:23</p> <p><b>9.4</b> 204:5</p> <p><b>9:00</b> 234:24</p> | <p><b>9:07</b> 6:1</p> <p><b>90</b> 202:8</p> <p><b>90:10</b> 250:18</p> <p><b>90th</b> 232:4<br/>242:6<br/>249:22</p> <p><b>92</b> 35:4,7</p> <p><b>94</b> 209:6</p> <p><b>971</b> 243:5<br/>247:23</p> <p><b>99</b> 251:23<br/>252:11</p> <hr/> <p>A</p> <p><b>a.m</b> 6:1<br/>57:25 58:1<br/>120:13</p> <p><b>ability</b><br/>169:24<br/>199:5<br/>250:10</p> <p><b>able</b> 44:2<br/>45:12 69:7<br/>106:19<br/>109:13<br/>120:3<br/>125:4<br/>137:17<br/>156:13<br/>171:21,23<br/>201:21<br/>205:23</p> <p><b>Aboriginal</b><br/>18:15</p> <p><b>absolute</b><br/>99:13<br/>100:12<br/>153:23</p> <p><b>absolutely</b><br/>124:18<br/>166:11</p> <p><b>accept</b> 130:6</p> <p><b>acceptable</b><br/>79:7</p> <p><b>acceptance</b><br/>73:3 99:25</p> | <p><b>accepting</b><br/>96:14</p> <p><b>access</b><br/>125:6,14<br/>146:3</p> <p><b>accessing</b><br/>58:19</p> <p><b>accomplished</b><br/>63:8</p> <p><b>according</b><br/>187:17</p> <p><b>account</b> 29:6<br/>32:18<br/>43:17<br/>118:1<br/>181:22<br/>229:7<br/>231:1</p> <p><b>accounted</b><br/>54:13<br/>186:9</p> <p><b>accounting</b><br/>13:19</p> <p><b>accounts</b><br/>248:17</p> <p><b>accrue</b> 75:11</p> <p><b>accumulate</b><br/>65:6</p> <p><b>accumulated</b><br/>33:2</p> <p><b>accuracy</b><br/>21:1 36:13<br/>56:21 57:2</p> <p><b>achievable</b><br/>101:4<br/>108:13<br/>109:4,7<br/>112:15,16,<br/>23 113:4<br/>116:12</p> <p><b>achieve</b><br/>54:18,25<br/>64:14<br/>100:22,23,<br/>25 103:23<br/>109:9<br/>132:3</p> |
|--|--|--|---|---|

|  |  |   |   |  |
|--|--|---|---|--|
| <b>achieved</b><br>57:5 63:10<br>119:19  | 127:15,20<br>130:17<br>131:24<br>157:2<br>164:3,16,18  | <b>adjourning</b><br>253:12   | <b>affected</b><br>148:7  | 145:5  |
| <b>achieving</b><br>80:25  | <b>acknowledge</b><br>8:10 9:16  | <b>adjust</b> 31:13<br>103:24   | <b>affecting</b><br>179:11  | <b>agreements</b><br>137:23,25<br>138:13<br>187:17   |
| <b>across</b> 74:5<br>102:3,4,5<br>112:13<br>113:5,8<br>190:7,8,12<br>200:2<br>207:6,12<br>219:1<br>221:11,19<br>237:6 | <b>add</b> 33:20<br>34:3 57:4<br>65:9 71:1<br>79:11,13<br>196:12,15,<br>16,17  | <b>adjusted</b><br>9:25 40:4<br>47:1 56:18<br>108:21<br>160:25<br>167:6<br>179:18<br>200:11 | <b>affects</b><br>203:24  | <b>Ah</b> 16:10  |
| <b>act</b> 31:17<br>86:10<br>104:12<br>114:6<br>117:5  | <b>added</b> 140:10  | <b>adjusting</b><br>34:20   | <b>aft</b> 58:3   | <b>ahead</b> 48:6<br>59:8<br>142:10<br>143:12  |
| <b>action</b> 9:18<br>11:18,20,22  | <b>addition</b><br>21:23<br>39:22<br>67:18<br>114:10<br>139:4<br>147:18<br>151:12<br>199:22<br>209:3,8   | <b>adjustment</b><br>161:3,9,14<br>163:8  | <b>afternoon</b><br>77:13<br>121:10<br>150:7,23<br>166:1,2<br>184:6                           | <b>Alberta</b><br>122:1  |
| <b>actions</b><br>102:19   | <b>additional</b><br>43:6 58:20<br>63:2,23<br>82:17,18<br>83:4 97:20<br>98:10<br>105:3<br>115:4<br>135:22<br>136:8<br>169:19<br>171:17<br>186:24<br>205:11<br>208:22 | <b>adjustments</b><br>20:12<br>41:22<br>56:20   | <b>afterwards</b><br>142:16   | <b>align</b> 102:13<br>104:6<br>140:15   |
| <b>active</b><br>138:19  | <b>activities</b><br>8:21<br>121:23,25<br>122:2  | <b>administrati<br/>on</b> 71:1   | <b>against</b><br>31:16<br>69:13 88:5<br>109:18<br>128:20<br>186:21<br>199:11<br>247:4        | <b>aligned</b><br>74:6,17<br>108:7<br>112:18<br>163:20   |
| <b>activity</b><br>65:6  | <b>actually</b><br>31:18<br>32:6,7<br>38:4 46:9<br>47:19<br>60:14<br>61:25 76:5<br>92:4 110:5  | <b>admit</b> 89:21  | <b>agenda</b><br>11:3,4<br>16:9 121:1<br>166:5<br>195:24<br>234:21                            | <b>aligning</b><br>110:7   |
| <b>actual</b> 22:22<br>31:16<br>36:20 56:1<br>93:9<br>208:15<br>224:6  | <b>additions</b><br>233:16   | <b>adopted</b><br>54:16   | <b>aggrega</b><br>96:20<br>97:3,11<br>158:9,11  | <b>alignment</b><br>59:17<br>109:24<br>163:13,18   |
| <b>actually</b><br>31:18<br>32:6,7<br>38:4 46:9<br>47:19<br>60:14<br>61:25 76:5<br>92:4 110:5                          | <b>add-on</b><br>199:19  | <b>adoption</b><br>100:8<br>108:17<br>109:3,12  | <b>aggressivene<br/>ss</b> 108:14   | <b>all-gas</b><br>128:21   |
| <b>address</b><br>118:17   | <b>address</b><br>118:17   | <b>advance</b><br>119:10<br>171:16<br>243:19  | <b>ago</b> 60:12<br>61:25<br>62:1,4,14<br>105:9<br>110:6<br>139:25                            | <b>allocate</b><br>87:1  |
|  |  | <b>advisors</b><br>14:8<br>190:14   | <b>agreement</b><br>134:6<br>138:1,3,21,<br>25<br>139:1,18,2<br>0,22<br>140:4,13,1<br>4 141:2 | <b>allow</b> 126:1<br>178:20<br>230:19   |
|  |  | <b>advisory</b><br>13:7   |   | <b>allows</b><br>188:21<br>231:20<br>235:20  |
|  |  | <b>affect</b><br>128:12<br>132:23   |   | <b>already</b> 6:11<br>15:22<br>18:20<br>32:24<br>47:16,17<br>54:15<br>117:10<br>118:9<br>133:6<br>174:15<br>187:8 |

|                     |            |                     |                     |                     |
|---------------------|------------|---------------------|---------------------|---------------------|
| <b>alternative</b>  | 59:13      | 230:5               | <b>anti</b> 42:4    | 81:14,15            |
| 8:23 75:17          | 69:17      | 238:11              | <b>anticipate</b>   | 251:1               |
| 186:21              | 70:25      | 244:19              | 29:14,21,2          | <b>APPEARANCES</b>  |
| 187:24              | 74:12      | 245:7,16            | 5 33:2              | 2:1 3:1             |
| 188:11              | 76:22 79:5 | 246:7,19            | 64:15               | 4:1                 |
| <b>alternatives</b> | 82:23      | 248:6               | 142:6               | <b>appears</b>      |
| 1:9 5:12            | 85:19      | 251:14,16           | <b>anticipated</b>  | 48:12               |
| 8:4 166:20          | 88:2,7     | <b>analyzed</b> 9:2 | 43:4,17             | 121:7               |
| 175:18,23           | 95:19      | <b>analyzing</b>    | 45:24 47:8          | 216:5               |
| 188:1,21            | 97:19,20   | 226:12              | 119:4,5             | <b>appendices</b>   |
| 192:11              | 103:6      | <b>and/or</b> 47:9  | <b>anticipating</b> | 183:19              |
| 226:6               | 104:23     | 173:13              | 21:17               | <b>appendix</b>     |
| <b>altogether</b>   | 105:3      | <b>Anita</b> 2:3    | 23:10,14,1          | 52:25               |
| 212:11              | 109:17,20  | 12:10,11            | 6 24:3,4            | 53:3,4,8            |
| <b>always</b> 202:5 | 114:20     | <b>anl</b> 226:5    | 25:12               | 73:5                |
| <b>am</b> 24:19     | 117:1      | <b>anly</b> 226:5   | 26:8,10             | 86:5,13,15          |
| 42:20               | 119:3      | <b>announced</b>    | 27:18               | ,16 101:16          |
| 46:15 49:2          | 136:19     | 149:3               | 28:25 41:8          | 122:12,15           |
| 74:15               | 157:19,24  | <b>annual</b> 23:14 | 64:6                | 138:16              |
| 146:12              | 158:1      | 25:6,11             | <b>anticipation</b> | 151:7               |
| <b>American</b>     | 159:6,7,11 | 27:16               | 59:19               | 152:16              |
| 217:11              | ,21        | 33:21               | <b>Antoine</b> 4:2  | 156:9               |
| <b>among</b> 178:22 | 160:6,21   | 36:12               | 13:11               | 164:5               |
| 187:9               | 161:11     | 41:7,8,10           | <b>anybody</b>      | 191:8               |
| 223:24,25           | 164:23     | 160:17              | 10:17               | 192:1               |
| <b>amongst</b>      | 172:21     | 188:19,20           | <b>anymore</b>      | 197:14,24           |
| 18:13               | 174:15     | <b>annually</b>     | 165:5               | 203:3,20            |
| 225:22              | 175:5      | 20:12 21:3          | 196:11              | 219:15              |
| <b>amou</b> 194:24  | 176:15     | 26:9,10             | <b>anything</b>     | 223:21              |
| <b>amount</b>       | 179:13,25  | 46:22               | 16:3 59:7           | 225:24              |
| 194:24              | 180:2,6,8, | 160:14              | 62:12               | 226:16              |
| 196:13              | 11 181:6   | <b>answer</b> 10:16 | 122:16              | 228:23              |
| 197:19              | 184:8,19   | 57:22 61:7          | 142:22              | <b>apples</b> 56:12 |
| <b>amounts</b>      | 185:8,23   | 74:8,15             | 193:6               | 164:17              |
| 149:9,14            | 186:1,9,12 | 109:24              | <b>anyway</b> 92:11 | <b>applicable</b>   |
| <b>analyses</b>     | 187:2,25   | 120:3               | 167:2               | 217:18,21           |
| 85:23               | 188:10,18  | 121:10              | 248:11              | <b>application</b>  |
| 114:18              | 190:2      | 122:18              | <b>Anyways</b>      | 130:24              |
| 115:2,7,17          | 192:10     | 147:6               | 62:13               | 184:21              |
| <b>analysis</b>     | 197:17     | 162:1,19            | <b>anywhere</b>     | 197:3               |
| 7:15,20             | 199:4,15   | 179:4               | 52:16               | 231:1               |
| 20:25               | 200:8      | 190:16              | <b>apol</b> 73:25   | <b>applied</b> 61:1 |
| 30:14,24            | 202:3      | 196:2               | <b>Apologies</b>    | 69:13               |
| 31:12,13,2          | 204:4      | 201:19              | 240:7               | 102:4,23,2          |
| 0 35:11             | 209:15     | 227:20              | <b>apologize</b>    | 4 103:9,11          |
| 36:17               | 213:3,9    | 253:8               | 24:19 74:1          | 181:10              |
| 41:20 44:2          | 215:12,23  | <b>answering</b>    | <b>appear</b> 71:24 | 229:12              |
| 46:15               | 216:24     | 82:1                |                     | 230:1               |
|                     | 218:2,9    | 162:19              |                     | 238:12              |
|                     | 219:5      |                     |                     | <b>apply</b> 29:20  |
|                     | 226:6      |                     |                     |                     |
|                     | 227:15     |                     |                     |                     |
|                     | 228:4      |                     |                     |                     |
|                     | 229:25     |                     |                     |                     |

|                     |                     |                     |                     |                    |
|---------------------|---------------------|---------------------|---------------------|--------------------|
| 99:23               | 139:22              | 141:9,12,1          | 193:17              | 161:10             |
| 158:4               | <b>approving</b>    | 6 145:1             | 198:9,10            | 173:22             |
| 182:23              | 135:3               | 173:10              | 204:15              | 175:19             |
| <b>applying</b>     | <b>approximatel</b> | <b>arrive</b> 88:18 | 205:7               | 179:15             |
| 252:21              | <b>y</b> 23:15      | 223:10              | 213:20              | 186:15             |
| <b>appreciate</b>   | 28:18               | <b>assess</b> 61:2  | 229:8               | 200:20,22          |
| 17:22               | 30:20               | <b>assessed</b>     | 230:6               | 201:3              |
| 57:14               | 35:12 41:2          | 66:20 88:5          | 252:1               | 205:20,22          |
| <b>approach</b>     | 46:10               | 103:7               | <b>Associates</b>   | <b>assumptions</b> |
| 36:12               | 105:9               | 190:25              | 13:3                | 7:8,16             |
| 58:19 67:8          | 153:13              | <b>assesses</b>     | 69:3,21             | 9:24 24:25         |
| 68:21               | 174:6               | 67:3                | 79:9                | 108:12             |
| 71:25 72:4          | <b>approximatio</b> | <b>assessing</b>    | <b>Association</b>  | 127:24             |
| 73:4,13             | <b>n</b> 35:17      | 67:6 68:2           | 12:13,25            | 129:4              |
| 78:1,18             | 108:24              | 77:23 78:1          | <b>assu</b> 159:4   | 141:3,19           |
| 81:22               | <b>area</b> 39:19   | 117:11              | <b>assume</b> 54:12 | 154:25             |
| 89:16 96:4          | 65:3 107:1          | <b>assessment</b>   | 75:24 86:6          | 155:1,2            |
| 100:4               | 113:13              | 68:10 72:3          | 110:7               | 156:18             |
| 190:19,21           | 127:8               | 93:5                | 173:20              | 160:24,25          |
| 191:1               | 160:8               | 162:7,15            | 174:3               | 161:3,5,7          |
| 223:9,22            | 240:12,14           | 190:22,24           | 184:8               | 162:6,14           |
| 225:21,23           | <b>areas</b> 39:20  | 224:4               | 212:17,18           | 164:18             |
| <b>approaches</b>   | 92:4                | <b>asset</b> 136:4  | 218:10              | 167:7              |
| 72:8 73:16          | 106:11              | 191:23              | 240:12              | 179:8,13,17        |
| 77:24               | 113:10              | <b>assets</b>       | 250:14              | 180:17,18          |
| 191:21              | 118:6               | 140:21              | <b>assumed</b>      | 181:5              |
| 222:24              | 122:17              | 146:24              | 156:2,6             | 189:12,13          |
| <b>approaching</b>  | 224:1               | 191:10              | 172:20              | 191:6              |
| 60:24               | <b>aren't</b>       | 192:5,22,24         | 173:6,17            | 202:22             |
| 249:15              | 55:14,16            | 4                   | 192:5               | 203:15             |
| <b>appropriate</b>  | 73:7                | <b>assigned</b>     | 203:17              | 229:18             |
| 6:19 9:3            | 84:12,13            | 101:25              | 205:17              | 230:24             |
| 40:8 47:1           | 104:1,3             | <b>assist</b> 77:22 | 220:9               | 236:23             |
| 56:19               | 201:20              | 37:12               | <b>assumes</b>      | 238:11             |
| 73:13 97:2          | 209:23              | 137:6               | 37:12               | <b>assure</b> 8:6  |
| 107:6               | 239:6               | 153:6,8             | 137:6               | <b>Athas</b> 3:8   |
| 117:13              | <b>arising</b>      | 244:14              | 153:6,8             | 12:24              |
| 118:5               | 104:8               | <b>associated</b>   | 244:14              | 69:20              |
| 190:21              | 179:2               | 67:15               | <b>assuming</b>     | 70:2,10            |
| <b>appropriaten</b> | <b>arrangement</b>  | 122:3               | 44:15               | 79:8,9,15,17       |
| <b>ess</b> 239:24   | 134:8               | 125:16              | 65:13               | 80:12,15,19        |
| <b>approval</b>     | 136:10              | 126:9               | 100:13              | 9 81:2             |
| 133:4               | 141:25              | 135:22              | 129:23              | 82:8               |
| 135:4               | 142:1               | 140:2               | 135:6               | 108:10             |
| 139:21              | 175:3               | 142:17              | 154:14              | 109:5              |
| <b>approved</b>     | <b>arrangements</b> | 169:17              | 166:8               | 170:7,8            |
| 58:18               | 6:7,10              | 170:19              | 218:15              | 178:7,15           |
| 71:11               | 7:22                | 173:24              | 228:14              | 194:4,11,15        |
| 81:21               | 134:13,23           | 183:24              | <b>assumption</b>   | 5,23               |
| 84:18               | 135:8,12            | 186:10              | 127:15,17           | 195:9,14,15        |

|                     |                    |                     |                   |                     |
|---------------------|--------------------|---------------------|-------------------|---------------------|
| 9 196:19            | 141:23             | 96:13               | 82:22             | <b>basic</b> 200:25 |
| 197:8               | 145:11,14          | <b>awareness</b>    | 83:16,18,2        | 251:21              |
| 201:23              | 147:1              | 72:6 73:15          | 1                 | <b>basically</b>    |
| 202:6,12,1          | 151:7              | <b>away</b> 43:10   | 102:3,6,7         | 36:14               |
| 7                   | 152:16             | 60:20               | 124:21,22         | 115:19              |
| 217:24,25           | 158:10,18          | 181:16              | 140:5             | 160:23              |
| 218:8               | 161:23             | 194:16              | 141:3             | 161:3               |
| 226:22              | 167:20             | 197:2               | 152:13,24         | 163:19              |
| 227:2,11,1          | 177:13             | 252:8               | 154:14,20         | 164:7               |
| 6 238:21            | 191:25             |                     | 161:4             | 177:11              |
| 239:4,12,2          | 194:24             |                     | 182:6,22          | 183:22              |
| 2 240:5             | 196:14             | <hr/>               | 197:17            | 209:13              |
| 248:22              | 197:14,23          | <hr/>               | 207:21            | 224:5               |
| 250:13,21           | 204:14             | <b>background</b>   | 222:8             | 239:17              |
| <b>attached</b>     | 211:22             | 143:7               | <b>based</b> 7:15 | 245:2               |
| 199:15              | <b>Avenue</b> 1:20 | <b>bad</b> 54:8     | 9:12 10:5         | <b>basis</b> 22:12  |
| <b>attempting</b>   | <b>average</b>     | <b>bailiwick</b>    | 24:7              | 33:14,21            |
| 41:23               | 23:18              | 227:12              | 29:4,19,24        | 34:9 88:17          |
| <b>attendance</b>   | 27:16              | <b>balance</b> 95:5 | 30:7,14,19        | 95:8 96:16          |
| 60:15               | 28:19              | 128:1               | ,21               | 103:22              |
| <b>attention</b>    | 34:18,19           | 167:9               | 31:10,12,1        | 110:21              |
| 96:12               | 35:4               | 168:3               | 9 32:12           | 145:18              |
| <b>attract</b>      | 37:12,25           | <b>balanced</b>     | 33:7 34:13        | 160:17              |
| 146:5               | 74:4 77:9          | 78:15               | 36:17             | 161:9               |
| <b>attractive</b>   | 107:16             | 94:12               | 37:25 38:9        | 170:15              |
| 83:5                | 153:1              | 128:18              | 39:13 51:7        | 186:4               |
| 100:13              | 159:9              | <b>balancing</b>    | 66:21 68:9        | 188:23              |
| 180:23              | 191:11             | 90:12               | 70:4 77:10        | 201:15              |
| <b>attractivene</b> | 193:6,7            | 95:11,23            | 82:14 85:6        | 240:4               |
| <b>ss</b>           | 195:23             | 96:16               | 88:10             | <b>bathrooms</b>    |
| 180:21,24           | 196:8,14,2         | 97:10               | 92:14             | 15:22               |
| <b>August</b>       | 5                  | <b>band</b> 109:1   | 109:9             | <b>battery</b>      |
| 139:20              | 198:7,14,2         | <b>bands</b>        | 114:25            | 126:16              |
| 144:15              | 0,23 199:1         | 42:2,4,8            | 156:25            | <b>BC</b> 105:13    |
| <b>available</b>    | 230:20             | <b>bar</b> 79:11    | 157:1             | 106:9               |
| 10:6,7              | 251:25             | 87:18               | 160:6,19,2        | <b>BC's</b> 106:9   |
| 26:12,13            | 252:1,18           | 183:8               | 3 162:23          | <b>became</b>       |
| 30:8 38:24          | <b>averaged</b>    | 211:1,10            | 167:6             | 174:16              |
| 39:19               | 252:17             | 216:8               | 170:16            | <b>becau</b> 49:17  |
| 46:23               | <b>averaging</b>   | <b>Barb</b> 120:9   | 179:7,8,14        | <b>become</b>       |
| 53:24               | 95:18              | 70:19,21            | 180:17            | 126:13              |
| 70:20 72:8          | 158:16             | 99:14               | 182:6,22          | 222:23              |
| 86:20               | 193:8              | <b>barriers</b>     | 186:2             | <b>becomes</b>      |
| 107:1,9             | 194:7              | 70:19,21            | 189:18            | 73:19               |
| 114:18              | 251:17             | 80:4,16             | 194:12            | 78:22               |
| 118:6               | <b>avoid</b> 158:6 | <b>base</b> 8:22    | 202:15            | 90:24               |
| 123:13,20           | <b>avoided</b>     | 22:25               | 204:13            | 92:21               |
| 125:15              | 74:4,12            | 28:15               | 219:5             | <b>becoming</b>     |
| 129:1               | 77:9 89:3          | 60:23               | 231:22            | 82:17               |
| 139:1               | <b>aware</b> 16:5  |                     | <b>baseline</b>   |                     |
|                     | 46:15              |                     | 102:14,22         |                     |
|                     |                    |                     | 119:13            |                     |

|                     |                     |                     |                     |                     |
|---------------------|---------------------|---------------------|---------------------|---------------------|
| 184:23              | <b>benefit-cost</b> | 86:6,19             | 2                   | <b>bookkeeping</b>  |
| <b>beers</b> 90:2   | 87:4                | 133:15              | <b>biological</b>   | 197:1               |
| <b>begin</b> 105:7  | 93:16,23,2          | 170:4               | 75:7                | <b>books</b> 80:11  |
| <b>beginning</b>    | 5 94:22             | 192:3,19            | <b>biomass</b>      | <b>border</b> 125:3 |
| 17:21               | <b>benefits</b>     | 194:1               | 170:23              | 126:24              |
| 18:11 23:5          | 7:24 8:2            | 201:18              | <b>bit</b> 6:11     | 133:20              |
| 28:21               | 68:16 87:9          | 242:2               | 9:16 19:7           | 137:12              |
| <b>begins</b> 17:6  | 93:8 95:6           | <b>bigger</b> 59:4  | 43:20               | <b>Boris</b> 3:7    |
| 168:6,8             | 100:1               | 126:15,16           | 51:14               | 11:25               |
| <b>behalf</b> 6:5   | 123:18,21,          | 206:18              | 75:21               | <b>borrowing</b>    |
| 95:3                | 23 124:13           | <b>bill</b> 3:19    | 94:17 98:2          | 202:13              |
| <b>behaviour</b>    | 125:6,12            | 11:17 13:4          | 110:5               | 227:4,7             |
| 45:16 96:1          | 136:15,16           | 55:3                | 118:8               | 228:13,16           |
| 101:1               | 144:12              | 56:5,8,11,          | 120:18              | <b>bottom</b> 154:9 |
| <b>behind</b> 182:8 | 149:18              | 15 64:23            | 131:13,17           | 222:3               |
| 223:9               | 173:13              | 65:12,13,1          | 163:13              | 230:22              |
| <b>bel</b> 71:24    | 184:23,25           | 8,21                | 165:13              | 237:6               |
| <b>believe</b> 69:7 | 185:5               | 75:20,21            | 172:15              | 238:6               |
| 92:7                | 187:1               | 76:3,11,21          | 184:5               | <b>bound</b>        |
| 101:16              | 204:16              | ,24 77:2            | 193:11              | 152:14,15           |
| 118:2               | 211:1,11            | 97:3,8              | 220:16              | <b>bounds</b>       |
| 122:25              | <b>besides</b>      | 110:4,10            | 234:14              | 219:23              |
| 130:24              | 226:23              | 130:19              | 247:10,12,          | 220:9               |
| 135:16              | <b>best</b> 7:4,18  | 132:14              | 13                  | 229:6               |
| 154:17              | 10:6 22:17          | 145:7               | <b>black</b>        | <b>Bowen</b> 3:3    |
| <b>ben</b> 76:12    | 30:6 46:24          | 176:11              | 24:18,25            | 15:16               |
| <b>benchmark</b>    | 70:23               | 184:18              | 25:1                | 182:11              |
| 76:12               | 107:7               | 227:19,24           | <b>blended</b> 74:4 | <b>Bowman</b> 4:3   |
| <b>beneficial</b>   | 111:16              | 228:11,18           | <b>blends</b> 74:4  | 13:13,14            |
| 7:11                | 156:9               | 229:1               | <b>block</b> 107:23 | 189:14,15           |
| 243:19              | 161:1               | <b>billion</b>      | <b>blue</b> 28:13   | 210:20,21           |
| <b>benefit</b>      | 242:22              | 207:3,22            | 87:18               | 211:8,19            |
| 68:12,18,2          | <b>bet</b> 156:9    | 209:5,10            | 170:18              | 212:2,13,1          |
| 3 69:17             | <b>better</b> 18:21 | 222:20,22           | 208:4               | 7,22                |
| 74:13               | 38:23 40:7          | 230:25              | 237:25              | 213:12,19           |
| 75:10,12,1          | 49:23               | 237:9               | <b>bo</b> 152:15    | <b>box</b> 48:23    |
| 4                   | 103:24              | 242:2,3             | <b>board</b> 1:3,19 | 231:18,19,          |
| 87:3,21,22          | 104:6               | 249:15              | 8:7                 | 22                  |
| ,24 88:25           | 107:5               | <b>billions</b>     | 12:4,6,8,1          | 232:2,5,6           |
| 89:3                | 109:14              | 197:18              | 1 24:14             | 248:24              |
| 124:12              | 125:13              | <b>bills</b> 64:9   | 25:3,25             | 249:8,19,2          |
| 125:8,12,1          | 126:17              | 95:14               | 26:2,22             | 0,25                |
| 4 195:6             | 130:11              | 96:25               | 140:1               | 250:14,25           |
| 201:2               | 183:3               | <b>Bill's</b> 56:25 | <b>Bob</b> 2:2 12:5 | 251:2               |
| 203:12              | 211:12              | <b>bin</b> 49:3     | 31:22               | <b>boxes</b>        |
| 205:10,11           | 228:23              | 55:1                | 32:10 33:4          | 250:23,25           |
| 207:4,15            | 242:11,12           | <b>bio</b> 75:7     | 34:5                | <b>Boyd</b> 2:16    |
| 250:8,12            | 248:19              | <b>bioenergy</b>    | 42:11,12            | 14:12               |
|                     | <b>beyond</b> 29:17 | 74:19,21,2          | 111:18              |                     |
|                     | 54:5 60:22          |                     |                     |                     |
|                     | 83:3                |                     |                     |                     |

|                     |                     |                     |                     |                     |
|---------------------|---------------------|---------------------|---------------------|---------------------|
| 53:21,25            | 251:10              | <b>burn</b> 75:8    | <b>calculates</b>   | 233:17              |
| 54:1                | 252:3               | 244:24              | 34:9                | 234:4               |
| <b>boys</b> 89:22   | <b>briefly</b> 17:9 | 245:10              | <b>calculating</b>  | <b>capital</b> 8:18 |
| <b>brackets</b>     | 20:25 21:1          | <b>burned</b> 75:1  | 34:16               | 135:17              |
| 214:23              | 24:1 58:17          | <b>burning</b>      | <b>calculation</b>  | 136:23              |
| <b>brainstorm</b>   | 69:3                | 117:15,17           | 202:11              | 142:25              |
| 142:12              | 197:13              | 244:23              | 252:10              | 149:7               |
| <b>branch</b> 12:13 | <b>bring</b> 18:7   | <b>bus</b> 99:1     | <b>calculations</b> | 172:7               |
| 239:5,7             | 70:24 90:8          | <b>business</b> 7:4 | 127:16,19           | 173:23              |
| <b>Brattle</b>      | 182:24              | 59:4 109:6          | <b>Canada</b> 12:13 | 174:7,8,12          |
| 151:20,23           | 201:13              | 134:13              | 24:14               | 175:20              |
| 152:6,8,23          | 203:22              | 135:8,12            | 25:14,25            | 176:16              |
| 153:19              | <b>bringing</b>     | 137:4               | 26:2,24             | 177:4,7,8           |
| 156:15,18           | 40:6                | 144:17              | 133:12              | 181:19,22           |
| <b>Braun</b> 3:20   | <b>brings</b>       | 145:1               | 135:5               | 182:9,12            |
| 13:6                | 113:23              | 164:9               | 147:16              | 185:18,24           |
| <b>break</b> 53:18  | <b>broader</b>      | 171:25              | <b>Canada's</b>     | 186:22              |
| 57:11               | 186:16              | <b>busy</b> 111:25  | 25:3 26:22          | 192:4,21            |
| 120:8,10            | <b>broadly</b>      | <b>buy</b> 100:22   | <b>Canadian</b>     | 193:1,4,13          |
| 150:4               | 98:19               | <b>Byron</b> 3:17   | 122:10              | 198:7,11,1          |
| 165:19              | <b>broke</b> 112:6  | 13:9                | 137:12              | 4,20,23             |
| 234:11,20           | <b>brought</b> 33:1 | 42:9,10,11          | <b>cans</b> 90:1    | 199:1,13            |
| 235:5               | 40:6 84:22          | ,16                 | 202:7               | 200:25              |
| <b>breakdowns</b>   | 109:20              | 43:8,9,12           | <b>cap</b> 136:23   | 201:25              |
| 54:2                | <b>Buhr</b> 2:9     | 56:24               | 198:7               | 202:7               |
| <b>breakers</b>     | 13:20               | 104:20              | <b>capabilities</b> | 203:7,16            |
| 148:4               | <b>build</b> 126:15 | 133:17              | 147:14              | 204:9,14,2          |
| <b>Brent</b> 3:15   | 130:25              | 134:2,15,1          | <b>capability</b>   | 0,24                |
| 14:14               | 131:5,9,21          | 6,22                | 126:13,14           | 208:13,19           |
| <b>brief</b> 8:13   | 136:25              | <b>Byron's</b>      | 136:8               | 209:3               |
| 11:15               | 144:5               | 105:11              | 146:14              | 216:13,14           |
| 16:23               | 149:15              | <b>by-side</b>      | 147:16,19,          | 217:6,19            |
| 17:3,25             | <b>building</b>     | 236:8               | 20,21,23            | 218:1               |
| 18:9 20:16          | 49:15 94:7          | _____               | 148:9,18            | 219:24              |
| 21:10 36:2          | 135:23              | C                   | 172:5,20            | 220:22              |
| 48:3 59:21          | 136:14              | <b>CAC</b> 3:17     | <b>capable</b>      | 221:8,19            |
| 61:9,14             | 137:10              | 13:5,7,10           | 143:24              | 222:1,3             |
| 77:16               | 138:3               | 55:4 56:25          | <b>capacity</b>     | 224:2               |
| 122:21              | 143:21              | 104:21              | 7:21 74:5           | 225:8,9             |
| 132:12              | 144:10              | 133:18              | 77:11               | 227:16,17           |
| 145:20              | <b>built</b>        | <b>Calaiacovo</b>   | 126:21              | 238:25              |
| 150:1,12            | 55:17,19            | 3:13                | 129:15              | 244:6               |
| 165:1,10            | 83:16,17,2          | <b>calculate</b>    | 140:20,25           | 250:5,7             |
| 177:10,24           | 0 135:7             | 230:20              | 157:12              | <b>Capra</b> 12:25  |
| 178:5,24            | 136:19              | <b>calculated</b>   | 164:12              | 13:3                |
| 184:16              | 148:4,5             | 188:19              | 167:4,6,9,          | 69:2,20             |
| 209:20              | 149:13              | 198:8               | 13,18,19            | 79:9 94:18          |
| 226:19              | 208:3               |                     | 168:9               | <b>capture</b>      |
| 249:4               |                     |                     | 205:16              | 115:2               |
|                     |                     |                     |                     | 193:25              |
|                     |                     |                     |                     | <b>captured</b>     |
|                     |                     |                     |                     | 205:21              |

|                     |                     |                     |                          |                     |
|---------------------|---------------------|---------------------|--------------------------|---------------------|
| 231:13              | 235:21              | 186:1               | 218:3                    | 243:24,25           |
| 251:15,19           | 238:10,19           | <b>caused</b> 32:2  | 227:12                   | <b>chapters</b>     |
| <b>capturing</b>    | 239:11              | <b>cell</b> 16:6    | 228:12,14,<br>15,20      | 160:22              |
| 182:12              | 241:16              | <b>cells</b> 196:16 | <b>changed</b> 86:9      | 166:23              |
| <b>carbon</b>       | <b>case-by</b>      | <b>cent</b> 74:10   | 121:20                   | 177:25              |
| 153:7,8             | 96:15               | <b>Centre</b>       | 187:8                    | 178:2               |
| 154:9,12,1          | <b>case-by-case</b> | 11:18,20,2          | 218:1,7                  | <b>charact</b>      |
| 5,23                | 88:17 95:7          | 2                   | <b>changes</b>           | 31:16               |
| 155:13,25           | <b>cases</b> 55:8   | <b>cents</b> 73:23  | 30:12,13,1               | <b>character</b>    |
| 156:1,2,5,<br>6     | 194:17              | 74:10,11            | 6 40:22                  | 37:17               |
| 217:8,13,1          | 211:21              | 75:23 76:9          | 43:22 44:2               | <b>characterist</b> |
| 5 227:1,2           | 221:13              | 77:8                | 129:14,15                | <b>ic</b> 30:4      |
| 245:5               | 224:24              | 88:15,16            | 216:14                   | 36:10               |
| <b>Care</b> 14:23   | <b>cash</b> 8:2     | <b>certain</b>      | 228:19                   | 102:1               |
| <b>careful</b> 19:7 | 188:25              | 32:25 70:5          | <b>changing</b>          | <b>characterist</b> |
| <b>Carlo</b> 251:16 | 191:24              | 75:24               | 227:3,4                  | <b>ics</b> 22:18    |
| <b>Carr</b> 2:10    | 197:23              | 100:17              | <b>chap</b> 58:16        | 69:15               |
| 14:5                | 203:5               | 131:20              | <b>chapter</b>           | 101:25              |
| <b>Carriere</b>     | 208:2,8,15          | 181:20,24,          | 51:17                    | 108:22              |
| 2:24 15:10          | ,24                 | 25 183:9            | 58:16 71:8               | 168:24              |
| <b>carry</b> 140:17 | <b>catch</b> 150:4  | 251:18              | 87:16                    | 169:7               |
| 234:20              | <b>categories</b>   | <b>certainly</b>    | 101:15                   | 248:7,15            |
| 253:5               | 67:8,10             | 54:3 62:4           | 115:6                    | <b>characteriza</b> |
| <b>carved</b>       | 168:25              | 173:19              | 116:24                   | <b>tion</b> 82:3    |
| 211:2,4             | <b>Cathcart</b> 2:8 | 182:18              | 122:6                    | 169:4               |
| <b>case</b> 7:4     | 13:18               | 209:25              | 127:10                   | <b>charateri</b>    |
| 8:22 20:14          | 25:23,24            | <b>certainty</b>    | 151:21                   | 169:7               |
| 82:22               | 26:4,11,15          | 134:18,20           | 152:21                   | <b>charge</b>       |
| 83:16,18,2          | ,20 27:1            | 135:1               | 161:6                    | 107:19              |
| 1 96:16             | 52:22,23            | <b>certificate</b>  | 166:23,24,<br>25 167:2,4 | 108:2               |
| 137:4               | 53:4,7,13,          | 5:15 132:7          | 168:1,18,1               | <b>charged</b>      |
| 140:5               | 17,23 54:8          | 144:24,25           | 9 169:2,9                | 201:4               |
| 144:17              | 115:10,11,<br>22    | <b>Certified</b>    | 170:14                   | <b>charges</b>      |
| 152:13,24           | 116:1,4,7           | 253:16              | 171:15                   | 211:13              |
| 154:14,20           | 136:20,21           | <b>cetera</b> 25:18 | 177:3                    | <b>chart</b> 30:15  |
| 168:5               | 137:7,13            | <b>CFL</b> 65:7     | 178:3                    | 37:1 79:11          |
| 186:15              | 142:18              | <b>chance</b>       | 179:5,24                 | 106:9               |
| 188:10              | 143:6,14,1          | 165:18              | 180:8,15,1               | 115:1               |
| 204:22              | 5                   | 234:14              | 9 181:4,9                | 170:9               |
| 210:24              | 160:12,13,<br>18    | <b>change</b> 9:23  | 188:4                    | 183:8               |
| 211:9,10,1          | 163:2,3,11          | 38:23               | 205:2                    | 194:5               |
| 1,14                | ,16 175:16          | 41:7,11             | 206:19                   | 203:23              |
| 213:10              | 192:7,8,14          | 44:4 96:1           | 215:12,18                | 204:4               |
| 222:7,16,1          | 225:11,12           | 117:1               | 216:5                    | 206:22,23           |
| 8 223:5             | 226:1,4,9           | 131:15              | 221:23                   | 208:2,5             |
| 224:18,23           | <b>cause</b> 92:4   | 180:6               | 226:12                   | 210:25              |
| 225:2               | 111:13              | 202:2               | 227:15                   | 221:6,24            |
| 231:9               | 137:17              |                     | 230:8,15,1               | 222:1,4,10          |
|                     |                     |                     | 8 233:4                  | 230:11              |
|                     |                     |                     | 236:12,21                |                     |



|   |   |  |   |   |
|---|---|--|---|---|
| 237:2<br>238:6,8<br>248:25<br><b>charts</b> 205:2<br>206:18<br>208:7<br><b>chat</b><br>4:11,12,13<br>,14,15<br>43:16 47:7<br>54:11<br>73:22 74:3<br>77:7 86:1<br>105:6<br>108:5<br>109:23<br>118:13<br>157:10<br>160:1<br>162:4,12<br>178:19<br>186:8<br>219:22<br>220:2,8<br>229:5<br><b>check</b> 34:19<br>36:15 46:1<br><b>Cheryl</b> 2:25<br>15:12<br>253:21<br><b>Chevy</b> 98:25<br><b>chillers</b><br>94:4<br><b>choice</b> 44:6<br>239:23<br><b>choices</b> 40:7<br><b>choose</b> 40:9<br>107:8<br>118:5<br>248:12<br><b>choosing</b><br>44:7 107:7<br>187:9<br><b>chosen</b><br>187:17,21<br><b>circumstance</b><br><b>s</b> 9:23<br><b>city</b> 107:1 | <b>clarificatio</b><br><b>n</b> 17:12,19<br>50:4<br>122:18<br>175:17<br><b>clarify</b><br>48:15<br>51:10<br>64:25 77:3<br>88:21<br>132:15<br>155:19<br>170:22<br>190:6<br><b>clarifying</b><br>105:19<br>178:7<br>195:25<br>226:22<br><b>clarity</b> 20:8<br>217:25<br><b>clear</b> 54:13<br>174:16<br>184:20,22<br>214:10<br>249:9<br><b>clearly</b><br>236:11<br>242:10<br>248:12<br><b>Clendenan</b><br>2:23 15:8<br><b>client</b><br>156:22<br><b>clients</b> 32:2<br><b>climate</b><br>180:6<br><b>close</b> 109:25<br><b>closely</b><br>74:16<br><b>closer</b><br>100:17<br><b>closest</b><br>188:11<br>204:10<br><b>closing</b><br>114:2 | <b>co</b> 185:20<br><b>CO2</b> 93:25<br>152:23<br>153:6<br><b>coal</b> 124:22<br><b>code</b><br>49:14,15,1<br>6,17,18<br>72:7<br>109:19<br><b>coded</b> 237:24<br><b>codes</b><br>47:9,14,16<br>,20,25<br>48:14,18<br>49:12,23<br>50:1,10,24<br>51:4,11<br>52:6,9,12<br>53:9,13,16<br>,19 54:12<br>55:2 80:8<br>118:15<br>119:2,3,7,<br>10,14<br><b>coffee</b> 57:21<br><b>co-investors</b><br>185:21<br><b>Colaiacovo</b><br>14:7,8<br>190:5,6,13<br>,14<br><b>collect</b><br>165:18<br><b>Colleen</b> 2:17<br>14:16<br><b>collinear</b><br>246:5<br><b>colonies</b><br>75:6<br><b>colour</b><br>222:5,6<br>237:24<br>238:2,4<br><b>coloured</b><br>211:3<br>249:24 | <b>colours</b><br>222:12,19,<br>21,23<br><b>column</b><br>206:24<br>207:9,13<br>222:10<br><b>columns</b><br>221:12<br><b>combination</b><br>72:7<br>241:18<br>242:14<br><b>combinations</b><br>224:16<br><b>combine</b><br>22:18<br>64:13<br>157:24<br>159:14<br><b>combined</b><br>191:13<br><b>combines</b><br>191:21<br><b>combustion</b><br>196:15<br><b>comes</b> 33:6<br>38:24 94:9<br>96:15<br>131:13<br>150:10<br>197:21<br>245:9<br><b>comfortable</b><br>37:6 56:20<br><b>coming</b> 9:13<br>16:20<br>47:18<br>59:17<br>81:24<br>84:1,16<br>98:4 101:2<br>116:13<br>119:5,17<br>120:1<br>138:11<br>166:6<br>173:19<br>185:6 | 220:16<br><b>commencing</b><br>6:1<br><b>comment</b><br>35:20<br>55:23<br>123:16<br>140:9<br>175:7<br>176:12<br><b>comments</b> 5:4<br>106:1<br><b>commercial</b><br>27:11,14<br>28:5<br>94:3,6,8<br>106:16<br>107:24<br>108:1<br>112:5<br>113:9,15<br><b>commit</b><br>128:14<br><b>commitment</b><br>98:13<br>116:23<br>132:22<br><b>commitments</b><br>167:21<br>171:22<br>172:10<br>187:8<br>234:23<br><b>committed</b><br>7:12<br>29:8,12<br>32:23,24<br>47:19<br>54:15<br>126:10<br><b>common</b> 187:1<br>188:20<br>202:25<br>223:22<br>225:21<br><b>communicated</b><br>27:3<br><b>community-</b><br><b>based</b> |
|---|---|--|---|---|

|                     |                     |                     |                     |                     |
|---------------------|---------------------|---------------------|---------------------|---------------------|
| 81:17               | 199:16              | 185:21,25           | 26:1,22             | 68:11               |
| <b>companies</b>    | 221:4               | 187:15              | 60:17               | 78:16 83:7          |
| 139:23              | 222:7               | 197:16,21           | 151:13              | 108:18              |
| 149:20,25           | 239:13,25           | 219:24              | <b>confidence</b>   | <b>consider</b>     |
| <b>company</b> 6:18 | 248:25              | 232:16,18           | 248:3               | 67:11,12            |
| 90:3                | <b>comparison</b>   | 233:9               | <b>confidential</b> | 129:25              |
| <b>comparable</b>   | 56:13               | 238:3               | 145:10,14,          | 160:9,10            |
| 45:23               | 95:16 97:4          | 242:10              | 16,18               | 162:8,16            |
| 55:16               | 105:12              | 248:8               | 151:5               | 164:10              |
| <b>comparative</b>  | 176:2               | <b>concept</b>      | 157:21              | 217:14              |
| 104:23              | 206:19              | 180:1               | 158:20              | 231:12              |
| 199:6               | 207:13,18           | 241:14              | 214:7               | 242:8               |
| <b>comparativel</b> | 222:8               | <b>concepts</b>     | <b>confidential</b> | 243:20,24           |
| <b>y</b> 171:25     | 239:10              | 241:13              | <b>ly</b> 157:19    | <b>considerable</b> |
| <b>compare</b> 8:3  | 247:2               | <b>conceptual</b>   | <b>confirm</b>      | 153:11              |
| 51:13               | <b>comparisons</b>  | 98:19               | 118:14              | <b>consideratio</b> |
| 55:12,21            | 188:13              | <b>conceptually</b> | 162:5,13            | <b>n</b> 25:16      |
| 56:9 68:19          | 207:8,10            | 92:13               | <b>confirmed</b>    | 78:6,8              |
| 69:17               | 238:18              | <b>concerned</b>    | 213:16              | 182:1               |
| 87:19,20            | <b>complement</b>   | 182:17              | <b>congestion</b>   | 189:17,25           |
| 186:20              | 98:14               | <b>concerns</b>     | 125:3               | 195:18              |
| 199:10              | <b>complementar</b> | 39:16               | <b>connect</b>      | 219:3,11            |
| 244:4               | <b>ity</b> 123:2    | <b>concert</b>      | 125:9               | 245:3               |
| 250:23              | 124:24              | 98:18               | <b>connected</b>    | 251:5               |
| <b>compared</b>     | <b>complete</b>     | <b>conclusion</b>   | 236:1               | <b>consideratio</b> |
| 8:23 42:20          | 199:10              | 117:2               | 240:25              | <b>ns</b> 248:13    |
| 46:4 87:3           | <b>completely</b>   | <b>concrete</b>     | <b>connection</b>   | <b>considered</b>   |
| 91:8 100:1          | 241:15,17           | 181:25              | 123:19              | 8:5 169:23          |
| 104:25              | <b>compliance-</b>  | <b>condition</b>    | <b>cons</b> 44:11   | 172:18              |
| 188:23              | <b>driven</b>       | 252:22              | 162:8               | 187:13              |
| 193:18              | 156:3               | <b>conditional</b>  | <b>cons</b> 44:11   | 189:5               |
| 195:17              | <b>component</b>    | 141:6               | 190:18              | 199:12              |
| 200:10              | 80:17               | <b>conditions</b>   | <b>consciously</b>  | 203:11              |
| 204:6,21,2          | 118:23              | 37:13               | 190:18              | 219:23              |
| 3 207:1             | 181:23              | 38:23               | <b>consens</b> 24:7 | 227:10              |
| 209:2               | <b>components</b>   | 100:14,20,          | <b>consensus</b>    | 228:10              |
| 211:11              | 49:5,7              | 24 164:19           | 24:8 26:6           | 231:22              |
| 238:17              | 71:1 72:12          | 176:20              | 39:13               | 246:1,10            |
| 239:6,8             | 80:5 175:9          | 212:10              | 151:2,5,25          | 248:14,16,          |
| 242:23              | 177:10              | <b>conductor</b>    | 153:21,24           | 17,19               |
| 243:5               | 191:24              | 148:6               | 158:23              | <b>considering</b>  |
| 247:4               | 198:5               | <b>conference</b>   | 159:8,18,1          | 78:10               |
| 248:1               | 227:9               | 1:11                | 9                   | 85:13 90:9          |
| 249:13              | 232:16,18           | 6:13,23             | 162:5,13,2          | 171:24              |
| <b>comparing</b>    | <b>con</b> 160:4    | 17:8,18             | 4                   | 222:9               |
| 74:12               | 200:24              | 20:2                | <b>conservation</b> | <b>considers</b>    |
| 88:13               | <b>Conawapa</b>     | 24:2,14             | 14:24               | 151:4               |
| 112:20              | 136:15,16           | 25:3,24             | 48:20 49:4          | 185:9               |
| 164:17              | 181:16              |                     | 51:12 52:6          | <b>consist</b> 72:4 |
| 188:1               |                     |                     | 56:4 64:19          | 172:22              |

|                     |                     |                    |                     |                     |
|---------------------|---------------------|--------------------|---------------------|---------------------|
| <b>consistency</b>  | 18,22               | 152:6,8            | 78:15               | <b>s</b> 88:5       |
| 29:20               | 163:5,6,8,          | 210:12             | <b>contributing</b> | <b>correct</b> 33:7 |
| 162:5,13,2          | 10,15               | 216:23             | 80:24               | 55:25               |
| 5                   | 164:1,22            | <b>contextual</b>  | 175:19              | 56:14               |
| <b>consistent</b>   | 245:3               | 24:23              | <b>contribution</b> | 123:3               |
| 67:5                | <b>consultant's</b> | <b>contingent</b>  | 134:24              | 129:8               |
| <b>constant</b>     | 102:16              | 178:10             | <b>conventional</b> | 133:18              |
| 33:14,25            | 127:22              | 203:1              | 61:20               | 141:18              |
| 189:3               | <b>Consultants</b>  | <b>continue</b>    | <b>conversion</b>   | 146:12,23           |
| 195:22              | 13:14,17            | 7:14 16:2          | 65:9                | 154:10,11           |
| 196:8               | <b>consultation</b> | 23:10              | <b>converted</b>    | 159:22              |
| <b>constitute</b>   | 114:8               | 27:18 29:1         | 65:8                | 171:7               |
| 86:15               | 117:4               | 65:17              | <b>cooling</b>      | 212:1,5,15          |
| <b>constitutes</b>  | <b>Consulting</b>   | 73:18              | 113:16              | 233:18              |
| 106:14              | 11:24               | 132:23             | <b>Cormie</b> 2:22  | 240:18              |
| <b>constraints</b>  | <b>consumed</b>     | 138:23             | 15:4                | 253:16              |
| 128:22              | 22:22,25            | 141:25             | 121:2,6,17          | <b>corrected</b>    |
| <b>construct</b>    | <b>consumer</b>     | 188:8              | 122:23              | 44:24               |
| 107:24              | 19:23 32:9          | 195:7              | 123:4               | <b>correctly</b>    |
| <b>constructed</b>  | <b>consumers</b>    | <b>continues</b>   | 124:18,25           | 80:13               |
| 98:3                | 22:16               | 73:11              | 125:25              | 82:12               |
| 172:23,24           | 27:12               | <b>continuing</b>  | 127:3,6,20          | 158:3               |
| <b>constructing</b> | 28:11,13            | 7:17 59:24         | 128:11              | 209:13              |
| 169:12              | 29:4 33:18          | 61:19              | 129:9,17,2          | 210:23              |
| <b>construction</b> | <b>consumer's</b>   | 65:15 84:1         | 128:11              | 211:16              |
| 124:11              | 89:10               | 98:12              | 129:9,17,2          | 213:22              |
| 138:7               | <b>Consumers</b>    | 116:21             | 1 130:14            | 218:15              |
| 145:5               | 12:13               | 134:5              | 132:1,17            | 244:13              |
| <b>consultant</b>   | <b>consumption</b>  | <b>contract</b>    | 134:1,20,2          | <b>correlated</b>   |
| 12:18 13:5          | 36:21 56:1          | 126:3,19,2         | 5 135:19            | 219:6               |
| 98:17               | 75:18               | 0,21               | 136:13              | <b>correlation</b>  |
| 104:3               | 102:3,11,2          | 131:4,20           | 137:3,8,15          | 28:5 219:5          |
| 108:19              | 0                   | 132:5,19           | ,22 139:15          | <b>corridor</b>     |
| 109:2               | <b>Con't</b> 3:1    | 133:1              | 140:12              | 15:23               |
| 129:10              | 4:1                 | 165:7              | 141:8,20            | 147:12              |
| 130:17              | <b>contained</b>    | 205:22             | 142:11,14           | <b>cost</b> 7:22    |
| 157:6               | 86:2 117:7          | 213:6              | 143:2,8,13          | 8:18 12:1           |
| 158:24              | <b>contains</b>     | <b>contracted</b>  | ,18 145:12          | 67:11,16,1          |
| <b>consultants</b>  | 180:19              | 98:17              | 146:22              | 8,21,25             |
| 127:25              | <b>contemplated</b> | <b>contracts</b>   | 148:11,14,          | 68:10,19,2          |
| 128:4               | 59:25               | 125:21,25          | 16,20,25            | 0,23 69:18          |
| 129:6               | <b>CONTENTS</b> 5:1 | 127:2,4            | 150:3               | 70:15,16            |
| 130:13              | <b>context</b>      | 138:15             | <b>corner</b>       | 71:2,13,19          |
| 151:1,24            | 24:16               | 145:13             | 198:19              | 73:9                |
| 156:13              | 26:23               | 178:9,12           | 237:10              | 74:4,12             |
| 157:11,16,          | 72:14               | 202:23             | <b>corporate</b>    | 76:8                |
| 23 158:2            | 98:23               | <b>contributed</b> | 190:18              | 77:9,10             |
| 160:2,5             |                     | 155:14             | <b>Corporation</b>  | 78:24               |
| 161:15,17,          |                     | <b>contributes</b> | 98:18               | 79:19,20            |
|                     |                     |                    | 117:12              | 81:5,8,14           |
|                     |                     |                    | <b>Corporation'</b> | 87:3,7,17           |

|               |                  |                     |                     |                     |
|---------------|------------------|---------------------|---------------------|---------------------|
| 88:4,14       | 69:24            | 12:6,11,15          | 75:1,8              | <b>Cumulatively</b> |
| 89:3          | 70:11            | 13:7,10,12          | 101:8               | 64:8                |
| 90:15,24      | 71:2,9           | 14:12,19            | 215:5               | <b>curious</b>      |
| 91:2,12       | 82:5 83:14       | 15:7 18:3           | <b>created</b>      | 185:5               |
| 92:15,20      | 87:1,5,10,       | <b>count</b> 33:22  | 125:17              | <b>Curlick</b> 2:17 |
| 94:11         | 15 90:18         | <b>counterparti</b> | 251:6               | 14:16               |
| 95:17         | 91:8,18,21       | <b>es</b> 173:2,8   | <b>creates</b>      | <b>current</b> 7:16 |
| 99:23         | 99:14,15,2       | <b>counterparty</b> | 143:4               | 45:24               |
| 100:2,9       | 4 135:22         | 142:7               | <b>creation</b> 8:2 | 46:23               |
| 107:15        | 136:18,23        | <b>counting</b>     | <b>credible</b>     | 58:18               |
| 110:15        | 137:6            | 51:3                | 130:5               | 63:22               |
| 128:2         | 149:18           | <b>couple</b> 32:3  | <b>credit</b>       | 66:12               |
| 131:14        | 162:22           | 117:14              | 195:20,21           | 71:11               |
| 135:17,20     | 169:12           | 121:20              | <b>criteria</b>     | 80:23               |
| 137:10,11     | 170:4,16,1       | 166:25              | 169:25              | 81:19               |
| 140:23        | 9                | 210:2,4             | 171:23              | 82:4,13,15          |
| 148:3         | 173:24,25        | <b>coupled</b>      | <b>critical</b>     | 85:15               |
| 169:8,10,1    | 174:7,8,12       | 131:2               | 123:25              | 93:15               |
| 7,21          | 181:23           | <b>course</b> 8:21  | <b>cross</b> 10:20  | 102:13              |
| 170:19        | 182:6,7,13       | 9:18                | 17:9 19:7           | 110:23              |
| 173:1,5,22    | ,16,21           | 170:18              | 240:9,10,2          | 112:21,22           |
| ,23           | 184:23,24,       | 174:4               | 0,22                | 114:24              |
| 181:19,22,    | 25 185:18        | 200:23              | 241:23              | 115:11,19           |
| 24            | 187:4,5,6,       | 213:6               | <b>cross-</b>       | 116:14,16           |
| 182:22,24     | 12,22            | 253:8               | <b>correlatio</b>   | 127:2               |
| 183:1         | 188:20,22,       | <b>cover</b> 17:9   | <b>ns</b> 219:1     | 142:25              |
| 184:2         | 25 192:5         | 135:21,22           | <b>crosses</b>      | 182:16              |
| 185:5         | 197:13,17,       | 168:12              | 238:13              | <b>curve</b> 65:3   |
| 186:22        | 19,22            | 226:6               | <b>cross-</b>       | 73:3 96:12          |
| 187:1,23      | 203:8,11,1       | <b>covered</b>      | <b>examinatio</b>   | 109:3               |
| 188:12,13     | 9 208:9          | 166:15              | <b>n</b> 10:18,19   | 240:13,14           |
| 189:5         | 216:13,21        | <b>covering</b>     | 17:13 19:3          | <b>curves</b>       |
| 192:21        | 217:6,20,2       | 102:18              | <b>crossing</b>     | 108:17              |
| 193:1,3,13    | 1 218:13         | <b>covers</b>       | 214:7               | 109:13              |
| ,15           | 219:24           | 168:18              | 240:11              | 234:21              |
| 198:7,14,2    | 220:22           | 179:6,24            | <b>crossover</b>    | <b>cust</b> 97:7    |
| 0,23 199:1    | 221:9,19         | 226:7               | 247:15              | <b>customer</b>     |
| 202:2,13      | 222:1,3          | <b>CPI</b> 183:1    | <b>crowd</b> 15:21  | 14:23               |
| 204:14        | 224:3            | 227:8               | <b>cu</b> 101:6     | 23:19               |
| 209:17        | 225:8,10         | 228:9               | <b>cubic</b>        | 28:15               |
| 214:18,22     | 227:3,17         | <b>Craig</b> 3:12   | 63:13,25            | 67:23 70:5          |
| 216:14        | 238:25           | 14:1                | 64:18               | 75:9,11             |
| 217:20        | 244:6,21         | 155:21              | <b>cumulative</b>   | 79:6                |
| 218:1         | 245:11           | 156:7,10,1          | 45:23               | 87:2,3,4            |
| 227:4         | 251:25           | 2,24                | 199:9               | 92:20               |
| 228:13        | <b>council</b>   | 157:4,7             | 235:19              | 94:11               |
| 239:19        | 135:3            | 223:3,8,14          |                     | 95:12,24,2          |
| 244:23,24     | <b>Council's</b> | <b>create</b> 51:8  |                     | 5                   |
| <b>costly</b> | 108:18           |                     |                     | 96:7,8,17           |
| 204:15        | <b>counsel</b>   |                     |                     | 99:16               |
| <b>costs</b>  | 2:2,3            |                     |                     | 101:1               |
| 67:12,15      | 11:17            |                     |                     |                     |
| 68:5,18       |                  |                     |                     |                     |

|   |  |  |   |   |
|---|--|--|---|---|
| 126:10<br>171:3<br><b>customers</b><br>7:19 25:18<br>27:11,14,2<br>5 28:5<br>29:4,6,13,<br>17<br>32:14,20,2<br>2<br>33:3,8,10<br>34:1<br>40:7,9<br>44:7 64:6<br>67:10,18<br>70:6 73:16<br>78:11<br>79:2,4,7<br>94:25<br>95:6,15<br>96:13,24,2<br>5 97:7<br>101:7,9<br>107:5,19<br>118:5<br>128:24<br>172:4<br><br><b>customer's</b><br>72:23<br><b>cut</b> 120:17<br>253:4<br><br><b>cycle</b><br>191:12,13<br>238:2<br>242:10<br><b>cycles</b> 37:19<br>164:10<br><br><hr/><br>D<br><hr/> <b>Dale</b> 2:18<br>14:20<br><b>Dalton</b> 4:11<br>16:12<br>162:3,4,12<br>219:21,22<br>220:2,8<br><b>Dan</b> 13:2<br>69:2 94:18<br>110:13,19,<br>21,25 | 117:18<br>158:22<br><b>dark</b> 24:18<br>25:5<br><b>darkest</b><br>222:19,21<br><b>Daryl</b> 124:3<br><b>dash</b> 232:5<br>249:20<br><b>data</b> 24:21<br>26:17,18<br>46:23<br>52:19,20<br>224:5<br><b>database</b><br>31:8<br><b>date</b> 63:14<br>64:14<br>131:10<br>132:3<br>133:15<br>187:17,20,<br>21<br><b>dates</b> 187:15<br>197:15<br><b>Dave</b> 15:16<br>121:2<br>122:24<br>130:11<br>133:6,18<br>134:18<br>142:19<br>148:19<br>165:6,7<br>175:10<br>182:10,11<br><br><b>David</b> 2:22<br>3:3 15:4<br>121:6,17<br>122:23<br>123:4<br>124:18,25<br>125:25<br>127:3,6,20<br>128:11<br>129:9,17,2<br>1 130:14<br>132:1,17<br>134:1,20,2 | 5 135:19<br>136:13<br>137:3,8,15<br>,22 139:15<br>140:9,12<br>141:8,20<br>142:11,14<br>143:2,8,13<br>,18<br>145:7,12<br>146:22<br>148:11,14,<br>16,20,25<br>150:3<br>159:3<br>172:17<br>173:9<br>212:9<br><br><b>Davie</b> 121:2<br><b>Davies</b> 4:4<br>13:16<br><b>day</b> 182:16<br>209:7<br><b>days</b> 11:8<br>19:1<br><b>de</b> 183:11<br><b>deadline</b><br>139:1<br><b>deal</b> 77:13<br>120:22<br>125:16<br>149:10<br>164:21<br>181:14<br>183:3,10<br>192:2<br><br><b>deals</b> 130:13<br><b>dealt</b> 144:16<br><b>Dean</b> 3:9<br><b>debt</b> 198:9<br>199:23<br>200:21<br>201:8<br>202:2,8,16<br>209:14,17<br>215:5,6<br><br><b>decade</b><br>182:19 | <b>decide</b><br>131:11<br><b>decided</b><br>136:2<br>143:3<br><b>decision</b><br>67:3 96:2<br>131:8,12<br>132:9,23<br>136:5<br>142:19,21<br>144:5<br>175:5<br>187:9,20<br>248:10,18<br>250:17<br><b>decision-</b><br><b>making</b><br>101:1,7<br><b>decisions</b><br>9:19<br>10:4,5<br>128:9<br>130:20,22<br>131:25<br>184:11,13,<br>14<br><b>decrease</b><br>40:12<br><b>deem</b> 106:25<br><b>deemed</b> 56:2<br><b>deep</b> 171:6<br><b>de-</b><br><b>escalation</b><br>183:10<br><b>default</b><br>132:25<br><b>defer</b> 48:8<br><b>deficit</b><br>167:12<br>168:4,6,8,<br>9<br><b>deficits</b><br>188:6<br><b>defined</b><br>102:1<br><b>defines</b> | 79:18<br><b>definitely</b><br>84:9<br>226:13<br>234:3<br><b>degree</b> 61:4<br>72:14<br>189:19<br><b>degrees</b><br>173:7<br><b>delay</b> 133:16<br>180:7<br><b>deliveries</b><br>132:5<br><b>delivering</b><br>37:9 99:24<br><b>delivers</b><br>79:22<br><b>delivery</b><br>71:2<br><b>demand</b> 41:5<br>108:1<br>118:15,24,<br>25 127:11<br>128:1<br>167:20<br>197:5<br>233:12<br><b>demand-side</b><br>8:20 43:1<br>68:1 98:13<br>99:13<br>116:23<br><b>demonstrable</b><br>44:3<br><b>demonstrate</b><br>41:18,23<br>42:7 44:3<br>45:12<br>51:21<br>71:18<br>72:21<br>87:17<br>112:1<br><b>demonstrated</b><br>34:16<br>85:22<br>87:15 |
|---|--|--|---|---|

|                     |                     |                     |                     |                     |
|---------------------|---------------------|---------------------|---------------------|---------------------|
| 116:23              | 114:1               | 191:22              | 1:10 7:24           | 174:19              |
| 124:13              | 212:9               | 192:3               | 8:9 9:1             | 193:19              |
| <b>demonstrates</b> | 223:20              | 193:10              | 45:24 59:3          | 213:8,13            |
| 7:16,20             | 225:20              | 199:20              | 123:10              | 247:22              |
| 56:22               | 241:25              | <b>details</b>      | 124:7,12            | <b>differences</b>  |
| <b>demonstratin</b> | <b>describes</b>    | 31:19 86:2          | 125:17              | 110:1               |
| <b>g</b> 33:13,16   | 122:13              | 138:16              | 136:17              | <b>different</b>    |
| 180:22              | 177:1               | 202:24              | 137:5,9,24          | 7:9 24:5            |
| <b>demonstratio</b> | 191:7               | <b>determinatio</b> | 139:9,10            | 33:3 34:1           |
| <b>n</b> 38:13      | <b>describing</b>   | <b>n</b> 217:10     | 149:13              | 49:6 56:7           |
| <b>Dempsey</b> 3:15 | 97:12,18            | <b>determine</b>    | 169:22              | 59:3,7              |
| 14:14               | 127:1               | 44:6 52:5           | 171:20,21           | 69:10,15            |
| <b>denote</b> 49:6  | 179:8               | 68:5 69:4           | 172:2,6             | 70:7                |
| <b>denoted</b>      | <b>description</b>  | 78:3 123:6          | 173:1,3             | 76:6,8              |
| 24:25 25:4          | 151:8               | 169:19              | 177:1               | 83:5 89:10          |
| 47:24               | 177:10              | 183:16              | 180:3,16            | 96:1                |
| 49:23               | 203:20              | 198:23              | 187:2,3,20          | 102:20              |
| 54:20,25            | 219:16              | <b>determined</b>   | 193:19              | 110:16              |
| 87:17,21            | 228:23              | 51:11 72:2          | 202:25              | 115:20              |
| <b>depend</b> 197:1 | 232:21,25           | 78:22               | 203:1,7             | 152:7               |
| <b>dependable</b>   | <b>design</b> 70:18 | 142:3               | 204:6,7,8,          | 155:4               |
| 125:21              | 72:25               | 147:7               | ,23 206:20          | 164:11              |
| 127:2               | 78:10               | 155:3               | 208:19              | 166:14              |
| 128:14              | 90:12               | 171:24              | 215:24              | 170:13,14           |
| 141:1               | 92:22 97:6          | <b>determining</b>  | 221:5               | 185:2               |
| 168:3,7,10          | 98:3 147:8          | 78:18               | 222:16              | 188:21,22           |
| 188:5,8             | <b>designing</b>    | 89:15               | 229:12              | 189:17,18           |
| 196:6,9,24          | 89:18               | 94:20               | 231:21              | 190:7,17            |
| 197:1,6             | <b>designs</b>      | 181:21              | 233:5               | 191:10              |
| 205:13,15,          | 147:12              | 219:16              | 236:9,13,1          | 194:18              |
| 16,20               | <b>desire</b>       | <b>develop</b> 7:17 | 4,22                | 195:2               |
| 212:19              | 128:18,25           | 24:7,9              | 239:14              | 197:15,16           |
| <b>dependent</b>    | <b>detail</b> 22:10 | 114:10              | 243:21              | 199:7,13,1          |
| 72:15               | 43:21 69:8          | 225:22              | <b>developments</b> | 4,16                |
| 128:17              | 72:18 73:4          | 231:23,25           | 127:10              | 200:2,3,9,          |
| 129:18,19           | 95:21               | 251:22              | 178:10              | 19,24               |
| 139:9               | 101:14,19,          | <b>developed</b>    | <b>devices</b>      | 210:12              |
| <b>depending</b>    | 23 112:1            | 81:9 103:1          | 102:19              | 218:16,18           |
| 107:25              | 116:25              | 104:6               | <b>diagram</b>      | 220:3,9             |
| <b>derived</b>      | 181:9               | 128:6               | 216:6,9             | 229:8,14,1          |
| 31:19               | 182:13              | 218:5               | <b>dictate</b>      | 5 231:21            |
| <b>describe</b>     | 219:13              | 239:17              | 126:22              | 236:7,8,15          |
| 48:24 69:3          | 223:21              | <b>developer</b>    | <b>dictated</b>     | 239:4,6,25          |
| 125:20              | 225:24              | 18:14               | 126:23              | 248:7               |
| 160:5               | <b>detailed</b>     | <b>developing</b>   | <b>differ</b> 201:4 | <b>different-</b>   |
| <b>described</b>    | 10:17               | 60:20               | <b>difference</b>   | <b>coloured</b>     |
| 22:20               | 26:18 54:2          | 134:13              | 30:21               | 25:4                |
| 50:25               | 72:3 124:5          | 143:23              | 53:18 87:9          | <b>differential</b> |
|                     | 147:11              | <b>development</b>  | 153:13              | 200:2,6             |
|                     | 190:24              |                     | 154:19              | <b>differential</b> |
|                     |                     |                     |                     | <b>s</b> 44:5       |

|   |   |  |   |  |
|---|---|--|---|--|
| <b>differently</b><br>51:15<br>87:18  | 244:5<br>250:5  | 224:25<br>225:15<br>235:19   | 237:7,8   | <b>dot</b> 33:6<br>87:22   |
| <b>differs</b><br>69:11<br>94:23  | <b>discounted</b><br>189:1  | <b>distribution</b><br>s 199:9   | <b>domestic</b><br>27:23<br>73:10<br>84:11<br>171:21<br>172:9<br>194:13<br>195:15,17<br>233:13  | <b>dots</b> 32:11<br><b>dots/periods</b><br>29:11  |
| <b>difficult</b><br>29:16<br>35:21  | <b>discounting</b><br>188:19  | <b>dive</b> 215:20   | <b>dominance</b><br>241:14  | <b>double</b> 34:18<br>51:2  |
| <b>difficulties</b><br>142:6  | <b>discovered</b><br>15:22  | <b>diversity</b><br>139:18,20<br>140:4,11,12<br>141:16,20,<br>25 142:3,7 | <b>dominated</b><br>241:15,17<br>242:9  | <b>double-check</b><br>34:21<br>35:14  |
| <b>dip</b> 31:25  | <b>discovery</b><br>161:22  | <b>divert</b> 9:15   | <b>dominates</b><br>243:16  | <b>double-counting</b><br>50:21  |
| <b>direct</b><br>236:11   | <b>discrete</b><br>231:13<br>235:22,24<br>236:4<br>240:24   | <b>dividend</b><br>210:9,15  | <b>don</b> 61:1   | <b>doubt</b> 132:17  |
| <b>direction</b><br>99:3<br>163:24<br>181:24<br>182:1   | <b>discuss</b><br>22:10   | <b>dividends</b><br>210:6,8  | <b>done</b> 40:4<br>43:3 51:20<br>59:25<br>60:11<br>61:19,23<br>78:5,6,7<br>83:2,8,9<br>105:3<br>118:19<br>123:6,12<br>147:10<br>158:2<br>160:13,17<br>164:24<br>177:11<br>183:5<br>186:1<br>193:8<br>197:17<br>199:20<br>200:12,13<br>209:15,24<br>219:16<br>224:4,5<br>228:4,6<br>242:20<br>251:19,20<br>252:10 | <b>downside</b><br>237:22<br>241:25<br>243:13<br>247:11,13<br>249:11<br>250:4<br>251:5   |
| <b>directionally</b> 93:12  | <b>discussed</b><br>24:1  | <b>division</b> 6:4<br>18:12<br>19:23<br>121:22<br>150:8,16              | <b>downward</b><br>26:12<br>161:4<br>179:18,19  | <b>DR</b> 11:19<br>74:18<br>75:10<br>95:10<br>96:19,23<br>122:24<br>124:16,19<br>125:19<br>127:1,5<br>135:15<br>136:11<br>141:5,14<br>142:5<br>170:21<br>171:4,9,13<br>174:9,22<br>214:9,14,17,20,24<br>215:1,4,10 |
| <b>directives</b><br>114:5  | <b>discussion</b><br>24:10<br>41:19 48:8<br>58:23<br>66:9,10<br>98:10<br>123:1<br>130:8,9<br>211:20 | <b>divulge</b><br>156:13,25  | <b>document</b><br>86:4,12<br>145:9,10  |  |
| <b>directly</b><br>79:3   | <b>discussions</b><br>127:15<br>149:3<br>194:6  | <b>divulged</b><br>157:17,18   | <b>documented</b><br>173:19   |  |
| <b>discount</b><br>189:1,18<br>190:2,7,9,<br>10,11,17<br>198:4,5<br>200:6,10,11<br>202:10,13<br>203:10<br>204:17<br>205:4<br>208:11<br>216:12<br>217:6,19,25<br>218:3<br>220:22<br>221:8,18,25<br>222:2<br>223:5,10<br>224:2<br>225:5,6,14<br>227:3,21,22<br>228:12<br>238:24 | <b>dispatch</b><br>124:6<br>126:1,10,22   | <b>document</b><br>86:4,12<br>145:9,10                                   | <b>documents</b><br>76:19   |  |
|   | <b>display</b><br>24:15<br>235:20   | <b>documented</b><br>173:19  | <b>dollar</b><br>70:1,3<br>153:13   |  |
|   | <b>distance</b><br>243:2  | <b>document</b><br>86:4,12<br>145:9,10                                   | <b>dollars</b><br>73:23<br>153:4,5<br>169:14<br>182:16<br>189:3<br>197:18<br>205:4<br>207:3<br>209:6,7<br>228:6   |  |
|   | <b>distinct</b><br>152:1,10   | <b>documented</b><br>173:19  | <b>do-nothing</b><br>188:1,2,11<br>239:21   |  |
|   | <b>distinction</b><br>54:20   | <b>documents</b><br>76:19  | <b>door</b> 16:1  |  |
|   | <b>distribution</b><br>70:8   |  |   | <b>draft</b><br>123:11,15<br>143:20  |
|   |   |  |   | <b>drastic</b>   |

|                     |                 |                     |                     |                     |
|---------------------|-----------------|---------------------|---------------------|---------------------|
| 93:24               | 61:3 63:2       | <b>during</b> 22:25 | 41:22               | 127:8               |
| <b>drastically</b>  | 64:4,5,19       | 24:6                | 58:19 61:2          | 180:4               |
| 95:9                | 66:13,17,2      | <b>dwindling</b>    | 66:14,16,2          | 185:11              |
| <b>drawn</b> 96:13  | 1               | 195:10              | 0,21 70:17          | 186:19,20           |
| <b>drink</b> 120:2  | 67:2,14,16      | <b>dynamic</b>      | 71:24               | 198:15              |
| <b>drive</b> 153:12 | ,21,22,24       | 28:14               | 72:13               | 204:4               |
| <b>driven</b>       | 72:2,16         |                     | 73:9,19             | 208:6               |
| 163:20              | 73:14           | <hr/>               | 74:13               | 215:14              |
| 188:5               | 77:14,24        | E                   | 78:21               | 248:5,11            |
| <b>driver</b> 32:9  | 78:18           | <b>earlier</b>      | 81:15,18            | <b>economy</b> 7:15 |
| 106:2               | 79:21           | 38:22               | 82:17 83:4          | 27:23               |
| 246:2               | 81:23           | 39:10               | 84:10               | <b>Ed</b> 1:14 2:14 |
| <b>drivers</b>      | 82:13,18        | 54:20               | 90:18,22            | 6:4 10:13           |
| 23:12               | 83:4 85:7       | 97:21               | 91:8 98:21          | 17:9 18:12          |
| 27:21               | 88:4            | 106:1               | 99:20               | 19:22 58:4          |
| 106:4,7,16          | 98:10,17        | 123:12              | 100:3,5             | 60:5 61:24          |
| <b>drives</b>       | 101:15          | 142:19              | 103:3,5,6,          | 77:12               |
| 168:10              | 103:19,23       | 168:8               | 8,9,10,11,          | 111:4               |
| <b>driving</b> 22:9 | 104:9,21        | 175:10              | 13,14               | 117:16              |
| 23:18,20            | 105:14          | 179:17              | 106:21              | 120:16              |
| 28:6                | 114:12,20,      | 188:4               | 110:14              | 121:6               |
| 106:23              | 21,23,24        | 194:6               | 142:4               | 130:8               |
| 132:9               | 115:3,9,16      | 211:20              | 149:25              | 133:2               |
| <b>drop</b> 65:20   | 116:11,25       | 229:16              | 159:7,11,2          | 135:10              |
| <b>dropped</b>      | 117:7,8,10      | 230:18              | 1 166:20            | 137:16              |
| 133:9               | 120:24          | 233:13              | 169:1               | 140:7,8             |
| <b>dropping</b>     | 162:6,7,14      | <b>early</b> 25:8   | 177:25              | 148:21,25           |
| 65:23               | ,15,23          | 62:6 96:12          | 179:6,25            | 175:6               |
| <b>drought</b>      | 171:17          | 132:9               | 182:5               | 185:16              |
| 180:6               | 178:20,22       | 140:15              | 184:7,19            | 190:15              |
| <b>DS</b> 42:22     | 180:19,21,      | <b>earth</b> 171:6  | 185:7,9,17          | 192:8               |
| 77:24               | 24,25           | <b>ease</b> 17:20   | 187:5,7,25          | 199:18              |
| <b>DSM</b> 5:7 11:6 | <b>due</b> 7:14 | <b>easier</b> 51:13 | 188:18              | 229:15              |
| 14:17               | 30:12,15        | <b>easily</b>       | 191:7,25            | <b>Ed's</b> 184:4   |
| 42:22               | 41:22 53:9      | 212:23              | 192:6,23            | <b>educate</b>      |
| 43:5,6              | 213:14,15,      | <b>easy</b> 10:23   | 197:17              | 101:8               |
| 48:8,12,16          | 21              | <b>econ</b> 78:20   | 203:6               | 107:5               |
| ,25                 | <b>Dunsky</b>   | 103:4,14            | 217:5,17,1          | <b>education</b>    |
| 50:5,7,8            | 43:14,16        | <b>eConnect</b>     | 9 218:6,11          | 72:6 73:15          |
| 51:1,18,23          | 47:5,7          | 35:21               | 224:2               | <b>ef</b> 44:3      |
| 53:19               | 54:10,11        | <b>econom</b>       | 227:7,9             | <b>effect</b>       |
| 55:2,17,18          | 73:20,22        | 102:24              | 228:24              | 49:12,17            |
| 57:5,10             | 74:3            | <b>economic</b>     | <b>economically</b> | 50:5,6,10,          |
| 58:9,12,20          | 77:5,7          | 5:13 7:1            | 98:12               | 17 51:11            |
| 59:1,6              | 85:24 86:1      | 9:23 28:20          | 100:13              | 52:5 60:9           |
| 60:7,9,13,          | 105:4,6         | 30:12,13,1          | 116:22              | 126:16              |
| 18,21,22            | 108:3,5         | 6,22 31:16          | 189:6               | 140:16              |
|                     | 109:21,23       | 37:12,25            | <b>economics</b>    | 193:14              |
|                     | 118:11,13       | 38:1,2              | 13:25 67:4          | 201:12              |
|                     | 178:17,19       |                     | 68:2 70:12          | 217:11,13           |
|                     | 186:6,8         |                     | 72:16,20            |                     |
|                     | 229:4,5         |                     | 74:13               |                     |
|                     |                 |                     | 99:22               |                     |



|   |  |   |  |   |
|---|--|---|--|---|
| <b>effective</b><br>47:3 48:13<br>50:24 73:9<br>79:19,20<br>100:9<br>144:6<br>189:2   | <b>eighteen</b><br>9:20<br>130:23  | 39:22,23<br>44:6<br>63:12,16,2<br>5   | <b>encapsulates</b><br>27:13   | 112:14<br>114:6   |
| <b>Effectively</b><br>199:8   | <b>eight-</b>  | 64:3,9,17,<br>21  | <b>encourage</b><br>96:5   | 115:4,24<br>117:5,11,2<br>3   |
| <b>effects</b><br>30:12<br>48:18 56:4<br>209:11   | <b>eighty-</b>   | 74:23,24<br>75:1 83:11  | <b>encouraging</b><br>90:3 118:4   | 118:20,22<br>119:1,13,1<br>6,20 122:3   |
| <b>efficiencies</b><br>126:8  | <b>eighty-five</b><br>230:25<br>247:23   | 102:18<br>102:18<br>117:25<br>118:19<br>122:10<br>127:23<br>128:13<br>150:6,23<br>151:2,5,14<br>,17 163:21<br>179:19<br>216:12<br>217:8,10,1<br>2,15<br>244:10,15,<br>20,22<br>245:6,12,1<br>3,18,22<br>246:2,5,11<br>,20 | <b>end-use</b><br>102:18   | 125:4,5<br>129:5,6<br>138:1<br>139:18<br>140:1<br>141:1,10<br>153:1,12<br>162:9,16<br>168:1,3,5,<br>8,10<br>169:18<br>188:5<br>195:8<br>196:13<br>197:1,6<br>205:20,23<br>206:8<br>212:18,19<br>214:1<br>217:3,5,7,<br>12 220:21<br>221:8,18,2<br>5 222:2<br>224:1,14,2<br>0,23<br>225:3,4,5<br>226:24<br>233:25<br>234:4<br>238:24<br>244:5,9,14<br>245:6<br>250:10,12 |
| <b>efficiency</b><br>5:7 47:8<br>56:2,3<br>58:9<br>63:15,17<br>64:2,21<br>66:14 67:4<br>68:12<br>74:14<br>75:15<br>98:16<br>102:17<br>117:11,24<br>118:20,22<br>119:1 | <b>eighty-seven</b><br>208:18<br>237:13<br>243:11  | <b>Elenchus</b><br>13:22 31:8<br>45:5 59:1<br>82:11   | <b>ener</b> 103:10<br>114:5<br>169:20  | 140:1<br>141:1,10<br>153:1,12<br>162:9,16<br>168:1,3,5,<br>8,10<br>169:18<br>188:5<br>195:8<br>196:13<br>197:1,6<br>205:20,23<br>206:8<br>212:18,19<br>214:1<br>217:3,5,7,<br>12 220:21<br>221:8,18,2<br>5 222:2<br>224:1,14,2<br>0,23<br>225:3,4,5<br>226:24<br>233:25<br>234:4<br>238:24<br>244:5,9,14<br>245:6<br>250:10,12  |
| <b>efficient</b><br>7:1 98:20<br>100:6,8<br>102:24<br>103:9,10,1<br>4 123:21  | <b>either</b> 75:25<br>105:20<br>123:12<br>140:24<br>167:9<br>168:3<br>206:20<br>242:11<br>249:21      | <b>eleven</b> 57:18<br>152:1,10<br>155:4  | <b>energy</b> 5:7<br>7:13<br>8:8,19<br>14:23<br>21:14<br>22:22<br>23:19 30:6<br>36:21<br>40:12,25<br>41:3 46:25<br>47:8 49:14<br>56:1,2,3<br>58:9<br>63:11,15,1<br>6 64:2,19<br>66:14 67:4<br>68:11,12,1<br>3,14<br>69:4,6,11,<br>12,13,15,2<br>2,23<br>70:1,4<br>74:5,14<br>75:15,18<br>76:25<br>77:10<br>78:15 83:6<br>86:10<br>88:9,10,11<br>,17<br>90:5,21<br>91:10<br>95:3,5<br>98:15,20<br>100:1,8<br>102:2,4,11<br>,17,19,24<br>103:9,10,1<br>4 104:12<br>108:2 | 206:8<br>212:18,19<br>214:1<br>217:3,5,7,<br>12 220:21<br>221:8,18,2<br>5 222:2<br>224:1,14,2<br>0,23<br>225:3,4,5<br>226:24<br>233:25<br>234:4<br>238:24<br>244:5,9,14<br>245:6<br>250:10,12   |
| <b>effort</b><br>162:5,13   | <b>elaborate</b><br>109:24<br>131:17<br>133:22<br>148:23   | <b>eligible</b><br>147:2  | <b>engage</b><br>140:24  | 250:10,12   |
| <b>efforts</b><br>64:14<br>98:15  | <b>elasticities</b><br>45:6  | <b>eliminate</b><br>70:21   | <b>engineer</b><br>18:16   |   |
| <b>eggs</b> 89:23   | <b>elasticity</b><br>43:24<br>44:9,12  | <b>embed</b><br>203:9<br>208:10<br>244:20<br>245:5  | <b>engineering</b><br>13:21<br>147:13  |   |
| <b>EIA</b> 170:15   | <b>elec</b> 7:5  | <b>emerge</b><br>117:11<br>183:19   | <b>enhanced</b><br>170:22  |   |
| <b>eight</b><br>110:17,19<br>111:3<br>208:18<br>237:13<br>243:10  | <b>electric</b><br>23:13,17<br>40:10 44:7<br>75:3 99:1<br>106:25<br>107:8<br>118:18<br>171:1<br>226:24 | <b>employ</b> 236:2   | <b>enhances</b>  |   |
|   | <b>electrical</b><br>147:13<br>170:24  | <b>encapsulate</b><br>212:23  |  |   |
|   | <b>electricity</b><br>5:10 6:25<br>7:6   |   |  |   |

|                     |                     |                     |                     |                     |
|---------------------|---------------------|---------------------|---------------------|---------------------|
| 7:23                | 188:23              | 182:14              | <b>everything</b>   | 149:14              |
| <b>ensure</b>       | <b>erosion</b>      | <b>estimating</b>   | 86:6 222:8          | <b>exchange</b>     |
| 129:24              | 194:24              | 182:9               | 228:6               | 138:1               |
| 163:20              | <b>error</b> 44:15  | <b>et</b> 25:18     | <b>evidence</b>     | 142:7               |
| 164:16              | <b>escalate</b>     | <b>euphemism</b>    | 9:10,12             | <b>exclude</b> 57:3 |
| <b>ensuring</b>     | 181:21              | 210:6               | 19:6 92:10          | <b>excluded</b>     |
| 7:13 158:1          | 183:1               | <b>eval</b> 12:25   | 105:21              | 118:14              |
| <b>enter</b> 173:10 | <b>escalating</b>   | <b>evaluated</b>    | <b>evidenced</b>    | 183:9               |
| <b>entertain</b>    | 183:12              | 171:25              | 115:1               | <b>exclusive</b>    |
| 141:24              | <b>escalation</b>   | 204:17              | <b>evolve</b> 128:8 | 228:4               |
| <b>entire</b> 65:4  | 181:14              | <b>evaluating</b>   | <b>ex</b> 162:9     | <b>excuse</b>       |
| 67:21               | 182:12,18,          | 114:11              | <b>exa</b> 220:10   | 105:18              |
| 169:22              | 23,25               | 117:9               | <b>exact</b> 31:18  | 131:18              |
| 203:17              | 183:3,4             | 162:14              | 65:1                | 228:18              |
| 205:6               | 194:1               | 180:20              | <b>exactly</b>      | <b>executive</b>    |
| 251:24              | 217:22              | <b>evaluation</b>   | 48:15 62:2          | 8:7 233:1           |
| <b>entirely</b>     | 227:8               | 61:2 66:20          | 65:2 73:23          | <b>exercise</b>     |
| 75:11               | <b>escape</b> 15:24 | 162:6               | 131:7               | 180:25              |
| <b>entirety</b>     | <b>especially</b>   | 169:5               | <b>examination</b>  | <b>exhausted</b>    |
| 242:15              | 250:9               | 170:5               | 17:10 19:8          | 165:4               |
| <b>entities</b>     | <b>essence</b>      | 171:17              | <b>examine</b>      | <b>exist</b> 100:16 |
| 122:10              | 167:1               | 172:16              | 104:24              | <b>existent</b>     |
| <b>envelope</b>     | <b>essentially</b>  | 177:25              | <b>examined</b> 7:7 | 136:18              |
| 113:13              | 70:11               | 185:7,17            | 66:21               | <b>existing</b>     |
| <b>environmenta</b> | 105:16              | 189:4               | <b>examines</b>     | 43:18               |
| <b>l</b> 8:1        | 121:17              | 191:22,23           | 98:19               | 98:20               |
| 90:10               | 140:22              | 217:6,19            | <b>example</b>      | 119:15              |
| 127:13              | 195:21              | 226:15              | 37:20               | 138:5,11            |
| 128:7,22            | <b>establish</b>    | <b>evaluations</b>  | 49:13               | 139:8               |
| 129:5               | 182:15,20,          | 5:13                | 81:16               | 140:14              |
| 169:1               | 21                  | 162:23              | 83:24 86:3          | 141:7,10            |
| <b>environmenta</b> | <b>established</b>  | 166:21              | 109:16              | 142:1               |
| <b>lly</b> 90:14    | 145:16              | 167:8               | 159:4               | 147:16              |
| <b>equal</b>        | 183:2               | 179:6,20            | 172:2               | 171:22              |
| 222:20,22           | 223:19              | 180:17              | 181:15              | 172:9               |
| 230:3               | 229:24              | 181:6               | 183:11              | 178:12,14           |
| 240:14              | <b>estimate</b>     | 182:6               | 201:21,24           | <b>expand</b> 40:7  |
| <b>equate</b>       | 30:6,10             | 185:10              | 210:25              | <b>expanding</b>    |
| 115:13              | 46:24               | 187:5,7             | 216:18              | 7:15,21             |
| <b>equipment</b>    | 148:3               | 203:6               | 220:10              | 98:12               |
| 102:18              | 181:19              | <b>evenly</b> 113:7 | 240:8               | 116:22              |
| <b>equity</b> 78:10 | 182:15,22           | <b>everybody</b>    | <b>examples</b>     | <b>expansion</b>    |
| 198:10              | <b>estimated</b>    | 6:4,14              | 221:24              | 29:22,23            |
| 202:2,5             | 187:12              | 17:21 20:5          | <b>exceed</b> 143:1 | 83:15               |
| 227:5               | <b>estimates</b>    | 51:14               | <b>exceeding</b>    | <b>expect</b> 64:7  |
| <b>equivalent</b>   | 8:19 12:1           | 60:17               | 182:25              | 100:22,23,          |
|                     | 146:18              | 234:7               | <b>except</b> 85:18 | 25 103:23           |
|                     |                     | <b>everyone</b>     |                     |                     |
|                     |                     | 6:22                |                     |                     |

|                    |                   |                     |                     |                     |
|--------------------|-------------------|---------------------|---------------------|---------------------|
| 123:16             | <b>expires</b>    | 189:3               | 133:2               | 32:1                |
| 134:17             | 142:1             | <b>extended</b>     | 140:8               | 39:8,9              |
| 139:22             | <b>explain</b>    | 193:23              | 148:19,21           | 40:11 49:6          |
| 146:8              | 60:20             | <b>extending</b>    | 165:5,12,2          | 56:7 72:16          |
| <b>expectation</b> | 94:19             | 193:6,7             | 5                   | 128:25              |
| 141:24             | 170:8             | <b>extensive</b>    | 166:13,16           | 129:25              |
| <b>expected</b>    | 241:2             | 8:8 10:9            | 175:6               | 153:12              |
| 25:10              | <b>explained</b>  | 164:21              | 185:13,16           | 154:22,23           |
| 37:12,25           | 60:17             | 190:22              | 190:15              | 179:11              |
| 42:22 50:1         | 172:17            | <b>extent</b> 43:17 | 196:1               | 180:3               |
| 129:14             | 225:24            | 47:8 108:6          | 200:18              | 216:4,7,11          |
| 151:17             | 229:15            | 129:17              | 234:9,19            | ,13,23,25           |
| 172:9              | <b>explaining</b> | 227:25              | 235:7,12            | 217:4,7             |
| 230:20,24          | 177:5             | 245:10              | 241:1,6             | 218:16,19           |
| 232:4              | <b>explored</b>   | <b>extra</b> 90:3   | 252:5               | 219:2               |
| 237:15,16          | 73:7              | 233:17,20           | 253:4               | 220:19              |
| 241:5              | <b>exploring</b>  | <b>extraprovinc</b> | <b>facilities</b>   | 221:7               |
| 243:3,4            | 81:9,13           | <b>ial</b> 7:21     | 138:11              | 224:16              |
| 247:22             | <b>export</b> 5:8 | <b>extreme</b>      | 139:8               | 225:24              |
| 249:20,25          | 7:22              | 152:24              | 140:23              | 229:10              |
| 250:1              | 121:4,11,1        | 153:8               | 145:5               | 230:3,7             |
| 251:6              | 9 122:4,7         | 154:20              | 146:2               | <b>faint</b> 35:24  |
| <b>expecting</b>   | 125:25            | 155:12,25           | 148:6               | <b>fair</b> 55:23   |
| 38:11              | 126:3,13,1        | <hr/>               | 149:12              | 105:25              |
| 185:22             | 4 129:7           | F                   | 173:1,6,12          | 137:14              |
| <b>expenditure</b> | 130:10            | <b>faces</b> 17:7   | 212:14              | 176:12              |
| 59:8               | 137:23            | <b>face-to-face</b> | <b>facility</b>     | 211:5,17            |
| 200:25             | 140:2             | 32:12               | 146:4,9             | 212:25              |
| <b>expensive</b>   | 147:20,22         | <b>facilitate</b>   | 147:11              | <b>fairly</b> 111:6 |
| 71:21,22           | 151:25            | 18:21               | <b>fact</b> 46:8    | 181:11              |
| 183:15,16          | 153:24            | <b>Facilitator</b>  | 70:8 85:4           | 183:12              |
| <b>experience</b>  | 160:24            | 1:14 6:3            | 101:7               | 209:10              |
| 29:19 30:8         | 161:8             | 10:15,21            | 132:16              | 219:9,15            |
| 31:12              | 162:9,16          | 11:2 15:20          | 184:4               | 249:25              |
| 45:22              | 164:6             | 16:14,19,2          | 213:14,15,          | <b>fall</b> 19:20   |
| 46:13              | 165:7             | 5 17:23             | 21 224:16           | 42:8                |
| 109:10,11,         | 167:21            | 18:1,5,11           | <b>factor</b> 44:9  | 139:23              |
| 14                 | 171:22            | 57:8,15             | 65:20               | <b>falling</b>      |
| <b>experienced</b> | 172:4,9,21        | 58:3 60:5           | 106:13              | 71:24               |
| 28:21              | 187:16            | 61:11,16,2          | 216:9,17,1          | 242:6               |
| 46:13              | 202:22            | 4                   | 8 217:9             | <b>familiar</b>     |
| <b>expert</b>      | 205:15,18         | 62:8,13,18          | 244:9               | 30:2                |
| 13:1,3,23,         | 213:5             | ,21 77:12           | 245:24              | <b>faster</b>       |
| 25 14:2,9          | 217:12,16         | 111:1,9             | 250:6               | 165:13              |
| 31:18              | 236:24            | 117:14              | <b>factored</b>     | <b>favour</b>       |
| 219:12             | 245:5,6           | 118:7               | 29:8 43:5           | 133:10              |
| 224:6              | <b>exports</b>    | 119:22              | 69:16               | <b>feasible</b>     |
| <b>experts</b> 3:7 | 205:13            | 120:6,16            | <b>factoring</b>    | 98:12               |
| 9:9 182:9          | <b>expressed</b>  | 130:7               | 90:17               | 100:13              |
|                    | 153:4             |                     | 101:6               |                     |
|                    |                   |                     | <b>factors</b> 22:9 |                     |

|                     |                     |                     |                   |                     |
|---------------------|---------------------|---------------------|-------------------|---------------------|
| 116:21,22           | <b>figures</b>      | 72:6 96:6           | 182:4,5,15        | 7                   |
| <b>Federation</b>   | 146:15              | 131:4               | 185:4             | 198:18,20,          |
| 12:16,19,2          | <b>file</b> 132:7   | <b>finding</b> 60:9 | 191:6             | 21                  |
| 1,23                | 144:23,24           | 142:6               | 204:4             | 208:10,11           |
| <b>fee</b> 199:24   | <b>filing</b> 9:7   | <b>findings</b>     | 216:3             | 243:5               |
| 200:21              | 20:1 21:6           | 112:13              | 223:23            | <b>fixed</b> 126:4  |
| 201:8               | 25:25 26:7          | 114:9               | 224:15            | 202:5               |
| 203:9,16            | 38:25 53:6          | 115:9               | 237:3             | 213:4,16            |
| 208:10,14,          | 82:13               | <b>Fine</b> 65:18   | <b>firstly</b>    | <b>flat</b> 33:10   |
| 23 209:8            | 87:16               | <b>finish</b>       | 192:4,21          | <b>fledged</b>      |
| <b>feed</b> 127:18  | 101:16              | 234:22              | <b>fit</b> 230:10 | 161:19              |
| 128:25              | 121:18              | 235:8               | <b>Fitkowski</b>  | <b>fleet</b> 123:22 |
| <b>feel</b> 19:9    | 122:6,16            | <b>finished</b>     | 3:5               | 128:5               |
| 20:5 35:16          | 123:5               | 120:19              | 16:11,15          | <b>flip</b> 98:10   |
| 37:6 46:23          | 127:9               | <b>finishing</b>    | 35:19             | 133:13              |
| 47:2 58:23          | 135:16              | 234:23              | 43:14 47:5        | <b>flow</b>         |
| 99:4                | 138:15              | 235:1               | 54:9 73:20        | 136:16,17           |
| 138:23              | 139:4               | <b>Fire</b> 15:24   | 74:2 77:5         | 191:24              |
| <b>fees</b> 210:10  | 140:1               | <b>fired</b> 171:18 | 85:24             | 251:23,25           |
| 215:6               | 142:9,15            | <b>firm</b> 21:14   | 105:4             | 252:1,11            |
| <b>fi</b> 38:25     | 145:18              | 40:12               | 108:3             | <b>flows</b> 188:25 |
| <b>Fichot</b> 3:7   | 157:18              | 126:19              | 109:21            | 197:23              |
| 11:25               | 160:19              | 128:16              | 118:11            | 251:19              |
| <b>fifteen</b> 7:7  | 179:2               | 132:22              | 157:8             | <b>fluctuations</b> |
| 18:25               | <b>fill</b> 7:2     | 141:23              | 159:24            | 38:13               |
| 62:14,16            | <b>filling</b> 85:7 | 146:25              | 162:2             | <b>Flynn</b> 2:21   |
| 64:15 81:1          | 213:25              | 147:15,19           | 178:17            | 15:2 60:2           |
| 86:12,18            | <b>final</b> 115:9  | 171:22              | 186:6             | 69:7                |
| 140:18              | <b>finalize</b>     | 172:9               | 219:18,20,        | 116:24              |
| 176:5,9             | 138:20              | 178:9               | 25 220:6          | 150:7,8,14          |
| 177:1               | <b>finalized</b>    | 195:1               | 229:3             | ,16,22              |
| 213:14              | 123:16              | 205:18              | <b>fits</b> 58:12 | 151:12              |
| 215:1               | 145:6               | 212:18              | <b>five</b>       | 152:5,20            |
| 226:12,16           | <b>financial</b>    | 236:24              | 36:17,19,2        | 153:19              |
| <b>fifty</b> 146:13 | 20:11 72:5          | <b>firms</b>        | 2                 | 154:11,16,          |
| 148:13              | 97:22               | 156:18,19           | 38:3,8,16         | 21                  |
| 153:13              | 126:3               | <b>first</b> 7:12   | 76:7,16           | 155:6,9,15          |
| 191:15              | 127:19              | 9:7 18:2            | 84:21,23          | ,17,20              |
| 230:12              | 186:1               | 29:10               | 85:11             | 156:4,8,11          |
| 240:22              | 202:14              | 32:11               | 110:18,19         | ,15,23              |
| <b>figure</b> 71:9  | 210:15              | 35:10               | 114:21            | 157:2,5,13          |
| 87:15               | 213:13              | 44:14               | 116:11            | ,20,25              |
| 151:21,22           | 214:2,3             | <b>financials</b>   | 122:3,12          | 158:7,11,1          |
| 152:12,21           | <b>financials</b>   | 186:5               | 124:5             | 5,19                |
| 167:3               | 187:6               | 187:6               | 127:24            | 159:1,12,1          |
| 168:1               | 218:12              | 218:12              | 140:10            | 8,22                |
| 216:5               | 248:16              | 248:16              | 158:13,24         | 160:4,15,2          |
| 236:21              | <b>financing</b>    | <b>financing</b>    | 159:4,9           | 0                   |
| 242:20              |                     | 3 148:22            | 163:5,9           | 161:16,25           |
|                     |                     |                     | 173:16            | 162:10,18           |
|                     |                     |                     | 174:22            |                     |
|                     |                     |                     | 175:7,12,1        |                     |

|   |   |   |  |   |
|---|---|---|--|---|
| 163:7,12,1<br>9 164:3,20<br>165:3<br>166:11,14,<br>22 168:17<br>170:3,10<br>171:2,7,11<br>,14 172:14<br>174:13,25<br>175:24<br>176:19,25<br>177:18,23<br>178:11,16<br>179:5,24<br>180:15<br>181:3,12,1<br>7 182:4<br>183:18<br>185:8,15<br>186:11<br>188:17<br>189:11,25<br>190:11<br>191:5,19<br>192:12,19<br>194:10,14,<br>21<br>195:5,13,1<br>6 197:4,12<br>198:3<br>199:8,17<br>200:5,16<br>202:4,9,15<br>,21 204:3<br>205:19<br>206:2,5,9,<br>12,17<br>208:1<br>210:11,17,<br>19<br>211:7,18<br>212:1,6,16<br>,21<br>213:1,18<br>214:6,12,1<br>5,18,21,25<br>215:3,8,11<br>,18 216:3<br>217:3<br>218:5,11,1<br>8,22,25<br>219:8,19<br>220:12,15<br>221:1 | 223:7,12,1<br>8 224:13<br>225:19<br>226:3,7,11<br>,21<br>227:1,6,13<br>,18,23<br>228:7,17,2<br>1<br>229:2,10,2<br>3 231:17<br>232:11,14,<br>24<br>233:3,8,14<br>,19,22<br>234:1,3,6<br>235:2,11,1<br>3,18<br>236:20<br>238:23<br>239:9,16<br>240:2,16,2<br>1 241:9,12<br>242:19<br>244:7,11,1<br>8 245:19<br>246:1,9,17<br>,22 247:1<br>249:6<br>250:19,24<br>251:20<br>252:12,16,<br>18,21,25<br>253:3<br><b>fo</b> 22:2<br><b>focus</b> 40:23<br>66:16<br>89:19<br>122:7<br><b>focuses</b><br>216:24<br><b>focussed</b><br>112:17<br>117:23<br>118:22<br><b>folks</b> 51:6<br>164:17<br>201:19,22<br><b>fall</b> 136:20<br><b>follow-up</b> | 103:18<br><b>footprint</b><br>123:19<br>124:1<br><b>fore</b> 31:17<br>40:15<br>102:22<br><b>forecast</b> 5:6<br>11:6 19:18<br>20:9,11,12<br>,13,24<br>21:2,3,8,1<br>3,16<br>22:12,19,2<br>3,24<br>23:1,14,21<br>24:2,8,9,1<br>9,22,24<br>25:16,25<br>26:2,6,8,9<br>,22<br>29:3,16,18<br>,20<br>30:5,10,11<br>,16,21<br>31:1 32:15<br>33:13,18<br>35:7,11<br>36:16,18,2<br>2,23<br>37:4,12,13<br>,24<br>38:8,22<br>39:1,3,7,9<br>,10,12,14<br>40:4,13,14<br>,22,23,25<br>41:1,24,25<br>42:3,5,19,<br>20,21,25<br>43:1,3,17,<br>19,25<br>44:4,10,12<br>46:22,25<br>47:9,13,21<br>48:1,12<br>49:11,12,1<br>7,18,25<br>50:6,14<br>51:1,7,13,<br>20<br>52:7,9,10 | 53:11<br>55:22,25<br>56:17<br>57:10,16,2<br>0 58:6<br>69:10,22,2<br>3 82:14<br>84:4<br>102:10,13,<br>14<br>103:1,25<br>104:16<br>106:2<br>107:3<br>108:25<br>110:8,9<br>112:23<br>118:2<br>119:13<br>129:7,12<br>130:10,12<br>151:1,2,5,<br>14,15,19,2<br>4,25<br>152:9,24<br>153:2,3,15<br>,20,21,24<br>157:11,12,<br>13 159:10<br>160:3<br>161:8,11,1<br>9 164:2,9<br>165:6<br>167:20<br>179:18,19<br>206:4,11<br>227:12,14<br>244:21,22<br>245:2,6<br><b>forecasted</b><br>22:16 25:6<br>154:24<br><b>forecasters</b><br>24:13<br>217:14<br><b>forecasting</b><br>5:10 21:17<br>22:2 28:24<br>30:3,4,5<br>32:17 36:9<br>38:5 40:15<br>41:20 | 43:23<br>45:13 49:9<br>56:21 57:1<br>103:19,22<br>104:19<br>150:6,24<br>151:8<br>154:1,22<br><b>forecasts</b><br>22:18,21<br>24:7,8<br>26:3<br>36:14,20<br>37:2,8,9<br>38:10,17<br>41:12 42:8<br>43:2<br>47:12,14<br>55:6,8,18<br>57:3<br>102:22<br>108:6,7<br>109:25<br>157:23<br>158:9<br>160:13,19<br>161:7,20,2<br>4<br>162:6,14,2<br>5<br>163:4,14,2<br>1 179:14<br>180:18<br>217:16<br>245:4<br><b>foremost</b><br>7:12<br>104:10<br><b>forgive</b><br>223:4<br><b>forgotten</b><br>253:2<br><b>form</b> 19:5<br>123:12,15<br>151:1<br>188:7<br>223:24<br><b>formula</b><br>199:2<br><b>formulate</b> |
|---|---|---|--|---|

|                     |                     |                   |                     |                   |
|---------------------|---------------------|-------------------|---------------------|-------------------|
| 171:20              | 139:25              | 8:17,19           | 163:21              | 46:6              |
| <b>forty-seven</b>  | 209:14              | 25:11             | 171:18              | 241:23            |
| 209:10              | <b>frequently</b>   | 27:18             | 193:18              | 247:6             |
| <b>forty-six</b>    | 8:18                | 30:6,17           | 194:19              | <b>generated</b>  |
| 243:9               | <b>fresh</b> 234:13 | 33:22 34:4        | 195:4               | 143:23            |
| 248:1               | <b>fridge</b> 89:21 | 41:4 45:15        | 204:6,7,19          | <b>generating</b> |
| <b>forum</b> 9:3    | 91:11               | 46:25             | ,22,25              | 136:15            |
| <b>forward</b> 7:3  | <b>fridges</b>      | 49:12,17          | 205:8               | 169:12            |
| 8:9 9:4,5           | 89:20               | 54:12,15,2        | 206:24,25           | 187:15            |
| 10:1,8              | <b>Friesen</b> 2:18 | 4 55:19           | 207:5,11,2          | 191:11            |
| 16:20,21            | 14:20               | 66:19             | 3 208:17            | <b>generation</b> |
| 22:23               | <b>front</b> 166:23 | 68:14             | 209:2               | 8:21,22           |
| 23:1,9              | 178:9               | 70:11             | 216:12              | 123:22,24         |
| 25:16               | <b>frozen</b> 194:2 | 75:25 80:8        | 217:8,9,11          | 125:18            |
| 28:24               | <b>fuel</b> 44:6    | 81:25             | ,14 220:11          | 126:1,22,2        |
| 29:16,19,2          | 70:11 75:2          | 82:16,21          | 221:21              | 3 127:21          |
| 4 33:1              | 117:19,20,          | 84:6 85:8         | 222:7,16            | 128:5             |
| 35:13,18            | 24                  | 103:6             | 226:24,25           | 137:2             |
| 38:7                | 118:14,17,          | 119:8             | 232:9,13,1          | 138:7             |
| 55:9,25             | 23                  | 127:22            | 5,22,23             | 144:1,2,11        |
| 63:5,21             | <b>fuels</b> 118:21 | 128:22            | 233:6,9             | 160:3             |
| 73:17               | <b>full</b> 18:23   | 137:2             | 237:14,17,          | 168:21            |
| 80:16 84:1          | 61:19               | 151:17            | 25                  | 169:16,20         |
| 98:5 99:6           | 67:12               | 155:6             | 238:1,3,17          | 170:24            |
| 102:10              | 88:12               | 160:8             | ,19,22,23           | 172:8             |
| 113:24              | 152:15              | 164:19            | 239:1,7,11          | 191:7             |
| 127:22              | 161:19              | 173:15            | ,15,20              | 217:20            |
| 177:5               | 170:5               | 179:12            | 240:8               | <b>generator</b>  |
| <b>fourteen</b>     | 185:9               | 184:4             | 241:19,21           | 124:22,23         |
| 57:19               | 190:22              | 186:14            | 242:8,9,11          | <b>generic</b>    |
| 148:12              | 218:1,6             | 239:15,18         | ,14,22,25           | 214:1             |
| 174:23              | 227:6               | <b>futures</b>    | 243:10,15           | <b>geothermal</b> |
| 175:8,12,1          | 235:20              | 239:25            | 244:10,15,          | 81:17             |
| 7 213:13            | <b>fully</b> 175:15 | <hr/>             | 19,20,21,2          | 170:22            |
| 214:10              | 221:12              | <hr/>             | 3,24                | 171:5             |
| 221:13              | <b>function</b>     | G                 | 245:4,9,10          | <b>gets</b> 133:9 |
| 248:25              | 235:19              | <hr/>             | ,11,15,23           | 202:13            |
| <b>frame</b> 131:24 | 236:2               | <b>GAC</b> 3:22   | 247:8,12,1          | <b>getting</b>    |
| 134:19              | <b>fund</b>         | <b>gain</b> 90:16 | 4,19 248:8          | 10:23 48:6        |
| 153:8               | 136:7,22            | <b>Gange</b> 3:22 | 249:10              | 49:22             |
| <b>frames</b>       | <b>fundamental</b>  | 11:17             | <b>Geller</b> 16:16 | 78:24             |
| 190:20              | 251:13              | 145:7             | <b>general</b>      | 104:22            |
| <b>framework</b>    | <b>fundamentals</b> | <b>gap</b> 85:8   | 10:16,22            | 124:23            |
| 163:17,24           | 160:6               | 114:2             | 22:15               | 125:13            |
| 221:4               | <b>funded</b> 136:9 | <b>gas</b> 8:22   | 25:21               | 137:4             |
| <b>frankly</b>      | <b>future</b> 7:6,7 | 39:18 40:9        | 27:10               | 143:12            |
| 18:24               |                     | 44:6,8            | 28:14               | 147:18            |
| <b>free</b> 19:9    |                     | 63:14             | 95:17               | 162:24            |
| 20:5 58:23          |                     | 64:1,18           | 151:16              | 195:25            |
|                     |                     | 107:1,8           | 169:4               | 200:19            |
|                     |                     | 117:25            | 224:15              |                   |
|                     |                     | 118:6,18,2        | <b>generally</b>    |                   |
|                     |                     | 0 124:22          |                     |                   |

|                     |                     |                     |                   |                     |
|---------------------|---------------------|---------------------|-------------------|---------------------|
| 201:11              | 18:23 54:5          | 222:6,19            | 35:2,3,6,1        | <b>guidelines</b>   |
| 211:2               | 57:17 59:2          | 238:3               | 7 37:14,25        | 78:2                |
| 223:12              | 147:9               | <b>grey</b> 221:7   | 38:2,9,11,        | <hr/>               |
| 234:12              | 148:2               | <b>gro</b> 28:25    | 14 39:5           | <hr/>               |
| <b>gigawatt</b>     | 161:11              | <b>gross</b>        | 40:15             | H                   |
| 21:15,18            | 196:24              | <b>gross</b>        | 41:8,9,10         | <b>ha</b> 23:6      |
| 23:1,8,11           | <b>Gotcha</b>       | 21:14,24,2          | 47:13             | <b>Hacault</b> 4:2  |
| 27:16,19            | 252:23              | 5 27:22             | 55:9,21,22        | 13:11               |
| 28:18,23            | <b>government</b>   | <b>group</b>        | 83:22             | <b>half</b> 96:9    |
| 29:1,23             | 114:8               | 13:8,15,17          | 102:11            | 119:25              |
| 30:21               | 117:4               | 32:17               | 105:14,15,        | 140:18              |
| 31:2,4,6            | 135:3               | 54:22 69:7          | 17                | <b>halfway</b>      |
| 34:4,12,13          | 187:19              | 77:14               | 106:5,7,11        | 212:3               |
| ,17                 | 201:12              | 115:18              | ,14,16,21         | <b>hallway</b>      |
| 35:4,7,12           | 203:13              | 151:20,23           | 127:11            | 15:24               |
| 39:5                | 211:1,13            | 152:6,23            | 149:7             | <b>hand</b> 18:6    |
| 41:1,2,3,9          | <b>gra</b> 22:14    | 217:5,20            | 154:25            | 140:3               |
| ,10 53:8            | <b>gradual</b>      | <b>grouped</b>      | 180:7             | <b>GS</b> 55:7      |
| 63:11,24            | 127:11              | 168:24              | <b>gt</b> 66:11   | <b>gated</b> 121:8  |
| 64:16               | <b>graph</b>        | <b>groupings</b>    | <b>guarantee</b>  | <b>handle</b> 244:4 |
| 65:1,2,11           | 44:16,23            | 219:10              | 16:3              | <b>Hang</b> 118:9   |
| 80:7                | 153:4               | <b>groups</b> 219:1 | 199:24            | <b>Hanri</b> 3:4    |
| 105:15,16           | 154:4               | 220:19              | 200:21            | 15:18               |
| 112:15,16           | 168:1               | <b>grow</b> 7:14    | 201:3,8,13        | <b>happen</b> 15:25 |
| 118:3               | 169:8               | 21:18,25            | 203:9,16          | 16:3 41:17          |
| <b>gigawatts</b>    | 210:23              | 23:10               | 208:10,14,        | 119:24              |
| 34:7,11             | 211:15              | 25:12               | 23                | 135:9               |
| <b>given</b> 8:7    | 237:20              | 27:24 29:1          | 209:8,14,1        | 182:8               |
| 78:22               | 242:20,21           | <b>grown</b> 21:15  | 6 215:6           | <b>happens</b>      |
| 81:22               | <b>graphs</b>       | 28:11,17            | <b>guess</b> 9:15 | 50:24               |
| 141:23              | 170:14              | <b>grows</b> 27:25  | 10:1 57:20        | 126:18              |
| 142:24              | <b>grasp</b> 99:4   | 195:15              | 58:6 76:6         | 136:10              |
| 146:3               | <b>great</b> 113:11 | 196:15              | 107:17            | 197:7               |
| 189:17              | 139:17,19           | <b>growth</b> 21:17 | 131:6             | <b>happy</b> 57:7   |
| 190:1,10,1          | 140:16              | 22:2,9              | 133:22            | <b>hard</b> 148:2   |
| 9 219:4             | 141:9               | 23:7,12,15          | 150:9             | 246:12              |
| <b>gives</b> 177:3  | 243:3               | 24:4,16,17          | 156:5             | <b>hardcore</b>     |
| 220:23              | <b>greater</b> 7:25 | ,19                 | 166:9             | 178:2               |
| 221:10              | 31:3 68:22          | 25:6,7,10,          | 177:24            | <b>harder</b> 196:3 |
| 234:13              | 89:2 95:1           | 11,20               | 185:1             | <b>Harper</b> 3:19  |
| 235:23              | 204:16              | 26:9,10             | 189:16            | 13:4 55:3           |
| 242:4               | 222:20              | 27:16,18,2          | 199:21            | 56:5,8,11,          |
| <b>giving</b>       | 241:19,25           | 2                   | 210:21            | 15 64:23            |
| 163:25              | <b>greatest</b>     | 28:5,6,14,          | 224:14            | 65:12,13,1          |
| 169:10              | 113:11              | 22,23               | 237:3             | 8,21                |
| 243:8               | <b>green</b>        | 29:8,16             | 247:13            | 75:20,21            |
| 247:19              | 11:18,19,2          | 30:13,16            | <b>guessing</b>   | 76:3,11,21          |
| <b>Glad</b> 6:22    | 2 25:5              | 31:10               | 62:14             | ,24 77:2            |
| <b>glass</b> 120:22 | 33:6,12,24          | 33:3,21,22          | <b>guideline</b>  |                     |
| <b>gone</b> 11:4    |                     | 34:14               | 78:5              |                     |

|                   |                     |                     |                     |                     |
|-------------------|---------------------|---------------------|---------------------|---------------------|
| 88:7              | <b>heat</b> 23:13   | ,19,22              | 224:7,25            | 219:4               |
| 110:4,10          | 44:7,8              | 51:9,10,22          | 225:5,7,10          | <b>history</b>      |
| 130:19            | 75:2,8              | ,25                 | 228:10              | 29:24 38:9          |
| 132:14            | 84:12               | 52:4,11,14          | 231:10              | <b>hold</b> 33:13   |
| 176:11            | 106:25              | ,18,21              | 244:9               | 120:7               |
| 184:18            | 107:8               | 88:20,21,2          | 245:21,23,          | 142:19,22           |
| 227:19,20,        | 118:18              | 4                   | 24 249:25           | 220:17              |
| 24                | 170:25              | 89:5,9,12           | 250:12              | <b>holding</b>      |
| 228:11,18         | 171:1               | 90:23               | 251:18              | 142:24              |
| 229:1             | <b>heaters</b>      | 91:15,17,2          | <b>higher</b> 21:17 | <b>Hollis</b> 2:5   |
| <b>haven't</b>    | 84:12               | 0,23 92:1           | 25:13 55:9          | 12:3                |
| 15:21             | <b>heating</b>      | 105:10,22,          | 60:22               | <b>Hombach</b> 2:4  |
| 18:23 19:2        | 23:18               | 25                  | 90:15               | 15:6                |
| 45:6,7,8,1        | 39:17,22,2          | 107:10,13,          | 95:20               | <b>home</b> 83:25   |
| 1 92:10           | 4 40:10             | 20                  | 114:11              | 171:5               |
| 105:1,2           | 73:10 75:8          | 154:3,8,13          | 117:9               | <b>honestly</b>     |
| 142:3             | 84:11               | ,18                 | 125:6               | 104:18              |
| 160:16            | 113:13,14           | 155:5,8,10          | 142:7,22            | <b>hope</b> 162:19  |
| 243:22            | 117:19              | ,16,18              | 170:19              | <b>hopefully</b>    |
| <b>having</b> 9:4 | <b>heavier</b> 25:5 | 163:22,23           | 180:21,24           | 20:7 42:16          |
| 25:19             | <b>heavily</b>      | 164:13              | 189:5               | 208:4               |
| 35:21 60:7        | 194:17              | 181:7,8,13          | 190:10              | <b>hoping</b> 49:22 |
| 75:18             | <b>heavy</b> 25:1   | ,18 183:6           | 204:21              | 50:2                |
| 88:12             | 41:24,25            | 210:1,14,1          | 215:9               | 54:14,18,2          |
| 96:25             | <b>hedge</b> 126:4  | 8 240:6,17          | 225:4,6,7,          | 4 71:18             |
| 123:19            | 128:20              | 241:4,7,10          | 13 231:6            | <b>horizon</b>      |
| 125:6,8,14        | <b>held</b> 1:18    | <b>here's</b> 145:2 | 243:4,9             | 59:17               |
| ,15 133:15        | 33:25               | <b>he's</b> 10:23   | 247:9               | 98:22               |
| 139:1             | <b>Hello</b> 58:24  | <b>hi</b> 31:22     | 251:7               | 153:2,3,15          |
| 173:13            | 103:17              | 52:22               | <b>highest</b>      | 184:9               |
| 201:12            | 120:16              | 74:17               | 153:14              | <b>Horocholyn</b>   |
| 224:19            | <b>help</b> 40:7    | 115:10              | 177:8               | 4:13 16:14          |
| 226:15            | 73:16               | 155:21              | 216:4               | <b>H-O-R-O-C-H-</b> |
| 241:25            | 114:9               | 160:12              | 224:16,19           | <b>O-L-Y-N</b>      |
| <b>head</b> 47:23 | 124:15              | 163:2               | 250:1,2,3           | 16:13               |
| 54:6 57:21        | 130:18              | 192:8               | <b>high-level</b>   | <b>hot</b> 109:17   |
| 80:10             | 183:3               | 225:11              | 59:1                | 171:6               |
| 84:24             | 239:12,13           | <b>high</b>         | <b>highlights</b>   | <b>hour</b> 19:1    |
| 110:3             | <b>helpful</b>      | 10:16,22            | 197:15              | 21:15               |
| 164:5             | 105:13              | 149:6               | <b>high-price</b>   | 29:23               |
| <b>healthcare</b> | 201:24              | 152:23              | 125:10              | 30:21               |
| 28:2              | 219:14              | 153:6               | <b>highs</b> 240:3  | 41:9,10             |
| <b>hear</b> 9:13  | <b>Hendriks</b> 4:7 | 159:14,15,          | <b>hist</b> 35:2    | 67:13               |
| 35:22,25          | 12:17               | 17 169:3            | <b>historical</b>   | 73:24               |
| 205:14            | 44:13,18,2          | 180:4               | 35:3                | 78:25               |
| <b>heard</b> 9:13 | 2                   | 190:3               | 55:16,21            | 118:3               |
| 245:22            | 48:5,6,11,          | 216:10,11,          | 224:5               | 119:25              |
| <b>hearing</b>    | 20,23               | 24 218:23           | 251:24              |                     |
| 35:21             | 50:3,13,16          | 220:18              | <b>historically</b> |                     |
| 58:13             |                     | 221:9               | 160:16              |                     |
|                   |                     | 222:2               |                     |                     |
|                   |                     | 223:11              |                     |                     |



|                     |                  |                     |                     |                |
|---------------------|------------------|---------------------|---------------------|----------------|
| 153:5               | <b>Hutterite</b> | 144:14,18           | 115:3               | 10:13,25       |
| 169:14              | 75:5             | 146:1,8,24          | 121:23              | 16:21          |
| <b>hours</b>        | <b>Hy</b> 106:9  | 147:22              | 143:23              | 19:21 32:3     |
| 21:15,18            | <b>hydro</b> 1:8 | 149:2,9             | 151:2               | 40:23          |
| 22:1                | 2:13 3:2         | 150:9,17,2          | 169:25              | 76:14          |
| 23:1,8,11           | 6:5,6 7:17       | 4 151:4,24          | 172:9               | 92:11          |
| 27:16,19            | 8:7,19           | 153:21              | 179:12              | 150:14         |
| 28:18,23            | 13:7             | 160:3,10            | 198:6,11            | 162:18,19      |
| 29:1                | 14:13,17,1       | 162:22              |                     | 172:14         |
| 31:2,4,6            | 9,21,24          | 167:17              | I                   | 182:9,13       |
| 34:4,12,14          | 15:1,3,5,9       | 171:18              | <b>I.e</b> 162:7,15 | 226:1          |
| ,17                 | ,11,13,15,       | 172:25              | <b>I'd</b> 8:6,10   | 246:23         |
| 35:4,8,12           | 17,19            | 173:8,10            | 10:12               | 248:21         |
| 39:5                | 16:4,6           | 174:5               | 57:6,13             | <b>I'm</b> 6:4 |
| 41:1,2,3            | 18:13            | 176:16              | 80:11               | 10:1,25        |
| 53:8                | 22:11 29:3       | 178:10              | 144:8               | 12:15,22       |
| 63:11,24            | 30:10            | 182:3,12            | 185:13              | 13:4,13        |
| 64:16               | 32:13 34:9       | 183:22              | 207:17              | 14:22,23       |
| 65:1,2,11           | 36:10,11         | 184:24              | <b>idea</b> 18:18   | 15:25 16:5     |
| 68:20               | 45:22 46:4       | 185:7,19            | 98:25               | 18:12          |
| 71:15 80:7          | 54:14            | 188:2,7             | 108:11              | 19:19,22,2     |
| 105:15,16           | 59:25 63:7       | 193:5               | <b>ideal</b>        | 4 20:24,25     |
| 112:15,16           | 67:3             | 194:12,17           | 100:13,14           | 26:24          |
| 141:1               | 72:1,4           | 195:1               | 101:5               | 42:10,11,1     |
| <b>house</b> 65:8   | 73:11            | 196:6,7,9,          | 115:4               | 2,18 44:15     |
| 90:4                | 75:11            | 10,12               | <b>iden</b> 45:17   | 53:24          |
| <b>housekeeping</b> | 77:25            | 199:23              | <b>identical</b>    | 54:13 57:2     |
| 15:21               | 98:11,16         | 201:15              | 244:16              | 58:16          |
| <b>houses</b> 25:18 | 101:22           | 203:12              | <b>identified</b>   | 62:14          |
| <b>housing</b>      | 104:22           | 208:9               | 70:17               | 64:23 79:8     |
| 49:15               | 113:25           | 210:3,8             | 72:12               | 82:1,5,8       |
| <b>Hub</b> 152:25   | 116:21           | 214:11,19           | 101:23              | 86:7           |
| 164:8               | 117:3            | 220:10              | 113:6,9,10          | 92:2,3,9,1     |
| <b>huge</b> 149:7   | 122:9            | 233:16,19           | 222:17              | 1 96:16,20     |
| <b>hun</b> 28:22    | 123:5,9,10       | 242:13              | 224:9               | 98:9           |
| <b>hundred</b>      | ,24              | 247:8,9             | <b>identifies</b>   | 115:15         |
| 34:21               | 124:6,10,1       | 250:6,8             | 102:17              | 121:9,21,2     |
| 35:10               | 2,24             | <b>hydro/wind</b>   | 197:19              | 2 132:14       |
| 63:10,15            | 125:2,6,15       | 123:1               | <b>identify</b>     | 133:19         |
| 64:3                | 126:6,24         | <b>hydroelectri</b> | 29:7 45:18          | 139:16         |
| 148:10              | 127:23           | <b>c</b> 191:11     | 98:15               | 150:7,8,16     |
| 175:18              | 128:12           | <b>Hydro's</b> 6:24 | 172:1               | 154:14         |
| 176:14              | 129:1,11         | 30:6                | <b>identifying</b>  | 155:10,23      |
| 208:22              | 133:23           | 46:6,24             | 101:21              | 159:4          |
| 237:6               | 135:9            | 48:16               | 223:23              | 162:19         |
| <b>hurdle</b>       | 136:2,9          | 58:12,19            | <b>ignorance</b>    | 169:7          |
| 190:23              | 138:3            | 63:8 66:17          | 210:3               | 177:23         |
| 191:1               | 139:10,18        | 68:24               | <b>I'll</b> 9:15    | 184:8          |
| 192:9,10            | 140:22           | 72:15               |                     | 189:11         |
|                     | 141:9,21         | 73:13               |                     | 200:16         |
|                     | 142:4            | 88:25               |                     | 201:9          |
|                     | 143:2,19,2       | 105:13              |                     | 209:13         |
|                     | 4                |                     |                     | 215:11         |

|                     |                     |                     |                     |                     |
|---------------------|---------------------|---------------------|---------------------|---------------------|
| 218:15              | 108:14              | <b>incentives</b>   | 16:6 48:13          | 106:24              |
| 223:12              | <b>implications</b> | 101:9               | 53:13,16            | 114:21              |
| 233:8               | 124:20              | <b>inclu</b> 43:2   | 56:2 72:16          | 115:3               |
| 236:25              | 142:23              | <b>include</b> 21:3 | 95:14               | 116:25              |
| 239:23              | 145:2               | 43:4,24             | 119:19              | <b>increasingly</b> |
| 240:18,21,          | <b>implicit</b>     | 44:11               | 193:4               | 204:21              |
| 23                  | 200:20              | 47:12 51:2          | <b>income</b> 78:13 | <b>increment</b>    |
| 244:3,12            | 232:23              | 68:16               | 185:21,22,          | 186:24              |
| <b>imagine</b>      | <b>implicitly</b>   | 73:14               | 25 186:2            | 205:8               |
| 213:24              | 228:14              | 83:24               | <b>incor</b> 70:20  | <b>incremental</b>  |
| <b>imbedded</b>     | <b>imply</b> 244:14 | 84:9,10,11          | <b>incorp</b> 104:5 | 42:22 46:7          |
| 217:12              | <b>import</b> 7:22  | ,15,17              | <b>incorporate</b>  | 52:3 82:16          |
| <b>impact</b> 9:25  | 147:19,21           | 109:16              | 46:15               | 147:15              |
| 30:17               | 148:9,18            | 114:20              | 172:3               | 185:11              |
| 43:18               | 172:20              | 115:3               | <b>incorporatin</b> | 186:19              |
| 47:20               | 202:22              | 119:14              | <b>g</b> 117:6      | 189:7               |
| 51:18 59:6          | <b>import/</b>      | 129:14              | <b>incorrect</b>    | 204:4,15,1          |
| 87:8 91:14          | <b>export</b>       | 160:2               | 55:20               | 6 205:3             |
| 93:6,7,10,          | 172:19              | 173:5               | <b>increase</b>     | 207:3               |
| 12,16,19,2          | <b>importance</b>   | 178:9,21            | 22:3 23:17          | 209:16              |
| 3                   | 143:21              | 203:7               | 39:12               | 239:3               |
| 94:19,22,2          | <b>important</b>    | 206:20              | 43:18               | 240:4               |
| 5 95:13,14          | 6:18 59:14          | 216:13              | 45:19               | <b>incurred</b>     |
| 96:24 97:3          | 63:5                | 229:17              | 46:14               | 184:24              |
| 147:10              | 67:11,14            | <b>included</b>     | 141:16,17           | 187:12              |
| 169:20              | 124:9               | 19:25 20:8          | 146:14              | <b>indeed</b> 8:25  |
| 180:4               | 129:25              | 43:22               | 148:9               | <b>independent</b>  |
| 208:14              | 147:22              | 44:25 45:7          | 153:1               | 3:7 9:3             |
| 209:15,17           | 216:16,20           | 47:9,25             | 172:5               | 12:2,25             |
| 214:2,3             | 250:6               | 48:7 71:10          | 196:13              | 13:3,23,25          |
| 216:4,6,9,          | <b>imports</b>      | 81:7,20             | 200:25              | 14:2,8              |
| 11,13,17,2          | 171:18              | 84:14               | 203:18              | 67:3 68:8           |
| 2,24                | <b>impression</b>   | 114:21              | 233:12              | 127:25              |
| 224:16              | 233:25              | 118:14              | <b>increased</b>    | 150:25              |
| 244:9               | <b>improve</b> 37:8 | 152:11              | 22:9 38:9           | 151:23              |
| 245:21,23,          | <b>improvements</b> | 154:12              | 39:21,23            | 157:11              |
| 24                  | 47:2 56:19          | 159:15              | 83:6                | <b>indi</b> 22:12   |
| <b>impacts</b>      | 119:1               | 163:8,9             | 106:24              | <b>indicate</b>     |
| 82:13               | <b>imputed</b>      | 164:5               | 114:20,22           | 112:13              |
| 129:5               | 198:9               | 187:2,4,5,          | 123:21              | 169:16              |
| 160:2               | <b>incentive</b>    | 6 199:22            | 186:9               | <b>indicated</b>    |
| <b>impending</b>    | 96:6                | 217:7               | <b>increases</b>    | 32:11 34:2          |
| 127:12              | <b>incentive-</b>   | 226:16              | 25:17,18            | 44:14               |
| <b>implement</b>    | <b>based</b>        | <b>includes</b>     | 45:23               | 106:1               |
| 81:10               | 49:21 72:5          | 27:10               | 46:7,11             | 134:2               |
| <b>implementati</b> | 73:8                | 30:10               | 125:1               | 151:13              |
| <b>on</b> 81:21     | 80:5,9              | 67:17 80:7          | <b>increasing</b>   | <b>indicates</b>    |
| <b>implemented</b>  |                     | 82:23               | 28:4 39:16          | 222:5,6             |
| 107:3               |                     | 121:24              | 83:3 99:25          | <b>indicating</b>   |
| <b>implication</b>  |                     | 217:20              |                     |                     |
|                     |                     | <b>including</b>    |                     |                     |

|                     |                    |                     |                     |                     |
|---------------------|--------------------|---------------------|---------------------|---------------------|
| 18:18               | 54:15              | 246:17              | 117:12              | 96:14               |
| <b>indication</b>   | 93:13,14           | <b>initiatives</b>  | 133:23              | 101:22              |
| 151:16              | <b>influencers</b> | 40:5                | <b>intent</b>       | 134:3,4             |
| 183:13              | 40:13              | 49:4,21             | 144:15              | 149:8               |
| 242:5               | <b>influences</b>  | 54:25 64:5          | <b>Interchurch</b>  | 168:23              |
| <b>indicative</b>   | 194:8              | 67:22               | 13:7                | 174:10              |
| 153:22              | <b>influencing</b> | 68:5,24             | <b>intercon</b>     | <b>interesting</b>  |
| 231:11              | 39:8               | 83:7                | 145:8               | 25:2 93:22          |
| <b>indicators</b>   | <b>informal</b>    | <b>input</b> 20:10  | <b>interconnect</b> | <b>interface</b>    |
| 217:18              | 161:16             | <b>inputs</b> 179:7 | 131:9               | 125:4               |
| 218:6               | <b>information</b> | 224:6               | <b>interconnect</b> | <b>InterGroup</b>   |
| 224:2               | 10:5,6             | <b>in-service</b>   | <b>ion</b> 5:9      | 13:14,17            |
| 227:7,9             | 19:25 21:4         | 132:3               | 7:21 32:25          | <b>internal</b>     |
| 228:24              | 24:15,23           | 133:14              | 121:4,12            | 98:14               |
| <b>indirectly</b>   | 30:7 32:21         | 180:7               | 123:8,25            | 192:10              |
| 203:13              | 38:23,25           | 182:24              | 125:1               | <b>internally</b>   |
| <b>individual</b>   | 39:1 54:3          | 187:14              | 126:16              | 163:13              |
| 29:4,6,13,          | 55:8 58:15         | 197:15,20           | 130:25              | <b>interpretati</b> |
| 17 33:14            | 86:19              | <b>inside</b> 18:20 | 132:2               | <b>on</b> 33:7      |
| 54:19 61:5          | 104:5,8            | 232:5               | 141:13              | <b>interpreting</b> |
| 95:22               | 105:20             | <b>insight</b>      | 143:19              | 244:12              |
| 112:6               | 117:6              | 101:18              | 144:2,13,2          | <b>interrogator</b> |
| 199:4               | 158:3              | <b>installed</b>    | 3 145:8             | <b>y</b> 18:23      |
| 216:7               | 161:2              | 67:13               | 147:9               | <b>inter-tie</b>    |
| 235:22              | 162:24             | 71:14               | 172:5,15,1          | 141:6,10,1          |
| <b>individually</b> | 169:10             | 78:25               | 7                   | 5                   |
| 22:13               | 170:15,18          | 99:22               | 173:1,4,5,          | <b>inter-ties</b>   |
| 67:5,10             | 178:1              | 100:2               | 6,11,17,25          | 141:7               |
| 164:22              | 203:2              | <b>installing</b>   | 174:2,4             | <b>intervene</b>    |
| <b>industrial</b>   | 207:21             | 68:20               | 187:16              | 101:8               |
| 27:11,14            | 231:23             | <b>inherent</b>     | 206:21              | <b>Intervenors</b>  |
| 33:21 34:8          | <b>inherent</b>    | 30:4 36:9           | 242:24              | 9:8 10:10           |
| 112:5               | <b>inherently</b>  | <b>instance</b>     | 243:10,17,          | <b>introduce</b>    |
| 113:16              | 229:8              | 127:16              | 20,21,23            | 221:15              |
| <b>industry</b>     | <b>initial</b>     | 194:20              | <b>interconnect</b> | 234:20              |
| 27:24               | 116:10             | <b>instead</b> 41:8 | <b>ions</b>         | <b>introduced</b>   |
| <b>inefficient</b>  | <b>initiate</b>    | 190:24              | 172:3,22            | 28:3 39:15          |
| 100:5               | 59:10              | 199:18              | <b>interest</b>     | 49:14               |
| <b>inflation</b>    | <b>initiated</b>   | 224:23,24           | 7:18 107:7          | 154:15              |
| 45:19               | 59:11              | <b>insulated</b>    | 111:4               | <b>introduces</b>   |
| 83:25               | 110:24             | 65:8                | 138:22              | 180:1               |
| 189:2               | <b>initiative</b>  | <b>integrated</b>   | 142:20              | <b>introducing</b>  |
| 198:22              | 14:17 51:4         | 20:11 49:8          | 182:23              | 81:10               |
| 228:1,3,5,          | 56:3 63:8          | 51:5                | 198:8,9             | <b>introduction</b> |
| 8,19                | 67:9               | 60:1,4,6            | 199:19,24           | 86:9 153:6          |
| <b>influence</b>    | 68:2,8,11,         | 61:4 66:18          | 201:4               | <b>intuitively</b>  |
| 25:19               | 12 72:6,7          | 105:13              | 218:2               |                     |
| 47:16,25            | 81:17              | <b>intended</b>     | 228:8,14            |                     |
| 49:16 50:2          |                    | 17:18               | <b>interested</b>   |                     |
|                     |                    | <b>intends</b>      | 10:11               |                     |

|                    |                     |                    |            |                     |
|--------------------|---------------------|--------------------|------------|---------------------|
| 240:11             | <b>investments</b>  | <b>item</b> 203:5  | 91:12      | 209:13,23,          |
| <b>invest</b> 71:3 | 129:16              | <b>items</b> 15:21 | 92:10,18   | 24 210:20           |
| 90:19              | 193:5               | 24:1               | 93:11,18,1 | 211:5,11,1          |
| 95:2,4,25          | 227:17              | <b>iteration</b>   | 9 94:21,22 | 2 212:7             |
| 96:11              | <b>investor</b>     | 81:11              | 95:4,7,24  | 213:2,19            |
| 174:17,20,         | 131:21              | 104:10,11          | 96:3,11    | 215:8               |
| 24                 | 134:9,10            | <b>it'll</b> 64:18 | 99:14,25   | 216:16              |
| 175:2,25           | <b>invite</b> 144:8 | 126:13             | 100:7      | 218:20              |
| 243:19             | <b>invited</b> 6:16 | 144:9              | 107:7      | 219:15              |
| <b>invested</b>    | <b>involve</b>      | 185:22             | 108:24     | 221:12              |
| 63:14              | 141:12,13           | <b>it's</b> 6:7    | 109:18     | 223:20              |
| <b>investing</b>   | <b>involved</b>     | 10:9 11:3          | 118:2      | 224:20,21           |
| 63:22 80:6         | 99:24               | 17:11,14,1         | 121:19     | 225:9,11            |
| 134:3              | 185:3               | 8 20:19            | 123:15     | 227:17              |
| 144:18             | <b>involvement</b>  | 29:15,16           | 128:2      | 228:17              |
| 174:10,18          | 95:1                | 30:4               | 130:10,25  | 231:18,19           |
| 176:3              | <b>involves</b>     | 31:11,12,2         | 131:11     | 232:2,22            |
| 214:13,14,         | 140:21              | 2 32:6             | 133:2      | 239:21              |
| 15,19,23           | <b>IR</b> 53:22     | 33:12              | 134:16     | 240:2,10,2          |
| <b>investment</b>  | 143:15              | 35:19,20           | 135:13     | 3                   |
| 64:1,19            | 201:21              | 36:14              | 136:16     | 241:4,7,23          |
| 67:19,24           | <b>IRP</b> 61:20    | 38:12              | 137:17     | 242:24              |
| 71:14 74:7         | <b>irrelevant</b>   | 41:17              | 139:17     | 243:7,8,18          |
| 78:3,4             | 245:16              | 42:11              | 140:13,18, | 245:12,20           |
| 83:23 96:9         | <b>irrespective</b> | 43:5,12            | 20 141:24  | 246:1,2,10          |
| 128:9              | 229:6               | 44:18,23           | 144:4      | ,11,14,19           |
| 133:19,23          | <b>isn't</b> 10:2   | 48:7               | 147:20,21  | 247:4               |
| 136:12,14,         | 17:14 45:9          | 49:2,3             | 150:15     | 249:7,9,22          |
| 23 142:25          | 70:10               | 52:24,25           | 151:19,20  | ,25                 |
| 147:1              | 106:10              | 53:2,24            | 153:22     | 250:4,15            |
| 149:20             | 176:14              | 57:18 58:4         | 155:2      | 251:12              |
| 172:7              | 201:13              | 59:3,4,14          | 158:14,15  | 252:18              |
| 173:21             | 205:21              | 60:5 61:20         | 166:1      | <b>I've</b> 8:25    |
| 174:4              | 213:16              | 63:5 65:16         | 167:14     | 166:25              |
| 175:9,14           | <b>issue</b> 19:8   | 67:11,14           | 168:9      | 167:3               |
| 176:10,16          | 92:22               | 68:23              | 169:9,13,1 | 177:11              |
| 177:4,7,8          | 147:4               | 69:8,9             | 7 170:17   | 204:5               |
| 186:23,24          | 184:19              | 70:11              | 171:6      | 221:15              |
| 187:23             | 185:1               | 71:13              | 174:14,19  | 234:21              |
| 188:8,12,1         | <b>issued</b>       | 74:24              | 175:14,15  |                     |
| 3 190:20           | 123:11              | 75:4,16,17         | 176:1      | <hr/>               |
| 204:9,15,2         | 143:20              | ,18,21             | 177:2,6    | <hr/>               |
| 0,22,24            | <b>issues</b> 8:8   | 76:23,24           | 179:7      | <b>J</b>            |
| 205:8              | 130:16              | 78:5,7             | 180:22     | <b>Jacobs</b> 3:4   |
| 207:5,16           | 142:16              | 79:2 80:19         | 182:1,14   | 15:18               |
| 211:21,24,         | 143:5,7             | 81:18              | 183:13,15, | <b>jagged</b> 236:3 |
| 25 212:4           | 144:16              | 83:9,23            | 16 189:14  | <b>James</b> 3:24   |
| 213:15             |                     | 85:1,3,20          | 194:2      | 11:21               |
| 214:10,22,         |                     | 86:14              | 196:2,3    | <b>Jan</b> 2:10     |
| 24 215:2           |                     | 87:24              | 197:14     | 14:5                |
| 232:9,13,1         |                     | 88:6,13            | 198:7      | <b>Jessica</b> 4:6  |
| 5 250:5,7          |                     | 89:10              | 200:7,8    | 12:14               |
|                    |                     |                    | 202:5,10   | <b>Joanne</b> 2:21  |
|                    |                     |                    | 205:5,17   |                     |

|  |   |   |   |   |
|--|---|---|---|---|
| 15:2 62:1<br>121:2<br>130:11,13<br>137:16<br>150:7,8,14<br>,16,22<br>151:12<br>152:5,20<br>153:19<br>154:11,16,<br>21<br>155:6,9,15<br>,17,20,21<br>156:4,8,11<br>,15,23<br>157:2,5,13<br>,20,25<br>158:7,11,1<br>5,19<br>159:1,12,1<br>8,22<br>160:4,15,2<br>0<br>161:16,25<br>162:2,10,1<br>8<br>163:7,12,1<br>9 164:3,20<br>165:3,6,16<br>166:6,9,11<br>,14,22<br>168:17<br>170:3,10<br>171:2,7,11<br>,14 172:14<br>174:13,25<br>175:7,24<br>176:19,25<br>177:18,23<br>178:11,16<br>179:3,5,24<br>180:15<br>181:3,12,1<br>7 182:4<br>183:18<br>185:8,15,1<br>7 186:11<br>188:17<br>189:11,25<br>190:11<br>191:5,19<br>192:8,12,1<br>9<br>194:10,14, | 21<br>195:5,13,1<br>6 196:2<br>197:4,12<br>198:3<br>199:8,17<br>200:5,16,2<br>0<br>202:4,9,15<br>,21 204:3<br>205:19<br>206:2,5,9,<br>12,17<br>208:1<br>209:24<br>210:11,17,<br>19<br>211:7,18<br>212:1,6,16<br>,21<br>213:1,18<br>214:6,12,1<br>5,18,21,25<br>215:3,8,11<br>,18 216:3<br>217:3<br>218:5,11,1<br>8,22,25<br>219:8,18,1<br>9<br>220:12,15<br>221:1<br>223:7,12,1<br>8 224:13<br>225:19<br>226:3,7,11<br>,21<br>227:1,6,13<br>,18,23<br>228:7,17,2<br>1<br>229:2,10,2<br>3 231:17<br>232:11,14,<br>24<br>233:3,8,14<br>,19,22<br>234:1,3,6,<br>13,20,25<br>235:2,8,11<br>,13,18<br>236:20<br>238:23<br>239:9,16 | 240:2,16,2<br>1<br>241:2,9,12<br>242:19<br>244:7,11,1<br>8 245:19<br>246:1,9,17<br>,22 247:1<br>248:23<br>249:6<br>250:19,24<br>251:20<br>252:7,12,1<br>6,18,21,25<br>253:3,5<br><br><b>Joanne 's</b><br>130:14<br><br><b>job</b> 8:2<br><br><b>John</b> 3:8,10<br>4:11 12:24<br>13:22<br>16:12<br>31:7,8<br>45:4,10,14<br>,17,21<br>46:3 58:25<br>59:23,24<br>61:17,18<br>62:20<br>65:22 66:3<br>69:20<br>70:2,10<br>79:8,9,15,<br>17<br>80:12,15,1<br>9 81:2<br>82:8,11,21<br>,24<br>83:8,13,19<br>84:3,7,15,<br>20<br>85:1,10,14<br>,18,21<br>92:2,6,9,1<br>7,21,24<br>103:16,18,<br>21 104:15<br>108:10<br>109:5<br>162:3,4,12<br>170:7<br>178:7,15 | 194:4,11,1<br>5,23<br>195:9,14,1<br>9 196:19<br>197:8<br>199:3,12<br>200:1,7<br>201:9,17,2<br>3<br>202:6,12,1<br>7<br>209:12,22<br>217:24,25<br>218:8,9,14<br>,20,23<br>219:3,20,2<br>2 220:2,8<br>226:22<br>227:2,11,1<br>6 238:21<br>239:4,12,2<br>2 240:5<br>244:2,8,12<br>245:8,20<br>246:4,16,1<br>9 248:22<br>250:13,21<br><br><b>joint</b> 146:17<br><br><b>Josee</b> 2:11<br>14:10<br><br><b>judgment</b><br>8:25<br>158:4,6<br>224:6<br><br><b>judgmentally</b><br>225:15<br><br><b>Judy</b> 2:23<br>15:8<br><br><b>July</b> 20:2,3<br>24:2 42:18<br>43:21<br>151:13<br><br><b>jump</b> 154:14<br>196:1<br><br><b>June</b> 85:13<br>187:13<br><br><b>jurisdiction</b><br><b>s</b> 24:5<br>26:24<br>51:14 | 104:23,25<br>105:13<br><br><b>justify</b><br>124:15<br><br><hr/> <b>K</b> <hr/> <b>K22</b> 205:11<br><br><b>Keeyask</b><br>185:20,25<br>187:15<br>197:16,21<br>205:11<br>207:10<br>208:17<br>221:21<br>232:16,18<br>237:13,25<br>242:9<br>243:19<br><br><b>Keeyask19</b><br>242:25<br>243:15<br><br><b>Keeyask22</b><br>242:22<br>243:10<br><br><b>Keeyask-22</b><br>204:6,25<br><br><b>key</b> 20:10<br>25:15 29:6<br>32:18<br>153:11<br><br><b>Keyes</b> 4:14<br>16:16<br><br><b>kick</b> 6:8,17<br><br><b>kilowatt</b><br>67:13<br>68:20<br>71:15<br>73:24<br>78:24<br><br><b>Knight</b> 12:1<br><br><b>known</b> 235:19<br><br><b>Koschik</b> 2:7<br>12:7,8<br>145:22<br>148:8,12,1<br>5<br>251:12,13 |
|--|---|---|---|---|

|   |   |   |  |  |
|---|---|---|--|--|
| 252:9,14,1<br>7,20,23<br>253:1<br><b>Kuczyk</b> 2:19<br>14:22<br><b>Kurt</b> 2:6<br>14:3<br><b>kV</b> 132:3,20<br>134:14<br>146:18,19<br><hr/> <b>L</b> <hr/> <b>La</b> 12:24<br>13:2<br>69:2,20<br>79:9<br><b>labelled</b><br>221:17<br>231:7<br><b>laid</b> 9:17<br><b>lar</b> 25:13<br><b>large</b> 29:22<br>33:20 34:8<br>59:8<br>123:10<br>124:11<br>131:3,5<br>135:7<br>136:14<br>144:5<br>149:8<br>190:19<br>251:18<br><b>larger</b><br>135:23<br><b>large-scale</b><br>125:17<br><b>largest</b><br>27:13<br><b>Larry</b> 2:9<br>13:20<br><b>last</b> 16:13<br>19:14<br>21:14,25<br>23:7 27:15<br>28:12,16,2<br>0<br>33:4,5,15 | 34:6,14,15<br>35:3,5<br>63:9<br>84:20,23<br>123:13<br>160:16<br>166:1<br>182:19<br>193:8<br>195:22,23<br>196:24<br>246:23<br>252:5,6<br><b>late</b> 6:12<br>119:23<br>123:13<br><b>later</b> 26:10<br>69:8<br>131:13<br>139:2<br>194:16<br>220:16<br>233:9<br><b>launch</b> 85:4<br><b>launched</b><br>81:16<br>85:13<br><b>Lauren</b> 4:8<br>12:20<br><b>Lavigne</b><br>253:21<br><b>lawyers</b> 6:9<br>76:14<br><b>lay</b> 144:17<br><b>layers</b> 61:3<br><b>Le</b> 94:18<br><b>lead</b> 127:15<br>183:22,24<br>186:10<br>229:9<br><b>leading</b> 6:7<br>15:23<br>37:21<br><b>least</b><br>177:6,7<br>184:2<br>186:22<br>204:9 | 239:19<br><b>least-</b><br><b>capital</b><br>187:23<br>188:12,13<br><b>leave</b> 76:14<br>165:14<br><b>led</b> 147:11<br><b>left-hand</b><br>167:11<br>208:5<br>221:6<br><b>legal</b> 12:6<br>15:6 18:3<br><b>legend</b> 44:25<br><b>Lemoine</b> 2:11<br>14:10<br><b>length</b><br>192:25<br>210:25<br>211:9<br>216:7<br>249:10<br><b>lengthy</b><br>219:9,15<br><b>less</b> 31:1<br>71:21<br>125:5<br>136:24<br>222:22<br>231:5<br>232:6<br>247:11<br>251:1<br><b>lets</b> 221:3<br><b>let's</b> 32:3<br>121:12<br>133:8<br>150:17<br>208:16<br>220:17<br><b>letter</b><br>144:14<br><b>level</b><br>10:16,22<br>60:9,22<br>70:15<br>71:12 | 78:3,4<br>95:20<br>96:18,21<br>97:11<br>98:19<br>99:13,18<br>100:7,12<br>102:23<br>112:1<br>115:12<br>117:10<br>169:3<br>170:4<br>174:11<br>209:16<br><b>levelization</b><br>125:10<br><b>levelized</b><br>71:9,13,15<br>74:11<br>75:24<br>76:8,17,20<br>87:7,15,17<br>88:4,14,15<br>92:14<br>169:10<br>170:4<br><b>levels</b> 60:13<br>61:3,6<br>99:11<br>114:11<br>126:24<br>153:23<br>180:21,24,<br>25<br>199:6,14<br>229:8<br><b>li</b> 235:22<br><b>liable</b><br>131:19<br><b>licence</b><br>133:11<br><b>life</b> 46:4<br>71:16 77:1<br>169:13<br>191:10,20<br>192:2,22<br>208:21<br>209:4<br><b>lifetime</b> | 76:6,7<br><b>light</b> 170:18<br>237:25<br><b>lighter</b> 42:1<br>222:23<br><b>lighting</b><br>94:8<br>113:14,16,<br>17<br>119:17,21<br><b>likelihood</b><br>166:3<br>224:17<br><b>likely</b> 20:14<br>37:10 41:3<br>85:10,15<br>119:15<br>179:11<br>214:4,5<br>224:19,22<br>225:2,9<br>239:18<br>247:25<br><b>Likewise</b><br>187:4<br><b>limits</b><br>147:15<br><b>line</b> 24:18<br>25:1,4,5<br>28:13<br>29:10,11<br>32:11<br>33:6,12,24<br>41:23,24,2<br>5 70:8<br>109:1<br>124:11,15,<br>17 126:15<br>131:22<br>132:3,6,10<br>,16,18,20,<br>24,25<br>133:4,5,20<br>134:9,14,2<br>4<br>135:1,7,11<br>,13,14,17,<br>23<br>136:12,14,<br>18 |
|---|---|---|--|--|

|                     |                    |                     |            |                   |
|---------------------|--------------------|---------------------|------------|-------------------|
| 143:4,22            | 94:17 98:2         | 103:25              | 4          | 88:23             |
| 144:5,10            | 110:5              | 104:19              | 43:11,13,1 | 89:1,7,11,        |
| 146:11,18,          | 113:25             | 106:2,4,7           | 9 44:17,20 | 13                |
| 19 147:3            | 118:8              | 108:6,7             | 45:2,4,8,1 | 91:1,6,16,        |
| 148:3               | 120:18             | 109:25              | 1,15,20,25 | 19,22,25          |
| 154:9               | 131:13,17          | 118:2,3             | 46:5,20    | 92:5,7,16,        |
| 172:19              | 158:4              | 123:23              | 47:11      | 19,23 93:3        |
| 181:21              | 165:13             | 149:7               | 48:10,19,2 | 94:16,21          |
| 194:18              | 172:15             | 154:25              | 2 49:1     | 95:10,19          |
| 195:19,21           | 182:13             | 171:22              | 50:12,15,1 | 96:22 97:5        |
| 207:11,13           | 193:11             | 172:9               | 8,20,23    | 98:1,9            |
| 221:16,19,          | 220:16             | 180:6               | 51:16,24   | 99:10             |
| 22 230:23           | 236:10             | 195:15,18           | 52:2,8,12, | 101:13            |
| 235:23              | 247:10,12,         | 196:15              | 15,20      | 103:17,20         |
| 236:24              | 13                 | 205:17              | 53:2,5,12, | 104:1,17,2        |
| 237:6               | <b>lives</b> 191:7 | 227:12,13           | 15         | 1 105:1,8         |
| 238:14              | 192:6,23           | 233:13              | 54:6,7,17  | 106:6             |
| 240:19,22           | <b>Liz</b> 2:24    | <b>loads</b> 200:3  | 55:4,24    | 107:12,18,        |
| 243:1,16            | 15:10              | 236:23              | 56:6,10,14 | 21                |
| 247:3               | <b>Lloyd</b> 2:19  | <b>locational</b>   | ,16,24     | 108:8,16          |
| 248:9               | 14:22 62:3         | 122:14              | 57:4,9,10, | 109:7             |
| 250:10              | <b>LMP</b> 123:22  | <b>lock</b> 9:17    | 13,20      | 110:2,9,12        |
| <b>linearly</b>     | 124:7              | 161:2               | 58:6,10    | ,17,20,22         |
| 236:1               | <b>load</b> 5:6    | <b>locked</b> 126:4 | 59:9       | 111:5,7,19        |
| <b>lines</b> 42:2,3 | 11:6 19:18         | <b>lockstep</b>     | 60:2,19    | ,20,24            |
| 45:1                | 20:9 22:11         | 228:20              | 62:6,9,11, | 112:12            |
| 144:19              | 30:18              | <b>logged</b> 16:17 | 16,25      | 113:3,22          |
| 163:23              | 31:1,3,5,1         | <b>logistical</b>   | 63:21      | 114:16            |
| 191:15              | 4                  | 16:8                | 64:13      | 115:15,24         |
| 194:9               | 32:3,8,17          | 111:2,15            | 65:5,16,19 | 116:2,5,9,        |
| 221:16              | 33:1,9,21,         | <b>Lois</b> 2:20    | 66:1,7     | 20 117:22         |
| 232:3               | 22 34:8,12         | 11:5 14:25          | 67:1       | 118:16            |
| 236:2               | 39:5 40:4          | 16:20 17:6          | 69:5,25    | 120:2,5,18        |
| <b>link</b> 123:14  | 41:7,20,21         | 19:13,19,2          | 70:3,13    | ,21,23            |
| <b>list</b>         | 42:19,20,2         | 2 20:18,23          | 71:8 73:25 | 170:25            |
| 81:3,4,18           | 1                  | 21:12,23            | 74:8,21    | <b>lon</b> 33:23  |
| 102:17              | 43:1,18,19         | 22:8                | 75:13      | <b>long</b> 33:23 |
| 166:23              | ,23,25             | 23:5,25             | 76:2,10,13 | 56:21             |
| 205:3               | 47:9,21            | 26:1,5,14,          | ,23,25     | 61:25             |
| 228:24              | 48:1,12            | 17,21               | 77:4,18,22 | 120:2             |
| <b>listed</b> 52:16 | 49:9,11,12         | 27:1,2,9            | 79:8,13,16 | 131:18            |
| 139:17              | ,16,18,25          | 31:11,22            | ,23        | 149:11            |
| 221:8,11            | 50:6,13,25         | 32:5,10,16          | 80:3,14,18 | 183:22,24         |
| <b>lists</b> 233:4  | 51:6,8,12,         | 33:5,11             | ,22 81:6   | 186:10            |
| <b>little</b> 6:11  | 18,20              | 34:11 35:1          | 82:10,20,2 | 190:20            |
| 9:16                | 52:7,9,10          | 36:4,8              | 2          | 192:23            |
| 19:7,19             | 53:11              | 37:1 38:21          | 83:1,12,17 | 199:22            |
| 35:24               | 57:9,16,20         | 40:3,21             | ,20        | 208:21            |
| 72:18               | 58:6 65:10         | 41:16               | 84:4,8,17, | <b>longer</b>     |
| 75:21               | 74:5               | 42:10,14,2          | 23         | 105:19            |
| 87:22               | 75:3,16            |                     | 85:3,12,17 | 131:18            |
|                     | 82:14              |                     | ,20,22     | 167:19            |
|                     |                    |                     | 86:8,24    |                   |
|                     |                    |                     | 87:14      |                   |

|                     |                     |                     |            |                    |
|---------------------|---------------------|---------------------|------------|--------------------|
| 229:9               | 218:23              | 167:8               | 13:10      | 143:2,19,2         |
| 245:15              | 220:19              | 179:12              | 14:13,15,1 | 3                  |
| <b>long-life</b>    | 221:9,24            | <b>maintains</b>    | 7,19,21,24 | 144:6,14,1         |
| 191:23              | 223:10,11           | 176:2               | 15:1,3,5,9 | 8                  |
| <b>long-run</b>     | 224:7,25            | <b>maintenance</b>  | ,11,13,14, | 146:1,8,14         |
| 128:12              | 225:5,8,10          | 68:18               | 16,19      | ,24 147:22         |
| <b>long-term</b>    | 228:10              | 193:5               | 18:13      | 149:2,9            |
| 5:10                | <b>lower</b> 7:25   | <b>major</b> 29:6   | 22:11 24:3 | 150:9,17,2         |
| 7:5,18,25           | 38:11 39:6          | 32:8,18             | 25:5,9,12, | 4                  |
| 30:12               | 42:22               | 61:6                | 17,18      | 151:1,4,24         |
| 122:4               | 78:13               | 102:18              | 27:13 29:3 | 153:20             |
| 125:21              | 96:25               | 122:7               | 30:5,10    | 160:3,10           |
| 150:6,23            | 125:8               | 123:8               | 32:12 34:9 | 167:16             |
| 154:1               | 152:15              | 149:16              | 36:10,11   | 168:18             |
| 198:8               | 190:10              | 189:12              | 45:22      | 169:24             |
| 202:16              | 232:7               | 191:6               | 46:4,6,24  | 170:16             |
| 205:24,25           | 247:18              | 193:4               | 48:16      | 172:8,23,2         |
| 212:20,24           | <b>lowering</b>     | 202:22              | 49:13      | 5                  |
| 213:4               | 123:22              | 232:15,18           | 54:14      | 173:2,8,9          |
| <b>looming</b> 59:8 | <b>lowers</b> 7:22  | <b>majority</b>     | 58:11,18   | 174:5              |
| <b>LORIS</b> 28:10  | <b>lowest</b>       | 32:6 37:2           | 59:25 63:7 | 176:16             |
| <b>losing</b> 91:11 | 153:14              | 106:14              | 66:17 67:3 | 179:11             |
| 213:25              | 204:14,20,          | 122:9               | 68:24      | 182:11             |
| <b>loss</b> 32:8    | 24                  | 134:10              | 72:1,4,14  | 184:24             |
| 89:2                | <b>low-price</b>    | 136:3               | 73:11,13   | 185:6,19           |
| <b>losses</b> 70:8  | 125:9               | 143:3               | 77:25      | 187:19             |
| <b>lost</b> 92:2    | <b>lows</b> 240:3   | 164:23              | 86:10      | 188:2,7            |
| <b>lot</b> 11:7     | <b>lunch</b> 111:12 | <b>management</b>   | 98:11,16,2 | 196:14             |
| 92:3,8              | 117:16              | 8:20 43:1           | 1 101:22   | 198:6,11           |
| 121:20              | 119:25              | 68:2 98:13          | 104:12     | 199:23             |
| 122:19              | 120:2,8,9,          | 99:13               | 106:7      | 201:15             |
| 143:5               | 10                  | 116:23              | 108:22     | 203:9,12,1         |
| 157:25              | <b>lunchtime</b>    | <b>manager</b> 6:5  | 113:24     | 3 208:9            |
| 166:12              | 111:14              | 14:11               | 114:5      | 210:3,7            |
| 174:15              | <b>Lynn</b> 16:1    | 18:12               | 115:3      | 211:12             |
| <b>lots</b> 89:23   | _____               | 19:23               | 116:21     | 214:11,19          |
| 111:4               | M                   | 62:8,9,12           | 117:3      | 236:23             |
| 165:14              | <b>macro-</b>       | 121:22              | 121:23,24  | 244:24             |
| <b>louder</b> 35:24 | <b>environmen</b>   | 150:8,16            | 122:9      | <b>Manitobans</b>  |
| <b>low</b> 27:16    | <b>t</b> 14:2       | <b>mandate</b> 6:24 | 123:5,9,10 | 7:14,23,25         |
| 152:24              | <b>magnitude</b>    | 7:2                 | ,20,24     | 95:17              |
| 153:8               | 30:11               | <b>Manitoba</b>     | 124:10,13  | 203:14             |
| 154:12,20           | <b>Magnus-</b>      | 1:3,8,21            | 125:2,6    | <b>Manitoba's</b>  |
| 155:3,12,1          | <b>Johnston</b>     | 2:13                | 126:6,24   | 7:5,14             |
| 6,25                | 3:24                | 3:2,15,17           | 127:23     | 24:16,17           |
| 159:14,15,          | 11:21,22            | 6:5,6,24            | 128:12,16  | 25:6 30:6          |
| 17 190:4            | <b>main</b> 40:22   | 7:5 8:7             | 129:1,11   | <b>manner</b> 7:1  |
| 216:10,13           | 106:2,6             | 10:12               | 133:7      | 29:18              |
|                     |                     | 12:13,15,1          | 135:9      | <b>March</b> 114:7 |
|                     |                     | 8,21,23             | 136:2,9    | 117:5              |
|                     |                     |                     | 139:18     | <b>Marci</b> 4:9   |
|                     |                     |                     | 140:22     |                    |
|                     |                     |                     | 141:9,21   |                    |
|                     |                     |                     | 142:4      |                    |



|                    |                     |                     |                   |                    |
|--------------------|---------------------|---------------------|-------------------|--------------------|
| 12:22,23           | 156:1               | <b>ly</b> 240:18    | 85:1 92:3         | 103:8              |
| <b>marginal</b>    | 160:8               | <b>matter</b> 88:13 | 95:12             | 169:11,15,         |
| 69:4,5             | 169:24              | 92:18               | 136:6             | 17 222:14          |
| 87:22              | 172:4               | 135:13              | 157:17            | <b>measures</b>    |
| 88:15 89:4         | 199:13,24           | 136:2               | 195:1,5           | 66:2 76:5          |
| 91:6,7,10          | 201:12,14           | 174:14              | 210:15            | 79:10,18,2         |
| 107:15             | 213:24              | 175:4               | 215:6             | 0                  |
| 110:23             | 217:11              | 196:17              | 219:5             | 81:6,8,12          |
| 122:15             | 250:11              | <b>matters</b> 8:25 | 250:14            | 82:17              |
| 162:22             | <b>marketing</b>    | 12:9 13:21          | <b>meaning</b>    | 93:23              |
| 245:11,15          | 19:23               | 145:23              | 44:25             | 100:8              |
| <b>marginally</b>  | 100:16              | 246:21              | 218:1             | 102:17             |
| 215:9              | 119:11              | <b>max</b> 170:9    | <b>means</b>      | 103:2,5            |
| <b>mark</b> 240:10 | 214:1               | <b>maximizing</b>   | 30:23,24          | 107:4              |
| 242:2,3            | <b>marketing-</b>   | 124:1               | 91:12             | <b>media</b> 8:24  |
| <b>market</b> 8:19 | <b>based</b> 96:4   | <b>maximum</b>      | 132:6             | <b>meet</b> 6:25   |
| 21:4               | <b>marketplace</b>  | 100:6               | 136:6             | 7:5 28:3           |
| 22:15,17           | 5:8 71:4            | <b>may</b> 69:14    | 177:6             | 35:15              |
| 23:13              | 90:7 109:9          | 72:4,9,10,          | 186:20            | 75:8,17            |
| 25:22              | 121:4               | 11 73:14            | 187:1             | 81:7,13            |
| 27:10              | <b>markets</b> 55:7 | 82:2 96:10          | 188:7             | 132:4              |
| 28:15              | 100:17              | 98:22               | 204:8             | 133:14             |
| 38:23              | 101:5               | 103:5               | 205:5             | 167:20             |
| 46:23              | 122:7               | 119:9               | 210:7,16          | 169:24             |
| 59:15              | 127:9               | 135:21              | 214:23            | 171:21,23          |
| 60:19              | 162:9,17            | 139:24              | 216:20            | 172:8              |
| 70:19,21,2         | <b>Marla</b> 2:16   | 160:9               | 242:12            | <b>meeting</b>     |
| 4 72:25            | 14:12               | 223:4               | 244:13            | 37:3,5             |
| 73:3 84:13         | 53:21,25            | 228:21,22           | 247:18            | 66:19              |
| 85:7 95:2          | 54:1                | <b>maybe</b>        | <b>meant</b> 77:8 | 114:5              |
| 98:18,20           | <b>Mary</b> 4:12    | 11:9,12,13          | 90:15             | <b>meetings</b>    |
| 99:25              | 16:12               | 16:21               | 161:15            | 32:12              |
| 100:11,14,         | 157:9,10            | 35:24 46:4          | 184:21            | 111:13             |
| 19,20,24           | 159:24              | 48:8 54:19          | <b>meantime</b>   | 119:23             |
| 101:15,24,         | 160:1               | 57:10 70:8          | 134:7             | <b>meets</b> 32:17 |
| 25 102:1           | <b>mass</b> 22:15   | 74:17               | <b>measurable</b> | <b>megawatt</b>    |
| 108:22             | 25:21               | 90:1,2              | 68:16             | 22:1               |
| 109:4              | 27:10               | 110:5               | <b>measure</b>    | 124:17             |
| 112:16             | 28:14 55:7          | 130:18              | 65:24             | 131:3              |
| 113:5              | <b>material</b>     | 131:16              | 68:9,22,23        | 134:6              |
| 114:25             | 18:19               | 148:24              | 69:14             | 135:17             |
| 115:4              | 44:19               | 175:7,21            | 70:16             | 137:25             |
| 117:7              | 164:15              | 176:12              | 71:14,16          | 139:19             |
| 121:10,19,         | <b>materials</b>    | 185:13              | 74:20 76:7        | 146:11             |
| 24                 | 17:12,19            | 190:16              | 79:3 81:14        | 147:20             |
| 122:9,13,1         | 20:6                | 196:1,16            | 87:8              | 153:4,5            |
| 4 123:7            | 105:19              | 242:3               | 93:6,7,11,        | 169:14             |
| 124:20             | <b>math</b> 240:7   | <b>mean</b> 31:10   | 16                | 172:18,20          |
| 126:2              | <b>mathematical</b> | 48:24 49:1          | 94:19,22          | 173:5,17,2         |
| 127:11             |                     | 52:25 59:7          | 96:5              | 1 174:2            |
| 128:3              |                     |                     | 102:16,21         | 175:8              |
| 129:15             |                     |                     |                   |                    |

|                     |                     |                     |                     |                             |
|---------------------|---------------------|---------------------|---------------------|-----------------------------|
| 176:3               | 12:12               | 218:22              | 234:13              | 144:3,7                     |
| <b>megawatts</b>    | <b>merits</b> 67:7  | <b>mic</b> 17:1     | 240:11              | 145:5                       |
| 22:1,3              | 77:23               | 18:7 35:25          | <b>mine</b> 89:24   | 146:3,16                    |
| 40:16 41:6          | <b>message</b>      | 43:9 58:24          | <b>minimize</b>     | 147:5,9,25                  |
| 63:12,24            | 243:8               | 69:19               | 172:7               | 151:18                      |
| 64:17               | <b>messaging</b>    | <b>mid-August</b>   | <b>minimum</b>      | 165:7                       |
| 126:13,14           | 118:5               | 121:19              | 107:22,25           | <b>missed</b>               |
| 136:8               | <b>met</b> 38:17    | <b>middle</b>       | 119:16,20           | 148:22,24                   |
| 138:2,4             | 75:17,18            | 144:15              | <b>Minnesota</b>    | 200:1                       |
| 140:17,25           | 149:12              | 237:4               | 124:11              | 223:4                       |
| 142:2               | <b>meth</b> 56:22   | <b>Miles</b> 3:2    | 132:2,8             | <b>misunderstood</b> 155:11 |
| 147:19              | <b>method</b>       | 15:14               | 134:8,9,23          | <b>mix</b> 157:3            |
| 148:9               | 231:20              | <b>milestone</b>    | 135:8,23            | 163:8                       |
| 149:4,5             | <b>methodo</b> 37:8 | 6:18                | 136:7               | 191:11                      |
| 167:14              | <b>methodologic</b> | <b>milk</b> 89:23   | 137:25              | <b>MMF</b> 4:6              |
| 172:21              | <b>al</b> 223:9     | <b>Miller</b> 3:23  | 144:14,18,          | <b>MNP</b> 14:1             |
| <b>Meghan</b> 3:18  | <b>methodologie</b> | 11:19               | 23 145:3            | <b>mode</b> 17:13           |
| 12:12               | <b>s</b> 22:17      | 74:18               | 146:16              | <b>model</b>                |
| <b>Melissa</b> 4:4  | 56:23               | 75:10               | 152:25              | 103:7,9,15                  |
| 13:16               | <b>methodology</b>  | 95:10               | 164:8               | 104:2,4,18                  |
| <b>memory</b> 123:2 | 33:17               | 96:19,23            | <b>minority</b>     | 130:1,2                     |
| <b>ment</b> 61:17   | 36:11               | 122:24,25           | 134:9               | 178:21                      |
| <b>mention</b>      | 37:6,18             | 124:16,19           | <b>minus</b> 30:20  | 223:25                      |
| 118:1               | 43:20,22            | 125:19              | 87:24               | 251:22,23                   |
| <b>mentioned</b>    | 151:8               | 127:1,5             | 237:9               | <b>modelled</b>             |
| 17:9 19:22          | 164:6               | 135:15              | 241:24              | 102:9                       |
| 21:2 24:6           | 199:2               | 136:11              | <b>minute</b> 57:11 | <b>modelling</b>            |
| 34:8,13             | <b>methods</b> 47:1 | 141:5,14            | 122:3               | 124:5                       |
| 36:8 38:22          | 56:18               | 142:5               | 124:6               | 128:1                       |
| 45:5 56:19          | <b>Metis</b>        | 170:21              | 165:19              | 195:11                      |
| 61:18,19            | 12:15,18,2          | 171:4,9,13          | 194:5               | 202:14                      |
| 63:2 67:9           | 1,23                | 174:9,22            | 234:11              | 251:21                      |
| 70:14               | <b>metres</b>       | 214:9,14,1          | <b>minutes</b>      | <b>models</b> 46:25         |
| 77:25               | 63:13,25            | 7,20,24             | 57:19               | 51:7 56:17                  |
| 78:19 79:1          | 64:18               | 215:1,4,10          | 119:23              | 129:18,22,                  |
| 85:5,6              | <b>metric</b> 93:4  | <b>million</b>      | 234:10              | 24 130:10                   |
| 87:1 93:3           | <b>metrics</b> 68:3 | 63:13,14,2          | <b>MIPUG</b> 4:2    | 160:7,11                    |
| 98:11               | 77:23               | 5                   | 13:12,15,1          | <b>modification</b>         |
| 106:8,24            | 78:1,2,7,8          | 64:2,7,8,1          | 7                   | <b>s</b> 37:7               |
| 107:2               | ,19 89:15           | 8,20 93:18          | <b>MISO</b> 5:8     | <b>moment</b>               |
| 109:11              | <b>M-hm</b> 45:20   | 94:6,7              | 121:4,10            | 187:24                      |
| 112:3               | 48:19,22            | 205:6               | 122:8,12            | <b>moment-by-</b>           |
| 114:3               | 83:12               | 208:22,24           | 123:1,5,6,          | <b>moment</b>               |
| 117:19              | 181:17              | <b>millions</b>     | 7,8,19,22           | 126:23                      |
| 127:10,13           | 206:2,9             | 205:4               | 124:1               | <b>money</b> 187:7          |
| 154:9               | 213:18              | 237:7               | 126:11              | 227:3                       |
| 173:9               |                     | <b>min</b> 170:9,11 | 127:8,11            |                             |
| 192:8               |                     | <b>mind</b> 131:7   | 129:16              |                             |
| 200:20              |                     | 207:18              | 143:19              |                             |
| <b>Menzies</b> 3:18 |                     |                     |                     |                             |

|   |   |  |  |   |                  |
|---|---|--|--|---|------------------|
| <b>monitor</b><br>73:11,18  | 8,20,23<br>51:16,24   | 104:1,17<br>105:1,8  | 112:10<br>113:1,20   | <b>MPA</b> 190:6  |                  |
| <b>Monte</b> 251:16   | 52:2,8,12,<br>15,20   | 106:6<br>107:12,18,<br>21  | 114:14<br>116:18   | <b>MPUB</b> 155:22  |                  |
| <b>monthly</b><br>107:23<br>108:2   | 53:2,5,12,<br>15 54:7,17  | 108:8,16<br>109:7  | 121:15<br>137:20   | <b>MPV</b> 205:3  |                  |
| <b>months</b> 9:20<br>18:25<br>60:22<br>96:10<br>130:23<br>140:15   | 55:24<br>56:6,10,14<br>,16<br>57:4,13<br>58:10 59:9<br>60:2<br>62:6,11,16<br>,25 63:21<br>64:13   | 110:2,9,12<br>,17,20,22<br>111:7,24<br>112:12<br>113:3,22<br>114:16<br>115:15,24<br>116:2,5,9,<br>20 117:22  | 139:13<br>150:20<br>151:10<br>152:3,18<br>153:17<br>154:6<br>166:18<br>167:23<br>168:15<br>170:1<br>172:12<br>176:23<br>177:16,21<br>179:22  | <b>multiple</b><br>69:23<br>248:16  |                  |
| <b>morning</b><br>6:3,21<br>12:10,22<br>58:4<br>120:24<br>166:4,7<br>234:25<br>252:7<br>253:5,9   | 65:5,16,19<br>66:1,7<br>67:1<br>69:5,25<br>70:3,13<br>71:8 73:25<br>74:8,21<br>75:13<br>76:2,10,13<br>,23,25<br>77:4,18,22<br>79:13,16,2<br>3<br>80:3,14,18<br>,22 81:6<br>82:10,20,2<br>2<br>83:1,12,17<br>,20<br>84:4,8,17,<br>23<br>85:3,12,17<br>,20,22<br>86:8,24<br>87:14<br>88:23<br>89:1,7,11,<br>13<br>91:1,6,16,<br>19,22,25<br>92:5,7,16,<br>19,23 93:3<br>94:16,21<br>95:19<br>96:22 97:5<br>98:1,9<br>99:10<br>101:13<br>103:17,20 | 118:16<br>120:5<br>190:14  | 155:10<br>162:18<br>163:17<br>164:15<br>165:15<br>166:15<br>167:15<br>168:15<br>169:15<br>170:15<br>171:15<br>172:15<br>173:15<br>174:15<br>175:15<br>176:15<br>177:15<br>178:15<br>179:15<br>180:15<br>181:15<br>182:15<br>183:15<br>184:15<br>185:15<br>186:15<br>187:15<br>188:15<br>189:15<br>190:15<br>191:15<br>192:15<br>193:15<br>194:15<br>195:15<br>196:15<br>197:15<br>198:15<br>199:15<br>200:15<br>201:15<br>202:15<br>203:15<br>204:15<br>205:15<br>206:15<br>207:15<br>208:15<br>209:15<br>210:15<br>211:15<br>212:15<br>213:15<br>214:15<br>215:15<br>216:15<br>217:15<br>218:15<br>219:15<br>220:15<br>221:15<br>222:15<br>223:15<br>224:15<br>225:15<br>226:15<br>227:15<br>228:15<br>229:15<br>230:15<br>231:15<br>232:15<br>233:15<br>234:15<br>235:15<br>236:15<br>237:15<br>238:15<br>239:15<br>240:15<br>241:15<br>242:15<br>243:15<br>244:15<br>245:15<br>246:15<br>247:15<br>248:15<br>249:15<br>250:15<br>251:15<br>252:15<br>253:15<br>254:15<br>255:15<br>256:15<br>257:15<br>258:15<br>259:15<br>260:15<br>261:15<br>262:15<br>263:15<br>264:15<br>265:15<br>266:15<br>267:15<br>268:15<br>269:15<br>270:15<br>271:15<br>272:15<br>273:15<br>274:15<br>275:15<br>276:15<br>277:15<br>278:15<br>279:15<br>280:15<br>281:15<br>282:15<br>283:15<br>284:15<br>285:15<br>286:15<br>287:15<br>288:15<br>289:15<br>290:15<br>291:15<br>292:15<br>293:15<br>294:15<br>295:15<br>296:15<br>297:15<br>298:15<br>299:15<br>300:15<br>301:15<br>302:15<br>303:15<br>304:15<br>305:15<br>306:15<br>307:15<br>308:15<br>309:15<br>310:15<br>311:15<br>312:15<br>313:15<br>314:15<br>315:15<br>316:15<br>317:15<br>318:15<br>319:15<br>320:15<br>321:15<br>322:15<br>323:15<br>324:15<br>325:15<br>326:15<br>327:15<br>328:15<br>329:15<br>330:15<br>331:15<br>332:15<br>333:15<br>334:15<br>335:15<br>336:15<br>337:15<br>338:15<br>339:15<br>340:15<br>341:15<br>342:15<br>343:15<br>344:15<br>345:15<br>346:15<br>347:15<br>348:15<br>349:15<br>350:15<br>351:15<br>352:15<br>353:15<br>354:15<br>355:15<br>356:15<br>357:15<br>358:15<br>359:15<br>360:15 | <b>multiplied</b><br>115:20,21<br>116:5   |                  |
| <b>Morrison</b><br>2:20 11:5<br>14:8,25<br>19:19,22<br>20:18,23<br>21:12,23<br>22:8<br>23:5,25<br>26:1,5,14,<br>17,21<br>27:2,9<br>28:10<br>31:11<br>32:5,16<br>33:11<br>34:11 35:1<br>36:4,8<br>37:1 38:21<br>40:3,21<br>41:16<br>42:14,24<br>43:11,13,1<br>9 44:17,20<br>45:2,8,11,<br>15,20,25<br>46:5,20<br>47:11<br>48:10,19,2<br>2 49:1<br>50:12,15,1 |   | <b>motors</b><br>113:17  | 180:13<br>181:1<br>188:15<br>189:9,23<br>191:3,17<br>192:17<br>194:3<br>197:10<br>198:1<br>202:19<br>204:1<br>206:15<br>207:25<br>215:16<br>216:1<br>217:1<br>220:25<br>223:1,16<br>224:11<br>225:17<br>229:21<br>231:15<br>235:16<br>236:18<br>242:17<br>246:25   | <b>Multiplying</b><br>115:22  |                  |
|   |   | <b>MOU</b> 139:5<br>149:1  | 244:1<br>245:1<br>246:1<br>247:1<br>248:1<br>249:1<br>250:1<br>251:1<br>252:1<br>253:1<br>254:1<br>255:1<br>256:1<br>257:1<br>258:1<br>259:1<br>260:1<br>261:1<br>262:1<br>263:1<br>264:1<br>265:1<br>266:1<br>267:1<br>268:1<br>269:1<br>270:1<br>271:1<br>272:1<br>273:1<br>274:1<br>275:1<br>276:1<br>277:1<br>278:1<br>279:1<br>280:1<br>281:1<br>282:1<br>283:1<br>284:1<br>285:1<br>286:1<br>287:1<br>288:1<br>289:1<br>290:1<br>291:1<br>292:1<br>293:1<br>294:1<br>295:1<br>296:1<br>297:1<br>298:1<br>299:1<br>300:1<br>301:1<br>302:1<br>303:1<br>304:1<br>305:1<br>306:1<br>307:1<br>308:1<br>309:1<br>310:1<br>311:1<br>312:1<br>313:1<br>314:1<br>315:1<br>316:1<br>317:1<br>318:1<br>319:1<br>320:1<br>321:1<br>322:1<br>323:1<br>324:1<br>325:1<br>326:1<br>327:1<br>328:1<br>329:1<br>330:1<br>331:1<br>332:1<br>333:1<br>334:1<br>335:1<br>336:1<br>337:1<br>338:1<br>339:1<br>340:1<br>341:1<br>342:1<br>343:1<br>344:1<br>345:1<br>346:1<br>347:1<br>348:1<br>349:1<br>350:1<br>351:1<br>352:1<br>353:1<br>354:1<br>355:1<br>356:1<br>357:1<br>358:1<br>359:1<br>360:1  | <b>move</b> 9:5<br>10:1 44:21<br>57:16<br>73:17<br>106:18<br>168:17<br>215:12   | <b>mute</b> 16:6 |
|   |   | <b>moved</b> 20:21<br>21:21 22:6<br>23:3,23<br>27:7 28:8<br>34:25<br>36:6,25<br>38:19<br>40:1,19<br>41:14<br>46:18<br>62:23<br>63:19<br>64:11<br>66:5,24<br>71:6 77:20<br>80:1 86:22<br>87:12 91:4<br>93:1 94:14<br>97:24 98:7<br>99:8<br>101:11<br>111:22 | 249:1<br>250:1<br>251:1<br>252:1<br>253:1<br>254:1<br>255:1<br>256:1<br>257:1<br>258:1<br>259:1<br>260:1<br>261:1<br>262:1<br>263:1<br>264:1<br>265:1<br>266:1<br>267:1<br>268:1<br>269:1<br>270:1<br>271:1<br>272:1<br>273:1<br>274:1<br>275:1<br>276:1<br>277:1<br>278:1<br>279:1<br>280:1<br>281:1<br>282:1<br>283:1<br>284:1<br>285:1<br>286:1<br>287:1<br>288:1<br>289:1<br>290:1<br>291:1<br>292:1<br>293:1<br>294:1<br>295:1<br>296:1<br>297:1<br>298:1<br>299:1<br>300:1<br>301:1<br>302:1<br>303:1<br>304:1<br>305:1<br>306:1<br>307:1<br>308:1<br>309:1<br>310:1<br>311:1<br>312:1<br>313:1<br>314:1<br>315:1<br>316:1<br>317:1<br>318:1<br>319:1<br>320:1<br>321:1<br>322:1<br>323:1<br>324:1<br>325:1<br>326:1<br>327:1<br>328:1<br>329:1<br>330:1<br>331:1<br>332:1<br>333:1<br>334:1<br>335:1<br>336:1<br>337:1<br>338:1<br>339:1<br>340:1<br>341:1<br>342:1<br>343:1<br>344:1<br>345:1<br>346:1<br>347:1<br>348:1<br>349:1<br>350:1<br>351:1<br>352:1<br>353:1<br>354:1<br>355:1<br>356:1<br>357:1<br>358:1<br>359:1<br>360:1   | <b>moving</b> 25:16<br>59:13 99:3<br>106:20<br>118:17<br>244:1  |                  |
|   |   |  | <b>MP</b> 132:24   | <b>myself</b> 25:22<br>48:6   |                  |
|   |   |  |  | <hr/> <b>N</b> <hr/>  |                  |
|   |   |  |  | <b>name's</b> 6:4   |                  |
|   |   |  |  | <b>National</b><br>140:1  |                  |
|   |   |  |  | <b>Nations</b><br>185:4   |                  |
|   |   |  |  | <b>natural</b> 8:21<br>40:9<br>44:6,8<br>63:13<br>64:1,18<br>107:8<br>117:25<br>118:5,6,18<br>,20 163:20<br>171:18<br>216:12<br>217:8,9,11<br>,14<br>244:10,18,<br>20,21,23,2<br>4<br>245:4,9,23<br>247:12,14 |                  |
|   |   |  |  | <b>natural-gas-</b><br><b>based</b><br>172:7  |                  |
|   |   |  |  | <b>nature</b> 33:23   |                  |
|   |   |  |  | <b>NDP</b> 222:6  |                  |
|   |   |  |  | <b>Neal</b> 4:12<br>16:12<br>157:9,10   |                  |

|                     |                    |                     |                     |                     |
|---------------------|--------------------|---------------------|---------------------|---------------------|
| 159:24              | 103:24             | 118:11              | 48:16               | 60:13               |
| 160:1               | 105:14,15          | 157:8               | 55:12               | <b>obvious</b>      |
| <b>nearly</b> 93:19 | 119:14             | 159:24              | 76:14,16            | 185:2               |
| <b>necessarily</b>  | 140:23             | 162:2               | <b>North</b> 217:10 | <b>obviously</b>    |
| 39:19               | 188:18             | 178:17              | <b>Northwest</b>    | 21:5 27:23          |
| 104:3               | 189:2,4,7          | 186:6               | 108:18              | 28:13               |
| 153:23              | 192:12,20          | 219:18,20,          | 109:12              | 108:13              |
| 195:10              | 193:3,6,12         | 25 220:6            | <b>note</b> 25:2    | 113:12              |
| 213:16              | ,14,17             | 229:3               | 37:11 63:7          | 146:4               |
| <b>necessary</b>    | 205:6,7            | <b>nine</b> 74:9    | 73:6 93:22          | 181:18              |
| 111:11              | 207:3,4            | 77:8                | 216:16              | 185:3               |
| 135:8               | 208:6,12           | 88:14,16            | 236:5               | 205:10              |
| 138:23              | 209:2              | 93:17               | <b>noted</b> 47:18  | 234:25              |
| <b>negative</b>     | 222:21,23          | 110:15              | 48:7                | 251:17              |
| 88:24               | 231:20             | 166:7               | <b>nothing</b>      | <b>occur</b> 30:15  |
| 93:14,17            | 237:7,8,11         | 177:14              | 121:12              | 188:22              |
| 94:7                | ,18 238:16         | 243:5               | 204:11              | 211:13              |
| 207:14              | 239:2              | 247:23              | <b>notice</b> 140:1 | <b>occurred</b>     |
| 214:1,3             | 241:24             | <b>ninety</b> 63:10 | 181:7,8             | 32:7                |
| 222:5,23            | <b>netbacks</b>    | <b>ninety-four</b>  | <b>noticed</b>      | 182:18              |
| 231:9               | 147:4              | 209:5               | 127:9               | <b>occurring</b>    |
| 237:18              | <b>netted</b>      | <b>ninety-nine</b>  | 139:24              | 111:14              |
| 238:5,15            | 119:3,17           | 251:23              | 233:12              | 224:17              |
| 242:2               | <b>NFAT</b> 6:6,23 | 252:10              | <b>NPV</b> 87:8     | <b>occurs</b> 31:25 |
| <b>negot</b> 144:20 | 7:1,4              | <b>ninety-six</b>   | 93:9,17             | <b>o'clock</b>      |
| <b>negotiate</b>    | 10:17              | 207:21,22           | 94:5                | 120:3,11            |
| 134:6               | 18:13              | 209:1               | 222:5,6,20          | 166:7               |
| <b>negotiated</b>   | 25:25 50:8         | 230:17,24           | 230:14,23           | <b>offer</b> 78:11  |
| 176:21              | 59:2,13,19         | 247:25              | 231:23              | 97:13               |
| <b>negotiating</b>  | 74:6 77:11         | <b>nodal</b> 126:7  | 240:15              | <b>offerings</b>    |
| 138:23              | 135:2              | <b>nodding</b>      | <b>NPVs</b> 230:15  | 94:12               |
| <b>negotiation</b>  | 140:6              | 111:18,19           | 231:23              | <b>offers</b> 97:13 |
| 212:7               | 145:11             | <b>nominal</b>      | <b>NSP</b> 138:2    | <b>off-peak</b>     |
| <b>negotiations</b> | 151:15             | 146:15,17           | 142:1               | 69:12               |
| 134:11              | 152:7              | 148:1               | <b>numerous</b> 7:7 | 157:11              |
| 138:18,20           | 160:18             | 198:14,21           | _____               | 159:2               |
| 139:6,7             | 167:8              | 218:10,12           | o                   | 164:12              |
| 144:21              | 172:20             | <b>non-</b>         | <b>O&amp;M</b>      | <b>offset</b> 74:23 |
| 212:8               | 179:13             | <b>dependable</b>   | 216:14,19,          | 75:2                |
| <b>negotiator</b>   | 187:18             | 196:7               | 20,21               | <b>offsetting</b>   |
| 18:15               | 198:17             | <b>non-energy</b>   | <b>objective</b>    | 75:14               |
| <b>neither</b>      | 210:5              | 68:16               | 36:15               | 82:14               |
| 211:24              | <b>Nicole</b> 3:5  | <b>nor</b> 211:24   | 79:20               | <b>of-grey</b>      |
| <b>net</b> 28:22    | 16:11,15           | <b>normal</b>       | <b>observations</b> | 238:4               |
| 51:8,18             | 35:19              | 199:13              | 248:23              | <b>oh</b> 11:6      |
| 55:2 65:16          | 43:14 47:5         | 201:14              | 249:2               | 16:21               |
| 87:9,21,24          | 54:9 73:20         | 224:25              | <b>obtained</b>     | 18:11               |
| 88:25 93:8          | 74:2 77:5          | <b>normally</b>     |                     |                     |

|                   |            |                     |                     |                     |
|-------------------|------------|---------------------|---------------------|---------------------|
| 31:7,17           | 85:21      | 214:17,20           | 122:1               | 77:25               |
| 42:11             | 86:20      | 215:7,11,1          | <b>onto</b> 57:11   | 78:20               |
| 43:11 45:2        | 91:25      | 8 216:3             | 215:12              | 87:20,23            |
| 59:24             | 92:1,6,17, | 218:8,14            | <b>Oops</b> 118:9   | 97:14               |
| 62:13             | 24 94:24   | 220:6,18            | <b>op</b> 103:11    | 113:12              |
| 64:22 69:1        | 98:1 103:2 | 223:18              | <b>open</b> 125:23  | 119:13              |
| 73:25             | 107:12     | 226:1,3,9           | 146:3               | 125:20              |
| 75:21             | 110:10,25  | 227:11,16           | <b>Opening</b> 5:4  | 149:24              |
| 82:10             | 111:9,17,2 | 229:1,2,23          | <b>operating</b>    | 172:6               |
| 84:20             | 4 116:4,7  | 233:3,11            | 169:12              | 194:25              |
| 88:19             | 118:9      | 234:2,5,6           | 173:23              | 205:12              |
| 94:17             | 120:9,16,2 | 235:12              | 174:7,8,12          | 206:7               |
| 130:2             | 5 127:5    | 236:20              | 193:5               | <b>opposed</b>      |
| 150:15            | 128:10     | 240:5,13,1          | 200:21              | 17:12               |
| 166:11            | 129:2,13,2 | 7                   | 201:3               | 40:10               |
| 176:6             | 0 130:1,4  | 241:8,11,1          | <b>operation</b>    | 159:2,3             |
| 178:3             | 137:7,13   | 2 245:8,20          | 122:14              | 189:20              |
| 181:6             | 148:15     | 246:22              | 123:21              | <b>opt</b> 74:19    |
| 185:16            | 150:3,14,1 | 248:21              | <b>Operations</b>   | <b>optimal</b> 60:9 |
| 189:14            | 5,17       | 249:7               | 121:22              | 172:1               |
| 208:16            | 154:8,13,1 | 250:24              | <b>opinion</b>      | <b>optimization</b> |
| 218:18            | 8          | 252:15,20,          | 150:25              | 74:19,22            |
| 223:14            | 155:5,11,1 | 23,25               | <b>opport</b> 87:23 | 184:4,5             |
| 228:11            | 8,20 156:7 | 253:3               | <b>opportu</b> 99:4 | <b>optimize</b>     |
| 236:25            | 157:4,7,22 | <b>one-offs</b>     | <b>opportunitie</b> | 61:21               |
| 244:1             | 158:8,17,2 | 156:21              | <b>s</b> 58:19      | 178:20              |
| 247:12            | 1          | <b>one-point-</b>   | 66:14,16            | 184:12,14           |
| 249:6             | 159:20,23  | <b>five</b>         | 67:2,14             | <b>option</b> 60:10 |
| 252:14            | 160:18,21  | 115:20              | 73:6,12,14          | 67:6                |
| <b>okay</b> 10:24 | 162:18     | <b>ones</b> 47:15   | 74:14               | 103:11              |
| 11:2 15:20        | 163:16     | 50:2                | 81:24 88:4          | 133:9,10            |
| 16:9,11,19        | 165:25     | 54:14,15,1          | 98:4,11,16          | 134:14              |
| 17:5              | 166:16,22  | 7,24                | 99:5 104:7          | 138:2               |
| 19:12,13,1        | 170:6,10,1 | 65:17,20            | 113:6,7             | 188:1,2             |
| 5,16 26:20        | 1          | 71:23               | 117:11,12           | 189:5               |
| 27:1 33:12        | 171:13,14  | 80:23 81:2          | 119:10              | 190:9               |
| 34:15 35:1        | 176:8,25   | 106:10              | 137:1               | 204:14,16           |
| 36:4 41:16        | 177:23     | 174:5               | 171:25              | 229:7               |
| 43:13 49:1        | 178:15     | 233:21              | 172:4               | <b>optionality</b>  |
| 50:19,22          | 179:5      | <b>ongoing</b> 84:1 | 189:19              | 248:17              |
| 51:9 52:21        | 181:12     | 98:14               | <b>opportunity</b>  | <b>options</b>      |
| 56:15,16          | 182:7      | 173:23              | 9:5 58:11           | 7:5,7 8:4           |
| 57:15,22          | 183:6      | 174:7               | 67:2,5,16,          | 60:7,8              |
| 58:3 61:16        | 185:11,15  | 212:8               | 17 68:3             | 66:18               |
| 62:13,21,2        | 186:17     | <b>on-peak</b>      | 71:20               | 67:20,22,2          |
| 5 65:18,21        | 189:13     | 69:12               | 72:2,3,13,          | 4 71:21             |
| 66:3 71:4         | 191:5      | 152:25              | 15,17 73:2          | 83:5                |
| 76:21             | 192:14,19  | 157:11              | 75:16               | 168:19              |
| 77:2,18           | 197:8,12   | 159:2               |                     | 178:22              |
| 78:22             | 198:12     | 164:12              |                     | 183:23              |
| 82:10             | 202:6,12,1 | <b>Ontario</b>      |                     |                     |
| 83:8,19           | 4,17 205:9 |                     |                     |                     |
| 84:20             | 206:13,17  |                     |                     |                     |
|                   | 211:19     |                     |                     |                     |

|   |   |   |   |  |
|---|---|---|---|--|
| 190:8,10,1<br>2   | 231:4,11<br>239:6<br>252:19   | 10 166:5  | 226:23  | 212:24   |
| <b>orange</b><br>241:22   | <b>outlier</b><br>104:25  | <b>overnight</b><br>182:16  | <b>parched</b><br>120:22  | <b>pass</b> 51:5<br>92:13  |
| <b>orangey</b><br>238:2   | <b>outline</b><br>72:11   | <b>overview</b><br>177:24   | <b>pardon</b> 91:19<br>104:14<br>133:11<br>210:21                               | <b>passes</b> 92:17  |
| <b>order</b> 26:23<br>62:15<br>90:16<br>94:12<br>95:1,3<br>96:5<br>103:24<br>114:4<br>132:3<br>135:3<br>177:4<br>204:12<br>236:16 | <b>outlined</b><br>9:22 52:17<br>73:4<br>101:14<br>104:12<br>153:24   | <b>owned</b> 104:2  | <b>Park</b> 14:8<br>190:14  | <b>past</b> 8:24<br>29:15,19,2<br>4 30:8<br>31:12,14<br>36:13 38:9<br>43:25<br>45:6,22<br>46:2   |
| <b>ordered</b><br>177:7   | <b>outlook</b> 7:16   | <b>owner</b> 136:3<br>143:3   | <b>participants</b><br>95:18  | 56:2,3,12<br>60:12<br>61:22<br>81:20<br>109:9,11   |
| <b>organization</b><br>11:12  | <b>outputs</b><br>221:14  | <b>owners</b><br>185:21   | <b>participate</b><br>97:14<br>101:9  | <b>path</b> 8:17   |
| <b>organization</b><br><b>s</b> 24:9  | <b>outset</b> 6:12  | <b>ownership</b><br>135:18,19<br>136:1<br>142:20<br>145:25            | <b>participatin</b><br><b>g</b> 10:13<br>64:6<br>67:17,23<br>87:4 95:11<br>97:7 | <b>pathways</b><br>9:21<br>189:20  |
| <b>original</b><br>57:2 163:9   | <b>outside</b> 6:9<br>39:20<br>120:9,10<br>121:24<br>142:9<br>146:2<br>244:22   | <b>owning</b> 146:2   | <b>participatio</b><br><b>n</b> 10:10<br>78:12 84:5<br>108:15                   | <b>Patrick</b> 4:3<br>13:13<br>189:14<br>210:20<br>211:8,19<br>212:2,13,1<br>7,22<br>213:12,19   |
| <b>others</b> 32:3<br>182:17<br>201:1<br>226:10   | <b>overall</b> 7:23<br>22:19<br>28:18,22<br>38:15<br>39:22 49:4<br>51:11 52:5<br>70:23<br>78:14,15<br>82:6<br>90:18,21<br>91:8 93:15<br>94:20<br>97:19<br>112:12<br>119:11<br>157:6<br>185:3<br>211:10,11 | <b>p</b><br><b>p.m</b> 120:14<br>165:22,23<br>234:16,17<br>253:12     | <b>particular</b><br>170:20<br>236:6  | <b>pattern</b><br>28:14  |
| <b>otherwise</b><br>133:24<br>213:24<br>253:9   | <b>pace</b> 183:12  | <b>P10</b> 231:3,8<br>237:21<br>242:4                                 | <b>parties</b><br>10:11<br>78:23<br>146:6<br>147:2<br>149:23<br>185:3           | <b>Patti</b> 2:15<br>10:18,19,2<br>0 14:18<br>17:5<br>18:2,4,18<br>105:18,23<br>142:8,13<br>143:11,17<br>179:1<br>201:17<br>209:22<br>220:4,13 |
| <b>ourselves</b><br>19:2<br>143:12  | <b>page</b> 5:2<br>17:22<br>207:1,2,6,<br>9 230:10<br>241:17<br>250:2   | <b>P90</b> 231:5,10<br>237:21<br>242:4                                | <b>partners</b><br>185:2  | <b>PAUSE</b> 8:13<br>11:15<br>16:23<br>17:3,25<br>18:9 20:16<br>21:10 36:2<br>48:3 59:21   |
| <b>outcome</b><br>37:18<br>115:9<br>160:11<br>179:11<br>224:22<br>239:7   | <b>pages</b> 1:23<br>55:4<br>197:24   | <b>pace</b> 183:12  | <b>partnership</b><br>18:15<br>125:21   |  |
| <b>outcomes</b><br>81:22<br>222:13  | <b>paid</b> 67:22<br>201:10<br>203:8  | <b>page</b> 5:2<br>17:22<br>207:1,2,6,<br>9 230:10<br>241:17<br>250:2 | <b>partway</b><br>160:25  |  |
|   | <b>panel</b> 6:7<br>9:8 187:18  | <b>partway</b><br>160:25  | <b>party</b><br>174:19,20<br>175:2<br>205:23                                    |  |
|   | <b>over-</b><br><b>forecastin</b><br><b>g</b> 37:16   | <b>parallel</b><br>60:8   |   |  |
|   | <b>overhead</b><br>148:22   | <b>parameters</b>   |   |  |
|   | <b>overheads</b><br>111:3,5,6,  |   |   |  |

|   |   |  |   |  |
|---|---|--|---|--|
| 61:9,14<br>77:16<br>122:21<br>132:12<br>145:20<br>150:1,12<br>165:1,10<br>178:5,24<br>184:16<br>209:20<br>226:19<br>249:4<br>251:10<br>252:3<br><b>pay</b> 67:10,21<br>79:2 96:24<br>128:15<br>135:24<br>146:7<br>201:7<br>210:5,9<br><b>payback</b><br>79:6,7<br>87:2 96:8<br><b>paying</b> 91:13<br>137:10<br><b>payment</b><br>107:23<br><b>pays</b> 210:8<br><b>PDP</b> 210:5<br><b>pe</b> 55:11<br><b>Peaco</b> 3:9<br>13:2 69:2<br>94:18<br>110:13,19,<br>21,25<br>117:18<br>158:22<br><b>peak</b><br>21:24,25<br>40:14<br>125:4,5<br>167:4,6,17<br>,20 168:9<br>233:12,17<br><b>peaker</b><br>141:22<br><b>peakers</b><br>141:22 | <b>Pelino</b> 3:13<br>14:7<br>190:5,13<br><b>pellets</b> 75:6<br><b>pending</b><br>144:22<br><b>people</b> 11:7<br>16:4,17<br>17:11 28:1<br>35:20,22,2<br>3 37:14<br>55:12<br>60:19<br>89:25<br>97:14,15<br>100:21<br>106:18,20<br>111:17<br>133:12<br>145:15<br>201:20<br>234:21,22<br>250:16<br><b>per</b><br>21:15,16,1<br>8 22:1,3<br>23:8,11,16<br>,19<br>27:17,19<br>28:19 29:1<br>36:16<br>39:6,11,14<br>40:16<br>63:24<br>65:1,2<br>73:24<br>105:15,16<br>121:1<br>153:2,4,5<br>169:14<br><b>percent</b><br>21:15,18<br>22:1,3<br>23:8,11,15<br>26:8,10<br>27:17,19<br>28:19 29:2<br>30:25<br>31:3,9<br>36:16,19,2<br>0,21,23 | 37:3,5<br>38:15,16<br>39:6,11,14<br>40:16<br>41:12<br>46:14<br>53:11<br>112:23<br>115:13<br>116:13,15<br>133:24<br>135:18<br>136:24,25<br>137:11<br>142:20,22,<br>24 143:1<br>153:2<br>173:11,25<br>174:11<br>198:22<br>199:1,25<br>201:8<br>202:8<br>204:18<br>208:23<br>214:19<br>224:20,21<br>225:13,14<br>228:5,6,15<br>231:4,6<br>237:6<br>238:14<br>240:10,20<br>241:3<br><b>percentage</b><br>41:11<br>199:19<br><b>percentages</b><br>237:4<br><b>percentile</b><br>231:4<br>232:1<br>238:14,15<br>241:22<br>242:7<br>247:16<br>249:22<br><b>percentiles</b><br>232:3,4<br>237:5<br>247:19<br>249:19 | <b>perfect</b><br>100:20,24<br>101:5<br><b>performance</b><br>93:21<br>119:16,21<br>222:15<br><b>performing</b><br>36:14<br><b>perhaps</b><br>49:20<br>83:14<br>195:3<br><b>period</b> 21:7<br>29:15<br>37:21,22<br>38:1,6,7<br>46:8 75:24<br>141:2<br>183:14<br>191:20,22,<br>23<br>192:3,20,2<br>4 193:1<br>194:16<br>203:18<br>208:21<br><b>periods</b><br>37:13,16<br>38:14<br><b>permission</b><br>24:12<br><b>permit</b><br>124:11<br>140:2<br><b>permitting</b><br>124:15<br><b>persistence</b><br>65:24 66:1<br><b>persistent</b><br>168:7,8<br>188:5<br><b>person</b><br>111:18<br><b>personal</b><br>46:12<br><b>personnel</b><br>32:13 | <b>perspective</b><br>12:2 66:22<br>72:21,23,2<br>4 78:21<br>81:16<br>88:2,3,25<br>89:2,6,8,1<br>0 90:10,17<br>91:9 93:9<br>95:22<br>97:7,22<br>99:23<br>118:17<br>153:22<br>179:7<br>184:1,22<br>185:7<br>187:25<br>192:4,21<br>193:2,3,12<br>,13,15<br>198:15<br>202:10<br>226:12<br>248:5,11<br>250:11<br>251:3<br><b>perspectives</b><br>72:17 87:6<br>151:1<br><b>pertains</b><br>167:5<br><b>Peter</b> 3:23<br>11:19<br>74:17,18<br>75:10<br>95:10<br>96:19,23<br>122:23,24<br>124:16,19<br>125:19<br>127:1,5<br>135:15<br>136:11,22<br>141:5,14<br>142:5,8<br>170:21<br>171:4,9,13<br>174:9,22<br>214:9,14,1<br>7,20,24<br>215:1,4,10 |
|---|---|--|---|--|

|                     |            |                     |                  |                     |
|---------------------|------------|---------------------|------------------|---------------------|
| <b>Peters</b> 2:2   | 47:24 48:7 | 25 209:2,4          | 169:25           | 20                  |
| 12:5                | 49:6,24    | 212:11,12,          | 171:23           | 242:10,13,          |
| 31:22,23            | 52:25      | 13                  | 179:15           | 22                  |
| 32:10 33:4          | 53:1,10    | 221:20,22           | 180:18           | 243:14,21,          |
| 34:5 42:12          | 54:23 55:1 | 230:16              | 183:14,25        | 22,25               |
|                     | 58:12,17,1 | 232:9,12,1          | 191:6            | 248:4,13,1          |
| <b>Philippe</b>     | 8 59:3,17  | 6,19,21             | <b>plans</b> 7:8 | 4,15 250:1          |
| 43:14,16            | 60:1,4,7,2 | 236:8               | 8:16,23          | 251:22              |
| 47:5,7              | 1,23 63:22 | 237:24,25           | 10:1             | <b>plant</b> 171:11 |
| 54:10,11            | 66:8,12,18 | 238:1,2,8,          | 29:8,12          | 242:13              |
| 73:20,22            | ,19 71:11  | 9,13,18,20          | 59:1 83:22       | 247:8,9             |
| 74:3 75:22          | 73:5 80:24 | 239:7,14,1          | 115:3            | <b>plants</b> 248:6 |
| 77:5,7              | 81:11,19   | 5,20,21,23          | 135:3            | 250:6,8             |
| 85:24 86:1          | 82:4,15,23 | 241:14,16,          | 171:20,21,       | <b>play</b> 101:2   |
| 105:4,6             | 83:2,15    | 19,21,24            | 23 172:2         | 157:5               |
| 108:3,5             | 84:6,16,22 | 242:9,10,2          | 173:4,16,1       | 183:14              |
| 109:21,23           | 86:3,5,11, | 1,24,25             | 8,20,22          | 245:9               |
| 118:11,13           | 17 93:16   | 243:4,5,9,          | 174:1,3,14       |                     |
| 178:17,19           | 98:3       | 12,16               | ,17              | <b>please</b> 16:6  |
| 186:6,8             | 103:21     | 247:4,5,9,          | 175:1,25         | 17:1 18:2           |
| 229:3,4,5           | 104:11,13  | 10,14,17,1          | 176:4,9          | 19:9 20:5           |
| <b>phones</b> 16:6  | 105:14     | 8,19,25             | 177:2,3,4,       | 31:23 32:4          |
| <b>phonetic</b>     | 108:19     | 248:2,3,18          | 13               | 47:10               |
| 155:22              | 112:19,22  | ,19                 | 180:3,16         | 58:23               |
| <b>photo</b> 183:11 | 114:4,7,10 | 249:10,23           | 187:2,10         | 118:13              |
| <b>photovoltaic</b> | 115:19     | 250:5               | 189:18           | 194:22              |
| 183:11,21           | 116:3,14,1 | 251:1,2,7,          | 191:25           | <b>pleasure</b> 6:8 |
| <b>physical</b>     | 6 117:8    | 8                   | 193:20           |                     |
| 126:1               | 131:15     | 252:13,22           | 195:1            | <b>plot</b>         |
| <b>pick</b> 45:19   | 136:17     | <b>planned</b> 35:7 | 197:2,16         | 231:18,19,          |
| 225:12              | 137:5,6,9, | 64:5                | 200:24           | 22 236:11           |
| 245:16              | 24 139:11  | 114:24              | 201:1,25         | <b>plotted</b>      |
| <b>picked</b>       | 149:13     | 124:7               | 202:25           | 236:4               |
| 166:25              | 169:22     | <b>planner</b>      | 203:7            | <b>plumbing</b>     |
| 167:3               | 172:1,6    | 18:14               | 204:12,21        | 109:19              |
| 186:4               | 173:18     | <b>planning</b>     | 205:3            | <b>plus</b> 30:20   |
| 245:14              | 176:1      | 5:12 20:10          | 206:20           | 64:6 91:7           |
| <b>picks</b> 152:12 | 177:7,8,11 | 49:8                | 207:8            | 159:9               |
| <b>picture</b>      | 180:23     | 51:1,6              | 215:24           | 237:9               |
| 88:12               | 186:23,25  | 54:22               | 221:5,11         | <b>ply</b> 124:21   |
| 133:21              | 187:3,20   | 55:19 59:7          | 222:16           | <b>point</b> 10:2   |
| <b>Piesold</b> 12:1 | 193:18,19  | 61:2,5              | 226:13           | 46:21 53:8          |
| <b>Pilek</b> 2:25   | 195:4,17   | 62:9 69:7           | 229:12,15,       | 70:22               |
| 15:12               | 197:7      | 77:14 99:2          | 19               | 74:9,10             |
| <b>plan</b> 1:10    | 201:5      | 104:3               | 230:13,21        | 75:23 76:9          |
| 7:9,24 8:9          | 204:6,7,8, | 115:18              | 231:21           | 77:8 86:4           |
| 9:1,17              | 9,11,19,23 | 117:4               | 233:5            | 88:14,16            |
| 20:11               | ,24        | 150:9,17            | 236:7,9,14       | 89:14               |
| 45:24               | 205:6,8    | 151:3               | ,22              | 93:17               |
|                     | 206:25     | 160:24              | 237:3,16,1       | 94:1,2              |
|                     | 207:1,2,5, | 161:7               | 7,19,23          | 102:14              |
|                     | 10,13,14,1 | 166:20              | 239:6,25         |                     |
|                     | 6,18,19,23 |                     | 241:16,17,       |                     |
|                     | 208:17,19, |                     |                  |                     |



|                 |                     |                     |                     |                     |
|-----------------|---------------------|---------------------|---------------------|---------------------|
| 105:3           | <b>pop</b> 90:1     | <b>possible</b>     | 13:7 20:10          | 1:10 7:24           |
| 107:14          | <b>popped</b> 57:21 | 53:18               | 47:24 48:7          | 9:1 136:17          |
| 108:20          | <b>populated</b>    | 97:17               | 49:5,24             | 137:4,5,9,          |
| 109:12          | 221:12              | 132:7               | 52:24               | 24 139:10           |
| 110:14,18,      | <b>population</b>   | <b>post</b> 195:2   | 53:1,10             | 149:13              |
| 19 111:15       | 7:15                | <b>post-DSM</b>     | 54:18,23            | 180:23              |
| 112:21          | 23:13,15            | 56:9                | 58:17 61:2          | 193:18              |
| 114:21          | 24:2,19             | <b>posted</b> 44:23 | 63:8 66:12          | 232:21              |
| 116:11,13,      | 25:17 26:8          | <b>potential</b>    | 68:24               | 239:14              |
| 15 122:12       | 27:22,25            | 30:11               | 71:11 73:5          | 247:5,10,1          |
| 131:10          | 28:4 30:13          | 33:20 34:8          | 82:15,19,2          | 6,20,25             |
| 167:18          | 39:9,10             | 41:21               | 3,25                | 248:3               |
| 177:14          | 105:17              | 58:21               | 83:1,15             | <b>pre-hearing</b>  |
| 181:20          | 106:2,8,9,          | 59:10,11            | 84:22               | 60:16               |
| 182:1,15,2      | 12                  | 60:19 63:3          | 86:3,11,17          | <b>premia</b>       |
| 2 183:13        | <b>Portage</b> 1:20 | 81:23 85:7          | 93:15               | 199:14              |
| 184:2           | <b>portfolio</b>    | 98:15,18,2          | 104:11              | <b>premium</b>      |
| 185:20          | 60:8 94:12          | 0 99:12,20          | 108:18              | 200:14              |
| 187:9           | 97:13               | 100:3,11            | 112:18              | 201:10              |
| 188:20,23       | 122:11              | 101:4,15,2          | 114:4               | <b>preparation</b>  |
| 196:5           | 128:18              | 0 103:2             | 117:4,10            | 21:6 38:25          |
| 198:18,20,      | 202:23              | 104:9,21            | 121:22              | 114:19              |
| 21 200:17       | <b>portion</b>      | 110:14              | 124:21              | <b>prepared</b>     |
| 202:1,2,8       | 122:11              | 112:2,15,1          | 126:6,19            | 19:3 20:12          |
| 203:4,22        | 144:19              | 7,20,23             | 128:16              | 151:20              |
| 205:14          | 167:1               | 113:4,5             | 132:2               | <b>prepares</b>     |
| 208:11          | 172:23              | 114:9,17            | 134:5,8,9,          | 22:11 29:3          |
| 212:10          | 173:3,24            | 115:1,2,9           | 23                  | <b>presen</b>       |
| 222:8,9         | 208:5               | 117:7               | 135:9,23            | 130:15              |
| 232:22,23       | <b>portray</b>      | 134:22              | 136:7               | <b>present</b> 27:4 |
| 235:5           | 211:6               | 160:2               | 137:25              | 51:18               |
| 237:12          | <b>position</b>     | 162:8,16            | 138:20,25           | 68:15 87:9          |
| 239:10          | 174:24              | 212:4               | 144:14,18,          | 154:1               |
| 240:12,13,      | <b>positive</b>     | 231:11              | 23 146:16           | 188:18,19           |
| 15 249:21       | 90:24               | 232:7               | 149:4,14,1          | 189:3,5,7           |
| <b>pointing</b> | 93:13               | 237:22              | 6,18                | 192:13              |
| 143:25          | 189:6               | 242:1               | 150:8,16            | 205:6,7             |
| 144:1           | 222:6               | 243:13              | 166:20              | 207:4               |
| <b>points</b>   | 231:10              | 247:10,11           | 188:9               | 208:6,12            |
| 102:25          | 237:18              | 248:2               | <b>Power's</b>      | 209:2,6             |
| 210:2           | 238:7               | 250:3,9             | 109:12              | 222:21,24           |
| 236:1,4         | 242:3               | 251:4               | <b>pre</b> 21:13    | 231:21              |
| 240:24          | <b>poss</b> 169:1   | <b>potentially</b>  | <b>predict</b>      | 237:7,8,11          |
| 250:16,25       | <b>possibility</b>  | 91:14               | 45:15               | ,18 238:16          |
| <b>policy</b>   | 114:11              | 122:1               | <b>prefer</b> 240:1 | 239:2               |
| 136:3,5         | 117:9               | 168:20              | <b>preferable</b>   | 241:24              |
| 142:21          | 125:24              | <b>Potomac</b>      | 189:6               | <b>presentation</b> |
| 169:1           | 141:21              | 13:25               | 213:23              | 5:6,7,9,11          |
| 190:18          | <b>polling</b>      | 127:8               | <b>preferably</b>   | ,13 19:18           |
| <b>polling</b>  | 161:17              | <b>power</b> 5:12   | 99:1                | 24:6 26:16          |
|                 |                     | 7:17 8:20           | <b>preferred</b>    |                     |

|                     |                   |                    |                     |                    |
|---------------------|-------------------|--------------------|---------------------|--------------------|
| 33:16               | 244:25            | 217:14,16          | 108:17              | <b>probably</b>    |
| 42:19 57:6          | <b>prevent</b>    | 238:24             | 161:4               | 19:12 55:4         |
| 58:5,9              | 184:3             | 244:15,21,         | <b>primary</b>      | 75:20              |
| 120:19,24           | <b>previous</b>   | 22                 | 23:12               | 92:10              |
| 121:5,7,9           | 6:13 17:8         | 245:2,4,6,         | 27:21 32:9          | 111:15             |
| 130:11              | 103:19            | 9,13,18,23         | 39:9                | 124:3              |
| 150:6,10            | 109:24            | 246:3              | 106:16              | 130:10             |
| 166:2,3,8,          | 154:4             | <b>price-maker</b> | <b>principle</b>    | 147:21             |
| 21 188:4            | 163:3             | 245:12             | 204:13              | 156:8              |
| 253:6,7             | 170:24            | <b>prices</b> 8:19 | <b>prior</b>        | 184:21             |
| <b>presentation</b> | 189:15            | 123:23             | 79:11,19            | 200:19             |
| <b>s</b> 8:24       | 225:21            | 124:7              | 170:8               | 232:15             |
| <b>presented</b>    | 242:23            | 125:7,9,10         | 187:12              | <b>proceed</b>     |
| 9:2,13,17           | 247:3             | ,11                | <b>pro</b> 82:18    | 145:4              |
| 20:1 39:7           | <b>price</b> 5:10 | 126:4,6            | 84:18               | 169:5              |
| 170:25              | 40:8 43:24        | 127:23             | 164:12              | <b>proceeding</b>  |
| 233:13              | 44:2,5,9,1        | 128:15             | <b>Proba</b> 60:25  | 123:9              |
| 236:13              | 2 83:10           | 129:5              | <b>probab</b> 224:7 | 134:14             |
| <b>presenter</b>    | 125:2,13          | 151:17             | 237:5               | 135:6              |
| 165:17              | 126:2,7,11        | 153:1,12           | <b>probabilisti</b> | <b>proceedings</b> |
| <b>presenters</b>   | 127:21            | 157:12             | <b>c</b> 30:14,24   | 9:14               |
| 17:20               | 128:3,12          | 159:14,15          | 31:12               | <b>process</b> 6:6 |
| <b>presenting</b>   | 129:6,7,10        | 213:4,5,6          | 179:25              | 9:6,8,11           |
| 17:15               | 130:10            | 216:12             | 180:2               | 10:9               |
| 18:19               | 131:14            | 217:4,5,7,         | 186:12              | 17:17,19           |
| 26:24               | 144:3,7           | 8,10,11,12         | 190:2               | 18:21,23           |
| <b>presents</b>     | 150:6,24,2        | ,13,14,15          | 213:3,9             | 40:5               |
| 180:2               | 5                 | 220:21             | 215:12,21,          | 49:8,9             |
| <b>preserves</b>    | 151:2,5,8,        | 221:8,18,2         | 23 225:13           | 51:6 54:4          |
| 134:13              | 14,15,19,2        | 5 222:2            | 226:5               | 61:5 80:21         |
| <b>president</b>    | 4,25 152:9        | 224:1,14,2         | 229:25              | 101:7,13           |
| 6:16 14:23          | 153:7,9,14        | 0,23               | 230:5               | 104:6              |
| 130:21              | ,19,21,24         | 225:3,4,5          | 250:11              | 117:8              |
| <b>Press</b> 139:25 | 154:1,10,1        | 226:24             | <b>probabilitie</b> | 133:4              |
| <b>pressure</b>     | 5                 | 244:5,9,10         | <b>s</b> 219:17     | 135:2              |
| 97:16               | 155:13,16         | ,14,19,20          | 224:8,13            | 139:2,21           |
| <b>presumably</b>   | 156:2             | 245:7,22           | 229:11,24           | 140:6              |
| 45:18               | 158:25            | 246:5,11,2         | 230:1,6,19          | 143:16             |
| 141:15              | 159:1,6,10        | 0 250:12           | 231:2,24            | 145:11,16          |
| <b>presume</b>      | ,13               | <b>pricing</b>     | 238:12              | 147:10,12          |
| 146:12              | 160:3,24          | 44:10              | <b>probability</b>  | 149:17             |
| <b>presuming</b>    | 161:8,11,1        | 122:15             | 30:25 31:3          | 151:3              |
| 159:4               | 9 162:24          | 126:24             | 41:21               | 157:21             |
| <b>pretend</b>      | 163:21            | 127:25             | 199:9               | 158:9,14,1         |
| 42:12               | 164:2,6,8         | 136:25             | 223:19              | 6,20               |
| <b>pretty</b> 6:18  | 165:6             | 152:15             | 224:4,20            | 161:22             |
| 231:10              | 179:18,19         | 153:23             | 225:4,6             | 164:16,21,         |
|                     | 183:13            | 164:9              | 230:3               | 25 171:15          |
|                     | 205:24            | 212:20             | 231:25              | 182:7              |
|                     | 206:1,11          | <b>primarily</b>   |                     | 195:12             |
|                     | 213:17,19,        | 39:18              |                     | 219:9              |
|                     | 23 214:4          | 58:15              |                     | 250:17             |

|  |  |   |   |  |
|--|--|---|---|--|
| <b>processes</b><br>36:13  | 89:16,17,1<br>9 90:12,15<br>92:13,22   | 165:14  | 55:14   | 204:16   |
| <b>produce</b><br>74:22<br>80:17<br>151:25<br>152:1<br>195:7   | 94:3,7,8,2<br>0,23,25<br>95:21,22<br>97:13 98:3<br>109:6<br>119:12<br>149:8  | <b>projecting</b><br>38:8<br>39:4,11<br>40:25 42:5<br>63:23<br>64:14            | <b>proprietary</b><br>129:22  | 206:19<br>216:5<br>222:14  |
| <b>produces</b><br>171:9   | <b>program-by-program</b><br>95:8  | <b>projection</b><br>25:6 39:13<br>83:10,15                                     | <b>prospects</b><br>176:13  | <b>providing</b><br>54:5 152:8<br>207:7  |
| <b>product</b><br>27:23<br>68:19<br>69:18<br>70:16 71:4<br>72:17 73:2<br>74:25 75:7<br>99:22<br>100:2,5,6,<br>21 124:20<br>125:13<br>126:20<br>129:1<br>156:25<br>164:12<br>192:21 | <b>programming</b><br>118:21   | <b>projections</b><br>24:17<br>25:2,3,19<br>40:12<br>85:16                      | <b>protect</b><br>187:14  | <b>province</b><br>3:15<br>7:1,11,18<br>8:3 9:12<br>14:15 25:4<br>28:1<br>106:22<br>146:2<br>188:9<br>201:11<br>203:6,8,11<br>208:2,9,15<br>,20,24<br>209:5,9,15<br>,18 210:8<br>215:7 |
| <b>product-based</b><br>156:17   | <b>programs</b><br>48:15,18<br>49:22<br>50:9,17<br>51:3,12<br>52:6 59:16<br>61:6 65:23<br>71:10<br>80:9,15<br>81:21<br>83:23<br>84:16,18,2<br>1 85:11<br>97:13<br>103:24<br>117:20<br>162:7,15 | <b>projects</b><br>32:23 75:5<br>76:22<br>84:1,5,9<br>172:18<br>173:4<br>220:11 | <b>proven</b> 9:24  | <b>provinces</b><br>25:10,14<br>26:19  |
| <b>production</b><br>193:3,12,1<br>4 245:15  | <b>proje</b> 39:7  | <b>prolonged</b><br>152:15<br>164:9   | <b>provide</b> 6:25<br>19:24 20:7<br>26:23<br>32:20<br>76:15<br>86:10 96:6<br>101:18<br>104:13<br>109:2<br>114:6<br>118:20<br>123:14<br>128:23<br>131:4<br>142:23<br>144:11<br>151:14<br>152:14<br>164:1<br>188:8<br>197:5<br>203:12<br>221:4<br>233:17 | <b>provincial</b><br>114:8<br>199:24<br>200:21<br>201:2<br>203:9,13,1<br>6<br>208:10,14<br>209:8   |
| <b>products</b><br>122:13<br>156:16,20<br>164:11   | <b>project</b><br>14:11<br>18:14<br>29:24<br>133:16<br>136:23<br>152:25<br>185:4,9,19<br>186:3   | <b>promise</b><br>11:11   | <b>provided</b><br>20:7<br>32:21,22<br>58:15<br>69:6,9<br>70:4<br>108:19,20<br>151:7,16<br>162:22<br>170:14,17<br>180:9<br>233:25   | <b>proxy</b> 88:5<br>201:15  |
| <b>profitabilit<br/>y</b> 186:3  | <b>projected</b><br>27:24 31:5<br>42:9 77:10<br>80:24<br>82:15,18<br>86:3<br>106:11<br>112:22<br>119:18  | <b>promoting</b><br>77:24   | <b>promote</b> 7:2  | <b>pruned</b> 81:3   |
| <b>program</b> 43:4<br>51:21<br>52:1,3<br>54:19,21<br>65:14<br>70:18,23<br>71:1 72:5<br>73:8<br>80:4,5<br>82:19<br>83:25 84:5<br>87:23   |  | <b>pronounce</b><br>16:13   | <b>proper</b> 31:21   | <b>PUB</b> 2:2,3,4<br>9:5,11<br>11:24<br>13:1,3,19,<br>21,23,25<br>14:2,4,6,9<br>,11 15:7<br>18:20<br>145:23<br>251:13   |
|  |  | <b>properly</b><br>90:11  | <b>proportionat<br/>e</b> 173:14  | <b>public</b><br>1:3,19 9:3  |
|  |  | <b>proportioned</b><br>113:8  | <b>proposals</b><br>9:2   |  |
|  |  | <b>propose</b> 7:2  | <b>proposed</b><br>74:6 77:11   |  |
|  |  | <b>proposing</b><br>8:17  | <b>provides</b><br>7:24 24:22<br>129:11<br>140:25<br>169:11<br>172:6<br>189:6   |  |
|  |  | <b>proposition</b>  |   |  |

|   |   |   |  |   |
|---|---|---|--|---|
| 12:3,6,8,1<br>1 58:13<br>76:18<br>134:2<br>138:4,19<br>187:19 | 70:20 73:7<br><b>pursuing</b><br>67:4 68:6<br>71:23<br>242:13<br><b>PUTNAM</b> 159:3<br><b>puts</b> 17:20<br><b>putting</b> 8:9<br>76:18<br>135:7<br>242:12<br><b>PVs</b> 200:10<br><hr/> <b>Q</b> <hr/> <b>qual</b> 78:6<br><b>qualitative</b><br>78:8<br><b>qualitativel</b><br><b>y</b> 108:12<br><b>quantify</b><br>98:15<br>199:6<br>200:14<br><b>quantitative</b><br>78:7<br><b>quarter</b><br>165:20<br><b>Quebec</b> 122:1<br><b>quest</b> 33:4<br><b>question</b><br>18:6 25:24<br>31:7 33:5<br>34:6 35:20<br>43:8,15<br>47:4,6<br>48:8 52:23<br>54:10<br>57:1,20<br>59:1 61:7<br>66:15<br>74:9,16<br>77:14 82:2<br>85:25<br>103:19<br>105:11<br>107:11,17<br>109:22 | 111:2<br>118:8<br>132:19<br>136:21<br>145:25<br>146:10<br>157:9<br>158:23<br>159:25<br>160:20<br>162:3,11,2<br>0 163:3<br>170:6<br>178:8<br>179:2,16<br>181:10,15<br>183:7<br>186:7<br>189:16<br>196:20<br>211:20<br>213:22<br>214:8<br>220:1,7<br>226:5<br>240:7<br>251:14<br>252:6<br><b>questions</b><br>8:11,16<br>10:17,18,2<br>2 16:8,9<br>17:11<br>19:9,11,14<br>20:6<br>35:22,23,2<br>5 42:13<br>57:6,9,16<br>58:22 92:3<br>111:11,12<br>117:15<br>120:3,7,20<br>,23 121:10<br>122:17,18<br>145:24<br>150:4<br>154:2<br>155:23<br>161:23<br>165:4,6,15<br>166:10<br>195:25<br>196:4 | 210:22<br>215:13<br>235:9<br>240:9<br>248:21<br>253:6<br><b>quick</b> 25:24<br>52:23<br>66:10<br>111:1<br>112:8<br>155:23<br>181:9<br><b>quickly</b> 6:14<br>11:9,11,13<br>101:17<br>111:10<br>115:11<br>160:13<br>181:11<br>184:22<br><b>quilt</b> 221:3<br>226:6,16<br>229:25<br>230:2,4,15<br>,19 231:23<br>239:1,2<br><b>quite</b> 34:7<br>37:6 41:17<br>43:20<br>56:20 82:5<br>87:18<br>92:12<br>93:20,24<br>94:5 95:9<br>164:21<br>166:5<br>175:13<br>182:17<br>184:5<br>242:3<br><hr/> <b>R</b> <hr/> <b>raise</b> 18:6<br><b>raised</b><br>8:11,16<br><b>Ramage</b> 2:15<br>10:20<br>14:18 17:5<br>18:2,4,5<br>105:18,23 | 142:8,13<br>143:11,17<br>179:1<br>201:17<br>209:22<br>220:4,13<br><b>random</b><br>218:20<br><b>range</b> 93:24<br>94:5<br>112:14<br>117:1<br>170:12<br>190:9,22<br>191:9<br>224:7<br>231:11,20<br>235:20<br>237:8<br>240:3<br><b>ranges</b> 94:1<br>170:17<br><b>ranging</b><br>93:25<br>149:4<br><b>rank</b> 236:5<br><b>rapid</b> 123:24<br>183:12<br><b>rate</b> 21:17<br>23:11<br>25:13<br>27:19 29:1<br>39:5 40:15<br>41:8,9,10<br>43:18,22<br>45:19,23<br>46:6,7,10,<br>14 55:9<br>87:7 91:14<br>93:6,7,10,<br>12,16,23<br>94:19,21,2<br>5<br>107:16,18,<br>22 128:24<br>182:23<br>189:1<br>190:2,23<br>191:1<br>198:4,6,8,<br>9,16,22 |
|---|---|---|--|---|

|                   |                     |                     |                     |                     |
|-------------------|---------------------|---------------------|---------------------|---------------------|
| 199:19,23         | 220:22              | <b>realisticall</b> | <b>reasonably</b>   | 224:15              |
| 200:10            | 221:18              | <b>y</b> 193:25     | 100:22              | 225:2               |
| 201:4,12,14       | 222:3               | <b>realize</b> 96:8 | <b>reasons</b>      | <b>recognizes</b>   |
| 202:10,13         | 224:2               | 184:10              | 193:22              | 36:10               |
| 203:10,15,16      | 227:8,22            | 190:6               | 201:7               | 183:21              |
| 204:17            | 228:8,14            | <b>realized</b>     | 228:2               | <b>recognizing</b>  |
| 205:4             | 229:17              | 69:16               | <b>rebuild</b>      | 18:22 30:9          |
| 208:11            | <b>rather</b> 34:20 | <b>really</b> 19:2  | 52:10               | 59:12               |
| 216:12            | 106:20              | 25:15               | <b>recalculated</b> | 100:25              |
| 217:6,19          | 117:16              | 33:15               | 218:7               | 101:4               |
| 218:3             | 170:24              | 38:12               | <b>recalibrate</b>  | 119:6               |
| 221:8,25          | 190:23,24,25        | 55:13,15,21         | 20:13               | 134:15,16           |
| 223:5,10          | <b>ratings</b>      | 1 95:7,24           | <b>recall</b> 80:10 | 186:13              |
| 225:6,7,14        | 147:24              | 96:3,15             | 219:23              | <b>recollection</b> |
| 227:3             | <b>ratio</b> 87:4   | 98:23,24            | <b>receive</b>      | 156:5               |
| 228:12,16         | 93:16,25            | 115:5               | 70:13               | <b>recommendati</b> |
| 238:25            | 94:22               | 121:8               | 146:8               | <b>ons</b> 9:11     |
| 244:5             | 115:12              | 126:5               | <b>received</b>     | <b>record</b>       |
| 245:10            | <b>ratios</b> 93:23 | 129:22              | 89:3 96:25          | 251:24              |
| 250:5             | <b>re</b> 1:8 37:10 | 130:13              | 105:2               | <b>recoup</b>       |
| <b>ratepayer</b>  | 55:6 90:8           | 134:11              | 214:4               | 91:17,20            |
| 78:12 79:4        | 109:24              | 143:22              | <b>receiving</b>    | <b>recouping</b>    |
| 91:12,13          | <b>rea</b> 184:20   | 144:4,11            | 185:23              | 90:24               |
| 94:11             | <b>reach</b> 70:24  | 176:17              | <b>recent</b> 22:23 | <b>recover</b> 90:8 |
| 95:12             | 192:5               | 177:6               | 174:24              | 136:11,13,24        |
| <b>ratepayers</b> | <b>reached</b>      | 183:13              | <b>recently</b>     | 137:10              |
| 67:21,23          | 192:22              | 212:2               | 60:13 62:5          | <b>recycled</b>     |
| 91:21 95:3        | <b>reaching</b>     | 230:10              | 81:16               | 90:11               |
| 145:3             | 242:2               | 245:21              | 105:2               | <b>red</b> 29:10,11 |
| 211:2,14          | <b>reading</b>      | 246:6               | <b>recessing</b>    | 32:11,12            |
| <b>rates</b> 7:25 | 130:23              | 249:8               | 57:25               | 33:6                |
| 31:10             | 184:20              | <b>realm</b> 244:22 | 120:13              | 41:23,24            |
| 48:21             | 211:15              | <b>real-time</b>    | 165:22              | 42:1                |
| 51:12 52:6        | 218:15              | 126:6,11            | 234:16              | 222:5,21            |
| 55:21,22          | <b>readjusting</b>  | <b>reason</b> 183:2 | <b>recession</b>    | <b>reduce</b> 32:2  |
| 93:13,14          | 85:9                | 228:12              | 37:14               | 49:11               |
| 95:13             | <b>ready</b> 16:7   | 245:1               | 38:14               | 70:20               |
| 96:24             | <b>real</b> 45:23   | <b>reasonabilit</b> | <b>recognition</b>  | 95:17               |
| 97:17             | 153:1               | <b>y</b> 35:15      | 225:9               | 102:19              |
| 109:3             | 189:1               | 36:15               | <b>recognize</b>    | 106:19,20           |
| 149:7             | 198:6,14,15         | <b>reasonable</b>   | 30:3 67:15          | <b>reduced</b>      |
| 189:18            | 5,22,24,25          | 29:18               | 97:12               | 40:14 41:2          |
| 190:7,9,10        | 217:21              | 34:19,22            | 100:19              | 65:10               |
| ,12,17            | 218:10,12           | 35:17 37:9          | 118:25              | 75:18               |
| 192:9,10          | 223:6               | 56:23               | 119:9               | 107:3               |
| 198:16            | 227:22              | 78:12               | <b>recognized</b>   | 125:3               |
| 199:24            | 228:6,13            | 109:3,8             | 39:16               | <b>reduction</b>    |
| 200:6,11          |                     | 115:4,8             |                     | 32:6,9              |
| 202:16            |                     | 116:12              |                     |                     |
| 216:15            |                     | 117:1               |                     |                     |
| 218:2             |                     |                     |                     |                     |

|                    |                     |                     |                     |                    |
|--------------------|---------------------|---------------------|---------------------|--------------------|
| 41:5 68:17         | <b>referred</b>     | 99:15               | 187:9               | 175:23             |
| 87:24 97:8         | 50:9 86:2           | 126:18              | 222:15              | <b>removes</b>     |
| 107:4              | 97:21               | 184:25              | 225:13              | 189:2              |
| 115:25             | 133:6               | <b>regime</b> 146:4 | 238:21              | <b>rental</b>      |
| 118:3              | <b>referring</b>    | <b>region</b>       | <b>relatively</b>   | 203:15             |
| <b>reductions</b>  | 52:1 54:13          | 125:9,10            | 59:14               | 216:14             |
| 43:6               | 60:6 86:4           | <b>regress</b>      | 113:7,18            | <b>rentals</b>     |
| <b>Reeves</b> 4:8  | <b>refers</b>       | 31:15               | 122:11              | 203:8              |
| 12:20              | 170:23              | <b>regression</b>   | 149:6               | 208:13,19          |
| <b>ref</b> 159:13  | 216:17              | 31:13,20            | 216:22              | 209:3              |
| 223:5,10           | <b>reflect</b>      | 44:1                | <b>relevance</b>    | <b>repeat</b>      |
| <b>ref/ref/ref</b> | 22:17               | <b>regularly</b>    | 239:13              | 194:21             |
| 221:17             | 46:22               | 60:3                | <b>relevant</b>     | <b>replace</b>     |
| 222:7,16           | 49:12               | <b>regulated</b>    | 67:15               | 100:5              |
| 230:14             | 107:4               | 156:2               | 129:25              | <b>replaced</b>    |
| 238:19             | 108:21              | <b>regulation</b>   | 250:17              | 192:25             |
| 239:1              | 119:3               | 72:7                | <b>reliability</b>  | <b>Replacement</b> |
| 241:2              | 129:10              | 128:23              | 7:25                | 192:4              |
| 247:24             | 153:23              | <b>regulations</b>  | <b>reliable</b>     | <b>report</b>      |
| <b>reference</b>   | 210:2               | 128:7               | 56:23               | 86:16,19           |
| 159:13,17          | <b>reflected</b>    | <b>regulator</b>    | 188:9               | 143:20             |
| 161:9              | 49:16,18            | 132:8               | <b>relied</b>       | 144:9              |
| 179:6,9            | 54:18               | 145:2               | 108:17              | 152:16             |
| 186:15             | 85:15               | <b>regulatory</b>   | 109:2               | 183:20             |
| 198:17             | <b>reflecting</b>   | 13:19               | <b>rely</b> 195:4   | 187:18             |
| 204:17             | 121:18              | 135:4               | <b>relying</b>      | <b>reports</b>     |
| 207:19             | <b>reflects</b>     | <b>reinvested</b>   | 245:7               | 86:14              |
| 213:10             | 49:25               | 193:14              | <b>remain</b>       | 183:20             |
| 215:13             | 109:10              | <b>reiterate</b>    | 203:17              | <b>repre</b> 64:8  |
| 220:18             | 127:21              | 46:21               | <b>remainder</b>    | <b>represent</b>   |
| 221:9              | 167:5               | <b>rejected</b>     | 191:24              | 20:13 21:3         |
| 222:9              | <b>refridge</b>     | 92:14               | <b>remains</b>      | 29:22              |
| 224:18             | 94:2                | <b>related</b> 8:18 | 115:8               | 32:19              |
| 225:1              | <b>refrigerator</b> | 20:6 74:16          | 116:12              | 37:10 39:1         |
| 230:14,23          | 88:22               | 118:3               | 180:23              | 40:5               |
| 237:11,13          | 89:16 94:3          | 178:2               | <b>remember</b>     | 42:2,3             |
| 238:24,25          | <b>regard</b> 99:14 | 183:7               | 42:18               | 64:18 65:3         |
| 239:11,23          | 132:1               | <b>relationship</b> | 61:25 62:3          | 71:12 77:9         |
| 240:12             | 137:22              | 210:3               | 164:4               | 83:22              |
| 241:7              | 138:18              | 225:22              | <b>remind</b> 42:18 | 108:24             |
| 243:6              | 140:7               | 228:8,9             | <b>reminding</b>    | 109:4              |
| <b>reference/</b>  | 143:18              | <b>relationship</b> | 16:10               | 112:22             |
| <b>reference/</b>  | 144:13              | <b>s</b>            | <b>remove</b> 89:19 | 118:2              |
| <b>reference</b>   | 145:24              | 223:23,25           | 90:4                | 146:13             |
| 239:8              | 147:4,8             | <b>relative</b>     | <b>removed</b>      | 175:1              |
| <b>referenced</b>  | 250:22              | 45:19               | 47:21               | 187:7              |
| 179:10,14          | <b>regarding</b>    | <b>regardless</b>   | 50:25               | 189:19             |
| 221:17,18,         | 146:11              |                     |                     | 199:20             |
| 19,25              |                     |                     |                     | 208:23             |
| 222:1,2,3          |                     |                     |                     |                    |

|   |   |   |  |   |
|---|---|---|--|---|
| 222:19,21<br>229:17<br><b>representati</b><br>on 27:4<br>188:11<br>204:11<br>239:21<br><b>representati</b><br>ve 108:22<br>224:1<br><b>representati</b><br>ves 29:7<br>32:18,19,20<br><b>represented</b><br>29:9 80:4<br>169:13<br>222:10<br><b>representing</b><br>29:11<br>33:24 83:3<br>100:7<br>109:8<br>175:13<br>221:2<br>224:19,21<br><b>represents</b><br>9:7 24:18<br>25:1 28:18<br>30:5,15<br>41:11,24,25<br>5 46:24<br>47:23 65:5<br>99:18,20<br>100:7,11<br>179:10<br>231:3<br><b>Request</b> 54:3<br><b>Requests</b><br>105:20<br><b>require</b><br>199:14<br><b>required</b><br>96:7,11<br>104:13<br>117:5<br>132:18<br>133:1<br>140:23 | 186:24<br>188:7<br><b>requirement</b><br>33:1 49:14<br>51:8 74:23<br>75:2,15<br><b>requirements</b><br>30:7 40:25<br>41:4,6<br>46:25<br>66:19 75:9<br>132:5<br><b>requiring</b><br>204:20<br><b>research</b><br>18:16<br>73:15<br><b>reserve</b><br>183:2<br><b>reserved</b> 9:1<br><b>reservoirs</b><br>124:6<br><b>residential</b><br>22:14<br>23:6,20<br>25:20<br>28:15<br>39:17<br>49:15 55:6<br>106:8,15,23<br>3 107:24<br>112:5<br>113:9,12<br><b>resource</b><br>5:12 20:10<br>49:8 51:5<br>54:22<br>60:1,4,7<br>61:2,4,20<br>62:9 66:18<br>67:25 68:4<br>69:6<br>71:9,13,19<br>72:21<br>77:14<br>78:21 79:2<br>81:5,8,13,15<br>90:17,21<br>91:1 | 105:14<br>115:18<br>124:8<br>126:9<br>144:1,2<br>151:3<br>166:20<br>168:19,20<br>169:13,21,<br>22 170:16<br>171:16<br>178:22<br>179:15<br>183:23<br>217:21<br>229:7,9<br><b>resourced</b><br>68:10<br><b>resources</b><br>7:17<br>124:12<br>128:2,14,19<br>9 139:10<br>143:24<br>155:1<br>166:24<br>167:5<br>168:11,13,<br>22 170:20<br>171:19<br>172:8<br>178:13,14<br>183:9<br>184:1,2,10<br>186:10<br>188:3<br>191:8<br>233:5,19<br>244:24<br><b>respond</b><br>126:7<br>128:8<br>161:23<br><b>response</b><br>118:15,24<br>123:24<br>124:6<br>126:2,11<br><b>responsibili</b><br>ties 122:5<br><b>responsible</b> | 6:5 18:13<br>90:14<br>97:16<br>121:23<br>172:25<br>173:2<br>174:6<br><b>responsive</b><br>125:15<br>144:3<br><b>responsivene</b><br>ss 126:17<br><b>rest</b> 80:20<br>234:14<br><b>restart</b><br>140:16<br><b>restrictions</b><br>142:21<br><b>result</b> 40:14<br>56:3 82:17<br>118:25<br>147:1,24<br>208:12<br>209:4,9<br><b>resulted</b><br>40:12<br><b>resulting</b><br>7:8 116:2<br><b>results</b><br>104:22,24<br>113:4<br>114:25<br>123:15<br>130:4<br>144:21<br>181:5<br>186:13<br>193:9<br>213:13<br>238:12<br><b>resuming</b><br>58:1<br>120:14<br>165:23<br>234:17<br><b>retirement</b><br>88:22<br>89:16 94:3 | 127:21<br><b>retirements</b><br>127:12,17,<br>18 129:5<br><b>retraction</b><br>102:12<br><b>return</b> 10:3<br>173:12<br>192:10<br><b>revenue</b><br>87:24 89:2<br>91:11<br>146:5,9<br>185:18<br>195:20,21<br>196:9<br><b>revenues</b><br>188:20,22<br>189:1<br>193:7<br>251:25<br><b>revert</b><br>135:11<br><b>review</b> 9:5,8<br>10:9 19:25<br>20:3<br><b>reviewed</b><br>127:9<br><b>revisiting</b><br>81:22 85:5<br><b>reward</b> 231:7<br><b>Rick</b> 4:7,13<br>12:17<br>16:12<br>44:13,18,22<br>48:5,6,11,<br>20,23<br>50:3,13,16<br>,19,22<br>51:9,22,25<br>52:4,11,14<br>,18,21<br>88:20,24<br>89:5,9,12<br>90:23<br>91:15,17,20,23<br>92:1<br>105:10,22, |
|---|---|---|--|---|

|                     |                    |                     |                     |                   |
|---------------------|--------------------|---------------------|---------------------|-------------------|
| 25                  | 140:16             | 165:14              | 115:12              | 52:1,3            |
| 107:10,13,          | 141:9              | 182:9,17            | 121:4,11,2          | 53:9,11           |
| 20                  | <b>Robert</b> 3:11 | 201:20              | 2                   | 54:19,21          |
| 154:3,8,13          | 13:24              | <b>rough</b> 76:12  | 122:10,11           | 63:11,12,1        |
| ,18                 | 127:7              | <b>roughly</b> 25:9 | 125:20              | 3,14,23,25        |
| 155:5,8,10          | 128:10             | 84:22               | 128:13              | 64:15,17          |
| ,16,18              | 129:2,3,13         | <b>routing</b>      | 137:23              | 65:7,15           |
| 163:22              | ,20                | 133:4               | 149:4,15            | 68:13,14,1        |
| 164:13              | 157:15,16,         | <b>run</b> 91:12    | 194:9,12,2          | 7                 |
| 181:7,8,13          | 22                 | 128:3               | 5 195:1,4           | 69:4,6,14,        |
| ,18 183:6           | 158:5,8,12         | 192:9               | 202:25              | 16,22,23          |
| 210:1,14,1          | ,17,21             | 225:15              | 205:12              | 70:1,4            |
| 8 240:6,17          | 159:16,20,         | 251:22              | 206:7               | 74:20 77:1        |
| 241:4,7,10          | 23                 | <b>running</b> 6:11 | 236:24              | 79:11,14          |
| <b>Riel</b> 4:9     | 161:13,21          | 118:8               | <b>Sarah</b> 4:14   | 80:25             |
| 12:22,23            | 205:9,10,2         | 119:23              | 16:16               | 82:16 84:6        |
| <b>right-hand</b>   | 5                  | 120:18              | <b>Saskatchewan</b> | 86:10             |
| 167:10,13           | 206:3,6,10         | <b>runs</b> 156:22  | 18:17               | 88:10,11,1        |
| 198:19              | ,13                | <b>Russ</b> 11:23   | 121:25              | 7                 |
| <b>rights</b>       | 232:8,12,2         | <hr/>               | 139:5,6             | 90:5,16,21        |
| 146:25              | 0                  | <b>S</b>            | 149:6,16            | 91:7,10           |
| <b>RIM</b> 96:23    | 233:1,6,11         | <hr/>               | <b>SaskPower</b>    | 95:3,5,14,        |
| <b>risk</b> 128:17  | ,15,20,24          | <b>Sabine</b> 3:12  | 148:23              | 18 97:1           |
| 182:25              | 234:2,5            | 14:1                | 149:2               | 98:16             |
| 183:3               | <b>Roger</b> 2:8   | 155:21,22           | <b>satisfied</b>    | 100:12            |
| 186:9               | 13:18              | 156:7,10,1          | 36:11               | 104:12            |
| 190:24              | 25:23              | 2,24                | 93:20               | 112:14,22         |
| 199:3,6,14          | 26:4,11,15         | 157:4,7             | <b>satisfy</b>      | 114:6,21,2        |
| ,20                 | ,20 27:1           | 223:3,8,14          | 62:19               | 3                 |
| 200:3,11,1          | 52:22              | <b>sale</b> 128:15  | <b>saturation</b>   | 115:5,12,2        |
| 4,23                | 53:4,7,13,         | 134:6               | 106:25              | 3 116:1           |
| 201:6,10            | 17,23 54:8         | 135:25              | <b>Saturdays</b>    | 117:5,19          |
| 213:5,20            | 115:10,22          | 137:25              | 19:1                | 118:25            |
| 214:2               | 116:1,4,7          | 138:3,18            | <b>Saunders</b> 4:6 | 119:5,14,1        |
| 229:8,17,1          | 136:20,21          | 149:17,18           | 12:14,15            | 8,19              |
| 8 231:7,8           | 137:7,13           | 173:21              | <b>sav</b> 63:16    | <b>saw</b> 28:22  |
| 232:7               | 142:18             | 174:3,5             | 88:9                | 208:18            |
| 237:23              | 143:6,14,1         | 175:8,9,10          | <b>save</b> 64:7    | 230:18            |
| 240:3               | 7                  | ,11,18              | 115:24              | <b>scale</b> 59:5 |
| 241:25              | 160:12,18          | 176:3,6,9,          | <b>saved</b> 64:16  | 171:3             |
| 243:13              | 163:2,11,1         | 15,20               | 68:20               | 211:13            |
| 247:11,13           | 6 175:16           | 195:8               | 71:15               | 238:6             |
| 249:11              | 179:16             | 196:14              | <b>savings</b>      | <b>scatter</b>    |
| 250:4               | 192:7,14           | 211:23,24           | 42:22               | 236:11            |
| 251:1,5             | 225:11             | 212:3,4,7,          | 43:4,6              | <b>scenario</b>   |
| <b>risks</b> 190:25 | 226:1,4,9          | 24                  | 51:3,4,21           | 37:10             |
| 199:16,21           | <b>role</b> 183:14 | 213:16,25           |                     | 115:17            |
| 200:8               | <b>roll</b> 141:25 | 214:12,22           |                     | 141:4             |
| 229:14              | <b>rolling</b>     | <b>sales</b> 5:8    |                     | 152:13            |
| <b>River</b>        | 141:11             | 19:23               |                     | 153:6,8,14        |
| 139:17,19           | <b>room</b> 11:10  |                     |                     | 156:1             |
|                     |                    |                     |                     | 159:6             |



|   |  |   |  |  |
|---|--|---|--|--|
| 179:7,9,10<br>,14 198:17<br>204:17<br>211:12<br>212:23<br>236:6<br>237:11<br>238:19<br>241:18<br>245:10   | 4,25 11:2<br><b>screen</b> 68:8<br><b>screening</b><br>70:15<br>102:21<br>168:18<br>169:3,15<br>170:4<br>171:15  | 211:3<br><b>sector</b><br>22:12,13<br>23:6,10<br>25:20<br>27:15,22<br>28:11,17,2<br>3,25 30:1<br>35:5 39:18<br>47:13<br>106:8,15,1<br>7,24<br>107:24<br>113:10,12   | 180:16<br>225:15<br>242:21<br><b>selection</b><br>147:12<br><b>sell</b> 125:4,5<br>173:13<br>205:23<br>250:10<br><b>selling</b><br>138:2<br>196:7<br><b>sells</b> 122:9<br><b>send</b> 107:5<br><b>sending</b><br>118:4<br>144:4<br><b>sense</b> 35:14<br>57:12<br>60:7,8<br>61:20<br>90:22<br>149:25<br>161:20<br>163:24<br>210:15<br>240:19<br>241:11<br><b>sensi</b> 180:10<br><b>sensitivitie</b><br><b>s</b> 60:23<br>83:2<br>180:1,10<br><b>sensitivity</b><br>83:9<br>85:19,23<br>114:20<br>115:2,7<br>180:6,19<br>227:14,15<br><b>sensors</b><br>93:25<br><b>separate</b><br>43:1 51:4<br>180:25<br>206:11<br>227:14,15<br>246:12,15 | <b>separately</b><br>22:16<br>33:19 43:3<br><b>September</b><br>1:22<br><b>serve</b> 7:13<br>28:3<br>135:25<br>172:4<br>236:23<br><b>served</b><br>178:13<br><b>service</b><br>22:15<br>25:21<br>27:10<br>28:14<br>32:25<br>134:2<br>135:24<br>138:4,19<br>173:14<br>182:7,21<br>192:22<br>209:7<br>218:13<br><b>services</b><br>28:3<br>146:5,9<br><b>session</b><br>43:21<br><b>sets</b> 7:2,4<br><b>setting</b><br>109:17<br>119:12<br><b>seven</b> 74:11<br>131:1<br>148:10<br>159:14<br>198:20<br>230:12<br>234:11<br><b>seven-fifty</b><br>131:1,12<br>133:5,9,13<br>141:17<br>146:13<br>250:9<br><b>seventeen</b> |
| <b>scenario-</b><br><b>based</b><br>200:11<br><b>scenarios</b><br>7:9 83:6<br>137:18<br>140:5<br>152:1,5,7,<br>10,13,22,2<br>3 155:4<br>159:5,14<br>180:2<br>189:18<br>190:8,17,2<br>2<br>199:4,7,10<br>,16<br>200:2,9<br>211:23<br>214:5<br>215:22<br>220:20,23<br>221:6,10<br>222:17,18<br>231:13<br>235:22,25<br>236:13<br>238:13<br>239:17<br>252:11<br><b>scene</b> 199:13<br><b>schedule</b><br>16:9<br>187:18<br><b>scheduled</b><br>111:2<br><b>schools</b> 28:2<br><b>Scott</b> 2:13<br>6:16,19,20<br>,21 8:15<br>10:15,23,2 | <b>S-curve</b><br>235:18<br>240:9<br>246:23<br>247:3<br>249:13,14,<br>16<br><b>S-curves</b><br>230:8<br>234:8,12<br>235:3,8<br>241:13<br>253:7<br><b>se</b> 101:24<br><b>seasonal</b><br>139:18,19<br><b>sec</b> 150:10<br>170:11<br><b>second</b> 6:23<br>55:1 58:5<br>86:16<br>89:19,21<br>130:7<br>146:10<br>193:23<br>194:19<br>195:3<br>207:9<br>220:1<br>240:17<br>242:21<br><b>secretary</b><br>14:4<br><b>section</b><br>51:19<br>164:6<br>192:1<br><b>sections</b><br>122:8<br>181:11 | <b>sectoral</b><br>55:6<br><b>sectors</b><br>22:14<br>29:13 74:5<br>78:13<br>101:21,24<br>102:4<br>112:4,14<br>113:5,8<br><b>security</b> 8:1<br><b>seeing</b> 29:15<br>39:13,21,2<br>3 149:6<br>208:7<br>237:16<br>249:19<br>251:24<br><b>seeks</b> 150:25<br><b>seem</b> 86:5,6<br>243:12<br><b>seemed</b> 50:8<br><b>seems</b> 124:21<br><b>seen</b><br>21:13,24<br>23:7 27:15<br>28:4 35:6<br>44:1,2<br><b>sees</b> 126:24<br><b>segments</b><br>101:21,22,<br>24 102:5<br>112:6,7<br><b>selected</b> | <b>separately</b><br>22:16<br>33:19 43:3<br><b>September</b><br>1:22<br><b>serve</b> 7:13<br>28:3<br>135:25<br>172:4<br>236:23<br><b>served</b><br>178:13<br><b>service</b><br>22:15<br>25:21<br>27:10<br>28:14<br>32:25<br>134:2<br>135:24<br>138:4,19<br>173:14<br>182:7,21<br>192:22<br>209:7<br>218:13<br><b>services</b><br>28:3<br>146:5,9<br><b>session</b><br>43:21<br><b>sets</b> 7:2,4<br><b>setting</b><br>109:17<br>119:12<br><b>seven</b> 74:11<br>131:1<br>148:10<br>159:14<br>198:20<br>230:12<br>234:11<br><b>seven-fifty</b><br>131:1,12<br>133:5,9,13<br>141:17<br>146:13<br>250:9<br><b>seventeen</b>                     |  |

|   |  |  |  |   |
|---|--|--|--|---|
| 27:12<br>32:2,14,19<br>33:8,9<br><b>seventy-eight</b><br>191:20<br>193:24<br><b>seventy-fifty</b><br>248:8<br><b>seventy-one</b><br>243:5<br>247:23<br><b>several</b> 86:2<br>139:6<br>160:16<br>181:16<br>192:25<br><b>shading</b><br>44:21<br><b>shaped</b><br>250:15<br><b>shapes</b> 74:5<br><b>share</b> 23:13<br>92:19<br>94:10<br>143:6<br>173:14<br><b>shared</b><br>78:24,25<br>173:7<br><b>shareholder</b><br>210:4<br><b>sharers</b><br>185:21<br><b>sharing</b><br>125:12<br>135:20<br>185:22,24,<br>25 186:2<br><b>sharp</b> 57:19<br>234:24<br><b>sheet</b><br>144:17,20,<br>23<br>145:6,8,17<br>205:21 | 212:8<br><b>she'll</b> 253:8<br><b>she's</b> 16:20<br>60:19<br>120:21<br><b>short</b> 19:24<br>29:5,9<br>33:19<br>138:12<br>177:9<br>232:17<br><b>shorter</b><br>229:9<br>232:6<br><b>shortfall</b><br>168:9<br><b>shortly</b><br>19:21<br>123:17<br><b>short-term</b><br>29:7,12<br>33:13<br>149:10<br><b>showed</b> 106:9<br>107:14<br>178:8<br>215:19<br><b>showing</b><br>38:10<br>105:15<br>167:14<br>168:6<br>174:19<br>203:21,23<br>207:2<br>240:2<br>243:18<br>249:18,23<br><b>shown</b> 115:1<br>138:22<br>169:9<br>171:15<br>195:7<br>204:5<br>208:14<br>228:25<br>230:4,8,9<br>232:1,4<br>237:19,21 | 239:2<br>243:22<br><b>shows</b> 37:2<br>105:14<br>123:18<br>128:13<br>167:9<br>168:2<br>198:5,13<br>216:6,9<br>230:11,12<br>236:21<br>237:10<br><b>signal</b> 144:7<br><b>signals</b> 40:8<br>107:6<br>144:3<br><b>signed</b> 138:4<br>139:19<br>144:14<br>145:9<br>149:1<br>178:13<br>205:21<br><b>significant</b><br>21:7 110:1<br>123:18<br>160:11<br>209:10<br>217:9<br><b>significantl<br/>y</b> 82:5<br>93:24 94:6<br>201:1<br><b>similar</b><br>60:23<br>67:20 88:7<br>159:5<br>164:18<br><b>similarly</b><br>114:22<br>167:25<br>171:4<br><b>Simonsen</b> 2:6<br>14:3<br><b>simple</b><br>158:15<br>191:12<br>201:23 | 238:2<br>242:9<br><b>simpler</b><br>110:5<br>135:12<br>189:20<br><b>simplified</b><br>68:9,21<br><b>simply</b> 42:6<br>43:25<br>51:17<br>88:5,13<br>159:8<br>169:17<br>181:20<br>220:20<br><b>simulation</b><br>251:17<br><b>Sinclair</b><br>3:11 13:24<br>127:7,8<br>128:10<br>129:2,3,13<br>,20<br>157:15,16,<br>22<br>158:5,8,12<br>,17,21<br>159:16,20,<br>23<br>161:13,21<br>205:9,10,2<br>5<br>206:3,6,10<br>,13<br>232:8,12,2<br>0<br>233:1,6,11<br>,15,20,24<br>234:2,5<br><b>Singh</b> 2:5<br>12:3<br><b>single</b> 69:23<br>88:6<br>153:22<br>158:13,25<br>159:1,8,10<br>169:21<br>188:23<br>222:8<br>235:23 | 239:10<br><b>sinking</b><br>187:21<br><b>site</b> 44:24<br>75:19<br><b>site-specific</b><br>74:24<br><b>siting</b> 133:4<br><b>situation</b><br>128:17<br><b>six</b> 73:23<br>74:9,10<br>75:23<br>76:8,17<br>77:8<br>88:14,16<br>94:2 96:10<br>107:14<br>110:14<br>116:13<br>140:14<br>163:14<br>176:5,8<br>207:22<br><b>six-nine</b><br>74:10<br>75:23 76:9<br>107:15<br><b>sixteen</b><br>168:20<br>207:21<br>209:1<br>230:16,24<br>247:25<br><b>sixteen-ninety-six</b><br>221:21<br><b>sixth</b> 108:18<br><b>sixty-four</b><br>243:6<br><b>sixty-nine</b><br>73:23<br><b>sixty-seven</b><br>191:10<br><b>size</b> 108:1<br>123:25 |
|---|--|--|--|---|

|                     |                   |                     |                     |                     |
|---------------------|-------------------|---------------------|---------------------|---------------------|
| 132:10,15           | 179:22            | 243:19              | 130:1               | 59:3 61:19          |
| 148:5               | 180:13            | 244:25              | <b>somehow</b>      | 76:11               |
| 190:19              | 181:1             | <b>smaller</b>      | 50:10               | 103:18              |
| 232:5               | 188:15            | 132:25              | <b>someone</b> 18:7 | 104:23              |
| <b>sizing</b> 132:2 | 189:9,15,2        | 135:11              | 47:4                | 131:16              |
| <b>slate</b> 218:6  | 3                 | 196:10              | <b>something's</b>  | 155:3               |
| 227:7               | 191:3,6,17        | 232:5               | 19:20               | 156:20              |
| 228:3               | 192:17            | 250:25              | <b>sometime</b>     | 157:24              |
| <b>slid</b> 44:19   | 197:10            | 251:2               | 173:15              | 161:1,17            |
| <b>slide</b> 20:21  | 198:1             | <b>Smart</b> 47:24  | <b>somewhat</b>     | 164:15              |
| 21:21 22:6          | 202:19            | 48:7                | 60:23               | 183:24              |
| 23:3,23             | 204:1             | 49:6,24             | 236:3               | 185:1               |
| 27:7 28:8           | 206:15            | 52:24,25            | 242:5               | 199:6               |
| 31:23               | 207:25            | 53:1,10             | <b>somewhere</b>    | 200:9               |
| 34:15,25            | 215:16,19         | 54:23               | 44:16               | 201:13              |
| 36:6,25             | 216:1             | 58:17 63:8          | 122:25              | 207:19              |
| 38:19               | 217:1             | 66:12               | <b>sop</b> 65:23    | 208:4               |
| 40:1,19             | 220:25            | 68:24               | <b>sorry</b> 16:21  | 212:3               |
| 41:14               | 223:1,16          | 71:11 73:5          | 18:5,6              | 216:8               |
| 46:18               | 224:11            | 82:15,19,2          | 21:13               | 219:4               |
| 62:23               | 225:17,21         | 3,25                | 25:22               | 223:9,22            |
| 63:19               | 229:21            | 83:1,15             | 31:7,18             | 231:10              |
| 64:11 65:1          | 231:15            | 84:22               | 34:12               | 235:23              |
| 66:5,24             | 235:16            | 86:3,11,17          | 37:21 48:5          | 238:3               |
| 71:6 77:20          | 236:18,25         | 93:16               | 51:24               | 244:3               |
| 79:19 80:1          | 242:17            | 104:11              | 53:24               | 246:5               |
| 86:22               | 243:7             | 112:19              | 59:24               | <b>sounds</b>       |
| 87:12 91:4          | 244:8             | 114:4               | 61:18 63:1          | 150:15              |
| 93:1 94:14          | 246:25            | 117:4,10            | 64:24               | <b>south</b> 39:18  |
| 97:24 98:7          | 247:1             | <b>smoothing</b>    | 69:1,19             | 107:1               |
| 99:8                | <b>slides</b>     | 236:2               | 75:2 79:7           | 133:20              |
| 101:11              | 166:25            | <b>snapshot</b>     | 86:24               | <b>Southall</b> 2:3 |
| 111:22,25           | 177:12            | 235:23              | 88:15,19            | 12:10,11            |
| 112:10              | <b>slight</b>     | <b>social</b> 169:1 | 91:25               | <b>space</b> 23:17  |
| 113:1,20            | 200:19            | <b>socioeconomi</b> | 92:2,10             | 39:17,22            |
| 114:14              | <b>slightly</b>   | <b>c</b> 8:2        | 94:17               | 40:10               |
| 116:18              | 39:6 86:9         | <b>solar</b> 73:10  | 100:23              | <b>speak</b> 17:1   |
| 121:15              | 251:2             | 84:10               | 107:9               | 18:1 20:25          |
| 137:20              | <b>slow</b> 46:7  | 183:11,21           | 112:14,16           | 26:9 35:24          |
| 139:13              | <b>slowdown</b>   | 196:16              | 132:14              | 48:12               |
| 150:20              | 28:21             | <b>sold</b>         | 143:14,15           | 58:11,17,2          |
| 151:10              | <b>small</b> 46:7 | 205:15,17           | 176:6               | 0 69:8              |
| 152:3,18            | 89:22             | 206:10              | 180:21              | 116:25              |
| 153:17              | 93:19             | 212:19              | 210:2               | 147:5               |
| 154:6               | 122:11            | <b>solely</b> 70:15 | 222:17              | 209:25              |
| 166:18,24           | 135:14            | 99:21,25            | 232:11              | 224:15              |
| 167:11,13,          | 140:9             | 118:22              | 236:25              | <b>speaker</b>      |
| 23 168:15           | 149:14            | 248:10              | 247:17              | 35:23               |
| 170:1,13            | 172:19            | <b>somebody</b>     | 250:13              | <b>speaking</b>     |
| 172:12              | 175:7             |                     | <b>sort</b> 56:12   | 24:20 49:9          |
| 176:23              | 242:24            |                     |                     |                     |
| 177:16,21           |                   |                     |                     |                     |

|                     |                    |                     |                     |                     |
|---------------------|--------------------|---------------------|---------------------|---------------------|
| 63:1                | 148:2              | 109:12              | 100:10              | 178:20              |
| <b>specialized</b>  | 169:5              | <b>starting</b>     | 101:3,21            | 180:20              |
| 156:22              | 171:17             | 108:20              | 102:15              | <b>stretching</b>   |
| <b>specific</b>     | <b>stakeholder</b> | 120:17              | 104:15              | 242:1               |
| 47:10               | 123:15             | 121:2               | 179:3               | <b>strictly</b>     |
| 69:14               | <b>standalone</b>  | 153:7               | 205:2               | 196:10              |
| 72:15               | 201:15             | 166:6               | 206:18              | 242:14              |
| 76:23,24            | <b>standard</b>    | 204:3               | 208:7               | <b>strip</b> 158:25 |
| 127:15              | 66:20              | 234:24              | 216:4               | 159:2               |
| 128:17              | 169:11             | 241:23              | <b>Stevens</b> 4:15 | <b>strong</b>       |
| 129:4               | 181:20             | <b>state</b> 46:13  | 16:17               | 123:19              |
| 144:16              | 188:18             | 121:18              | <b>stewardship</b>  | <b>structure</b>    |
| 184:10              | <b>standards</b>   | 124:10              | 90:10               | 107:16,19,          |
| <b>specifically</b> | 47:9,14,15         | <b>stated</b> 68:4  | <b>stick</b> 120:1  | 22 129:15           |
| 35:7 63:16          | ,17,21,25          | 115:6               | <b>sticking</b>     | 136:1               |
| 84:25               | 48:14,18           | 116:10              | 195:24              | 198:11              |
| 104:2,19            | 49:13              | <b>states</b>       | <b>stop</b> 65:23   | 202:1,7             |
| 109:25              | 50:10,24           | 121:25              | 111:2               | <b>studies</b>      |
| 118:3,24            | 51:5,11            | 123:8               | 235:8,10            | 146:16,21           |
| 119:7               | 52:6,13            | 124:8               | <b>storage</b>      | 147:10,11,          |
| 132:25              | 53:9,14,16         | 125:22              | 123:20              | 14,25               |
| <b>specifics</b>    | ,19 54:12          | 128:6               | 125:5,14            | 149:19,22           |
| 151:6               | 55:2               | 133:12              | 144:6               | 156:16              |
| 175:3               | 80:8,9             | 135:5,10            | <b>story</b> 89:10  | 157:17              |
| <b>spend</b> 92:8   | 118:15             | 136:4               | <b>straight</b>     | 158:24              |
| <b>spending</b>     | 119:2,7,15         | 143:4               | 112:4               | <b>stuff</b> 19:4   |
| 11:8                | ,17,21             | 146:24              | 181:20              | 130:12              |
| <b>spent</b> 187:8  | <b>standing</b>    | 147:17              | 184:7               | 165:18              |
| <b>split</b> 177:11 | 146:21             | <b>static</b> 10:2  | <b>straightforw</b> | 178:2               |
| 202:24              | 196:3              | <b>stating</b>      | <b>ard</b> 112:4    | 215:21              |
| 208:13              | <b>start</b> 6:10  | 115:5               | <b>straight-</b>    | <b>sub</b> 213:5    |
| <b>spoke</b> 49:7   | 11:5,13            | <b>station</b>      | <b>lined</b> 34:2   | <b>subject</b> 46:1 |
| 88:7 94:16          | 22:21,24           | 131:5               | <b>strategic</b>    | 138:2               |
| <b>spot</b> 52:17   | 32:4 70:22         | 136:15              | 171:24              | 213:5               |
| 206:11              | 100:10             | 196:12              | <b>strategies</b>   | <b>submission</b>   |
| <b>square</b>       | 104:19             | <b>stations</b>     | 70:19               | 7:2 9:22            |
| 135:18              | 132:5              | 187:15              | <b>strategy</b>     | 18:20               |
| <b>squished</b>     | 133:15,16          | 191:12,14           | 46:6 66:13          | 58:12,16            |
| 216:8               | 165:15             | <b>status</b>       | 72:1,11             | 114:17              |
| <b>stability</b>    | 186:22             | 121:11              | 78:15,16            | 151:15              |
| 128:24              | 188:6              | <b>stays</b> 202:10 | 81:10 85:5          | 152:7               |
| <b>staff</b> 16:7   | 235:6              | <b>steam</b> 171:10 | 119:11              | 160:23              |
| 117:10              | <b>started</b>     | <b>steel</b> 181:24 | <b>streams</b>      | 167:8               |
| 162:22              | 19:15              | <b>step</b> 17:15   | 188:21              | 172:21              |
| <b>stage</b> 9:7    | 35:10              | 59:15               | <b>stress</b>       | 173:20              |
| 29:10 73:2          | 58:5,7             | 70:17               | 114:22              | 179:13              |
| 102:21              | 110:6              | 98:24               | 115:7,18            | 187:11              |
|                     | 133:5              | 99:19               |                     | 197:5               |
|                     | 166:1              |                     |                     | <b>submitted</b>    |
|                     | <b>starter</b>     |                     |                     |                     |

|                     |                     |                   |                     |                     |
|---------------------|---------------------|-------------------|---------------------|---------------------|
| 9:10                | 151:22              | 73:14             | <b>surprising</b>   | 176:18              |
| <b>subsequent</b>   | 180:8,11            | 77:24             | 113:18              | 177:1,2             |
| 72:4                | 191:25              | 147:14            | <b>surrounding</b>  | 180:9               |
| <b>subset</b> 80:20 | 203:2               | <b>supportive</b> | 39:20               | 197:14              |
| <b>substantial</b>  | 211:5               | 124:17            | <b>Susan</b> 16:16  | 198:4,13            |
| 111:6               | 233:2               | <b>supports</b>   | <b>suspect</b>      | 204:5,22            |
| 153:7               | <b>summer</b> 69:12 | 144:5             | 44:18               | 205:1               |
| <b>substantive</b>  | 141:22              | <b>suppose</b>    | 57:21               | 222:14              |
| 155:24              | <b>Sundays</b> 19:1 | 155:24            | <b>Sven</b> 2:4     | 230:7,12,2          |
| <b>substitute</b>   | <b>sunk</b>         | <b>supposed</b>   | 15:6                | 3 232:1,2           |
| 170:25              | 187:4,6,13          | 108:24            | <b>swap</b> 140:20  | 233:4               |
| <b>subtract</b>     | 197:13,19           | 111:14            | <b>swinging</b>     | 237:10              |
| 47:13,15            | <b>super-glad</b>   | 119:24            | 143:24              | <b>tables</b>       |
| <b>subtracted</b>   | 253:8               | <b>sure</b> 10:25 | <b>switching</b>    | 191:25              |
| 50:10               | <b>superior</b> 8:1 | 15:25 16:5        | 117:20,24           | 197:5,6             |
| 222:9               | 248:4               | 34:19,21          | 118:14,17,          | <b>taking</b> 98:24 |
| <b>success</b>      | <b>supplement</b>   | 40:8 51:2         | 23                  | 107:4               |
| 10:11               | 133:3               | 55:13             | <b>symbols</b>      | 130:17              |
| <b>sufficient</b>   | 185:14              | 59:16             | 236:15              | 138:13              |
| 167:19              | 190:16              | 74:15             | <b>symmetric</b>    | 184:23              |
| 172:8               | <b>supplemental</b> | 78:9,11,14        | 225:3               | 231:1               |
| <b>suggest</b>      | 86:12,13,1          | 82:6,12           | <b>synergy</b>      | <b>tal</b> 29:5     |
| 211:10              | 8                   | 88:11             | 123:6               | <b>talk</b> 21:1    |
| 235:3,14            | <b>Supplementar</b> | 89:18             | 124:24              | 49:3,4              |
| <b>suggesting</b>   | <b>y</b> 86:18      | 90:9,13,20        | 143:20              | 58:18               |
| 42:21               | <b>supplied</b>     | 114:4             | <b>syst</b> 194:9   | 72:18               |
| <b>suggestion</b>   | 203:2               | 115:15            | 233:16              | 76:15,19            |
| 105:12              | <b>supply</b> 8:1   | 120:5             | <b>system</b> 60:11 | 95:11,23            |
| <b>suit</b> 19:11   | 60:8,10             | 139:16            | 126:7               | 97:10               |
| <b>suitable</b>     | 67:6                | 155:23            | 146:16              | 122:8               |
| 168:21              | 124:21              | 156:10,12         | 147:10,25           | 123:5               |
| 169:5               | 128:1               | 164:23            | 167:17              | 137:17              |
| <b>suite</b> 157:6  | 188:9               | 194:23            | 169:20,23           | 138:16              |
| <b>sum</b> 211:1    | 197:5               | 195:20,23         | 170:5               | 139:5               |
| <b>summaries</b>    | 245:11              | 196:20,21         | 178:21              | 142:15              |
| 138:16              | <b>supplying</b>    | 200:16            | <b>systems</b>      | 144:15              |
| <b>summarize</b>    | 7:23                | 210:22            | 113:14              | 169:7               |
| 40:21               | <b>supply-side</b>  | 240:8             | <hr/>               | 172:14              |
| 167:1               | 67:20               | <b>surplus</b>    | <b>T</b>            | 184:5,8             |
| <b>summarized</b>   | 71:21               | 167:10,17         | <b>T5</b> 65:9      | 187:24              |
| 169:2               | <b>support</b> 8:8  | 168:3             | <b>T8</b> 65:8      | 215:21              |
| <b>summary</b>      | 71:15               | 194:12,24         | <b>table</b> 5:1    | 223:19              |
| 46:20               | 72:15               | 195:4,8           | 11:4 53:20          | <b>talked</b>       |
| 56:17               | 160:7               | 196:23            | 107:14              | 33:17,18            |
| 116:20              | <b>supported</b>    | 197:2             | 169:2               | 39:10               |
|                     | 146:15              | 205:15,20         | 174:23              | 43:21               |
|                     | <b>supporting</b>   | 250:10            | 175:11,15           | 72:22 94:9          |
|                     |                     | <b>surpluses</b>  |                     | 98:2                |
|                     |                     | 195:10            |                     | 106:13              |
|                     |                     | 251:18            |                     | 112:3               |
|                     |                     |                   |                     | 143:21              |
|                     |                     |                   |                     | 188:3               |

|                     |                     |                    |                     |                |
|---------------------|---------------------|--------------------|---------------------|----------------|
| 197:13              | <b>technically</b>  | 199:23             | <b>test</b> 9:9     | 65:18,21       |
| 198:4               | 99:15,17            | 205:21             | 81:5,8,14           | 77:3           |
| <b>talking</b>      | 100:12              | 212:8              | 93:6,7,11           | 110:11         |
| 48:14               | <b>technologies</b> | <b>terminating</b> | 96:24               | 143:17         |
| 75:13               | 84:12               | 140:14             | 114:22              | 155:19         |
| 96:16,20            | 98:21,22            | <b>termino</b>     | 115:7,18            | 159:23         |
| 100:18              | 102:21,23           | 220:10             | 129:23              | 201:22         |
| 130:16              | 112:8               | <b>terminology</b> | 180:20              | 206:13         |
| 138:8,12            | 168:20,23           | 220:10             | 186:23              | 234:5          |
| 167:7               | 169:3,15            | <b>terms</b> 29:25 | <b>tested</b> 190:7 | 251:12         |
| 180:9               | 171:16              | 49:11 54:4         | <b>testimony</b>    | <b>that'll</b> |
| 190:20              | <b>technology</b>   | 72:10 73:3         | 9:13                | 82:19          |
| 197:20              | 68:9 73:17          | 78:10 82:6         | <b>testing</b>      | 143:15         |
| 199:18              | 96:11               | 83:4,21            | 80:20               | 241:10         |
| 219:13              | 99:22               | 89:3 97:19         | <b>tests</b> 81:4   | <b>that's</b>  |
| 221:23              | 102:6,25            | 98:2               | 178:20              | 17:16,17       |
| 236:24              | 103:11              | 102:7,11           | <b>thank</b>        | 19:6,25        |
| <b>talks</b>        | 109:15              | 103:23             | 10:12,24            | 28:4           |
| 122:6,12            | 130:3               | 104:21             | 11:6                | 29:9,22        |
| <b>tank</b> 109:17  | 169:4               | 106:11             | 19:16,21            | 30:7 31:4      |
| <b>target</b>       | 183:19              | 112:2              | 58:10               | 35:9,12,16     |
| 37:3,5              | <b>ten</b> 28:20    | 119:2              | 111:18              | 37:17 41:1     |
| 38:15               | 36:18,23            | 131:8              | 116:7               | 44:9,19,20     |
| <b>targeted</b>     | 37:4                | 133:19             | 117:13              | 53:15          |
| 78:12               | 38:9,16             | 134:23             | 120:11              | 55:11          |
| 198:11              | 46:10               | 153:1              | 121:6               | 56:1,14        |
| <b>targeting</b>    | 57:11 62:1          | 154:1              | 137:14              | 65:13          |
| 36:19               | 75:25               | 157:6              | 143:16              | 68:21          |
| <b>tax</b> 203:16   | 76:17               | 158:4              | 148:15              | 69:16          |
| 216:14              | 119:23              | 163:13,25          | 155:8               | 74:16,17       |
| <b>taxes</b> 203:7  | 216:7               | 164:14             | 157:7               | 75:24          |
| 208:13,19           | 247:22              | 175:5              | 170:7               | 77:2,13        |
| 209:3               | <b>tend</b> 76:18   | 176:20             | 178:15              | 79:4 83:8      |
| <b>te</b> 38:16     | <b>tenth</b> 231:3  | 181:21             | 183:6               | 85:6,15        |
| <b>teams</b> 146:17 | <b>tenure</b>       | 182:12             | 192:15              | 86:17          |
| <b>technical</b>    | 46:2,9              | 184:19,23          | 197:8               | 89:13          |
| 1:11                | <b>tep</b> 205:2    | 198:14,21,         | 202:17              | 90:11          |
| 6:13,23             | <b>terawatt</b>     | 22,24              | 205:10              | 91:23          |
| 9:9                 | 141:1               | 206:22             | 215:10              | 93:18 95:8     |
| 17:8,17             | <b>term</b> 29:5,9  | 211:20,22          | 218:8               | 96:7,12        |
| 20:1 24:1           | 33:19,23            | 212:10             | 223:14              | 97:9 104:8     |
| 60:16               | 39:18               | 218:10,12          | 226:2               | 105:24         |
| 99:12               | 47:19 50:2          | 219:16             | 229:1               | 106:10         |
| 102:23              | 56:22               | 221:1              | 241:11              | 109:11,14,     |
| 103:1               | 122:2               | 228:12             | 244:2               | 15             |
| 146:17              | 138:13              | 229:14             | 252:24              | 112:18,19      |
| 151:13              | 144:16,20,          | 249:22             | 253:10              | 119:17         |
| 161:23              | 23                  | <b>territory</b>   | <b>thanks</b> 10:15 | 122:9          |
| 168:25              | 145:6,8,17          | 214:7              | 11:2 16:10          | 123:13,20      |
|                     | 149:12              | <b>Terry</b> 3:2   | 27:1 50:4           | 124:17         |
|                     |                     | 15:14              | 56:15               | 125:17,19      |
|                     |                     |                    | 57:22,23            | 126:25         |
|                     |                     |                    |                     | 128:16         |

|                   |                     |                     |                     |                     |
|-------------------|---------------------|---------------------|---------------------|---------------------|
| 130:13            | <b>thence</b> 128:3 | 164:20              | 180:22              | <b>thirty-six</b>   |
| 132:9,20,2        | <b>theoretical</b>  | 166:5,12            | 202:24              | 63:15               |
| 5 136:5,16        | 99:18               | 170:6,13            | 211:2               | <b>Thomson</b> 2:13 |
| 137:13            | 100:7               | 172:17              | 213:7               | 6:16,21             |
| 141:2,3,4         | <b>therefore</b>    | 173:20              | 214:23              | 8:15 10:25          |
| 142:3,14          | 45:7 67:11          | 176:6               | 218:16              | <b>thoughts</b>     |
| 143:22            | 101:5               | 186:13,14           | 219:6               | 19:14               |
| 145:16            | 126:16              | 194:1               | 220:20              | <b>threshold</b>    |
| 146:10            | 153:22              | 196:25              | 231:7               | 35:15               |
| 147:1,21          | 186:14              | 200:2,22            | 236:16              | 115:4,8             |
| 148:9             | 245:11              | 201:5               | 237:24              | <b>throat</b>       |
| 149:2             | <b>there'll</b>     | 205:12,16           | 239:8               | 120:22              |
| 154:11,16,        | 85:11               | 208:17              | 240:24              | <b>throughout</b>   |
| 17 155:15         | 232:23              | 209:1               | 246:5               | 58:23               |
| 168:21            | <b>there's</b> 11:3 | 210:2,4             | <b>they've</b>      | 189:4               |
| 170:9,12          | 17:7 19:11          | 211:10              | 32:22,24            | 203:17              |
| 171:7             | 28:1,2              | 212:7               | 51:19,20            | <b>throw</b> 163:17 |
| 175:4,22          | 30:3,9,23,          | 213:15              | 126:4               | <b>thus</b> 194:17  |
| 176:6,17          | 25 31:2             | 214:13              | 147:23              | <b>tied</b> 137:23  |
| 177:13            | 44:15               | 216:20              | 149:7               | 138:7               |
| 179:1,2           | 68:17               | 221:22              | <b>thinner</b>      | <b>till</b> 120:7   |
| 180:25            | 70:5,8              | 225:8               | 42:1,3              | 140:18              |
| 183:4             | 72:20               | 228:7,14,1          | <b>thir</b> 31:2    | <b>timeline</b>     |
| 186:1,4,11        | 78:12,14,2          | 9                   | <b>third</b> 33:6   | 131:7               |
| 187:7,13          | 3 81:12             | 232:13,14           | 146:6               | 193:15              |
| 196:14,18         | 82:15,18            | 233:4,6,8           | 147:2               | <b>timelines</b>    |
| 201:5,6,7         | 83:24,25            | 236:15,23           | 205:23              | 131:19              |
| 205:16            | 85:14               | 239:9               | <b>third-party</b>  | <b>titled</b> 86:17 |
| 206:4             | 86:14               | 246:14              | 98:17               | 56:13               |
| 207:1             | 91:13,14            | 247:13              | <b>thirteenth</b>   | <b>today</b> 6:8,22 |
| 210:6,8,17        | 93:12 94:8          | 248:1,21            | 165:19              | 10:6,13             |
| 212:11            | 100:21,25           | 251:18              | 243:9               | 17:7 18:19          |
| 213:1             | 101:6               | <b>they'll</b> 70:7 | 248:1               | 19:24               |
| 214:10,12         | 108:25              | 108:1               | <b>thirty</b> 31:15 | 20:23 21:6          |
| 215:5             | 118:9,25            | 156:20,21           | 76:2,3,19           | 24:10 30:8          |
| 220:4             | 119:23              | <b>they're</b>      | 191:12              | 54:5 58:14          |
| 222:20            | 120:9               | 25:12               | <b>thirty-five</b>  | 103:5,8             |
| 225:20            | 122:7,15,1          | 35:21               | 191:14,22           | 113:23              |
| 230:17,25         | 9 125:11            | 37:15 43:2          | 192:3,20            | 119:15              |
| 231:10            | 131:2               | 55:1 80:24          | 193:9               | 184:14              |
| 232:17            | 132:17              | 106:10              | 194:1,19            | 195:24              |
| 235:13            | 134:16,17           | 111:6               | 195:2,3             | 201:19              |
| 240:15            | 138:24              | 126:5               | <b>thirty-nine</b>  | 211:20              |
| 241:9             | 140:22,23           | 129:22,23           | 237:1               | 233:13              |
| 244:1             | 150:3               | 134:4               | <b>thirty-seven</b> | 235:1               |
| 245:15,16         | 151:22              | 138:21              | 234:10              | <b>today's</b>      |
| 246:6             | 153:11              | 148:1               |                     |                     |
| 249:11,14,        | 154:12,15,          | 149:8               |                     |                     |
| 16 251:20         | 21,22               | 155:2               |                     |                     |
| 252:15            | 155:13              | 157:21              |                     |                     |
| <b>themselves</b> | 156:5               | 160:7,23            |                     |                     |
| 233:17            | 157:2               | 174:10              |                     |                     |
|                   |                     | 175:13,15           |                     |                     |

|                   |                     |                     |                     |                    |
|-------------------|---------------------|---------------------|---------------------|--------------------|
| 82:24 83:1        | 53:10 54:6          | 122:3               | 149:16,19,          | 111:25             |
| <b>Todd</b> 3:10  | 80:10               | <b>trailing</b>     | 22 172:3            | 131:23             |
| 13:22             | 84:24               | 249:16              | 173:14,21           | 132:15,21          |
| 31:7,8            | 106:11              | <b>trans</b> 144:4  | 174:11,17,          | 164:9              |
| 45:4,10,14        | 110:3               | 148:17              | 18,20               | 191:1              |
| ,17,21            | 113:15              | <b>transaction</b>  | 175:20              | 211:6              |
| 46:3              | 164:4               | 139:16,20           | 176:1,4             | 229:16             |
| 58:24,25          | 171:12              | 140:2,3,15          | 191:13,14           | 239:24             |
| 59:23,24          | 222:1               | ,17,19,24           | 214:11              | 240:19             |
| 61:17,18          | 232:17              | <b>transactions</b> | 217:21              | 244:3              |
| 62:20             | <b>topic</b> 150:23 | 122:4               | <b>TRC</b> 92:14,18 | <b>TSR</b> 147:9   |
| 65:22 66:3        | 200:19              | 138:6,8,10          | <b>treat</b> 49:8   | <b>turbines</b>    |
| 82:11,21,2        | 220:4               | 139:7               | <b>treated</b>      | 196:15             |
| 4                 | <b>topics</b>       | <b>Transcript</b>   | 172:16              | 238:3              |
| 83:8,13,19        | 166:14              | 5:15                | 208:9               | <b>turn</b> 10:13  |
| 84:3,7,15,        | <b>top-notch</b>    | <b>transcribed</b>  | 219:11              | 16:2 55:5          |
| 20                | 130:12              | 19:4                | 227:14              | 86:16              |
| 85:1,10,14        | <b>tornado</b>      | <b>transfer</b>     | 228:25              | 182:9              |
| ,18,21            | 216:6               | 44:15               | <b>tree</b> 239:5   | <b>Turning</b>     |
| 92:2,3,6,9        | <b>total</b> 7:7    | 136:8               | <b>trend</b> 27:4   | 25:21              |
| ,17,21,24         | 40:14 65:3          | 140:21              | 151:17              | <b>twelve</b> 9:20 |
| 103:16,18,        | 67:16               | 146:14              | 182:2               | 26:21              |
| 21 104:15         | 79:21               | 147:14,16           | 194:18              | 42:13,15           |
| 199:3,12          | 81:5,7,13           | 209:5,9             | 195:2               | 130:22,23          |
| 200:1,7           | 90:23               | <b>transferred</b>  | <b>trending</b>     | 176:5,8            |
| 201:9             | 95:14               | 41:17               | 181:24,25           | 180:2              |
| 209:12            | 174:8               | 208:20,24           | <b>trends</b> 83:13 | 215:23             |
| 218:9,14,2        | 184:25              | <b>transfers</b>    | 127:13              | 221:4              |
| 0,23 219:3        | 185:5,18            | 8:3                 | 181:23              | 222:15             |
| 244:2,8,12        | 187:5               | 203:5,11            | <b>trouble</b>      | 226:7              |
| 245:8,20          | 191:19              | 208:2,8,15          | 53:25               | 236:14             |
| 246:4,16,1        | 197:22              | <b>transmission</b> | <b>true</b> 34:7    | 243:25             |
| 9                 | 209:4               | 12:9 18:15          | <b>try</b> 97:12,15 | <b>twenty</b> 9:18 |
| <b>tolerance</b>  | 210:25              | 32:25 70:6          | 101:16              | 21:14,19,2         |
| 128:18            | 211:1,9             | 129:15              | 102:13              | 5 22:4             |
| <b>tomorrow</b>   | 214:21              | 133:4,12            | 107:5               | 23:7,9             |
| 166:4             | <b>totally</b>      | 134:4               | 150:14              | 27:15,20           |
| 182:14            | 218:16              | 135:24              | 158:5               | 28:12,17           |
| 184:5             | <b>touch</b> 203:5  | 136:4               | 161:1               | 29:2 34:14         |
| 220:5,13          | <b>towards</b>      | 137:11              | 162:19              | 35:3,5             |
| 252:7             | 49:22               | 138:5               | 186:17              | 39:4 40:16         |
| 253:5             | 78:15               | 140:21              | 193:25              | 62:17 63:9         |
| <b>tools</b> 72:5 | 80:24               | 141:8,11,2          | 229:17              | 75:25              |
| 221:2             | <b>towers</b> 148:5 | 3 142:20            | 235:1               | 151:19             |
| <b>top</b> 22:16  | <b>track</b> 99:3   | 143:4,22            | <b>trying</b> 10:1  | 153:3              |
| 25:10             | <b>tradeoffs</b>    | 144:19              | 41:18               | 159:13             |
| 27:11,12          | 248:14              | 145:23,25           | 42:6,18             | 168:4              |
| 28:11,13          | <b>trading</b>      | 146:2,4,5,          | 64:24               | 183:16             |
| 29:4              |                     | 6,9,25              | 108:15              | 191:12             |
| 32:2,8,13         |                     |                     |                     | 192:24             |
| 33:8,17           |                     |                     |                     | 235:4              |
| 47:23             |                     |                     |                     |                    |



|  |  |   |  |   |
|--|--|---|--|---|
| <b>twenty-five</b><br>31:15  | <hr/> <b>U</b> <hr/>   | 131:23  | <b>unfirm</b><br>196:10,13   | 60:21<br>104:13<br>114:6  |
| <b>twenty-seven</b><br>7:9<br>220:20,23<br>221:5,10,1<br>3 231:13<br>235:21,24<br>236:4,12<br>238:12<br>239:17<br>240:23 | <b>ultimately</b><br>67:21<br>129:9<br>132:23  | 146:1<br>158:2<br>164:24<br>194:7<br>195:11<br>196:19,21<br>211:15,23<br>212:18<br>223:6<br>233:16<br>239:13,22,<br>24 240:8  | <b>unimportant</b><br>216:19,22<br><b>unique</b> 22:17<br>89:17<br><b>unit</b> 23:19<br>107:22<br>169:17<br><b>United</b><br>121:25<br>124:8<br>128:6<br>135:5,10<br>136:4<br>143:4<br>146:24<br>147:17<br><b>units</b> 125:15<br>167:14<br>169:13<br><b>universal</b><br>102:16<br><b>University</b><br>18:16<br><b>unless</b> 96:11<br>200:1<br>204:14<br>215:12<br><b>unlikely</b><br>85:12<br><b>upcoming</b><br>59:19<br><b>update</b> 5:9<br>21:2 38:22<br>118:1<br>121:5<br>140:10<br>161:6<br>165:7<br>180:16<br>235:5<br><b>updated</b><br>21:4,8<br>38:24<br>39:1,12<br>46:22<br>56:18 | <b>updating</b><br>114:3<br>117:3,8<br><b>upfront</b><br>250:7<br><b>upon</b> 6:1<br>24:7<br>30:7,19<br>39:13<br>57:25 58:1<br>66:21<br>108:17<br>120:13,14<br>139:9<br>165:22,23<br>178:10<br>203:1<br>234:16,17<br>253:12<br><b>upper</b> 152:14<br><b>upside</b> 232:7<br>237:22<br>242:1<br>243:13<br>247:10,11<br>248:2<br>250:3,9<br>251:4<br><b>upward</b> 97:16<br><b>useful</b><br>169:14<br>222:12<br><b>user</b> 171:1<br><b>users</b> 27:13<br><b>usual</b> 59:4<br>109:6<br>133:18<br><b>utilities</b><br>1:3,19<br>12:4,6,8,1<br>1 109:10<br>123:7<br>125:8<br>128:8,15<br>141:22 |
| <b>twenty-six</b><br>64:3  | <b>uncertainty</b><br>30:3,9<br>36:9<br>125:16<br>134:17<br>153:11<br>179:25<br>180:8,10<br>186:13,14<br>216:6,17,2<br>1,24<br>219:23<br>220:9<br>229:6<br>231:12<br>239:5 | <b>understandin</b><br><b>g</b> 18:22<br>146:12<br>149:17<br>156:4<br>210:23<br>227:21<br>240:18<br><b>understood</b><br>32:13<br><b>undertake</b><br>96:5 98:17<br>204:13<br><b>undertaken</b><br>36:12 72:1<br>101:14,19<br>104:22<br>114:23<br><b>undertaking</b><br>72:2<br><b>underutilize</b><br><b>d</b> 89:20<br><b>under-</b><br><b>utilized</b><br>89:24<br><b>underway</b><br>134:11<br>138:21<br>139:7<br>144:21<br>149:23<br><b>unexpected</b><br>33:22 35:6<br>37:13<br>38:2,14 | <b>un</b> 38:4<br><b>unanimous</b><br>111:19<br><b>uncertaintie</b><br><b>s</b> 131:2<br><b>uncertainty</b><br>30:3,9<br>36:9<br>125:16<br>134:17<br>153:11<br>179:25<br>180:8,10<br>186:13,14<br>216:6,17,2<br>1,24<br>219:23<br>220:9<br>229:6<br>231:12<br>239:5<br><b>uncorrelated</b><br>218:16<br><b>undependable</b><br>206:8<br><b>under-</b><br><b>forecastin</b><br><b>g</b><br>37:17,23,2<br>4<br><b>underlying</b><br>7:8 8:22<br>9:24<br>200:25<br>228:2<br><b>understand</b><br>17:14,19<br>19:5 64:24<br>73:16<br>80:13<br>82:12<br>122:19<br>130:4                               |   |
| <b>twice</b> 57:17   |  |   |  |   |
| <b>two-fifty</b><br>130:25<br>131:11<br>133:10,13<br>141:18<br>148:17<br>207:11<br>242:25<br>243:15<br>247:2<br>248:9    |  |   |  |   |
| <b>two-thirds</b><br>136:22<br>174:6   |  |   |  |   |
| <b>two-thirty</b><br>132:19  |  |   |  |   |
| <b>tying</b> 137:1   |  |   |  |   |
| <b>type</b> 70:4   |  |   |  |   |
| <b>types</b><br>73:14,15<br>102:18<br>109:19<br>191:10<br>217:21<br>220:10   |  |   |  |   |
| <b>typical</b><br>187:25   |  |   |  |   |
| <b>typically</b><br>156:17<br>182:25<br>223:24   |  |   |  |   |
| <b>TyPlan</b> 11:23  |  |   |  |   |
| <b>Tyson</b> 11:23   |  |   |  |   |

|                  |                    |                     |                     |                     |
|------------------|--------------------|---------------------|---------------------|---------------------|
| <b>utility</b>   | 161:12             | <b>variables</b>    | 4:11,12,13          | <b>WAC</b> 223:6    |
| 71:2,3           | 162:8,16           | 223:24,25           | ,14,15              | <b>wait</b> 19:10   |
| 87:7,15,17       | 169:16,19,         | 225:22              | 43:16 47:7          | 150:9               |
| ,21,25           | 23 185:9           | 244:5               | 54:11               | <b>walk</b> 20:24   |
| 88:4,14          | 188:18,19          | <b>variance</b>     | 67:23               | 58:14               |
| 90:16,19,2       | 189:3,5,7          | 244:13,14,          | 73:22 74:3          | <b>wall</b> 15:23   |
| 4 92:14,20       | 192:13             | 15                  | 77:7 86:1           | <b>Wally</b> 2:7    |
| 93:8,9           | 193:25             | 245:13,14,          | 105:6               | 12:7                |
| 95:24,25         | 195:7              | 17 246:20           | 108:5               | 145:22              |
| 96:10,17         | 205:6,7            | <b>variant</b>      | 109:23              | 148:8,12,1          |
| 97:15            | 207:4,14           | 228:3               | 118:13              | 5 251:12            |
| 128:21           | 209:2,6            | <b>variation</b>    | 157:10              | 252:9,14,1          |
| 140:24           | 222:22,24          | 30:11,15            | 160:1               | 7,20,23             |
| 147:24           | 226:14             | 31:5                | 162:4,12            | 253:1               |
| 171:3            | 230:20,25          | <b>varied</b> 228:1 | 178:19              | <b>Warkinton</b>    |
| <b>Utility's</b> | 231:3,4,5,         | 219:22              | 186:8               | 16:1                |
| 67:18,24         | 6 232:4            | 220:2,8             | 219:22              | <b>wasn't</b> 25:22 |
| 71:14            | 237:7,8,11         | 229:5               | 229:5               | 26:13 34:6          |
| 72:24 87:5       | 238:8              | <b>varies</b> 71:19 | <b>viable</b> 84:13 | 35:6 62:11          |
| 89:5,7           | 241:5,8,19         | 87:18               | <b>vice</b> 14:23   | 103:12              |
| 91:9             | 242:4              | 202:1               | <b>view</b> 111:15  | 114:17              |
| <b>utility-</b>  | 243:3,4,9          | <b>variety</b>      | 127:22              | 161:19              |
| <b>scale</b>     | 247:22             | 48:17 68:3          | 128:5               | 177:12              |
| 168:21           | 249:20,25          | 87:6                | 130:17              | 184:22              |
| <b>utilized</b>  | 250:1              | <b>various</b>      | 158:23              | 201:10              |
| 89:22            | 251:6,7            | 6:9,10 9:9          | 160:8               | 225:3               |
|                  | <b>values</b> 89:4 | 72:17               | 171:3               | 226:14              |
|                  | 124:1              | 77:23               | 185:20              | <b>waste</b> 74:25  |
|                  | 162:21             | 130:16              | <b>viewed</b> 230:2 | <b>water</b> 23:18  |
|                  | 187:3              | 157:23              | <b>viewing</b>      | 39:23               |
|                  | 208:6,12           | 171:24              | 209:14              | 68:17               |
|                  | 230:1,2            | 234:23              | <b>views</b> 156:20 | 73:10               |
|                  | 231:6,10,2         | <b>vary</b> 41:22   | <b>vintage</b>      | 84:11,12            |
|                  | 1 235:21           | 82:5 95:9           | 160:19              | 109:17              |
|                  | 237:15,16,         | <b>varying</b>      | 163:4               | 113:14              |
|                  | 18                 | 173:7               | <b>visualize</b>    | 120:2,22            |
|                  | 238:15,16          | 216:9               | 231:20              | 194:25              |
|                  | 239:2              | 228:2               | <b>void</b> 213:25  | 203:7,15            |
|                  | 241:24             | <b>ventilation</b>  | <b>Volt</b> 98:25   | 208:13,18           |
|                  | 242:1,5            | 113:16              | <b>voluntary</b>    | 209:3               |
|                  | 243:7              | <b>verified</b>     | 156:1               | 216:14              |
|                  | 247:20,24          | 108:6               | <b>volunteered</b>  | 251:15              |
|                  | 248:15             | <b>versus</b> 31:17 | 10:16               | 252:22              |
|                  | 249:15             | 44:8 53:19          | <b>ways</b> 181:15  | <b>wear</b> 49:2    |
|                  | <b>variability</b> | 194:17              | <b>wearing</b>      | 19:21               |
|                  | 21:1 30:22         | 201:1               | <b>weather</b>      |                     |
|                  | 31:9 41:19         | 220:11              |                     |                     |
|                  | 42:2,4,8           | 225:14              |                     |                     |
|                  | 232:6              | 248:8,9             |                     |                     |
|                  | 251:15             | 249:2               |                     |                     |
|                  | <b>variable</b>    | <b>via</b>          |                     |                     |
|                  | 107:16,18          |                     |                     |                     |

|                     |                   |                    |                 |                     |
|---------------------|-------------------|--------------------|-----------------|---------------------|
| 31:13               | <b>accepted</b>   | 132:21             | 33:25 34:2      | 130:24,25           |
| <b>weather-</b>     | 109:15            | 134:5              | 35:6 36:12      | 131:9,11,2          |
| <b>adjusted</b>     | <b>we're</b> 6:11 | 135:7              | 40:3 46:13      | 0,21                |
| 31:14               | 7:12              | 136:9              | 56:21 57:5      | 132:15,16,          |
| <b>we'd</b> 6:12    | 8:9,17 9:4        | 138:8,12,2         | 63:10,14        | 23,24               |
| 17:22 62:2          | 10:3              | 4 139:5            | 68:4,25         | 135:14              |
| 219:12              | 11:3,4,8,1        | 140:13             | 72:12,22        | 142:2,3             |
| 242:23              | 0 16:7            | 141:10,11          | 75:4 78:21      | 156:25              |
| <b>week</b>         | 17:10,16          | 142:8,9,10         | 81:20           | 169:4               |
| 123:12,13           | 18:19 19:7        | 143:10,11,         | 83:20           | 180:23              |
| <b>weeks</b> 121:20 | 22:2 23:9         | 12                 | 104:5           | 185:5,6             |
| 139:25              | 28:24             | 147:12,18          | 107:3           | 186:23              |
| <b>weigh-in</b>     | 29:21             | 149:9,10           | 121:1           | 200:22              |
| 190:25              | 37:7,19           | 162:24             | 133:10          | 209:16              |
| <b>weighted</b>     | 38:3              | 164:7,11           | 140:5,6         | 210:7               |
| 198:7,10,1          | 39:3,21,23        | 165:13             | 141:4           | 218:21              |
| 3,19,23,25          | 40:15 41:9        | 168:5,22,2         | 147:9,10        | 219:4               |
| 230:20              | 46:1 47:12        | 3 175:13           | 148:1           | 245:14              |
| <b>weightings</b>   | 49:9              | 181:4              | 163:14          | <b>whisker</b>      |
| 223:20              | 50:2,20           | 182:17             | 165:4           | 231:19              |
| 225:13              | 51:2              | 184:9,12           | 172:16          | 248:24              |
| <b>welcome</b> 6:23 | 54:5,24           | 185:22             | 182:25          | 249:10,21           |
| 8:11                | 58:14 61:5        | 186:21             | 183:2,4,5       | 251:3               |
| <b>we'll</b> 6:10   | 64:6,14           | 190:20             | 193:23          | <b>whiskers</b>     |
| 11:13 12:1          | 67:1              | 193:4              | 198:3           | 232:3,7             |
| 16:3 22:10          | 68:10,11          | 197:20,22          | 199:20          | 249:8               |
| 58:5,7              | 71:23             | 198:6,15           | 217:4           | <b>whiskery</b>     |
| 63:1 68:23          | 72:11,25          | 200:18             | 220:18          | 249:16              |
| 70:24,25            | 75:6,13           | 201:6,18           | 221:2,23        | <b>whole</b> 7:11   |
| 71:1 72:18          | 76:18             | 206:24             | 230:13          | 48:23               |
| 73:6,18             | 78:9,17           | 210:23             | 231:17          | 59:16               |
| 77:12               | 80:25             | 211:15             | 234:9,19        | 67:11               |
| 95:20               | 81:12             | 212:3              | 236:7,24        | 154:24              |
| 103:13              | 87:19             | 215:21,22          | 239:17          | 182:7               |
| 104:4               | 88:1,6,11         | 230:5              | 242:20,21       | 228:3,4             |
| 120:7               | 89:15 90:3        | 233:9              | <b>whatever</b> | 246:15              |
| 137:16              | 91:11 92:7        | 234:7,11,2         | 196:17          | <b>wholesale</b>    |
| 150:9               | 93:4,5,20         | 2 235:9            | 234:23          | 121:24              |
| 166:1,3             | 97:9 98:12        | 245:1,7            | <b>whereas</b>  | <b>Whoops</b> 21:19 |
| 168:17              | 99:2              | 246:10             | 55:17           | 177:18              |
| 178:1               | 100:18            | 248:12             | 148:16          | <b>who's</b> 11:5   |
| 184:12              | 105:19,20         | 253:4              | 213:6           | 131:4               |
| 186:17              | 106:19            | <b>Wes</b> 16:16   | <b>Where's</b>  | <b>whose</b> 151:1  |
| 196:16,17           | 107:4             | <b>Wesley</b> 4:15 | 10:19           | <b>wide</b> 48:17   |
| 207:19              | 114:1,10          | 16:16              | <b>wherever</b> | <b>William</b> 3:22 |
| 223:18,19           | 115:5             | <b>we've</b> 6:15  | 47:1            | 11:17 13:9          |
| 235:9               | 116:22            | 7:6 8:4            | <b>whether</b>  | 145:7               |
| 253:9               | 118:8             | 9:10,16,21         | 79:1,2          | <b>Williams</b>     |
| <b>well-</b>        | 119:22            | ,22 16:16          | 99:16           | 3:17 13:9           |
|                     | 120:17,25         | 20:7,8             | 104:24          |                     |
|                     | 124:14            | 21:24 28:4         | 126:18          |                     |
|                     | 125:4             | 32:21              | 127:14          |                     |
|                     | 129:3,4           |                    |                 |                     |

|   |  |  |   |           |
|---|--|--|---|-----------|
| 42:10,11,1<br>6 43:9,12<br>56:24,25<br>104:20<br>133:17<br>134:15,22<br><b>willing</b><br>57:22<br>90:19 96:7<br>99:17<br>128:15<br>135:16<br>136:7<br>174:16<br><b>wind</b> 8:21<br>123:5<br>124:7<br>125:18,22<br>143:19<br>171:18<br>191:12<br>196:17<br>242:14<br><b>Wind/Gas</b><br>237:17,24<br>238:10,13<br>241:16<br>242:11<br>249:10<br><b>Wind/Glass</b><br>237:24<br><b>Winnipeg</b><br>1:21<br>39:20,21<br>107:2<br>139:24<br><b>winter</b> 69:11<br>140:25<br>141:21<br>167:4,6,17<br>,20 168:9<br><b>Wisconsin</b><br>134:2<br>138:4,5,19<br>,22<br><b>witn</b> 18:24<br><b>witness</b><br>219:12<br><b>witnesses</b> | 18:25<br>209:23<br><b>Wojczynski</b><br>1:14 2:14<br>6:4 18:12<br>58:4<br>60:3,6<br>61:24 63:2<br>77:12<br>97:21<br>111:4<br>116:24<br>117:16<br>120:17<br>130:9<br>133:2<br>140:9<br>148:21<br>175:6<br>185:16<br>190:15<br><b>wonder</b> 79:8<br>119:25<br><b>wondering</b><br>79:21<br>127:14<br><b>wording</b><br>152:9<br><b>work</b> 13:14<br>14:17 29:5<br>100:15<br>103:22<br>110:6<br>111:15<br>132:21,24<br>151:21<br>152:11<br>207:7<br><b>worked</b> 103:7<br><b>working</b><br>11:24<br>12:25<br>17:21<br>20:19<br>49:22 75:5<br>134:7<br>136:9<br>138:24<br>149:10<br><b>works</b> 19:12 | 150:18<br><b>world</b> 121:18<br>156:21<br><b>worried</b><br>19:20<br><b>worry</b> 128:21<br>219:7<br>252:8<br><b>worrying</b><br>126:5<br><b>worse</b> 211:14<br><b>worth</b> 207:3<br><b>worthwhile</b><br>24:11 66:9<br>90:5<br>186:23<br><b>WPS</b> 131:4,20<br>132:22<br>133:21<br>173:21<br>174:3,10<br>175:3,8,10<br>,18,19,25<br>176:2,6,9,<br>15,20<br>211:21<br>212:24<br>213:16,21,<br>25<br>214:12,22<br><b>WPS's</b> 174:23<br>213:23<br><b>wrap</b> 166:3<br><b>wrapped</b><br>131:7<br><b>write</b> 125:20<br><b>wrong</b> 86:7<br>133:19<br>200:23<br>201:6<br><hr/> <b>Y</b> <hr/> <b>year-by-year</b><br>186:4<br><b>year-to-year</b><br>251:15<br><b>yellow</b> 41:25 | 42:3 87:22<br><b>Yep</b> 226:21<br><b>yesterday</b><br>60:16,18<br><b>yet</b> 49:24<br>92:12<br>120:20<br>128:14<br><b>yielding</b><br>207:14<br><b>yields</b><br>171:15<br><b>yogurt</b> 89:23<br><b>York</b> 122:1<br><b>you'll</b> 27:24<br>120:3<br>133:18<br>213:2<br>221:20,21<br>222:11<br>244:1<br><b>yourself</b><br>161:15<br><b>you've</b> 45:5<br>54:5 55:21<br>56:12 59:8<br>63:6 86:1<br>111:3<br>122:16<br>131:21<br>134:1<br>177:9<br>183:22<br>196:8<br>200:13<br>208:6<br>244:4<br>246:4<br>248:24<br><hr/> <b>Z</b> <hr/> <b>zero</b> 85:2,4<br>93:17 94:2<br>198:18,20,<br>21 208:11<br>222:10,24<br>237:5,6<br>238:14<br>239:1,3 | 240:13,15 |
|---|--|--|---|-----------|