

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MANITOBA PUBLIC UTILITIES BOARD

Re: CENTRA GAS MANITOBA INC.
 FOUR PARTY TRENCHING REVIEW

Before Board Panel:

- Graham Lane - Board Chairman
- Alain Molgat - Board Member

HELD AT:

Public Utilities Board
400, 330 Portage Avenue
Winnipeg, Manitoba
December 12th, 2006
Volume I
Pages 1 to 248

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES

R.F. Peters) Board Counsel
Brent Czarnecki) Centra Gas
Marla Murphy)
Sandy Boyd) CEP 681
Ivan Holloway) CAC/MSOS

	TABLE OF CONTENTS	
		Page No.
1		
2		
3	List of Exhibits	4
4	List of Undertakings	5
5		
6	Opening Comments	6
7		
8	CENTRA GAS PANEL:	
9	AL SNYDER, Sworn	
10	DAVID PETURSSON, Sworn	
11	DOUG KROEKER, Sworn	
12	ROBIN WIENS, Sworn	
13		
14	Examination-in-Chief by Mr. Brent Czarnecki	14
15	Questions by Mr. Bob Peters	42
16	Cross-Examination by Mr. Ivan Holloway	177
17	Re-Direct examination by Mr. Brent Czarnecki	220
18		
19	Closing comments by Mr. Bob Peters	223
20	Final Submissions by Mr. Ivan Holloway	228
21	Final Submissions by Mr. Brent Czarnecki	238
22		
23	Decision	246
24		
25	Certificate of Transcript	249

	EXHIBITS		
	No.	Description	Page No.
1			
2			
3	CENTRA-1	November 4, 2006 letter	
4		and attachments - 88 pages	10
5	CENTRA-2	Witness qualifications of Mr. Al Snyder,	
6		Mr. David Petursson, Mr. Doug Kroeker,	
7		and Mr. Robin Wiens provided by way of	
8		letter of December the 8th.	10
9	PUB 1-1 through 1-16:	Information Requests	
10		on behalf of the Board and the responses	
11		provided by Centra Gas Manitoba Inc.	11
12	CENTRA-3	A copy of presentation by	
13		Mr. David Petursson	24
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1	UNDERTAKINGS		
2	No.	Description	Page No.
3	1	Provide Centra's position on what would be a more accurate or fair test in terms of the costing of four (4) party trench going forward	
4			
5			
6			
7			
8			
9			
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1 --- Upon commencing at 9:00 a.m.

2

3 THE CHAIRPERSON: Good morning, everyone.
4 If I could have your attention, I'll call this Hearing to
5 order. Today the Board is to hear a request from Centra
6 in respect to a four (4) party trenching initiative that
7 is underway.

8 My name is Graham Lane, I'm the Chairman
9 of the Public Utilities Board. I'm joined by Mr. Alain
10 Molgat, another Board Member and we're going to be
11 assisted by Mr. Gaudreau, Board Secretary and Executive
12 Director.

13 At Centra's last General Application which
14 gave rise to Board Orders 103/05 and 135/05, Centra
15 explained that it had embarked on a pilot construction
16 program whereby natural gas mains would be installed in a
17 common trench, electrical, telephone, and television
18 cables, hence the term four (4) party trench.

19 In Orders 103 and 105 the Board granted
20 tentative approval for Centra to continue with the four
21 (4) party trench installations until December 31st, 2005.
22 By that date Centra was to demonstrate the financial
23 benefits of four (4) party trench ensure the Board as to
24 safety of the new approach.

25 Since then there have been a number of

1 communications between Centra and the Board culminating
2 in this Review Hearing. The purpose of this Hearing to
3 review the situation and come to a conclusion as to
4 whether grant Centra's most recent request or provide
5 other direction and future steps related thereto.

6 I will now call on Board counsel, Mr.
7 Peters, to provide his opening introductions and comments
8 and set out the process to be followed today.

9 Mr. Peters...?

10 MR. BOB PETERS: Thank you and good
11 morning, Mr. Chairman, Board Member Molgat, Ladies and
12 Gentlemen. For the record my name is Bob Peters and
13 I'll act as Board counsel this morning on this four (4)
14 party trench matter.

15 The Board is also assisted by its
16 engineering advisors from Energy Consultants
17 International. Mr. Jack Winram on my right and Mr. Brady
18 Ryall on my left.

19 Following up on your opening comments, Mr.
20 Chairman, the Board gave directives in Orders 103/05 and
21 135/05 to the effect that Centra was to finalize its
22 report on the assessment of costs and safety of four (4)
23 party trenching by December 31, 2005.

24 Following Centra's report, the Board
25 issued Order 10/06 which extended the time for Centra to

1 comply with certain Board directives to August 31, 2006.
2 And in Order 10/06 there were also additional directives
3 related to four (4) party trench.

4 What brings us here to day is Centra's
5 further request of September 29th, 2006, to extend the
6 time to March 31st, 2009, to fully implement four (4)
7 party trench and to collect and analyze data and report
8 to the Board.

9 From the Board's last letter on this
10 matter dated October 25, 2006, the Board has permitted
11 Centra to continue to optimize the four (4) party
12 trenching methodology pending any further directives from
13 this hearing.

14 In terms of the procedures, I suggest this
15 -- this morning, Mr. Chairman, that following my opening
16 comments you turn to the Intervenors who are here for
17 their opening comments and I see that CAC/MSOS is
18 represented by Mr. Ivan Holloway and also I see that the
19 Communications, Energy, and Paperworkers Union Local 681
20 is represented by Mr. Sandy Boyd, also sitting across the
21 room.

22 Following the opening comments, if any,
23 from the Intervenors I suggest you turn to Centra's
24 counsel Mr. Brent Czarnecki and ask for his opening
25 comments, introductions of his witnesses, and the

1 swearing of his witnesses prior to their giving evidence.
2 The Board will see the Centra witness panel this morning
3 of Mr. Al Snyder, Mr. Dave Petursson, and Mr. Doug
4 Kroeker, and Mr. Robin Wiens.

5 After the witnesses have been sworn they
6 will have direct evidence to provide to the Board
7 following which I'm prepared to cross-examine them on
8 their evidence followed by CAC/MSOS, then followed by
9 CEPU and any re-examination by Mr. Czarnecki.

10 Closing submissions can be expected to be
11 brief today, Mr. Chairman, but following the evidentiary
12 portion I'd be prepared to provide brief closing
13 submissions and then followed by CAC/MSOS, followed by
14 CEPU, and then perhaps after a brief recess by Centra's
15 counsel.

16 In terms of exhibits and for the record
17 I'm suggesting that Centra Exhibit Number 1 be the
18 November 4th, 2006, letter and attachments.

19 I would pause at this time and indicate,
20 Mr. Chairman, that Centra provided material. And the
21 material -- there was also some revisions to the material
22 recently and not to be satisfied with the revisions that
23 corrected the material, I went and added a couple of
24 documents.

25 One (1) of them appears erroneously but

1 they're all numbered from one (1) to eighty-eight (88)
2 for ease of reference of the Board and when it comes
3 time, if there are questions specifically the top right-
4 hand corner of -- of Manitoba Hydro Exhibit 1, excuse me,
5 has sequential page numbers which should make it easier
6 to locate a document in that material -- in those
7 materials.

8

9 --- EXHIBIT NO. CENTRA-1: November 4, 2006 letter
10 and attachments - 88 pages

11

12 MR. BOB PETERS: I would suggest that
13 Exhibit Manitoba Hydro Number 2 would be the witness
14 qualifications of Mr. Snyder, Mr. Petursson, Mr. Kroeker,
15 and Mr. Wiens and those have been provided by way of
16 letter of December the 8th.

17

18 --- EXHIBIT NO. CENTRA-2: Witness qualifications of Mr.
19 Al Snyder, Mr. David
20 Petursson, Mr. Doug Kroeker,
21 and Mr. Robin Wiens provided
22 by way of letter of December
23 the 8th.

24

25 MR. BOB PETERS: In terms of the PUB

1 Exhibit Number 1-1 through 1-16 I would suggest that
2 would be the Information Requests on behalf of the Board
3 and the responses provided by Centra Gas Manitoba Inc.

4

5 --- EXHIBIT NO. PUB 1-1 through 1-16: Information
6 Requests on behalf of the Board
7 and the responses provided by
8 Centra Gas Manitoba Inc.

9

10 MR. BOB PETERS: So in conclusion and
11 subject to any questions you have of me at this time, Mr.
12 Chairman, I suggest you call on the Intervenors for their
13 opening comments before calling on Centra counsel for any
14 opening comments and introduction of witnesses. Thank
15 you.

16 THE CHAIRPERSON: Thank you, Mr. Peters.
17 Okay, we'll begin with Mr. Holloway from CAC/MSOS.

18 Mr. Holloway...?

19 MR. IVAN HOLLOWAY: Thank you, Mr.
20 Chairman. We simply -- our intent is today to test the
21 evidence to be presented based upon the materials filed
22 so far. We have some concerns about both safety and the
23 cost issues and we expect to test the evidence on both of
24 those issues and then present brief closing remarks.
25 Thank you.

1 THE CHAIRPERSON: Thank you, Mr.
2 Holloway. Mr. Boyd...?

3 MR. SANDY BOYD: Good morning. We're
4 here to hear what the Panel has to say and we may have
5 some questions in cross but other than that we're
6 observers.

7 THE CHAIRPERSON: Thank you, sir.
8 Mr. Czarnecki, would you mind providing
9 opening remarks and introducing your Panel before I ask
10 Mr. Gaudreau to swear them in.

11 MR. BRENT CZARNECKI: Yes. Good morning,
12 Mr. Chairman, Member Molgat, ladies and gentlemen.

13 First by way of opening comments, I'll
14 proceed directly to introducing the Witness Panel of
15 Centra. To my immediate right is Mr. Al Snyder who is
16 the Vice-President of Transmission and Distribution.
17 Beside him is Mr. David Petursson who is Manager of
18 Distribution Standards and Services and beside him is Mr.
19 Doug Kroeker who is a Manager of Underground Construction
20 and Services. And last but not least anchoring the Panel
21 is Mr. Robin Wiens who is the Division Manager of Rates
22 and Regulatory Affairs.

23 I also will take a moment just for the
24 Board to introduce the back row, some of the faces are
25 familiar, some of which are probably not.

1 Directly behind me is Marla Murphy who is
2 co-counsel. Beside Marla is Mr. Dave Case and Mr. Case
3 is Manager of Customer Services Operations for Winnipeg
4 East.

5 Beside Mr. Dave Case to his right is
6 Kristen Perrault who is a professional accountant for the
7 Distribution and Planning and Design Department. And to
8 Ms. Perrault's right is Mr. Trevor Geisbrecht. And Mr.
9 Geisbrecht's title is Design Engineer.

10 Beside Mr. Geisbrecht is Christine Foulkes
11 who is the co-ordinator of Gas Rates and Regulatory
12 Affairs. Beside her is Mr. Rick Phillips and Mr.
13 Phillips is the Joint Use Administrator with Hydro.

14 And to his right is Kelly Derksen. And
15 Kelly is Manager of Gas Rates and Regulatory Affairs.
16 And finally is Mr. Paul Chard, who is the Supervisor of
17 Franchise Administration.

18 And with that, Mr. Chairman, perhaps we
19 could have Mr. Gaudreau swear in the witnesses.

20 THE CHAIRPERSON: Thank you.

21

22 CENTRA GAS PANEL:

23 AL SNYDER, Sworn;

24 DAVID PETURSSON, Sworn;

25 DOUG KROEKER, Sworn;

1 ROBIN WIENS, Sworn;

2

3 THE CHAIRPERSON: Thank you, Gentlemen.

4 Mr. Czarnecki...?

5

6 EXAMINATION-IN-CHIEF BY MR. BRENT CZARNECKI:

7 MR. BRENT CZARNECKI: Mr. Chairman, as
8 Mr. Peters has eluded to the witness qualifications of
9 Mr. Snyder and Mr. Petursson, Mr. Kroeker, and Mr. Wiens
10 have been marked as Exhibit 2 to this Hearing.

11 These witness qualifications set out the
12 positions of each Panel Member, their experience and
13 educational qualifications, previous appearances before
14 the Board, their areas of responsibility with respect to
15 this application and their adoption of the pre-filed
16 evidence as it relates to their areas of responsibility.

17 Mr. Snyder, would you please outline your
18 areas of responsibility with respect to this filing?

19 MR. AL SNYDER: Yes. My areas of
20 responsibility with respect to this filing relate
21 primarily to policy issues and general oversight of the
22 filing and related materials.

23 MR. BRENT CZARNECKI: Can you provide a
24 brief description of the four (4) party trench initiative
25 for the Board?

1 MR. AL SNYDER: For many years, Manitoba
2 Hydro has cooperated with the communication utilities,
3 that is, telephone and cable in the installation within a
4 common trench of new utility distribution plant for urban
5 residential subdivisions.

6 Beginning in late 2003, Centra began
7 adding its natural gas distribution plant to the common
8 trench. And today, four (4) party trench is the
9 preferred method for installing natural gas mains in new
10 residential subdivisions.

11 MR. BRENT CZARNECKI: Why did Centra
12 decide to participate in the common trench installation
13 method?

14 MR. AL SNYDER: The predominant reason
15 for the four (4) party initiative was and remains to
16 improve safety. It's expected that by changing the
17 design for the installation of the distribution plant,
18 the need to proceed across energized high voltage cables
19 and natural gas mains during service installation could
20 be reduced.

21 It was recognized that considerable
22 excavation around energized plant was required during
23 initial installation of utility services to homes. The
24 four (4) party standards developed for the installation
25 of electric, gas, telephone, and cable television as well

1 as water and sewer services virtually eliminated the need
2 to cross the energized high voltage cables and the gas
3 mains.

4 By designing this hazard out of the
5 process for extending services to homes within
6 subdivisions, safety was enhanced. And in addition,
7 Centra actively works to prevent damage to gas lines with
8 programs like Call Before You Dig by locating the buried
9 -- the buried plant prior to excavation activity and
10 through the ongoing communication with contractors.

11 This action identifies the hazard and
12 communicates it to the contractor. The contractor still
13 needs to excavate around the energized plant and in
14 contrast the four (4) party design seeks to eliminate the
15 hazard by eliminating the need to excavate around the
16 energy -- energized plant.

17 Finally, elimination of the long gas
18 services which are installed under the street using the
19 conventional methodology prevents damage of gas mains
20 during road rehabilitation, water, and sewer
21 construction. Mr. Petursson's direct evidence will
22 provide a clear illustration of this.

23 MR. BRENT CZARNECKI: Does the four (4)
24 party process offer any scope for reductions in the cost
25 of new distribution plant in subdivisions?

1 MR. AL SNYDER: Centra's motivation for
2 the pursuit of the four (4) party trench initiative
3 remains enhancement to safety processes. At the onset of
4 the four (4) party initiative a high-level estimate
5 indicated that along with the safety benefits the
6 integration of gas distribution in the common trench
7 could provide up to 25 percent saving in the actual cost
8 of installation.

9 When a more thorough analysis of the
10 potential of the four (4) party initiative was completed
11 as part of Centra's December 15th, 2005 report, a more
12 conservative target of equality with conventional cost
13 and in some cases a saving of up to 20 percent depending
14 upon the development configuration could be realized.

15 In contrast to the high-level estimate
16 initially proposed, the report of December 15th, 2005,
17 considered a wide range of development configurations
18 which captured an increased amount of material required
19 in some cases and considered in more detail the
20 installation process itself.

21 The results of this analysis are still
22 predicated on the complete optimization of all processes
23 from the receipt of the developer request for service to
24 the final commissioning of the plant.

25 I should emphasize the target of cost

1 equality with the conventional installation relates only
2 to the capital cost of the installation services. This
3 does not include any consideration of savings due to the
4 avoidance of damage during plant installation or
5 subsequently -- installation or subsequently -- pardon me
6 -- and public safety benefits which have not been
7 quantified.

8 MR. BRENT CZARNECKI: Why has Centra's
9 four (4) party practice not yet achieved cost parity with
10 conventional installation?

11 MR. AL SNYDER: Achievement of Centra's
12 goal of cost parity with the conventional installation is
13 dependent upon fully -- fully implementing its optimized
14 four (4) party installation process and then refining
15 that process over a second full construction season.

16 Implementation of this fully optimized
17 four (4) party process requires significant changes in
18 established processes, corporate systems and staff
19 responsibilities. Centra has been apprehensive in
20 beginning to make these significant changes to its
21 processes and commit to the capital expenditures given
22 the possibility that the Board may in fact shortly
23 thereafterwards order the four (4) party initiative to be
24 discontinued, thus requiring the changes to be undone.

25 With a greater degree of certainty with

1 respect to the future of the four (4) party initiative
2 Centra is confident that it can achieve its target of at
3 least cost parity.

4 MR. BRENT CZARNECKI: Please describe
5 what Centra is requesting of the PUB in this process.

6 MR. AL SNYDER: Centra is requesting the
7 PUB's approval to continue using the four (4) party
8 methodology without limit as to time.

9 With respect to the filing of a response
10 to Directive 9 of Order 10/06, Centra is requesting that
11 the PUB extend the time until at least March 31st, 2009,
12 to allow two (2) full construction seasons to fully
13 implement an optimized four (4) party installation
14 process, to evaluate and refine that process, and to
15 provide a written response.

16 MR. BRENT CZARNECKI: What is Centra's
17 intention with respect to the future of four (4) party
18 trenching installations in residential subdivisions
19 within Manitoba?

20 MR. AL SNYDER: Centra's intention is
21 that the four (4) party method will be the preferred
22 although not the only method of installation of
23 underground utility plant in residential subdivisions.
24 The reasons for this are: improved public safety; reduced
25 damaged to plant; better responsive to developer

1 requirements; and once the method is fully optimized,
2 equal or superior cost performance relative to the
3 conventional installation process.

4 Development configurations and technology
5 continuously change. Centra needs to adapt to these
6 changes to ensure continuous improvement in installation
7 methods and to respond to any changes where safety can be
8 improved.

9 In some situations such as residential
10 condominium developments, four (4) party is the only
11 feasible method. In most other residential subdivisions,
12 some variant of a four (4) party method will be the
13 preferred method for reasons of safety, responsiveness to
14 developer requirements and the efficient use of the space
15 available for utility plant.

16 MR. BRENT CZARNECKI: Thank you, Mr.
17 Snyder.

18 Mr. Petursson, would you please outline
19 your areas of responsibility with respect to this filing?

20 MR. DAVID PETURSSON: Good morning, Mr.
21 Chairman, Members of the Public Utilities Board, Ladies
22 and Gentlemen.

23 In my testimony I will -- in my testimony
24 I will be providing evidence related primarily to the
25 design characteristics, installation methods, and safety

1 benefits of the four (4) party trench.

2 MR. BRENT CZARNECKI: At this point in
3 time, Mr. Chairman, Mr. Petursson will present his
4 presentation so that we all have a better visual
5 understanding of what the four (4) party initiative is
6 about.

7

8 (BRIEF PAUSE)

9

10 MR. DAVID PETURSSON: If everybody's
11 ready we may proceed?

12 THE CHAIRPERSON: Any time you're ready.

13 MR. DAVID PETURSSON: Okay. Examining
14 the characteristics of a conventional installation will
15 assist in understanding four (4) party trench.

16 In a conventional installation, a gas main
17 is installed in a stand alone trench on one (1) side of
18 the street on public property. Service lines are then
19 installed to homes on both sides of the street from that
20 one (1) gas main. Each home on the side opposite the gas
21 main has a service line installed beneath the street with
22 this line referred to as a long service.

23 Conversely, a home on the same side of the
24 street as the gas main, has a short service. In order to
25 install each service the main -- the gas main must be

1 excavated to attach a service tee.

2 In a four (4) party trench installation a
3 gas main is installed on an easement taken in the front
4 of the lots. On the other side of the street, another
5 gas pipe is similarly installed as a service header. A
6 road crossing is used to bring the gas from the gas main
7 to this service header.

8 All services on both sides of the street
9 are then installed as short services. In a four (4)
10 party trench installation multiple service lines across
11 the road are avoided.

12 Fundamental to four (4) party trench is
13 the installation of all four (4) shallow utilities in a
14 single trench. This includes natural gas, electric power
15 cables, and the cables and conduits for telephone and
16 cable television.

17 After a single trench, approximately 750
18 to 900 millimetres, 30 to 36 inches, in width is
19 excavated, the gas pipe is installed on one (1) side of
20 the trench and the cables and ducts for electric power
21 and communications are installed on the other side of the
22 trench.

23 Wooden stakes are used to hold the pipe or
24 cables to the sides of the trench and to ensure the
25 required separate of 400 millimetres, or 16 inches, is

1 consistently established and maintained during
2 installation and during the backfilling of the trench.
3 These wooden stakes are visible in this photograph.

4 Another aspect of four (4) party trench is
5 the installation of service stubs. For each lot served
6 on the gas main or service header a service tee and a
7 short length of gas pipe is installed and extended onto
8 the property. After a home is built, this service stub
9 will be extended to the home as a short service.

10 These service stubs are protected by
11 ending in a wooden box which is marked by a marker post
12 above ground for the ease of locating in the future. A
13 similar wooden box is used to protect the electric and
14 communication cables. An additional feature of four (4)
15 party trench is the extension of the sewer and water
16 stubs further onto property.

17 Thereafter, once a home is built and
18 requires connection to water, sewer, gas, electric, and
19 communications the stubs for both the deep and shallow
20 utilities are excavated and the utilities are extended to
21 the home. The only excavation required is to expose the
22 ends of these service stubs.

23 Conversely, in a conventional installation
24 to extend sewer and water from a property line to the
25 home requires excavation around energized high voltage

1 electric cables. To install a gas service, excavation of
2 the gas main is required to connect the service line and
3 excavation of the energized high voltage electric cables
4 is required for the gas service line to cross these
5 cables. A four (4) party trench design eliminates this
6 excavation of energized gas and electric cables.

7 And in a nutshell, that's four (4) party.

8 THE CHAIRPERSON: Thank you. Very
9 helpful.

10

11 (BRIEF PAUSE)

12

13 MR. BRENT CZARNECKI: Perhaps as
14 everyone's making it back to their seats, Mr. Chairman,
15 we should attend to marking a copy of Mr. Petursson's
16 presentation as the next exhibit?

17 MR. BOB PETERS: Number 4 (sic).

18 MR. BRENT CZARNECKI: Thank you.

19

20 --- EXHIBIT NO. CENTRA-3: A copy of presentation by Mr.
21 David Petursson

22

23 CONTINUED BY MR. BRENT CZARNECKI:

24 MR. BRENT CZARNECKI: Following up on
25 your presentation, Mr. Petursson, could you please

1 provide a description of the enhanced safety benefits
2 that result from the four (4) party trench?

3 MR. DAVID PETURSSON: Yes. Centra
4 recognizes that considerable excavation occurs around
5 energized high voltage cables and natural gas mains
6 during the installation of utility services to the home.

7 The four (4) party standards developed for
8 the installation of electric, gas, telephone, cable
9 television, as well as the water and sewer services
10 virtually eliminates the need to cross the energized high
11 voltage electric cables and gas mains. By eliminating
12 this hazard, safety is enhanced during the process for
13 extending services to homes.

14 When the shallow utilities, electric, gas
15 and communications are installed independently, that is
16 by the conventional method, the second utility in an area
17 must excavate around the first utility to install its
18 plant.

19 Working around the other's energized plant
20 poses a safety hazard to both the workers and the plants
21 itself. Damages to the first utilities plant are avoided
22 by the coincidental installation of all shallow utilities
23 in a four (4) party main trench.

24 Another safety feature inherent in the
25 four (4) party design is the elimination of long gas

1 services traditionally installed under the street. With
2 the long services under the street, damage was occurring
3 to the long services during rotary habilitation as well
4 as the renewal of water and sewer mains.

5 The four (4) party standard locates the
6 gas mains in the common trench on easement and eliminates
7 the long gas services. The shallow utilities also have
8 to concern themselves with the renewal or enhancement of
9 their plant.

10 For example, recent technological changes
11 means that communication utilities now want to install
12 significant amounts of fibre optic cables in areas that
13 are already built up.

14 Recent installations of such enhancements
15 by directional boring has caused damages to gas plant
16 primarily the long services. By locating the four (4)
17 party trench on easement and eliminating the long gas
18 services, a clear corridor is left available for all the
19 shallow utilities on public property to use in future for
20 renewal or enhancement of their plant.

21 Another feature of the four (4) party
22 trench design is the installation of service stubs for
23 the future extension of the service to the customer. By
24 installing these stubs initially, damage potential is
25 reduced when installing service to a customer by not

1 needing to excavate the gas main to connect the gas
2 service and not needing to excavate energized cables for
3 crossing by the gas service line.

4 MR. BRENT CZARNECKI: Could you please
5 describe the nature of the damages that could be avoided
6 if the four (4) party trench method is deployed?

7 MR. DAVID PETURSSON: Centra has reviewed
8 the below grade damages that occurred during the period
9 of 2000 to 2004 and from January 2005 to October 2006 in
10 areas where four (4) party trench could be installed
11 today.

12 During this time, there were approximately
13 two hundred and twenty-four (224) damages of which a
14 hundred and thirty-six (136) or over 60 percent would
15 have or likely would have been avoided by using the four
16 (4) party trench design.

17 These damages were primarily attributable
18 to sewer or water line installations, repair, replacement
19 or rehabilitation, road bed rebuilding or rehabilitation
20 and also to excavating around gas mains to install gas
21 services to customers. A full description of these
22 damages is provided in the attachments to the response to
23 PUB/CENTRA-1.

24 Centra has also assessed the future for
25 potential damages. We randomly reviewed three (3) mature

1 Winnipeg communities typical of those where four (4)
2 party designs would be used and reported on that review
3 in our report of December 15th, 2005.

4 This investigation supports the projection
5 for fewer gas damages by locating the gas main adjacent
6 to the electric and communication cables in a four (4)
7 party main trench.

8 MR. BRENT CZARNECKI: Thank you, Mr.
9 Petursson.

10 Mr. Kroeker, would you please outline your
11 responsibilities with respect to this filing?

12 MR. DOUG KROEKER: Good morning, Mr.
13 Chairman, Member of the Public Utilities Board, Ladies
14 and Gentlemen.

15 In my testimony I will be providing
16 evidence related to the plant for optimizing the four (4)
17 party installation process and its implementation, the
18 cost incurred to date using the four (4) party method,
19 and Centra's expectation of future costs.

20 MR. BRENT CZARNECKI: Has Centra actually
21 begun to implement its plan for optimizing the four (4)
22 party method?

23 MR. DOUG KROEKER: Centra has begun to
24 implement the optimized four (4) party process but key
25 organizational changes and investments required to

1 optimize all four (4) party work throughout the
2 Corporation have not yet been made.

3 The early steps taken toward optimization
4 were the development of four (4) party design standards,
5 which occurred early in 2005, the communication to
6 developers of requirements and specifications for the
7 installation of water and sewer stubs, also early in
8 2005.

9 The completion of a detailed process
10 review encompassing all the process steps from the
11 receipt of a developer request through to the energizing
12 of the plant with recommendations for process
13 improvements which occurred late in 2005 and the
14 completion of the classroom training for approximately
15 twenty (20) internal crew personnel and equipping one (1)
16 internal crew to perform all aspects of the four (4)
17 party installation work, including the gas work.

18 Centra's intention had been to implement
19 the remainder of the implementation of optimization
20 procedures beginning with the 2006 construction season.
21 Centra then would have reviewed its procedures following
22 the 2006 construction season and made any necessary
23 adjustments during the 2007 construction season.

24 Centra has recognized the requirement for
25 two (2) full construction seasons to put in place and

1 then refine the necessary procedures.

2 MR. BRENT CZARNECKI: What has delayed
3 the optimization of the four (4) party process?

4 MR. DOUG KROEKER: The delay is a result
5 of the uncertainty associated with the ongoing review of
6 this initiative which began during the 2005/'06 GRA.
7 During the summer of '05, Centra's program for
8 implementing optimized procedures was identified and
9 Centra was about to roll out the necessary communication
10 information and training to all affected staff.

11 However, Order 103/05 issued July 12th,
12 2005 directed Centra to cease all gas pipeline
13 installations through the four (4) party trench program
14 as of December 1st, 2005 and thereafter to carry on using
15 the conventional means of gas pipeline installation.

16 Unless or until such time as Centra can
17 satisfy the Board that anticipated savings can be
18 realized, there is no greater risk to public safety.

19 Consequently Centra suspended further roll
20 out of its optimization plan until such time as the
21 future of four (4) party initiative could be ascertained.

22 Order 135/05 issued October 12, 2005,
23 restated the earlier directives and further directed that
24 Centra complete its research on four (4) party trenches
25 and submit a study with final conclusions by December

1 31st, 2005.

2 Consequently, effort was redirected toward
3 the preparation and filing of the directed report.

4 MR. BRENT CZARNECKI: Was that report
5 prepared and filed and if so, what were its main
6 conclusions?

7 MR. DOUG KROEKER: That report was filed
8 on December 16, 2005. It reviewed the development of the
9 four (4) party initiative and its objectives, compared
10 the typical four (4) party design with conventional
11 design, demonstrated the scope for safety enhancement,
12 discussed the reasons for the higher cost of four (4)
13 party relative to conventional and demonstrated where
14 future savings would likely be achieved.

15 The report conclusion regarding safety was
16 that, over the previous five (5) years over 60 percent of
17 below grade damages that occurred in the areas where four
18 (4) party trench could be installed today would have been
19 avoided if the four (4) party method had been used.

20 Regarding cost, the conclusion was that
21 once the four (4) party concept was fully optimized, the
22 average cost of four (4) party installations would be
23 equal to the cost of conventional installations.

24 Centra requested that PUB rescind its
25 directive to cease all four (4) party gas installations

1 in the cover letter to the filed report.

2 MR. BRENT CZARNECKI: And what happened
3 subsequent to the filing of that report?

4 MR. DOUG KROEKER: The Public Utilities
5 Board responded by letter dated January 12th, 2006,
6 extending the deadline beyond which no further four (4)
7 party installations were to occur to April 30th, 2006.

8 The letter also advised that a further
9 order would be forthcoming. Order 10/06 issued January
10 24th, 2006, further extended the deadline to August 31st
11 of 2006, subject to a number of future undertakings by
12 Centra.

13 On page 6 of Order 10/06, the PUB
14 concluded based on Centra's evidence that the four (4)
15 party trench is not of greater risk than the conventional
16 method of installation.

17 MR. BRENT CZARNECKI: Can you describe
18 the future undertakings required of Centra in Order
19 10/06?

20 MR. DOUG KROEKER: The Order included a
21 number of specific directives regarding four (4) party
22 standards including reporting of any damages, developer
23 agreements and procedures related to sewer and water
24 installations, future measures to enhance safety and
25 communication with homeowners regarding the location of

1 utility plant.

2 From the perspective of optimization and
3 costs there were there (3) key directives. Directive 8
4 in the Order required Centra to file details of all costs
5 associated with its optimization plan, including capital
6 expenditure details, additional personnel and training
7 details and operating cost details, together with an
8 explanation as to how such costs had been factored into
9 the feasibility tests for main extensions.

10 Directive 10 in the Order required Centra
11 to provide the detailed costs of the four (4) party
12 program from the initial installation to July 31st of
13 2006, compared to what the cost would have been had
14 conventional main installation been utilized.

15 Finally, Directive 9 required Centra to
16 track the costs of fully optimized four (4) party
17 installation in three (3) different sized subdivisions
18 and compare these to the cost of conventional
19 installation.

20 MR. BRENT CZARNECKI: Did Centra file the
21 required details of its optimization plan?

22 MR. DOUG KROEKER: Centra filed a
23 response to the directive for further information on its
24 optimization plan by letter and attachments dated April
25 4th, 2006. That response indicated the capital,

1 equipment, and training investment required to proceed
2 with optimization of the four (4) party method.

3 Expected total capital cost was in the
4 order of six hundred thousand (600,000) and the annual
5 costs associated with that investment were estimated at
6 about eighty-nine thousand (89,000).

7 MR. BRENT CZARNECKI: On April 27th,
8 2006, the PUB approved the capital expenditures related
9 to the optimization plan. In September 2006, Centra
10 advised the Board that it had not taken the necessary
11 steps to proceed with the optimization initiative.

12 Could you please explain why Centra did
13 not take those steps?

14 MR. DOUG KROEKER: In addition to the
15 expenditure of approximately six hundred thousand
16 (600,000) the implementation of the optimization plan
17 requires significant changes in the established
18 processes, corporate systems, and staff responsibilities.

19 Although the capital expenditures were
20 approved April 27th, 2006, and Order 10/06 only extended
21 approval of the four (4) party process to August 31 of
22 2006, if Centra had proceeded with the capital
23 expenditures following the April 27, 2006 approval most
24 of those items would not have been received prior to the
25 August -- prior to August 31st of 2006.

1 Centra was also required to file on July
2 31, 2006, the detailed costs of the four (4) party
3 program from the initial installation to July 31, 2006,
4 compared to what the costs would have been had
5 conventional main installation been utilized.

6 Given the decisions -- given that
7 decisions were going to be made on the future of four (4)
8 party initiative without having the results of a fully
9 optimized process, Centra was reluctant to incur capital
10 costs and process re-organization if the program was to
11 be discontinued shortly thereafter.

12 MR. BRENT CZARNECKI: Assuming the PUB
13 approves Centra's -- Centra's request, how long will it
14 take to complete optimization?

15 MR. DOUG KROEKER: As noted earlier
16 Centra recognizes that it will take two (2) full years to
17 fully implement its optimization plan. The original plan
18 was for optimization to be completed during the 2006
19 construction season and evaluated and refined during the
20 2007 season.

21 With the approval of the request now
22 before the Public Utilities Board, that timetable can now
23 be accomplished during the 2007 and 2008 seasons.

24 MR. BRENT CZARNECKI: What steps are
25 required to complete the four (4) party process

1 optimization?

2 MR. DOUG KROEKER: The necessary steps
3 are detailed in Centra's response to PUB/Centra-12.

4 In summary, purchase of the tools and
5 equipment, delivery of training, modification of the
6 estimating procedures and re-organization of crews will
7 take place during the first year. The modification of
8 the current inspection practices will take place over
9 both the first and second years; evaluation and
10 refinement of the process will take place during the
11 second year.

12 MR. BRENT CZARNECKI: What additional
13 costs have been incurred to-date through use of the four
14 (4) party method as compared to the conventional
15 installation method?

16 MR. DOUG KROEKER: Centra has provided
17 evidence in its filing dated July 26, 2006, that it --
18 that its estimate of the cost differential based on a
19 total of sixty (60) projects analyzed at that time was
20 approximately seven hundred and thirty-nine thousand
21 dollars (\$739,000) or about 35 percent.

22 The response provided to the PUB's
23 Information Request 5A in this proceeding updated the
24 estimate of the differential based on sixty-six (66)
25 projects to seven hundred and eighty-eight thousand

1 (788,000) or about 31 percent.

2 MR. BRENT CZARNECKI: Can you discuss the
3 reasons why the four (4) party costs have exceeded
4 estimated conventional costs to date?

5 MR. DOUG KROEKER: Although many
6 advancements have been made in the implementation of the
7 four (4) party methods such as completing the development
8 of the four (4) party standard, issuing the requirements
9 and specifications for the installation of the sewer and
10 water service stubs, and determining the optimum method
11 of construction of four (4) party projects, cost parity
12 with the conventional method is dependent upon the
13 implementation of a fully optimized four (4) party
14 process.

15 MR. BRENT CZARNECKI: And lastly, Mr.
16 Kroeker, can you indicate the specific areas in which
17 optimization will provide cost reductions to align the
18 cost of four (4) party installation with that of
19 conventional installation?

20 MR. DOUG KROEKER: Although there are a
21 number of smaller areas where cost efficiencies will be
22 achieved, there are two (2) areas where the majority of
23 future cost reductions will flow from.

24 Future optimization efforts will address
25 the high cost of construction inspection. Modification

1 of the current construction inspection practices from a
2 model geared towards installation by a contractor to a
3 model geared towards installation by in-house crews will
4 provide noticeable cost reductions.

5 Secondly, completing the classroom and
6 field training of the in-house crews and replacing the
7 role of the contractor personnel with respect to fusing
8 and testing of the gas lines with in-house personnel will
9 allow the crew to achieve increased efficiencies in the
10 work.

11 MR. BRENT CZARNECKI: Thank you, Mr.
12 Kroeker.

13 Mr. Wiens, would you please provide and
14 outline your areas of responsibility with respect to this
15 filing?

16 MR. ROBIN WIENS: Good morning, Mr.
17 Chairman and Members of the Public Utilities Board,
18 ladies and gentlemen.

19 In my testimony, I will be providing
20 evidence related to the regulatory treatment of costs
21 incurred by the change from conventional to four (4)
22 party installation of gas distribution plant in
23 residential subdivisions and the impact of this process
24 on the feasibility of future natural gas extensions.

25 MR. BRENT CZARNECKI: Centra's provided

1 already achieved are sufficient to justify the
2 incremental cost incurred by modifying installation
3 practice prior to full optimization.

4 The response to Centra -- or to the PUB's
5 information request Centra 5A, provides Centra's estimate
6 that this incremental capital cost is about seven hundred
7 and eighty-eight thousand (788,000), which would
8 contribute approximately seventy-nine thousand (79,000)
9 annually to Centra's revenue requirement.

10 Centra expects that its customers will
11 receive the benefit of improved safety, including the
12 anticipated future savings associated with fuel repairs.

13 Centra is also of the view that upon
14 optimization of the four (4) party method, costs will, on
15 average, reach parity with the conventional method and
16 therefore future safety enhancement will be achieved at
17 no incremental cost. Hence, additional costs being
18 incurred today and in the recent past will continue to
19 deliver safety benefits into the future.

20 While it's admittedly difficult to place a
21 value on enhanced public safety, Centra is of the view
22 that costs in the order of seventy-nine thousand (79,000)
23 annually are not an unreasonable cost to achieve these
24 improvements.

25 MR. BRENT CZARNECKI: Does the ongoing

1 use of the four (4) party method require changes to
2 Centra's feasibility test of new distribution extensions?

3 MR. ROBIN WIENS: Centra currently
4 believes that the ongoing use of the four (4) party
5 method would require little, if any, changes to the
6 parameters in the feasibility test.

7 It's Centra expectation that the capital
8 costs will be aligned with the cost of conventional
9 installation. The feasibility test also incorporates
10 assumptions regarding operating costs and revenues.

11 While Centra anticipates little change in
12 these parameters, as well, it will be reviewing them to
13 determine if any changes are required to accommodate the
14 impacts of the four (4) party process.

15 MR. BRENT CZARNECKI: Centra's September
16 29th, 2006 letter indicates that the Company would prefer
17 that the PUB approve the four (4) party method without
18 limit as to time.

19 Please explain why the PUB should do this,
20 given the construction costs being incurred?

21 MR. ROBIN WIENS: Centra is of the view
22 that as long as the PUB is satisfied as to the safety
23 aspects of distribution design, the selection among
24 alternative methods should be made in light of the
25 conditions faced in each particular subdivision, as well

1 as the utility's design standards and judgment.

2 The cost consequences of that selection
3 are always subject to review by the Public Utilities
4 Board on a regular basis.

5 In addition, Centra is committed to the
6 optimization of its four (4) party method but does
7 require certainty going forward that it can undertake the
8 necessary investment and organizational change required
9 to achieve the goals of optimization.

10 MR. BRENT CZARNECKI: Thank you, Mr.
11 Wiens.

12 Mr. Chairman, that concludes the direct
13 evidence of the Centra Panel.

14 THE CHAIRPERSON: Thank you, Mr.
15 Czarnecki. Thank you, Panel.

16 Mr. Peters, it's over to you if you want
17 to begin your cross-examination now.

18 MR. BOB PETERS: Thank you.

19 THE CHAIRPERSON: We'll probably take a
20 break at 10:30 so just to give you some time.

21 MR. BOB PETERS: Thank you very much.

22

23 QUESTIONS BY MR. BOB PETERS:

24 MR. BOB PETERS: Good morning, Panel
25 Members. My questions will be addressed to the Panel and

1 as I've told previous Panels from your company in the
2 last short while, you can fight amongst yourselves as to
3 who wants to answer it, please.

4 Mr. Snyder, I'll suggest this one is to
5 you although you may wish to pass it down. From the
6 direct evidence you provided the Board this morning, one
7 (1) of the requests you're asking of this Panel is to
8 extend the time to comply with Directive 9 in Board Order
9 10/06. Is that your understanding?

10 MR. AL SNYDER: That is correct.

11 MR. BOB PETERS: And 10/06 was an Order
12 where the 9th Directive wanted Centra to track the costs
13 of three (3) test case projects and report on the actual
14 cost compared to what those would have been had it been
15 done on a conventional basis.

16 MR. AL SNYDER: The -- I guess the
17 evidence was provided back in July of 2006 with respect
18 to the sixty (60) different projects that we had done.

19 MR. BOB PETERS: And the sixty (60)
20 projects you had done were done -- were not -- I'll use
21 the word fully optimized as I understand the Company's
22 position.

23 MR. AL SNYDER: That's true.

24 MR. BOB PETERS: And so once fully
25 optimized the Board has asked you to report on three (3)

1 test cases of different sizes to compare actual cost to
2 what those costs would have been had the installations
3 been done on a conventional construction.

4 MR. AL SNYDER: That's also true.

5 MR. BOB PETERS: And in terms of what
6 else you're asking from the Board - and Mr. Wiens I think
7 referred to it in those last couple of questions to Mr.
8 Czarnecki - you're asking for final and absolute approval
9 of four (4) party trenching methodology.

10 Would that be fair?

11 MR. ROBIN WIENS: That's correct.

12 MR. BOB PETERS: Mr. Wiens, has Mr.
13 Snyder and the executive of Centra Gas provided
14 unconditional approval for four (4) party trench
15 methodology?

16 MR. AL SNYDER: The answer is "yes."

17 MR. BOB PETERS: And Mr. Snyder, you
18 provided that unconditional approval not knowing what the
19 financial consequences would ultimately be?

20 MR. AL SNYDER: We did expect what the
21 financial consequences would be and did expect that we
22 would reach at least parity and -- and hopefully achieve
23 some benefit in the long run.

24 MR. BOB PETERS: Without having optimized
25 the entire process, Centra Executive has given absolute

1 and unconditional approval to proceed with four (4) party
2 trench provided this Board does likewise?

3 MR. AL SNYDER: We've given unconditional
4 approval under the auspices that we will guardedly watch
5 out for -- for costs and with optimization we would hope
6 to achieve at least parity and certainly hope to benefit
7 that by a margin of 20 percent in some cases.

8 MR. BOB PETERS: Is it your
9 understanding, Mr. Snyder, that some cases will be more
10 expensive to install even when optimized under four (4)
11 party trenching methodology compared to conventional
12 installations?

13 MR. AL SNYDER: There may be some
14 instances where construction flexibility is -- makes four
15 (4) party trenching more difficult.

16 MR. BOB PETERS: And if it's more
17 difficult it may result in costs that are greater than
18 conventional installation?

19 MR. AL SNYDER: We would hope that they
20 would be at least parity.

21 MR. BOB PETERS: But they may result in
22 costs that are greater than conventional installations?

23 MR. AL SNYDER: On occasion they may.

24 MR. BOB PETERS: And so the Board should
25 take from the evidence that the best-case scenario will

1 be a net zero in terms of additional costs; would that be
2 fair?

3 MR. AL SNYDER: No. I don't think that's
4 fair because I think that we can optimize and that we
5 should expect to be at least parity, but I would hope
6 that we would be better than parity.

7 MR. BOB PETERS: Back to Directive 9, the
8 time extension that you're seeking is until March 31 of
9 2009 to provide a report to the Board on the -- on the
10 cost of the test cases?

11 MR. AL SNYDER: That is correct.

12 MR. BOB PETERS: From what you have filed
13 now, Mr. Kroeker, is directive 9 going to provide the
14 Board with the information that it appears to be seeking
15 in that directive and that is, the actual costs of three
16 (3) test cases compared to what the -- the costs would
17 have been had it been done conventionally?

18 MR. DOUG KROEKER: If Centra's allowed to
19 complete those three (3) test cases and then file the
20 results of those, after we've implemented our fully
21 optimized process, I think that it will provide that look
22 of costs of our optimized process compared to that of
23 conventional.

24 But I would also suggest that we're
25 achieving cost parity on average of a large number of

1 subdivisions and not on an average of (3) subdivisions.

2 So in that case, we might find that all
3 three (3) of those subdivisions were under cost parity
4 and yet, going forward, we might only achieve an average
5 of cost parity or those three (3) subdivisions, because
6 of their particular layout, may come in higher than what
7 we would expect the average to be.

8 So we have to keep in mind that it's --
9 it's only three (3) out of a large number of subdivisions
10 that we hope to achieve an average of cost parity on.

11 MR. BOB PETERS: At this point in time,
12 as I understand your evidence to the Board and maybe you
13 could turn with me, and hopefully the Board Members, to
14 page 66 of Centra Exhibit 1.

15

16 (BRIEF PAUSE)

17

18 MR. BOB PETERS: And what you should have
19 before you on this, Mr. Kroeker, is appendix A, attached
20 to a letter of July 26, 2006. Have you that document?

21 MR. DOUG KROEKER: I have the reference,
22 yes.

23 MR. BOB PETERS: And this document shows
24 a large number of urban residential development
25 installations comparing four (4) party trench costs to

1 conventional costs, correct?

2 MR. DOUG KROEKER: That is correct.

3 MR. BOB PETERS: And I probably have it
4 somewhere later in my notes, but this is not comparing
5 actual four (4) party trenching costs for each of those
6 subdivisions is it? It's based on average -- an average
7 cost calculated for the installation?

8 MR. DOUG KROEKER: It is a comparison of
9 actual four (4) party cost to conventional. What was
10 done to achieve the actual four (4) party costs, there
11 were nine (9) subdivisions that were analyzed in detail
12 and it took a significant amount of time to analyze those
13 nine (9) subdivisions.

14 And from those nine (9) subdivisions we
15 found that there were similarities in the data that
16 needed to be cleansed. And so we applied those -- I
17 guess findings to the remainder of those sixty (60)
18 projects to come up with what we believe to be the
19 average cost of them.

20 MR. BOB PETERS: So what you're telling
21 the Board is that the actual costs for all sixty (60) of
22 these subdivisions were not tracked separately?

23 MR. DOUG KROEKER: No, the actual costs
24 of those subdivisions were tracked separately in our
25 accounting records.

1 MR. BOB PETERS: Well then I'm confused
2 because I thought you told the Board that you took nine
3 (9) subdivisions and took an average installation cost
4 and used that -- those costs for the subdivision?

5 MR. DOUG KROEKER: Just give me a moment
6 here to find a reference.

7 MR. BOB PETERS: Yes, certainly.

8

9 (BRIEF PAUSE)

10

11 MR. DOUG KROEKER: When we went -- when
12 we went through the records, our accounting records of
13 those nine (9) projects, we did find that there were
14 certain charges that didn't appear in those accounting
15 records that should have appeared in them for those
16 projects.

17 We also found cases where there were
18 charges that were in the accounting records that should
19 not have been in those records.

20 Some of those charges of -- that we found
21 that were in those records that shouldn't have been were
22 some overhead allocations, as an example. Some costs
23 associated with items that should have been in there but
24 were not, we found in cases that there were material that
25 was installed but did not get charged to the right

1 account number by field personnel and, therefore, didn't
2 make it into the SAP reports.

3 So those are the types of things that we
4 found when we looked at those nine (9) projects and given
5 the amount of effort it took to analyze those nine (9)
6 projects and given the timeline for filing of the
7 response we made a decision that what we had found in
8 those nine (9) projects was likely similar to what we
9 would find in the remaining fifty-one (51) and,
10 therefore, we applied those on an average basis across
11 the remainder of the projects.

12 MR. BOB PETERS: Can you be more
13 specific as to which -- did -- did you come up with an
14 average cost per -- per metre or did you come up with
15 average cost per installation? What was the exact
16 averaging?

17

18 (BRIEF PAUSE)

19

20 MR. DOUG KROEKER: When we analyzed those
21 nine (9) projects we broke it down into the different
22 components where costs would be incurred on the projects.
23 We broke them down into our standard segregation of -- of
24 costs if you -- you could call it that. Property
25 survey, design, and GIS is one (1) category; construction

1 inspection another, material another; contractor labour
2 another. Permits from the City of Winnipeg another
3 category and joint use transfer costs of internal labour.

4 Those were the categories that we analyzed
5 those nine (9) projects and so when we looked at those
6 nine (9) projects we looked at those individual
7 categories to determine what was appropriately charged to
8 the accounts in those areas and what hadn't been and then
9 we came up with percentage differences for each of those
10 categories and then applied those percentage differences
11 across the remaining fifty-one (51) projects.

12 MR. BOB PETERS: Perhaps to assist the
13 Board as I just conclude in this area, Mr. Chairman and
14 Board Member Molgat, and PUB Centra-13 was an Information
15 Request that was asked of the Company and I'm going to
16 ask the Board and also Mr. Kroeker to turn to page 4 of
17 13 of PUB/Centra-13.

18 Have you located that, Mr. Kroeker?

19 MR. DOUG KROEKER: I have, yes.

20 MR. BOB PETERS: And on page 4 of 13 of
21 PUB/Centra-13, are many of the cost items that you just
22 referenced in your second-last answer to me?

23 MR. DOUG KROEKER: Yes.

24 MR. BOB PETERS: And are you now telling
25 the Board that those cost items that you list there, you

1 now have an average amount for each of those that you
2 will use in the four (4) party trench cost calculations?

3

4

(BRIEF PAUSE)

5

6 MR. DOUG KROEKER: What I've -- what I
7 tried to suggest in my last response was that the --
8 we've gone into detail on those nine (9) projects and
9 determined that some of our charges in the SAP did not
10 reflect what they should have regarding actuals for items
11 like construction inspection, items like material. We
12 found that there was errors in account coding and we have
13 come up with over those nine (9) projects what the
14 average was, as an example, for material.

15 If we determine that there was material
16 that was not included in the projects that should have
17 been, it got charged to the wrong account numbers and the
18 -- the information I have as an example is 38 percent for
19 material that the -- an additional 38 percent was
20 required to be included in the accounts for material for
21 those nine (9) projects. So what we then did was take
22 that 38 percent and add it. Based on the amount of
23 material we added an additional 38 percent to each of the
24 following projects.

25

MR. BOB PETERS: All right. I think I

1 have a better understanding now. Your -- your study of
2 the nine (9) subdivision projects provided you with data
3 that would give you percentage changes from estimated
4 conventional costs?

5 MR. DOUG KROEKER: That's right.

6 MR. BOB PETERS: And the example you just
7 gave was in a conventional installation, if you spent one
8 dollar (\$1) on materials, you know you would need to
9 spend 38 percent more in a four (4) party trench example.

10 MR. DOUG KROEKER: No, no. That's -- I
11 don't think we're on the same page just yet, Mr. Peters.
12 What -- what I was suggesting was that when we analyze
13 those nine (9) four (4) party projects not -- not the
14 conventional estimates but the four (4) party estimates,
15 when we analyze those that we found that on average 38
16 percent less material had been charged to those projects
17 than what should have been charged based on what was
18 actually installed.

19 And so we adjusted the actual four (4)
20 party costs by that amount.

21 MR. BOB PETERS: Okay. Maybe the light's
22 turning on on this side of the room. Having said that,
23 Mr. Kroeker, if the Board wants to see comparisons,
24 you've told the Board there's a weakness in what they
25 ordered in 10/06 - and you said it quite politely I think

1 - in that for -- for what may happen is the Board could
2 pick any one of these type of developments as found on
3 page 66 of Centra Exhibit-1 and just by chance the Board
4 may pick one where the costs are not parity and the cost
5 may be -- may be higher or lower.

6 Would that be true?

7 MR. DOUG KROEKER: Yes, that would be
8 true.

9 MR. BOB PETERS: All right. Now to
10 eliminate the -- the chance aspect and -- and to review
11 how -- how successful four (4) party trench installations
12 are from a cost perspective, what would be a better test
13 for the Board to do in your view?

14 MR. DOUG KROEKER: I think that what
15 Centra has requested is -- would be a better thing to do.
16 We haven't yet implemented our fully optimized process.
17 I talked in my opening comments about a couple of the key
18 important steps that are still required to optimize and
19 that is changing our methodology for construction
20 inspection from a contractor driven model to inspection
21 of in-house crews and as well, completing the training
22 and equipping of our internal crews.

23 And if we were allowed to continue to do
24 that over the next two (2) construction seasons, and then
25 to evaluate us some time after that, I think would be a

1 better way to proceed.

2 MR. BOB PETERS: All right. Following
3 that further, Mr. Kroeker, if you're allowed to optimize
4 the installations and then do -- and then provide the
5 Board with cost information, how many of the URD's should
6 you provide cost information to to the Board so the Board
7 can get a good idea as to whether or not from a cost
8 perspective four (4) party trench is at parity with
9 conventional or perhaps better, as Mr. Snyder hopes?

10

11 (BRIEF PAUSE)

12

13 MR. DOUG KROEKER: That -- that question
14 is not something that we've given considerable thought to
15 the answer on. The number would certainly need to be
16 more than three (3), I think, to have a good average.

17 Sitting here at this table and discussing
18 it briefly with my colleague, Mr. Petursson, we think
19 that possibly taking a look at the last half of the
20 construction season of 2008 and the number of projects
21 that would be done during that time frame might provide a
22 -- a better look at how our optimization is proceeding.

23 MR. BOB PETERS: All right. Let me leave
24 it this way and recognizing I -- I don't want to put you
25 on the spot while the microphones are on, you'll have an

1 opportunity over a break to speak amongst yourselves and
2 perhaps you can relay any final position of Centra to
3 your counsel and your counsel may choose to use that in
4 closing submissions in terms of suggesting to the Board
5 what would be a more accurate or fair test in terms of
6 the costing of four (4) party trench going forward.

7 Would you accept that as an undertaking?

8 MR. DOUG KROEKER: We will accept that as
9 an undertaking.

10 MR. BOB PETERS: Okay, thank you for
11 that.

12

13 --- UNDERTAKING NO. 1: Provide Centra's position on
14 what would be a more accurate
15 or fair test in terms of the
16 costing of four (4) party
17 trench going forward.

18

19 CONTINUED BY MR. BOB PETERS:

20 MR. BOB PETERS: Mr. Snyder, one of the--

21 THE CHAIRPERSON: Mr. Peters, just one
22 (1) thing. Mr. Kroeker, just to confirm you'd indicated
23 earlier, one (1) of you had, that in your costing of the
24 four (4) party trench approach, you have not provided any
25 estimate of sort of present value of future savings

1 associated with an approach not expected to result in so
2 many problems, as compared to the conventional approach.

3 You haven't built into your cost forecast
4 for four (4) party trench any estimate of savings that
5 could be expected to be realized in the future as a
6 result of having done it the four (4) party way, as
7 opposed to the other way, although you've identified the
8 four (4) party trench as being safer than the other
9 approach?

10 MR. DOUG KROEKER: That's right, we've
11 identified it as safer and then, on average, hope to
12 achieve cost parity, but that's as far as we've gone with
13 the future estimates.

14 THE CHAIRPERSON: So the answer is, yes,
15 like you said for example, at one point that you'd
16 examined a couple of hundred cases of difficulties, okay,
17 of which you said a hundred and thirty (130) or so would
18 have been avoided by the use of the four (4) party
19 trench.

20 You haven't provided any estimate of value
21 of those hundred and thirty five (135) avoided cases?

22 MR. DOUG KROEKER: No, we have not.

23

24 CONTINUED BY MR. BOB PETERS:

25 MR. BOB PETERS: Is that something that

1 is quantifiable?

2 MR. DAVID PETURSSON: It's very difficult
3 to quantify, trying to you know, quantify the --
4 especially economically the cost of a future -- of a
5 damage or future damages.

6 The -- we have not at this point taken a
7 look at the reduction in estimated damages and quantified
8 it to include in our economic picture of four (4) party.

9 MR. BOB PETERS: Just before I leave
10 that, if a homeowner should have the misfortune of
11 damaging your plant, it's at the homeowner's expense, is
12 it not?

13 MR. DAVID PETURSSON: Generally, that is
14 the case.

15 MR. BOB PETERS: And if a construction
16 company, a third-party contractor damages your plant,
17 that contractor has to pay for the repair and the damage,
18 would that be correct?

19 MR. DAVID PETURSSON: If the damage is
20 attributable to the contractor doing the work, we will
21 submit a bill to the contractor for the damage.

22 MR. BOB PETERS: And then you'll sic your
23 lawyers on them to get payment.

24 MR. DAVID PETURSSON: I'll let Mr.
25 Czarnecki answer that one.

1 MR. BOB PETERS: All right. I guess the
2 point where I'm going with that, Mr. Petursson, is in
3 terms of some of these damage claims then, the damages
4 that may result are not damages that presently are being
5 charged through to consumers in your rates, because
6 they're paid for by third parties?

7 MR. DAVID PETURSSON: My understanding is
8 we do -- we will charge for the damages that occur if the
9 party is at fault in causing those damages.

10 And the safety benefits I believe, go
11 beyond just straight economics of the cost of a damage
12 repair.

13 MR. BOB PETERS: The safety benefits
14 include things like reduced frequency of unwanted results
15 such as even explosion or migrating gas?

16

17 (BRIEF PAUSE)

18

19 MR. DAVID PETURSSON: That's -- from a
20 safety benefit we're looking at the damages to our plant
21 and -- with the intent that if we have fewer damages to
22 our plant, there would be less gas that would be leaked
23 from the plant and ideally all of our efforts on damage
24 prevention, the Call Before You Dig, for example, focus
25 on reducing damages.

1 The safety benefits would reduce in fewer
2 third-party contacts with our plant.

3 MR. BOB PETERS: All right. Fair enough.
4 Mr. Snyder, one (1) of the things you told me a little
5 earlier was that Centra was hoping to reach parity.

6 What happens, sir, if by the time
7 optimization is fully completed Centra has not achieved
8 parity?

9 MR. AL SNYDER: We would obviously report
10 to you with respect to the -- you know what we had
11 achieved and it would be hoped that if we were close to
12 parity, that the extension of the four (4) party
13 trenching would continue.

14 MR. BOB PETERS: In that answer, Mr.
15 Snyder, what you're telling the Board is, even if you
16 don't achieve parity, you're going to ask for the
17 additional cost to be contained in consumer's rates?

18 MR. AL SNYDER: It is our objective to
19 get to parity.

20 MR. BOB PETERS: And if you -- at this
21 point in time, you're not at parity?

22 MR. AL SNYDER: No, at this point in time
23 we're not at parity.

24 MR. BOB PETERS: And at this point in
25 time, you're asking for the additional cost to be paid

1 for by consumers?

2 MR. AL SNYDER: That is correct.

3 MR. BOB PETERS: And in the future if you
4 don't achieve parity, I'm suggesting you still intend to
5 ask consumers to pay for the additional costs; would that
6 be fair?

7 MR. AL SNYDER: No, that wouldn't be
8 fair. If we're -- if we're close we would -- we would
9 ask for that but if we're not close then we have to take
10 a recognition in our own view that this maybe isn't the
11 best solution.

12 MR. BOB PETERS: Okay. And then how do
13 you quantify being close?

14 MR. AL SNYDER: Well, I would say if
15 we're within 5 to 10 percent, that to me would be close.

16 MR. BOB PETERS: And if you're not within
17 5 to 10 percent of the -- of the conventional costs
18 through using four (4) party trenching installations, the
19 Utility would not seek to pass those costs onto
20 consumers?

21 MR. AL SNYDER: At this particular stage
22 we haven't given that any consideration.

23 MR. BOB PETERS: But what you have said
24 then is that if you are not within 5 to 10 percent of the
25 costs, that may give the Corporation pause and may result

1 in the -- in -- in changes and maybe even reverting back
2 to conventional installation?

3 MR. AL SNYDER: We would have to take a
4 look at -- at our methodology, the way in which we can
5 optimize the -- the projects, the way in which we can
6 deploy crews, the equipment that we're using. We would
7 really have to do a -- a thorough evaluation of what
8 we're doing because all of us want to make sure that the
9 costs are minimized.

10 MR. BOB PETERS: Okay. If I can, I'd
11 like to turn to a couple of quick definitions just to
12 make sure that my questioning the balance of the morning
13 -- I've use the right terms.

14 In -- in the PowerPoint presentation as
15 well as in Centra Exhibit 1 there's reference to gas
16 mains and this whole four (4) party trench initiative
17 involves gas mains; would that be correct?

18 MR. DAVID PETURSSON: Yes.

19 MR. BOB PETERS: And I would consider gas
20 mains to be running from the transmission pipelines as
21 part of the distribution system and end up providing the
22 natural gas to the front of the properties that are going
23 to be served; would that be correct?

24 MR. DAVID PETURSSON: In the presentation
25 we -- we have gas mains included. We also have the

1 service stubs that would be installed as part of the gas
2 mains. We also define a service header which is a gas
3 main on the opposite side of the street serving a --
4 typically a fewer number of houses.

5 MR. BOB PETERS: All right. You can
6 easily lose me and I'm hoping you don't lose the Board on
7 this. So if we could turn to page 15 of Centra Exhibit 1
8 we can maybe show the Board Members what we're
9 specifically talking about. And I'd use your PowerPoint
10 presentation but it'll take too long to set up.

11 On page 15, Mr. Petursson, you have a
12 conventional single party gas line layout, correct?

13 MR. DAVID PETURSSON: That is correct.

14 MR. BOB PETERS: And the upshot of this
15 diagram shows the Board that there's a gas main on only
16 one (1) side of the street and the service lines run from
17 the gas line to the properties to be served?

18 MR. DAVID PETURSSON: That is correct.

19 MR. BOB PETERS: If we turn the page to
20 page 16, we see a four (4) party trench configuration
21 where there still exists a gas main but now the gas main
22 is moved into a trench with the other three (3) utilities
23 and it's only on one (1) side of the street, correct?

24 MR. DAVID PETURSSON: Yes, we have the
25 gas main on one (1) side of the street.

1 MR. BOB PETERS: On the opposite side of
2 the street you have what you call a gas service header
3 but for purposes of our discussion, is that not the same
4 as another gas main on the other side of the street?

5 MR. DAVID PETURSSON: Generally, it will
6 the same type of pipe. We may -- it may be a smaller
7 pipe depending on the individual design and it is
8 different in one (1) sense in that it will only serve
9 those houses on that particular side of the street; it's
10 limited in scope. The gas main may continue to go serve
11 another street or carry gas further.

12 MR. BOB PETERS: Fair enough. And then
13 the gas main is connected to the gas service header on
14 the opposite side of the street by another gas service
15 header?

16 MR. DAVID PETURSSON: Yes, that's the way
17 it shows in this diagram; that simply would just be a
18 road crossing pipe just to bring gas across the street.

19 MR. BOB PETERS: Well, you need to bring
20 gas across the street in some fashion and that's how you
21 design it here?

22 MR. DAVID PETURSSON: Yes. With -- the
23 nature of it, though, is where we'd have a single road
24 crossing to bring gas across the street for quite a few
25 houses that are served by the gas service header.

1 MR. BOB PETERS: All right. And the
2 point that you're making then is you don't need a service
3 line running from the gas main to go under the street to
4 each and every property to be served, rather you have one
5 (1) gas service header which connects to the opposite
6 side gas main or gas service header, and that will then
7 have services running to the homes.

8 MR. DAVID PETURSSON: That is correct.

9 MR. BOB PETERS: Would it be fair to say
10 that there is more plant generally needed for four (4)
11 party trench than in conventional?

12 MR. DAVID PETURSSON: No. I don't think
13 that would be fair. It can depend on the layout. If we
14 were to look at the absolute footage of plant we would --
15 we are introducing the service header which is an
16 increase in plant but by the same token we are reducing
17 the amount of pipe in all of the service lines.

18 We may introduce a larger or greater
19 plant, say of a gas main size, say a two (2) inch pipe,
20 but reduce the number of service lines and service line
21 length.

22 MR. BOB PETERS: So at this point in time
23 you haven't come up with any averages as to whether a
24 four (4) party trench on average is more or less plant.

25

1 (BRIEF PAUSE)

2

3 MR. DAVID PETURSSON: Our studies to date
4 have shown that it's about the same. We -- depending on
5 the particular configuration, which could be a straight
6 street, it could be cul-de-sacs or bays, in some cases it
7 will be more plant, other cases it could be less, on
8 average about the same.

9 MR. BOB PETERS: All right. And, Mr.
10 Petursson, just to draw your attention to Centra --
11 sorry, PUB/Centra-13, page 3 of 13, this is again that
12 same Information Request. And on page 3 of 13, at the
13 top of the page, lines 1 to 4, you talk a little bit
14 about the amount of plant needed and in some cases I
15 think your -- your answer was the same, it depends on the
16 design, that the two (2) inch gas pipe that needs to be
17 installed could reach nearly double that of convention
18 and then conversely on cul-de-sacs it would be less, and
19 on average you think it would be about the same.

20 MR. DAVID PETURSSON: If we are talking
21 about the two (2) inch gas pipe, two (2) inch gas pipe
22 will require more gas pipe, but with the corresponding
23 reduction in length of the services, because we have all
24 short services and no long services, if we are -- if
25 we're taking a simple length of pipe in total, it will be

1 the same.

2 MR. BOB PETERS: All right. Fair enough.
3 Back to page 15 then of Centra Exhibit 1, can you confirm
4 to the Board that while the four (4) party trench
5 methodology related to the gas main is the new
6 initiative, what isn't new is the use of a four (4) party
7 trench methodology for the services.

8 MR. DAVID PETURSSON: That is correct.
9 We've been using a four (4) party trench methodology for
10 services for quite some time now.

11 MR. BOB PETERS: Since the early 90's?

12 MR. DAVID PETURSSON: Mid-90's, I
13 believe.

14

15 (BRIEF PAUSE)

16

17 MR. BOB PETERS: Mr. Snyder, would I be
18 correct in concluding that the issue of four (4) party
19 trench is not the kind of issue that would make its way
20 through to the Centra Board -- Board of Directors?

21 MR. AL SNYDER: I'm not a member of the
22 Board of Directors, so I wouldn't know that.

23 MR. BOB PETERS: Does any Member of the
24 Panel have any knowledge as to whether any submissions or
25 approvals for four (4) party trenching have made its way

1 through to the Centra Gas Manitoba Inc. Board of
2 Directors?

3

4

(BRIEF PAUSE)

5

6 MR. AL SNYDER: No, we haven't heard that
7 it has.

8

9

MR. BOB PETERS: All right. I'll take
that. Thank you.

10

11

12

13

I also heard you to say and summarize your
evidence, Mr. Snyder, by suggesting that if four (4)
party trenching is not safer than conventional
methodology Centra won't proceed with it?

14

15

MR. AL SNYDER: I believe that four (4)
party trenching is safer.

16

17

MR. BOB PETERS: Yes, and if it was not
safer, Centra wouldn't be proceeding with it?

18

19

20

21

MR. AL SNYDER: No.
MR. BOB PETERS: Centra accepts the
responsibility to install and operate its distribution
system safely?

22

23

24

25

MR. AL SNYDER: That is true.
MR. BOB PETERS: And if four (4) party
trenching is not cheaper than conventional installation,
Centra may still want to proceed with it?

1 MR. AL SNYDER: There may be instances
2 where from a safety perspective that it is the right
3 thing to do.

4

5 (BRIEF PAUSE)

6

7 MR. BOB PETERS: You'd agree with me, Mr.
8 Snyder, that as we sit here today there is no actual
9 safety data that the Company can look at to determine
10 whether four (4) party trenching is safer than
11 conventional installation?

12 MR. AL SNYDER: In terms of hard and fast
13 data, the answer is probably correct.

14 MR. BOB PETERS: What the Company does
15 have is data from past damage claims of conventionally
16 installed gas mains and has looked back to see if some of
17 those damages could be avoided had it been in a four (4)
18 party trench installation, would that be fair?

19 MR. AL SNYDER: That's true, that's true.

20 MR. BOB PETERS: And in terms of actual
21 safety data the Corporation will need a year or two (2)
22 or more to get actual information as to whether the
23 safety expectations are realized; would that be true?

24 MR. AL SNYDER: That's true, although I
25 think we've realized to date, with the number of

1 incidences of contacts, that we are achieving those
2 safety benefits.

3

4

(BRIEF PAUSE)

5

6

MR. BOB PETERS: I'm sorry, can you
7 quantify for the Board your last answer?

8

MR. AL SNYDER: I can't quantify for the
9 Board, all I can suggest is that the number of contacts
10 with our physical plant, we feel, has been less in a four
11 (4) party trench environment.

12

MR. BOB PETERS: And is that as a result
13 of having moved the four (4) party trench utilities onto
14 private property?

15

MR. AL SNYDER: No, we don't believe so.

16

MR. BOB PETERS: Is it then because of
17 the simultaneous installation of the four (4) utilities?

18

MR. AL SNYDER: That would be part of it.

19

MR. BOB PETERS: And the other part?

20

MR. AL SNYDER: The other part would be
21 the fact that the arrangement within a trench itself
22 confines the space over which either a contractor or
23 owner can contact one (1) of our utilities.

24

MR. BOB PETERS: Mr. Petursson, I'm not
25 sure if -- I think you were speaking to the safety

1 aspects. Is it Centra's position that by moving four (4)
2 party trench onto private property, it is safer than if
3 it was on public property?

4 MR. DAVID PETURSSON: The safety aspects
5 primarily come from the four (4) party arrangement,
6 whereby we have verifiable separation, verifiable depth
7 of the installation by everything in one (1) trench,
8 coincidental install.

9 That would occur whether its on public or
10 on private property. And the elimination of the long
11 services, is also independent of whether we would be on
12 public or private property.

13 MR. BOB PETERS: Except the services get
14 longer if you're back onto public property?

15 MR. DAVID PETURSSON: They would be
16 slightly. The short services would be slightly longer,
17 yes.

18 MR. BOB PETERS: And whether you call
19 them short or long, there's really no hard and fast
20 length measurement, it's just a relative term.

21 MR. DAVID PETURSSON: It's more than just
22 relative. The characteristic of what we call a long
23 service, is that those services go below the road.

24 And that is where we are -- our
25 conventional plant is subject to damage due to road

1 excavation, road rebuilding, water, sewer,
2 rehabilitation, that happens usually many years after the
3 plant is installed.

4 MR. BOB PETERS: Can you confirm to the
5 Board, Mr. Petursson that the three (3) party trenching
6 that was going on before Centra tried to hop in the
7 trench, that three (3) party trenching was done on
8 private property?

9 MR. DAVID PETURSSON: Primarily, yes.

10 MR. BOB PETERS: And is it correct that
11 there's now a movement afoot as a result of city and
12 municipal bylaws that Centra may be required to push back
13 its four (4) party trenching plans back onto public
14 property as opposed to private property?

15 MR. DAVID PETURSSON: Yes. In some cases
16 we are seeing zoning changes whereby the setback for
17 houses is greatly reduced not leaving sufficient room
18 from the front of the property for the shallow utilities.

19 MR. BOB PETERS: Thank you. Mr.
20 Chairman, this might be an appropriate time for a break
21 and I'll review my notes and progress after the --

22 THE CHAIRPERSON: We'll take your advice
23 on that, Mr. Peters. We'll see you back in fifteen (15)
24 minutes.

25

1 --- Upon recessing at 10:30 a.m.

2 --- Upon resuming at 10:51 a.m.

3

4 THE CHAIRPERSON: Welcome back, everyone.
5 Mr. Peters, we're hanging on your every word.

6

7 MR. BOB PETERS: Thank you, Mr. Chairman.
8 I have two (2) housekeeping matters to start with and the
9 first is just to correct the record and mark the
10 PowerPoint slide presentation as Centra Exhibit 3. I
11 think that'll be consistent with where we were in the
12 numbering.

13

14 CONTINUED BY MR. BOB PETERS:

15 MR. BOB PETERS: And the -- the second
16 matter is -- Mr. Petursson you've -- or maybe Mr.
17 Kroeker, you've tried to explain to me your 38 percent
18 averaging number and I've given it some thought over the
19 break and you may want to help educate me further on
20 that.

21 MR. DOUG KROEKER: Yes, thank you, Mr.
22 Peters, and I hope I don't confuse us all any more than I
23 may have earlier this morning.

24 The -- I did want to go back to my earlier
25 testimony regarding the averaging of the nine (9)

1 projects and the 38 percent that I had mentioned.

2 The first point of correction is on that
3 38 percent and it's regarding the material differences.
4 I -- I indicated that 38 percent of the capital cost of
5 each of those nine (9) projects was related to materials;
6 that was not the case.

7 The 38 percent relates to -- when we did
8 the analysis of the nine (9) projects and we found that
9 on a review of what the actual costs were for those nine
10 (9) projects, we did find a difference between that
11 number and the number that was shown in our SAP reports.

12 And for materials, we found that the
13 differences for materials made up 38 percent of that
14 number. So the -- or 38 percent of that difference was
15 attributable to materials. And materials were not 38
16 percent of the capital project.

17 The second point I would like to add is
18 that on those projects when we did the averaging, the
19 result of that was that the actual cost of those nine (9)
20 projects from our analysis it showed to be 5.14 percent
21 lower than what was included in SAP.

22 So the remaining fifty-one (51) projects
23 then had their numbers -- that we got out of SAP had
24 their numbers reduced by 5.14 percent. And that's what
25 was filed in Centra's July report.

1 by doing -- by that happening that had the effect of
2 reducing the cost differential between the two (2)
3 construction methods?

4 MR. DOUG KROEKER: Yes, that is correct.

5 MR. BOB PETERS: And in PUB/Centra-13 on
6 page 6 of 13 you try to explain to the Board why the
7 costs of four (4) party trench that was reported to them
8 at the GRA hearing were reduced in the analysis that has
9 been done subsequently; would you agree with that?

10 MR. DOUG KROEKER: Yes.

11 MR. BOB PETERS: And in the table that is
12 included on page 6 of 13 of PUB/Centra-13, property,
13 survey design, inspection, materials, contractor, and
14 permits are all numbers that have changed because of the
15 use of some averaging; would that also be correct?

16 MR. DOUG KROEKER: Could you repeat those
17 -- all of those again, Mr. Peters, so I could follow
18 along?

19 MR. BOB PETERS: Yes, I'm -- I'm looking
20 -- and if I can maybe ask it a little differently, I see
21 that for the -- for the first five (5) items listed in
22 the chart or the table there is Note 4 that is applicable
23 to those items.

24 And in Note 4 just below the chart you're
25 telling the Board that those numbers for those various

1 items including property, survey design, inspection,
2 material, contractor, and permits, those numbers have
3 changed because Centra is now using the average of the
4 changes required to the nine (9) four (4) party projects
5 investigated that you've already told the Board about?

6 MR. DOUG KROEKER: Yes, that's correct.

7 MR. BOB PETERS: All right. So those
8 numbers were averaged and that accounts for some of the
9 difference in how the -- in the -- in the costs?

10 MR. DOUG KROEKER: Yes.

11 MR. BOB PETERS: And while we're on that
12 page -- and I believe somewhere I was going to come back
13 to this and I'll try to remember not to -- for the joint
14 use trench and the overhead and interest, you've simply
15 removed those. You've removed some -- some overheads?

16 MR. DOUG KROEKER: Yes, that's correct.

17 MR. BOB PETERS: And that also has given
18 rise to a cost differential making the four (4) party
19 trench costing -- cost numbers cheaper?

20 MR. DOUG KROEKER: Yes.

21 MR. BOB PETERS: Okay. The items in that
22 chart, while we're on it, the service installation and
23 the line locates, I took those numbers to simply be
24 linear mathematical numbers that you multiply by a factor
25 depending on the size of the project and -- and that's

1 how -- how they were determined. They were size related;
2 is that your understanding?

3 MR. DOUG KROEKER: Yes, that's -- that's
4 correct.

5 MR. BOB PETERS: All right. And just to
6 complete that chart, you removed some overheads. And can
7 you explain to the Board -- I know in -- in Item --
8 sorry, in Note 5 there's a brief explanation but you
9 remove overheads from the four (4) party trench costing
10 but you don't remove those overheads from the
11 conventional costing; is that correct?

12

13 (BRIEF PAUSE)

14

15 MR. BOB PETERS: Let me rephrase the
16 question. In terms of removing the overheads for joint
17 use trench and overhead and interest, you don't include
18 overheads in either the conventional construction or in
19 the four (4) party trenching construction; would that be
20 correct?

21 MR. DOUG KROEKER: That's correct. The
22 purpose of removing them was to be apples to apples and
23 they are not included in either of the estimates, either
24 conventional or actual four (4) party.

25 MR. BOB PETERS: Well, let's just make

1 sure we're not comparing fruit to fruit here in some
2 other fashion that -- when you use conventional
3 installation you're using third-party contractors;
4 correct?

5 MR. DOUG KROEKER: Yes. Our third-party
6 contractors provide the installation labour, yes.

7 MR. BOB PETERS: And Centra doesn't run
8 any overheads related to those third-party contractors,
9 do they?

10 MR. DOUG KROEKER: In our system the
11 third-party contractors do not attract -- currently do
12 not attract overheads in the same way that internal
13 labour does.

14 MR. BOB PETERS: Well, and that's why
15 we're trying to get apples to apples, in your words. But
16 when you do four (4) party trench installation -- when
17 you do four (4) party trench installation your plan is to
18 use internal Centra/Manitoba Hydro crews; correct?

19 MR. DOUG KROEKER: Yes, that's correct.

20 MR. BOB PETERS: And those crews do
21 attract overhead costs; correct?

22 MR. DOUG KROEKER: There is an overhead
23 allocation for accounting purposes, yes, for those
24 internal staff.

25 MR. BOB PETERS: Well, in fact everything

1 -- and maybe I learned this from a different movie that
2 Mr. Wiens took me to with Manitoba Hydro as the general
3 rate applicant, but when you do cost -- or internal
4 allocations for various matters, one of the costs that is
5 allocated is an overhead cost or a cost of overheads.

6 MR. ROBIN WIENS: Yeah. We do that when
7 we -- when we carry on a cost of service study, Mr.
8 Peters, because we have to recover those costs in the
9 fairest way as to apportion them to all customers. But
10 what we're saying here is that it doesn't change the
11 overhead, the fact that we do a four (4) party trench
12 versus a conventional installation, it doesn't change the
13 overhead.

14 So in order to make an apples to apples
15 comparison of four (4) party and to make a fair
16 comparison we've taken the corporate overheads out.

17 MR. BOB PETERS: Well, Mr. Wiens, please,
18 if the cost of labour internally at Manitoba Hydro/Centra
19 Gas doesn't change whether or not you do four (4) party
20 trenching, because you've got the same number of
21 employees for the year; would you accept that?

22 MR. ROBIN WIENS: I couldn't accept that
23 without reservation, Mr. Peters, because if we -- as we
24 move away from contractor and towards four (4) party
25 we're going to have more internal labour and less

1 contractor labour.

2 MR. BOB PETERS: All right. But my
3 point, Mr. Wiens, is that if you're suggesting that you
4 don't charge overheads to four (4) party trench even
5 though they would be attracted for accounting purposes,
6 the only reason you're not doing that is because they
7 don't get attracted for accounting purposes to third-
8 party contractor work such as conventional installations;
9 would you agree?

10 MR. ROBIN WIENS: Yes, I would agree.
11 But what we are saying here is that whether or not we did
12 that installation on a four (4) party basis, the
13 corporate overheads would not change.

14 MR. BOB PETERS: All right. I have your
15 point. We may come back to that. I want to turn to just
16 a brief discussion then of the conventional methodology
17 and make sure that the Board is aware that when we talk
18 about gas mains being installed conventionally, it is a
19 single-party installation.

20 MR. DOUG KROEKER: Yes.

21 MR. BOB PETERS: And whatever methodology
22 is used -- and I don't profess to know them all but
23 there's plowing, there's trenching, there's directional
24 boring, there's different methods that can get the gas
25 main into the ground.

1 MR. DOUG KROEKER: Yes, that's correct.

2 MR. BOB PETERS: And it's been done
3 conventionally since approximately the 1950's, when --
4 since 1950's?

5 MR. DOUG KROEKER: I would think so, yes.

6 MR. BOB PETERS: And is it correct that
7 the longstanding practice of Centra Gas is to use third-
8 party contractors to do that installation?

9 MR. DOUG KROEKER: Certainly in -- in the
10 last many years. If we go back to the 50's, I'm not
11 certain what happened then, but certainly through the
12 80's, 90's and up until four (4) party.

13 MR. BOB PETERS: That's long enough for
14 my purposes, Mr. Kroeker. Those use of third-party
15 contractors that would have also been pursuant to
16 tendered contracts that the company let out; would that
17 be true?

18 MR. DOUG KROEKER: Yes, that's correct.

19 MR. BOB PETERS: And why did Centra
20 tender out those contracts rather than do it internally?

21 MR. DOUG KROEKER: My -- I wasn't around
22 at Centra at the time that the decision was there to go
23 in-house. I know at some point in Centra's past the
24 majority of the work had been done by some internal
25 crews.

1 And in my own thinking, I have concluded
2 correct or incorrect, that probably what happened is that
3 as Centra's systems started to expand the internal folks
4 that were dedicated to construction of the system were
5 then moved over to look after the maintenance of the
6 system, and rather than hire more employees, contractors
7 were brought on board.

8 There was also times in our past when
9 there was many upgrades required to the system. There
10 was an off oil program in the City of Winnipeg in the
11 1970's that required -- and the 60's, that required a
12 significant number of services to be installed and mains.

13 And I think that, at that time, in order
14 to bring on the required construction capacity,
15 contractors were sought after.

16 MR. BOB PETERS: But bringing it more
17 current to maybe I'll flatter myself, your vintage and
18 mine, the use of contractors has continued presumably
19 because it's cost effective?

20 MR. DOUG KROEKER: We -- for the --
21 definitely for the single party installations of Centra
22 it proved to be a cost effective way to construct,
23 certainly.

24 MR. BOB PETERS: To your knowledge, Mr.
25 Kroeker, was the third -- was the there (3) party trench

1 which excluded Centra, which was just hydro, the
2 telephone and the television, that was -- that was done
3 by contracted crews, as well?

4 MR. DOUG KROEKER: No, the three (3)
5 party installation was done by in-house crews of Manitoba
6 Hydro and at some point in the not too distant past, in-
7 house crews of MTS also did some of the three (3) party
8 installations.

9 MR. BOB PETERS: All right. So it's done
10 by -- by -- different utilities have the ability to do
11 three (3) party installation. They don't just do their
12 own, they do it for everybody?

13 MR. DOUG KROEKER: That's correct.

14 MR. BOB PETERS: When you went from the
15 long standing practice, Mr. Kroeker, of tendering out to
16 the contractors for the installation of the conventional
17 gas main installation to what you're telling the Board
18 you're doing for four (4) party trench, you're not
19 changing to internal Centra/Manitoba Hydro internal
20 crews, is that correct?

21 MR. DOUG KROEKER: Yes, using internal
22 crews will be a preferred method of construction.

23 MR. BOB PETERS: And why is it your
24 preferred method of installation?

25 MR. DOUG KROEKER: With the work that --

1 the review work that went on during our efforts to come
2 up with an optimized design for the process, we did look
3 at alternatives for contracting out the work or
4 completing the work in-house.

5 And it was the collective wisdom of that
6 group that did that review, that the in-house work force
7 would be a more cost effective way to construct than to
8 contract it out. And so we deferred to the in-house
9 model.

10 MR. BOB PETERS: When you say "more cost
11 effective," you mean cheaper?

12 MR. DOUG KROEKER: Yes, I mean cheaper.

13

14 (BRIEF PAUSE)

15

16 MR. BOB PETERS: Am I correct that the
17 present four (4) party trenching that is done, even
18 though you have internal Manitoba Hydro/Centra crews on
19 it, you also bring in third-party contractors?

20 MR. DOUG KROEKER: Yes, the four (4)
21 party work is primarily accomplished through the use of
22 in-house crews, but we do have external contractors
23 providing us with the excavating equipment to dig the
24 trench and on some of the crews -- on most of the crews,
25 we have contractor personnel continuing to provide us

1 with the fusing and testing services for the gas mains.

2 MR. BOB PETERS: Why do you go outside to
3 dig the trench when you were doing it -- when Manitoba
4 Hydro was doing it internally for three (3) party
5 trenching?

6 MR. DOUG KROEKER: When we started down
7 the path of four (4) party trenching, it moved away from
8 the three (3) party, the equipment that it required to
9 dig a four (4) party trench, we were required to dig a --
10 a thirty (30) or a thirty-six (36) inch wide trench for
11 four (4) party and Manitoba Hydro doesn't own the
12 equipment that can dig that type of trench.

13 We -- the equipment that's used on the
14 three (3) party was to dig a -- a twelve (12) inch wide
15 trench and had no capacity to go up to the size required.
16 So we -- rather than purchase or lease the type of
17 excavating equipment required to dig the trench for four
18 (4) party we decided to contract it out.

19 MR. BOB PETERS: Mr. Petursson, remind
20 the Board when you showed them slide 5 of your PowerPoint
21 presentation now marked as Centra Exhibit 3, how wide is
22 that trench that now is dug?

23 MR. DAVID PETURSSON: The trench is a
24 minimum of seven hundred and fifty (750) millimetre and
25 can be as wide as nine hundred (900) millimetre, that's

1 thirty (30) to thirty-six (36) inches.

2 MR. BOB PETERS: The contractors who --
3 who dig the trench, Mr. Kroeker, you said also helped
4 fuse the pipe and I -- you said one (1) other thing.

5 Was it testing the pipe?

6 MR. DOUG KROEKER: Testing, that's
7 correct.

8 MR. BOB PETERS: And are those
9 contractors engaged as a result of a tendered arrangement
10 from the utility?

11 MR. DOUG KROEKER: The -- we primarily
12 use one contractor for that work although there's another
13 one engaged and the -- the rates currently paid to that
14 primary contractor are from a tendering process.

15 MR. BOB PETERS: When lawyers get answers
16 like that, they get nervous because I'm not sure you
17 answered my question.

18 I take it then that you have a preferred
19 contractor that you now use to help you with the four (4)
20 party trench as it's presently installed?

21 MR. DOUG KROEKER: Yes, we do.

22 MR. BOB PETERS: And that preferred
23 contractor was not engaged as a result of a -- a tender
24 but rather as a result of Manitoba Hydro's and Centra's
25 experience with them?

1 MR. DAVID PETURSSON: No, the rates that
2 we are paying that contractor are from a tendering
3 process.

4 MR. BOB PETERS: All right. Maybe I
5 misspoke. I accept that the rates -- when were the rates
6 tendered?

7 MR. DOUG KROEKER: They were tendered in
8 -- or the contract was signed off in the spring of 2004.

9 MR. BOB PETERS: Was that tender also
10 looking to see which contractor you would engage or was
11 the -- was the tender only as for the rates?

12 MR. DOUG KROEKER: I would suggest it
13 would be for both. We were -- at the time we were
14 looking for a contractor to complete gas line
15 construction so I would suggest it was for both.

16 MR. BOB PETERS: And if you learn of
17 anything different, you can correct the record through
18 your counsel.

19 Are those -- is that contractor -- is it
20 paid by the hour then and not by the job? Is that what
21 I'm understanding from your answer?

22 MR. DOUG KROEKER: For four (4) party
23 installations, it is an hourly rate for personnel and
24 equipment, yes.

25 MR. BOB PETERS: Can you tell the Board

1 how many members are on a four (4) party trench crew
2 right now?

3 MR. DOUG KROEKER: Are you looking for
4 exact numbers or sort of ballpark figures and are you
5 looking for just contractor personnel or in-house as
6 well, Mr. Peters

7 MR. BOB PETERS: No, I'm looking for a
8 total number of workers on a four (4) party trench crew
9 today and then I'm going to ask you another question as
10 to how many people will be on a four (4) party trenching
11 crew once it's optimized?

12 MR. DOUG KROEKER: Today the -- the
13 primary four (4) party trenching crews that operates here
14 in the City of Winnipeg today would have ten (10) in-
15 house Manitoba Hydro personnel on it and it would have
16 one (1) contractor operating a track hoe. And we would
17 have another contractor operating a backhoe. So there
18 would be approximately twelve (12) people on that crew.

19 MR. BOB PETERS: And when you optimize as
20 you indicate you -- your intentions are, what would the
21 Board see in a fully optimized four (4) party trench
22 crew? How many people?

23 MR. DOUG KROEKER: We would probably --
24 you would probably see the same number of people on the
25 crew.

1 MR. BOB PETERS: Except the only
2 difference would be that instead of having two (2)
3 external third-party contractors in the trench with you,
4 these would also now be employees of the utility?

5 MR. DOUG KROEKER: They would be
6 employees of the Utility and today those two (2)
7 additional people in the trench from the contractor that
8 are doing the fusing and testing, today that's the only
9 work that they perform for us, handling of the gas pipe
10 and doing some fusing and testing.

11 When we move to Manitoba Hydro's optimized
12 model of all in-house people on the crews those people
13 will be able to do not only the fusing and testing and
14 work on the gas lines but they will be able to help out
15 with the electric cables and perform other functions on
16 that work crew thereby delivering some increased
17 efficiencies to us.

18 MR. BOB PETERS: All right. Thank you.
19 Is the contract for the installation of services
20 tendered?

21 MR. DOUG KROEKER: Yes, it is.

22 MR. BOB PETERS: And the plan is to
23 continue to tender that contract for the service
24 installation in the four (4) party trench?

25 MR. DOUG KROEKER: Yes, it is.

1 MR. BOB PETERS: And that's considered a
2 more cost effective methodology of providing services to
3 the home?

4 MR. DOUG KROEKER: I haven't been
5 involved in -- in any kind of a cost estimate comparison
6 between in-house or external contractors for that method
7 of installation for a long, long time, more than ten (10)
8 years, but we do consider it to be cost effective.
9 Whether or not it's the cheapest, I haven't seen any
10 recent analysis on that.

11 MR. BOB PETERS: All right. Maybe a --
12 when you say "cost effective," Mr. Kroeker, I'm -- I'm
13 thinking cheapest but you're not thinking the same?

14 MR. DOUG KROEKER: I certainly think that
15 our tendering practices deliver good value in the way of
16 costs. I do think that we get the cheapest rates
17 available on the market for our work but, like I said, we
18 haven't taken those rates and compared them to an in-
19 house model and I haven't seen anything in more than ten
20 (10) years of that type of comparison.

21 MR. BOB PETERS: Would it be fair to say
22 you also haven't compared the cost of four (4) party
23 trench internal crews to an external crew doing the four
24 (4) party trenching?

25 MR. DOUG KROEKER: We did do that type of

1 comparison with internal crews and external crews as a
2 part of our review exercise. We've made some assumptions
3 and have done it there and then in addition to that, this
4 fall we thought that the workload was going to increase
5 to a point where our internal crews would not have been
6 able to handle all of the volume on four (4) party and in
7 order to help us meet that required volume, meet our
8 commitments to the developers, we did prepare a tender
9 document for four (4) party main installations and we did
10 tender it and receive competitive bids back in.

11 And after analyzing those bids we decided
12 not to proceed for a couple of reasons. First, we took
13 another look at the work volume and decided that we could
14 probably -- that some of the conditions had changed. We
15 had favourable construction weather through the 2006
16 season and we chewed through more work than we thought we
17 would have and therefore we thought we could handle some
18 increased volume.

19 And you have to keep in mind that the
20 decision to tender that four (4) party work needed to be
21 made back in June of '06 in order to have contractors
22 available in the fall of '06. So by the time the tender
23 was issued, prices were back in, we were into the fall of
24 2006 and having a few more months of hindsight and a few
25 more months of good construction, we determined that our

1 internal crews would be able to handle the remaining
2 volume of four (4) party work required.

3 And the second point on that was that the
4 labour rates tendered to us by the contractors
5 represented a 30 percent increase over our actual
6 experience on four (4) party analysis. And so with those
7 two (2) pieces of information in hand, we decided not to
8 proceed with external contractors.

9 MR. BOB PETERS: Does that suggest that
10 you're paying 30 percent too much for your four (4) party
11 service installation?

12 MR. DOUG KROEKER: I have never thought
13 of it that way and have not done any analysis to compare
14 in-house to external so I -- I'm sorry, I wouldn't know,
15 Mr. Peters.

16 MR. BOB PETERS: Would that same answer
17 apply as to whether or not the 30 percent additional
18 costs that came back in '06 would mean that your
19 conventional installation of gas mains is -- is 30
20 percent more expensive by contracting it out rather than
21 by doing it internally?

22 MR. DOUG KROEKER: No, I don't think that
23 that's -- I don't necessarily think that that analogy
24 would -- would follow. I...

25 MR. BOB PETERS: You'd agree with me that

1 when you went out looking for a tendered four (4) party
2 gas main installation contract, that the Manitoba labour
3 market in the construction field was -- was tight,
4 everybody was busy?

5 MR. DOUG KROEKER: Certainly in the fall
6 of the year that it's a busy time.

7 MR. BOB PETERS: And if -- if the labour
8 market was tight and everybody was busy, there was also a
9 relatively short notice in the tender document you put
10 out?

11 MR. DOUG KROEKER: Yes. There was a -- a
12 few weeks' notice, but, it could be considered short by
13 some.

14 MR. BOB PETERS: Would you also agree
15 that in your tender document you were looking for a one
16 (1) time contractor to do some work rather than
17 committing to a long-term arrangement?

18 MR. DOUG KROEKER: Yes, that's -- or
19 that's correct. It was for a specified period of time
20 this fall.

21 MR. BOB PETERS: Would you agree with me
22 that those last three (3) factors that I cited may have
23 contributed to the cost being higher?

24 MR. DOUG KROEKER: I think that they --
25 they could have. It's been Centra's point of view for

1 quite some time that longer-term contract arrangements
2 definitely deliver more value in the way of costs than
3 short-term arrangements for some types of work. And the
4 pricing we received in the contracts could have reflected
5 the, I guess, robust construction presence that we found
6 ourselves in this fall.

7 So certainly, if we tended it another time
8 the results may be different.

9 MR. BOB PETERS: Fair enough. Can you
10 confirm, Mr. Kroeker, to the Board that nowhere in the
11 materials is there information about what it would cost
12 to tender out a fully optimized four (4) party trench
13 installation?

14 MR. DOUG KROEKER: When you refer to the
15 costs of tendering out, Mr. Peters, are you referring to
16 some estimates we have on the capital cost of
17 construction for four (4) party and comparing that to a
18 tendered option, or are you referring to the costs of
19 preparing the tendered document and issuing it?

20 MR. BOB PETERS: I apologize for the lack
21 of clarity, Mr. Kroeker.

22 What I was trying to get at was: How is
23 Centra convinced that doing the four (4) party trench gas
24 main installations with internal crews is less expensive
25 than doing it by way of a tendered contract to external

1 contractors?

2 MR. DOUG KROEKER: That goes back to some
3 earlier work done in-house where we had some of our
4 construction folks familiar with both types of work get
5 together and compare the two (2) options.

6 MR. BOB PETERS: But you'd agree with me
7 that since that work was done other factors have come
8 into play and the -- the savings assumptions in that
9 previous work have not materialized?

10 MR. DOUG KROEKER: Not yet. The savings
11 assumptions have not yet materialized and I noted in my
12 direct two (2) important areas that we intend to -- if
13 allowed, to continue with four (4) party that we fully
14 intend and expect to achieve some savings, and that is
15 when we modify our construction inspection processes and
16 we complete the training and equipping of the in-house
17 crews.

18 For the purposes of the review that was
19 done that compared the cost of in-house crews to the cost
20 of contractor crews, we did assume an optimized process.
21 We did assume that we would achieve benefits of lower
22 inspection costs as well as the required productivity on
23 the crews.

24 MR. BOB PETERS: I'll come back to that
25 when we talk about costs but before we get there, in

1 terms of the location of the four (4) party trench for
2 gas mains, the only choices you have are public property
3 and private property.

4 Would that be correct?

5 MR. DAVID PETURSSON: That is correct.

6 MR. BOB PETERS: And presently the three
7 (3) party trenching going on by everybody but Centra is
8 on private property?

9 MR. DAVID PETURSSON: That is correct.

10 MR. BOB PETERS: And when you talk about
11 private property in the urban residential developments,
12 we're talking about homeowners' lots?

13 MR. DAVID PETURSSON: That is correct.
14 An easement is taken on the, you know, front few metres
15 of the lot to locate the electric plant.

16 MR. BOB PETERS: And your lawyers get
17 those easements from the developers not from the
18 homeowners, would you know about that?

19 MR. DAVID PETURSSON: That's my
20 understanding.

21 MR. BOB PETERS: All right. And so the
22 developer who is owning the lots and developing them will
23 grant an easement agreement to Centra to allow Centra to
24 bring its utilities onto the private property?

25 MR. DAVID PETURSSON: Yes.

1 MR. BOB PETERS: And in a public property
2 situation, public property -- the Board should consider
3 public property to include things like the boulevards,
4 the roadways, the sidewalks, that area?

5 MR. DAVID PETURSSON: Yes.

6 MR. BOB PETERS: And presently the
7 conventional installation is on the public property and
8 that's what you've shown in your PowerPoint slides,
9 correct?

10 MR. DAVID PETURSSON: That is correct.

11 MR. BOB PETERS: And you require a City
12 of Winnipeg permit in order to put your conventional
13 installation onto public property?

14

15 (BRIEF PAUSE)

16

17 MR. DAVID PETURSSON: That is correct.

18 MR. BOB PETERS: And the cost of the
19 permit is one (1) of the increased costs or additional
20 costs of conventional installation compared to four (4)
21 party installation?

22 MR. DAVID PETURSSON: That is correct.

23 MR. BOB PETERS: You don't attribute any
24 cost to the development of the easement or the
25 registering of the easement or any of that nature?

1 MR. DAVID PETURSSON: One moment.

2

3 (BRIEF PAUSE)

4

5 MR. DAVID PETURSSON: Those costs are
6 included. They are built in to the cost of the four (4)
7 party and allocated to the four (4) parties. So gas
8 would pay its share of those costs.

9

10 (BRIEF PAUSE)

11

12 MR. BOB PETERS: When the four (4) party
13 trench is installed, it terminates at what you've called
14 a stub; have I got that right?

15 MR. DAVID PETURSSON: The services are
16 installed with service stubs, yes. The main -- the main
17 would not end in a stub, but the services do.

18 MR. BOB PETERS: And then in terms of
19 going from the stub to the -- extending the service to
20 the home, that's done at a later point in time by this
21 four (4) party trench service installation crew?

22 MR. DAVID PETURSSON: Yes, the crew would
23 come and they would excavate the end of those service
24 stubs, that's those wooden boxes I referred in the
25 presentation that protect the end of those service stubs.

1 You know, those would be excavated and
2 then the services extended to the homes.

3 MR. BOB PETERS: And that also is done by
4 a third-party external crew?

5 MR. DAVID PETURSSON: Yes.

6 MR. BOB PETERS: Turning to the issue of
7 safety, before the recess, Mr. Petursson, you gave me
8 three (3) reasons I believe, why Centra proposes four (4)
9 party trench installation being safer than conventional
10 gas main installation.

11 And I have them noted here. One (1) of
12 them was that there was verifiable separation between the
13 utilities in the trench.

14 Secondly, is there was a simultaneous
15 installation. And thirdly, there was the elimination of
16 long services. Did I accurately record your comments?

17 MR. DAVID PETURSSON: Yes, those are
18 three (3) of the safety reasons.

19 MR. BOB PETERS: Did you want to add more
20 to that list?

21 MR. DAVID PETURSSON: There are several
22 others. The elimination of the -- the elimination of
23 digging around the plant by others. For example, the --
24 if sewer and water are stubbed in, there's the
25 elimination of the -- undermining plant or digging around

1 number of damages avoided. The -- presently we do incur
2 damage to the gas plant -- to the gas main when the main
3 has to be excavated to install services.

4 And -- and that -- those damages will be
5 avoided with the installation of service stubs. So I
6 expect that there will be a reduction of damages, you
7 know, for -- for that reason and also with avoiding
8 having to cross the electric high voltage cables in order
9 to put our services in, there's a safety benefit to the
10 workers in that regard too.

11 MR. BOB PETERS: And when we say "lower
12 frequency of damages," we don't just mean damaged plant,
13 we can also then include injuries to either the utility's
14 personnel or to the contractor's personnel or maybe even
15 to the homeowners themselves?

16 MR. DAVID PETURSSON: Unfortunately,
17 injuries can occur when damage to energized plant does
18 happen. Should also note that the reduction in damages
19 are not going to be immediate but can be long term.

20 The installation of the long services can
21 generate damages to those services many years down the
22 road when it comes for road rehabilitation or sewer and
23 water work.

24 By avoiding those long services and four
25 (4) party, those damages, many years down the road, will

1 be avoided. The sewer and water works will have a much
2 clearer or more open trench in order to do their work and
3 will not have to contend with our long services.

4 MR. BOB PETERS: And while these damages
5 may -- or the fewer damages and the -- the benefits of it
6 may manifest themselves years down the road, the fewer
7 damages is something that is presently being tracked by
8 Centra pursuant to Board Order 10/06; would that be true?

9 MR. DAVID PETURSSON: Yes, we do track
10 our damages.

11 MR. BOB PETERS: And those would be
12 actual damage cases not just interpellation of existing
13 damage claims as to what might happen had that been four
14 (4) party instead of conventional installation?

15 MR. DAVID PETURSSON: Yes, that's
16 correct.

17 MR. BOB PETERS: And in your answer to
18 me, Mr. Petursson, no where did you mention that it is
19 safer by moving from public property onto private
20 property; did you?

21 MR. DAVID PETURSSON: The -- by moving
22 onto public pro -- or private property, we are increasing
23 our separation from the sewer and water alignment and
24 there will be reduced risk of future excavation of our
25 mains if we are on public pro -- or private property, I

1 should say, rather than public.

2 However, the -- the main safety attributes
3 of the four (4) party, you know, tie in with the -- with
4 the aspects of the coincident installation, one (1)
5 trench having everything open and avoiding of long
6 services are the primary safety aspects as opposed to
7 public or private.

8 MR. BOB PETERS: And that recognizes does
9 it, Mr. Petursson, that if four (4) party trench has to
10 move from private property onto public property, that
11 will narrow the corridor in which there is a clear run
12 for the water and sewer utilities and maybe the upgrading
13 of the shallow utilities?

14 MR. DAVID PETURSSON: Yes. It should be
15 noted that if we move onto public property, the alignment
16 -- the proposed alignment of the gas main would be the
17 same as it is right now in a stand-alone situation.

18 So, by moving a four (4) party onto
19 public, the proximity of the gas main to the deeper
20 utilities is no different than we've got everywhere right
21 now on conventional.

22 MR. BOB PETERS: Except now, you're also
23 bringing with it the electrical cable and the telephone
24 and the television?

25 MR. DAVID PETURSSON: In a four (4) party

1 setting on public, yes, they would be there. Our present
2 or proposed layout, I should say, for the public -- the
3 electric and communication infrastructure would be
4 further from the sewer and water lines than what the gas
5 would be.

6 MR. BOB PETERS: So if there's any
7 suggestion that by going onto private property, you would
8 avoid future damages such as from the sewer and water
9 renovations and the road rehabilitations, that argument
10 no longer applies if the four (4) party trench has to go
11 back onto public property?

12 MR. DAVID PETURSSON: No, the primarily -
13 - primarily the avoiding of the long services has the
14 benefits for the sewer and water. But, the proximity of
15 the gas pipe to the sewer and water is tighter or closer
16 if its on public than on private.

17 MR. BOB PETERS: How many long services
18 do you avoid for every one (1) gas service header you run
19 under the road?

20

21 (BRIEF PAUSE)

22

23 MR. DAVID PETURSSON: My answer is going
24 to sound like some stuff we said before in that it
25 depends on the particular layout.

1 We have seen some cases where it can be as
2 few as two (2) or three (3), other cases it can be many.
3 I would expect it would be in the order of, you know,
4 maybe one (1) road crossing for a service header compared
5 to ten (10) or twelve (12) long services, possibly more.

6 MR. BOB PETERS: In terms of
7 rehabilitation of some of those deep utilities or the
8 roadway, you'd agree with me that your four (4) party
9 trenching right now is going into new neighbourhoods, new
10 developments?

11 MR. DAVID PETURSSON: That is correct.

12 MR. BOB PETERS: And so the time horizon
13 in which utilities will have to renew, refresh or
14 rehabilitate their infrastructure is probably timed in
15 terms of decades as opposed to months?

16 MR. DAVID PETURSSON: It would be more in
17 terms of decades than months, but I can't really
18 attribute to the quality of those installations these
19 days and how long they're going to last.

20 MR. BOB PETERS: Has it been definitely
21 determined that four (4) party trenching has to now move
22 back onto public property as opposed to being on private
23 property?

24 MR. DAVID PETURSSON: We are looking at
25 some areas whereby the City zoning has altered and has

1 much reduced setbacks.

2 And there is no room left on private in
3 order to locate plant, either gas or electric. Some of
4 the designs that are being contemplated right now do have
5 four (4) party or looking at four (4) party on public to
6 serve those customers.

7 MR. BOB PETERS: Does that suggest that
8 in the future you will look to put four (4) party trench
9 on private property, if there's sufficient room and only
10 if there isn't will you move to the public property?

11 MR. DAVID PETURSSON: At this point, that
12 would be the -- focus we would have, subject to reviewing
13 the designs on a situation-by-situation basis.

14 MR. BOB PETERS: The default position is
15 it goes on private property, four (4) party trench goes
16 on private property.

17 MR. DAVID PETURSSON: Yes.

18 MR. BOB PETERS: Does Centra acknowledge
19 that there may be different damages to gas mains on
20 private property than there would be on public property,
21 different types of damage?

22 MR. DAVID PETURSSON: Yes.

23 MR. BOB PETERS: And on public property
24 you're talking about road rehabilitation doing some
25 damage or the sewer and water deep utilities doing damage

1 to the gas plant, but on the homeowner's property you
2 also have introduced the homeowner as a potential damager
3 of your plant.

4 Would that be true?

5 MR. DAVID PETURSSON: I would -- yes, it
6 would be true.

7 MR. BOB PETERS: Who is harder to educate
8 on the Call Before You Dig program; homeowners or
9 contractors?

10 MR. DAVID PETURSSON: Very good question.
11 The -- it would be nice if we could educate them all.

12 Right now we have a lot of plant on
13 customer property already. We have service lines, you
14 know, run, you know, to the customers and -- and those
15 service lines are subject to damage by the homeowner;
16 that's whether you're talking conventional or four (4)
17 party.

18 The only difference would be having the
19 mains running across the front of the lot would be
20 increased plant on customer property.

21 MR. BOB PETERS: I'll take from that non-
22 answer that they're both hard to educate.

23 But, would you agree with me that perhaps
24 the homeowner is -- is more difficult to educate on these
25 matters because they're traditionally not excavating,

1 digging or boring as frequently as the professionals who
2 do that for -- for a living?

3 MR. DAVID PETURSSON: Well, if I look at
4 a lot of recent damages to the underground plant, we see
5 a lot more done by contractors than we do by homeowners.
6 Homeowners I believe may have a less cavalier approach to
7 the excavation than what some of the contractors have and
8 will take more precautions.

9 MR. BOB PETERS: Does that suggest you
10 need to increase your educational programs related to the
11 professional contractor?

12

13 (BRIEF PAUSE)

14

15 MR. DAVID PETURSSON: The education of
16 all parties to call before a dig is -- is an ongoing
17 process. If we do it regularly and we -- and we will
18 keep doing it regularly to try and educate them to avoid
19 damages.

20 MR. BOB PETERS: No, I can appreciate
21 that. But in Board Order 10/06 there was some discussion
22 by the Board about whether a better educational program
23 was needed for the homeowners.

24 Can I conclude from your answers that
25 Centra's position is the Call Before You Dig program, the

1 way it's presently run and operated, is sufficient and no
2 more is needed?

3

4

(BRIEF PAUSE)

5

6 MR. DAVID PETURSSON: We are always
7 looking for improvements. We will -- we analyze the
8 damages, we look for the nature of the damages and we see
9 what needs to be done to try and prevent those damages.
10 So the -- we will definitely be looking at the nature of
11 our education and refine it on an ongoing basis.

12 MR. BOB PETERS: Is the primary cause of
13 homeowners damaging your plant because the homeowners
14 failed to call before they dug?

15 MR. DAVID PETURSSON: Yes.

16 MR. BOB PETERS: And the education of
17 homeowners is presently done through mass media, as well
18 as bill stuffers?

19 MR. DAVID PETURSSON: It's mass media,
20 bill -- and bill stuffers. There's television, I believe
21 television advertising, billboard, numerous methods.

22

23

(BRIEF PAUSE)

24

25 MR. BOB PETERS: In some of those

1 communities in which you're putting four (4) party
2 trench, I understand there are homes in which natural gas
3 service is not going to be used by the homeowner.

4 Is that your understanding?

5 MR. DAVID PETURSSON: That could be the
6 case.

7 MR. BOB PETERS: And Centra understands
8 that could be the case?

9 MR. DAVID PETURSSON: I believe in some
10 cases we do not serve 100 percent of the customers with
11 gas, yes.

12 MR. BOB PETERS: And does Centra know
13 what their market penetration rate is in terms of
14 providing natural gas to -- to new constructed homes in
15 the City of Winnipeg?

16
17 (BRIEF PAUSE)

18
19 MR. ROBIN WIENS: Our understanding, Mr.
20 Peters, is that in the City of Winnipeg it's in excess of
21 90 percent.

22 MR. BOB PETERS: And in those homes where
23 gas or those 10 percent of homes where gas is not going
24 to be utilized by the homeowner, that homeowner may still
25 have a gas main on their private property; would that be

1 true?

2 MR. DAVID PETURSSON: That is true.

3 MR. BOB PETERS: And if not a gas main,
4 they'd have a service header or an almost gas main on
5 their property?

6 MR. DAVID PETURSSON: They would have a
7 gas main or a service header, yes.

8 MR. BOB PETERS: And in addition to the -
9 - to the gas main or the service header, they'd also have
10 a stub box or -- the term escapes me but the -- the
11 services would be terminated in stubs also on the private
12 property?

13 MR. DAVID PETURSSON: Yes, there would be
14 a service stub on that property.

15 MR. BOB PETERS: And those -- and those
16 gas mains, service headers, and stubs will be there
17 because Centra has an agreement with the developer who
18 owned the lot before the homeowner did?

19 MR. DAVID PETURSSON: That is correct.
20 The original agreement was with the developer but the --
21 the -- it carries through onto the title of the property
22 for the homeowner.

23 MR. BOB PETERS: All right. Leaving
24 those legalities aside, do you envision that there may be
25 some homeowners who have no expectation that there is gas

1 plant on their private property because they're not
2 subscribing for the service, for example?

3 MR. DAVID PETURSSON: I would expect
4 there would be homeowners who would -- may not have gas
5 but I would expect the homeowners would be aware that gas
6 is in the neighbourhood.

7 MR. BRENT CZARNECKI: And just, Mr.
8 Peters, on the legal front, of course, the caveat will be
9 filed against the title of the property?

10

11 CONTINUED BY MR. BOB PETERS:

12 MR. BOB PETERS: I don't want to go too
13 far down the road with Mr. Czarnecki, not only because
14 he's not sworn, but -- but I'm not sure -- does the
15 Corporation expect that a new homeowner has knowledge of
16 where on their private property Centra has put the four
17 (4) party trench and the services?

18 MR. DAVID PETURSSON: I expect that the
19 homeowner is well aware that they've got electricity and
20 the -- and in these new developments the electricity is
21 on the front property. It's quite visible by the pad
22 mount transformers that are there and in a four (4) party
23 trench area where you have all the shell utilities there,
24 the front of the property is a utility space on easement.

25 So I would expect the homeowners would be

1 aware that there is plant in the front and they should be
2 cautioned -- cautious about digging.

3 MR. BOB PETERS: And it follows then from
4 Centra's thinking that if the homeowner is or should be
5 aware that there's electrical plant on their property, by
6 default, they should know that there's gas plant
7 somewhere close by that?

8 MR. DAVID PETURSSON: I would expect that
9 the homeowner, knowing the electricity is there, would
10 call before -- would call before they dig in which case
11 both the electric plant and the gas plant would be
12 located to make the homeowner aware of the presence of
13 the buried plant.

14 MR. BOB PETERS: And if that homeowner
15 calls the electrical side of the utility and asks for a
16 line locate, does that automatically transpire that there
17 will be a gas line located as well as the electrical
18 line?

19 MR. DAVID PETURSSON: In four (4) party,
20 yes.

21 MR. BOB PETERS: Do I take from those
22 answers, Mr. Kroeker, that at this point in time you have
23 no specific changes to make to your Call Before You Dig
24 program to take into account a four (4) party trench
25 methodology that's going to be utilized?

1 MR. DAVID PETURSSON: Not specifically
2 no. The -- if a homeowner was to call before they dug,
3 we would definitely notify them of all buried plant in
4 the area that they are going to be excavating, both the
5 mains, the main electrical cables and all service lines,
6 also.

7 MR. BOB PETERS: But you've told me that
8 the problem with homeowners is they don't call before
9 they dig and those are the ones that lead to the most
10 damage, correct?

11 MR. DAVID PETURSSON: That is correct.

12 MR. BOB PETERS: And so if they don't
13 call before they dig and they're still going to put in a
14 tree, a fence post, a deck, whatever, the consequences of
15 their actions, they may not hit the electrical cord, but
16 they may hit the gas pipe?

17 MR. DAVID PETURSSON: They might.
18 Anytime a homeowner was to dig without having locates
19 done, there is potential for damage. The one (1) aspect
20 is with the electricity in the ground also, with the
21 cables, the homeowners maybe more aware that there is
22 buried plant and they may call before they dig for the
23 electric, in which case, they would have everything
24 marked and they would be far more aware of the buried
25 plant.

1 MR. BOB PETERS: And that's all
2 supposition from your perspective?

3

4 (BRIEF PAUSE)

5

6 MR. DAVID PETURSSON: That part was
7 supposition on my part. A couple of things to note. The
8 -- a lot of the damage occurs to service lines which are
9 located by the side of the property.

10 And they occur on the -- and we have
11 damages occurring also in the backyards where we do have
12 plant, most of the homeowner excavation is in the rear of
13 their lots, not in the front.

14 Particularly, in these four (4) party
15 developments, the amount of excavation in the front yards
16 is typically very little.

17 MR. BOB PETERS: All right. In terms of
18 the proximity of the gas main to the dwelling, do you
19 agree with me that under four (4) party trenching the gas
20 main comes closer to the residence than it did under
21 conventional methodologies?

22 MR. DAVID PETURSSON: Yes.

23 MR. BOB PETERS: Would you also agree
24 with me that one (1) of the factors in measuring safety
25 is the proximity of a gas pipeline to an occupied or a

1 habitable dwelling or building?

2 MR. DAVID PETURSSON: Yes.

3 MR. BOB PETERS: Has Centra conducted any
4 risk assessment for the use of four (4) party trenching?

5

6 (BRIEF PAUSE)

7

8 MR. DAVID PETURSSON: We have not
9 conducted a formal risk assessment, we just have examined
10 the prevalence of damages in the -- in gas plant.

11 MR. BOB PETERS: Would you be aware as to
12 whether the utility has conducted a risk assessment in
13 other areas of the Province, Mr. Petursson?

14 MR. DAVID PETURSSON: I don't follow your
15 question.

16 MR. BOB PETERS: From a previous hearing,
17 I was of the understanding that Centra had done a risk
18 assessment in southeastern Manitoba, perhaps in
19 Hanover/La Broquerie area?

20 MR. DAVID PETURSSON: Yes, I'm aware of
21 that.

22 MR. BOB PETERS: And did that risk
23 assessment confirm that where safety was being assessed
24 the proximity to dwelling homes of the gas mains is a
25 factor?

1 MR. DAVID PETURSSON: That risk
2 assessment did identify that proximity to dwellings was a
3 factor. That risk assessment addressed the proximity of
4 homes to a gas transmission line.

5 MR. BOB PETERS: In principle, is there a
6 difference between the transmission line and the gas
7 main, other than the size and the pressure?

8 MR. DAVID PETURSSON: They're both round
9 pipes that carry gas.

10 MR. BOB PETERS: Now, you're thinking
11 like I'm thinking but --

12 MR. DAVID PETURSSON: But size and
13 pressure are very definite differences.

14 MR. BOB PETERS: Right. The reason it
15 becomes a concern is that when you assess the risk you
16 want to determine not only the frequency of these damages
17 that are going to result, but also the potential
18 consequences, would that be true?

19 MR. DAVID PETURSSON: That is true.

20 MR. BOB PETERS: And so while you may
21 have fewer line damages or line hits or whatever they're
22 called in the industry, what really needs to also be
23 considered is, what are the consequences of those hits
24 when they -- when they do occur?

25 MR. DAVID PETURSSON: That is correct.

1 MR. BOB PETERS: It's not a question of
2 if they occur, from what I'm hearing, it's just a
3 question of when they occur. Would you agree with that?

4 MR. DAVID PETURSSON: I would agree with
5 that. It should be noted that the -- with a lot of the
6 damages that typically occur in the front yard of
7 residences are excavation damages.

8 If the -- they typically occur in the
9 summer time and the -- if the damage is hitting a gas
10 pipe in an open excavation in which case any gas is
11 released to the atmosphere until the repair can fix that
12 problem.

13 With the gases released to atmosphere,
14 it's not desirable but it's different than some of the
15 issues that were being addressed on that transmission
16 line.

17 MR. BOB PETERS: All right. What you're
18 telling the Board is that if damages or when damages
19 occur, that's a bad thing but it's a good thing if they
20 vent to the atmosphere?

21 MR. DAVID PETURSSON: Yes.

22 MR. BOB PETERS: And that's because if
23 they don't vent to the atmosphere when the line is
24 damaged, the gas could migrate underground and end up in
25 a dwelling or some other building.

1 MR. DAVID PETURSSON: Yes. Gas
2 dissipating to atmosphere is -- is a concern but far less
3 of a concern than having gas accumulate.

4 MR. BOB PETERS: And gas accumulating is
5 a problem because if there's a source of ignition then
6 you've really got a problem.

7 MR. DAVID PETURSSON: Yes.

8 MR. BOB PETERS: Have there been any
9 incidences in Manitoba in your four (4) party trenching
10 to date where there have been damages?

11 MR. DAVID PETURSSON: Yes.

12 MR. BOB PETERS: Do you know how many?

13

14 (BRIEF PAUSE)

15

16 MR. DAVID PETURSSON: Nine (9) damages.

17 MR. BOB PETERS: In any of tho -- in
18 those cases, have there been any explosions?

19 MR. DAVID PETURSSON: No.

20 MR. BOB PETERS: Any loss of life?

21 MR. DAVID PETURSSON: No.

22 MR. BOB PETERS: Any personal injury?

23 MR. DAVID PETURSSON: No.

24 MR. BOB PETERS: Has it resulted in the
25 gas being ignited?

1 MR. DAVID PETURSSON: No.

2 MR. BOB PETERS: In a four (4) party
3 trench situation, if there is damage to the gas line, how
4 does the utility propose to correct that damage?

5 MR. DAVID PETURSSON: We would respond
6 similar to how we would in a conventional sense by, you
7 know, stopping the gas supply and effecting a repair of
8 the damaged area.

9 MR. BOB PETERS: When you repair and I
10 guess I'm thinking of what happens, something happened up
11 in the Stonewall area or the Inter Lake where you had
12 valves you could turn off, does four (4) party trenching
13 install valves that lend itself to isolating the -- the
14 damage or do you have to go in and squeeze the line off?

15 MR. DAVID PETURSSON: To date, we've been
16 installing valves in four (4) party areas to facilitate
17 stopping the gas supply.

18 MR. BOB PETERS: Is that what was used in
19 those instances of nine (9) damages?

20 MR. DAVID PETURSSON: In some cases, yes,
21 other cases, no.

22 MR. BOB PETERS: In the cases where the
23 valves weren't used, what did the Company do to stop the
24 gas from continuing to flow?

25 MR. DAVID PETURSSON: Dug and squeezed,

1 as we do conventionally.

2 MR. BOB PETERS: Mr. Chairman, I see from
3 my notes I want to turn to the issue of costs and would
4 suggest that that might be a matter for after the lunch
5 recess if that suits the Board.

6 THE CHAIRPERSON: Mr. Peters, how much --
7 how much longer do you think your cross-examination will
8 require? I'm going to ask Mr. Holloway the same
9 question.

10 MR. BOB PETERS: I'm thinking an hour.

11 THE CHAIRPERSON: Mr. Holloway, do you
12 have an estimate as to how long you would expect to
13 examine the Panel?

14 MR. IVAN HOLLOWAY: Well prior to hearing
15 Mr. Peters, it would have been quite a while. But many
16 of my questions have been usurped so it's becoming a lot
17 less.

18 Depending upon on what Mr. Peters has to
19 ask because it's limiting the number of my questions,
20 right now I'm probably looking at maybe half an hour.

21 THE CHAIRPERSON: Mr. Boyd, have you
22 developed any view as to your cross-examination of the
23 Panel?

24 MR. SANDY BOYD: No questions so far.

25 THE CHAIRPERSON: Okay. Well then we'll

1 come back at one o'clock, and thank you.

2

3 --- Upon recessing at 12:00 p.m.

4 --- Upon resuming at 1:05 p.m.

5

6 THE CHAIRPERSON: Okay, Mr. Peters,
7 whenever you're ready.

8

9 CONTINUED BY MR. BOB PETERS:

10 MR. BOB PETERS: Mr. Petursson, before
11 the lunch break you told the Board that there were four
12 (4) instances of damages related to the four (4) party
13 trenching that has been in installed in the past several
14 years; is that correct?

15 MR. DAVID PETURSSON: I show that we've
16 got nine (9) damages in four (4) party areas.

17 MR. BOB PETERS: I -- thank you for that
18 correction. I misspoke.

19 In terms of those nine (9) damages, can
20 you indicate how many of those were contractor and how
21 much -- how many of those were homeowner-caused?

22 MR. DAVID PETURSSON: All of those were
23 contractor; none -- none were homeowner.

24 MR. BOB PETERS: Were any of those
25 contractors hired by homeowners?

1 (BRIEF PAUSE)

2

3 MR. DAVID PETURSSON: That is not
4 apparent right now on the records I've got, however,
5 these were all involved on the initial construction of
6 the -- of the areas, whether it was the developer or
7 homeowner hiring somebody, say, to install sewer is not -
8 - we -- we don't keep track of who hires the contractors.

9 MR. BOB PETERS: Well, typically a
10 homeowner wouldn't hire the -- the sewer contractor would
11 they; that would be done through the developer?

12 MR. DAVID PETURSSON: Typically that is
13 the case.

14 MR. BOB PETERS: I was thinking more
15 along the lines and if you're -- if you're inclined like
16 me driving a fence post could be a challenge and so you
17 would -- you might engage a contractor to help you with
18 some of your landscaping and the like?

19 MR. DAVID PETURSSON: By the look -- by
20 the nature of the work being done by these contractors I
21 -- without being able to confirm with their hard data
22 right now I strongly suspect that they were hired by
23 developers, not by the homeowners.

24 MR. BOB PETERS: Thank you. And were
25 those damages then front-yard damages as opposed to side

1 yard or backyard?

2 MR. DAVID PETURSSON: Of the nine (9)
3 damages seven (7) were on the gas main, two (2) were on
4 the service lines. The damage of those service lines,
5 even though they were four (4) party areas, would have
6 occurred likely regardless of whether they'd been four
7 (4) party or not and -- but they were all front yard.

8 MR. BOB PETERS: Sorry, I didn't
9 understand that last comment. Of the contacts with the
10 gas service line, that would have happened whether or not
11 it was four (4) party is what you said?

12 MR. DAVID PETURSSON: Yeah. Our service
13 line is -- our service line's in a similar -- similar
14 spot to where it would be on four (4) party or
15 conventional and the difference really with the four (4)
16 party is the presence of the four (4) party main trench.
17 And damage to a service line could happen -- these
18 damages could have happened on conventional or four (4)
19 party regardless of where the main trench was located.

20 MR. BOB PETERS: And turning to the issue
21 of capital costs and some of this was discussed in the
22 response to PUB/Centra Information Request Number 3, can
23 I summarize it this way that initially at the GRA Centra
24 expected it would be optimized by the fall of 2005; that
25 was the expectation?

1 MR. DOUG KROEKER: Yes, I think the
2 response to one (1) of the IR's as part of the GRA said
3 that we would optimize by the end of 2005.

4 MR. BOB PETERS: And the Board orders
5 that issued gave you a year-end deadline?

6 MR. DOUG KROEKER: Yes, and that was that
7 all the optimization be completed by the end of 2005. It
8 was the design of the process and then we would commence
9 the implementation in January of '06.

10 MR. BOB PETERS: And then when the Board
11 provided its Orders 103/05 and 135/05 there was still a
12 year-end deadline, December 31 of '05, to report back on
13 the savings and no increased risk to public safety as
14 part of the -- as part of Centra's review?

15 MR. ROBIN WIENS: Yeah. That headline I
16 believe was in Order 135 was to report back by the end of
17 that calendar year.

18 MR. BOB PETERS: And then when Centra
19 filed its December 15th report, Mr. Wiens, indicating
20 that there had been no optimization yet and the Board
21 continued the four (4) party trench approval and
22 indicated an order to follow, and that order that
23 followed was in Order 10/06?

24 MR. ROBIN WIENS: That's right.

25 MR. BOB PETERS: And you'd agree with me

1 that Order 10/06 further extends the time for optimizing
2 and complying with the directives to August 31 of '06?

3 MR. ROBIN WIENS: That's correct.

4 MR. BOB PETERS: And in addition to
5 extending the time, the Board also wanted to see the
6 capital costs that -- that Centra said had to be expended
7 in order to implement the optimized plan?

8 MR. ROBIN WIENS: That's also correct.

9 MR. BOB PETERS: And Centra did show the
10 Board those capital costs -- and I think they're found on
11 page 52 of the Centra Exhibit 1, if you want to see them
12 in specific -- but in addition to showing -- I'm sorry,
13 they're attached at page 58 of the Centra Exhibit 1.

14 And, Mr. Wiens, that was Centra telling
15 the Board what their expectation was of additional costs
16 or capital costs that needed to be expended to implement
17 the optimized four (4) party trench process?

18 MR. ROBIN WIENS: That's correct.

19 MR. BOB PETERS: And when the -- when
20 Centra sent in that costing information, Centra wanted
21 then to await the Board's advice as to whether to
22 continue or not continue?

23

24

(BRIEF PAUSE)

25

1 MR. ROBIN WIENS: Yeah. To be precise,
2 Mr. Peters, Centra was -- was waiting for the approval to
3 actually incur those capital expenditures.

4 MR. BOB PETERS: And that's what's said
5 on page 52 of Centra Exhibit 1, in the last paragraph,
6 Centra was going to await the Board's advice prior to
7 incurring the costs?

8 MR. ROBIN WIENS: That's correct.

9 MR. BOB PETERS: And Centra did receive
10 the Board's approval by way of a -- of a letter of April
11 21 of '06?

12

13 (BRIEF PAUSE)

14

15 MR. BOB PETERS: Found at page 60 of the
16 exhibit.

17 MR. ROBIN WIENS: Yes, I have that.

18 MR. BOB PETERS: That was the Board
19 giving the green light?

20 MR. ROBIN WIENS: Yes, that's -- that's
21 correct.

22 MR. BOB PETERS: And that's how Centra
23 interpreted it, that it had the green light to proceed?

24 MR. ROBIN WIENS: It had the green light
25 to incur the capital expenditures, yes.

1 MR. BOB PETERS: And to incur the capital
2 expenditures to proceed with the implementation of the
3 optimized construction methodology?

4 MR. ROBIN WIENS: Yes. And I'll point
5 out that along with that the -- the letter that's dated
6 April the 21st requested a report based on total costs to
7 March 31st, 2006, in order that the Board might receive
8 the information by July the 31st of 2006.

9 MR. BOB PETERS: And Centra could comply
10 with that because it was asking for historical costs that
11 the Corporation had?

12 MR. ROBIN WIENS: Yes. We believed we
13 could comply with that.

14 MR. BOB PETERS: And when you submitted
15 the information in the July 26th report, there was no
16 suggestion that Centra had stopped implementing its
17 optimized four (4) party trench methodology, did it?

18

19 (BRIEF PAUSE)

20

21 MR. ROBIN WIENS: That's correct.

22 MR. BOB PETERS: Was there some reason
23 that Centra didn't tell the Board that it had put the
24 four (4) party trench optimized process on hold?

25

1 (BRIEF PAUSE)

2

3

4

5

6

7

8

9

MR. ROBIN WIENS: I think there was some concern, on our part, that the extension of the process by a month or two (2) at a time wasn't giving Centra a lot of confidence that we were going to complete that and evaluate it in time for the potential directive that would effectively end our ability to carry out this program.

10

11

12

13

MR. BOB PETERS: And if that was the internal thinking, and I'm not suggesting it wasn't, Mr. Wiens, there was no communication of that to the Board at that time?

14

15

16

17

18

19

20

MR. ROBIN WIENS: That is correct.

MR. BOB PETERS: And so in PUB/Centra IR-3, when Centra indicates it delayed implementing its optimized process for reasons that the panel have said is due to uncertainty, that's the uncertainty that's being referred to, is you weren't sure whether in the long run this was going to get the -- keep the green light?

21

22

23

24

25

MR. ROBIN WIENS: That's correct.

MR. BOB PETERS: And the greater certainty being sought and this may be a repetition, but being sought in this proceeding is you want the Board to approve the four (4) party trench methodology in

1 principle, and then come back before the Board when the
2 cost information is known and defend your costs as you
3 would in any other application before the Board?

4 MR. ROBIN WIENS: Well, I think, yeah,
5 that's -- that's generally what we're asking for. I
6 think I could say that over the course of this process
7 and I'm sure that it will roll out this way, we will have
8 opportunities to communicate with the Board on a regular
9 basis and advise them of our situation at that time.

10 MR. BOB PETERS: In terms of the cost to
11 date that have been incurred the information -- the
12 latest information the Board has is found at PUB/Centra
13 IR-5 and it's found on page 2 of 3, if I've got it right?

14 And that is, in total to March of '06,
15 there's been seven hundred and eighty-seven thousand six
16 hundred dollars (\$787,600) approximately of additional
17 costs through the four (4) party trenching initiative,
18 compared to conventional methodology?

19 MR. ROBIN WIENS: That's what's
20 represented on the first page of that response,
21 PUB/Centra 5A.

22 MR. BOB PETERS: And since this response
23 was prepared there's additional information that the
24 Corporation has, meaning that there's been more than
25 sixty-six (66) projects that have been completed under

1 four (4) party trench methodology?

2

3

(BRIEF PAUSE)

4

5 MR. ROBIN WIENS: Mr. Peters, I'm advised
6 there are no more where we have actually closed the work
7 orders on them. There are some that are pending that
8 were occurring the during the period up to July 31, but
9 the work order haven't been closed, so we haven't gone
10 back and analyzed those costs.

11 MR. BOB PETERS: Thank you for that, Mr.
12 Wiens. Mr. Wiens, on page 2 of 3 of Centra -- sorry of
13 PUB/Centra 5, there's a historical chart providing
14 information of the additional costs.

15 What was intended to be asked for was the
16 information for the fiscal year ending 2005 and the
17 answer may have mis-interpreted the question only because
18 I was expecting to see 2004 fiscal year represented in
19 the answer or have I -- is all the information before the
20 Board in terms of the -- the costs incurred what would
21 have been in the year ending March 31, 2005?

22

23

(BRIEF PAUSE)

24

25 MR. BOB PETERS: Mr. Wiens, can I try it

1 this way? To come to your figure of seven hundred and
2 eighty-seven thousand six hundred dollars (\$787,600)
3 would the -- would the information on page 2 of 3 provide
4 a partial answer as to those additional costs and
5 whatever amount is missing would be attributed to the
6 fiscal 2005 year?

7

8

(BRIEF PAUSE)

9

10 MR. ROBIN WIENS: Mr. Peters, I think
11 we've sorted it out. What says -- what states fiscal
12 year 2005 at the top of page 2 is in fact fiscal year
13 2005, the year ended March 31, 2005, and what is said to
14 be fiscal 2006 is, in fact, the year ended March 31,
15 2006.

16 MR. BOB PETERS: And the Company also did
17 -- did four (4) party trench installations in the year
18 ending March 31, 2004?

19 MR. ROBIN WIENS: Yes, there were some.

20 MR. BOB PETERS: And the additional costs
21 from that year when added to the additional costs of '05
22 and '06 would come up with -- would -- would total the
23 seven hundred and eighty-seven thousand six hundred
24 dollars (\$787,600)?

25 MR. ROBIN WIENS: Yes, that's correct.

1 MR. BOB PETERS: All right. I apologize
2 for the tortured questions.

3 MR. ROBIN WIENS: We also apologize for
4 the tortured answers.

5 MR. BOB PETERS: There was a question
6 asked in PUB-15, maybe more an observation, that the
7 further you got from the perimeter highway, the higher
8 the cost for four (4) party trench went, although perhaps
9 not directly proportionate.

10 The highest cost four (4) party trench
11 installations seemed to be outside of the City of
12 Winnipeg and in Brandon; do you agree with that?

13 MR. ROBIN WIENS: Yes, I do.

14 MR. BOB PETERS: And the answer seems to
15 suggest that the -- the reason for that is that the --
16 the model that was used in Brandon wasn't the same as the
17 model used in Winnipeg?

18 MR. ROBIN WIENS: Yes, that's correct.

19 MR. BOB PETERS: And by that what you
20 mean is that there was -- there were more bodies onsite
21 in the Brandon installations and those bodies cost more
22 money?

23 MR. ROBIN WIENS: That is correct.

24 MR. BOB PETERS: And the Winnipeg model,
25 the only additional bodies that you have are the -- the

1 fuser and the tester that you add to the Centra crew; is
2 that correct?

3 MR. ROBIN WIENS: That's right. It's not
4 a -- a full complement contractor crew; it's only a
5 portion thereof as opposed to the Brandon model which was
6 a full complement crew.

7 MR. BOB PETERS: Why -- why didn't you
8 use the Winnipeg model in Brandon?

9 MR. DOUG KROEKER: It was -- it wasn't
10 used in Brandon for practical reasons considering the
11 other work that was there. We have a contractor engaged
12 under the General Maintenance Services contract for the
13 gas pipeline portion of our business. We have a crew
14 stationed in Brandon and there isn't -- we can't split
15 that crew up and have a portion of this crew go on to
16 other gas-related work and -- and only use a portion of
17 this crew on four (4) party. And we also don't want to
18 do that to the contractor and then have the rest of that
19 crew leave and go to other work for other companies and
20 then not be able to get them back.

21 So it was a practical way to manage the --
22 the workload and ensure the stability of that crew for
23 us.

24 MR. BOB PETERS: That came at -- at an
25 additional cost?

1 MR. DOUG KROEKER: And that did come at
2 an additional cost.

3 MR. BOB PETERS: But when this four (4)
4 party trench is optimized, as proposed by the Company, it
5 won't have the same inefficiencies built into it?

6 MR. DOUG KROEKER: That's true. We plan
7 to train personnel -- in-house personnel in the Brandon
8 area and equip them with the required tools in order for
9 them to complete the work themselves and at that point we
10 would only see additional personnel on the crew
11 associated with the fusing and testing, as -- as would be
12 the case in Winnipeg.

13 MR. BOB PETERS: One of the things you've
14 indicated in answer to PUB/CENTRA-15 on there, Mr.
15 Kroeker, is that you're going to cut back on the
16 inspection of the four (4) party trenching and that's
17 going to generate some cost savings?

18 MR. DOUG KROEKER: Yes, that's correct.

19 MR. BOB PETERS: And, as I understand it
20 then, presently you would have an inspector on site
21 during the entire time that the four (4) party trench is
22 being installed?

23 MR. DOUG KROEKER: That is correct.

24 MR. BOB PETERS: And what the inspector
25 is looking at is the gas line being put in tighter

1 proximity to the other utilities and making sure it's a
2 safe distance away?

3 MR. DOUG KROEKER: That's right. His
4 responsibilities relate to the gas portion of the work.
5 For that, not only the placement and alignment but, as
6 well, he's there to monitor the fusing and the testing of
7 the gas pipe lines.

8 MR. BOB PETERS: And you expect to be
9 able to reduce the inspections that you do so that it's
10 not done 100 percent of the time; would that be true?

11 MR. DOUG KROEKER: That's correct. We
12 won't have an independent inspector watching over the
13 workers. They will be, as in the case of other in-house
14 staff, performing work on the gas system. We make those
15 staff responsible for the quality of their work, and it's
16 not a normal practice of us to have someone watching over
17 their shoulders regularly, inspecting work and -- and so
18 that's what we would adopt here.

19 MR. BOB PETERS: Does that mean there's
20 going to be fewer people involved in terms of you don't
21 need an inspector on site at all?

22 MR. DOUG KROEKER: That -- I guess when
23 we talked this morning about the number of people on site
24 and I had indicated that currently there would be twelve
25 (12) people on site, I was thinking of the folks doing

1 the installation and I wasn't thinking of the inspector.

2 So if we would add to that number, today
3 there would be thirteen (13) people on site for that crew
4 that I was speaking of if we include the inspector in
5 that. Then, going forward into the future, that
6 inspector would not be on site full time and we would be
7 back to the twelve (12) workers.

8 MR. BOB PETERS: And if the inspector is
9 not on site full time, who's doing the inspections?

10 MR. DOUG KROEKER: The workers themselves
11 will be responsible for the quality of their work. On
12 those construction sites we also have a foreman of the
13 crew who's responsible for scheduling, responsible for
14 the progress of the work, as well as the -- as well as
15 ensuring it's completed to our standards and
16 specifications. And there is also a lead-hand on the
17 crew which has oversight responsibilities for the work as
18 well. And those two (2) individuals would -- would be
19 looking, too, to attest to the quality of the work.

20 MR. BOB PETERS: Aren't the workers
21 presently responsible for the quality of their own work?

22 MR. DOUG KROEKER: The workers, are you
23 referring to the contract workers on the gas side of the
24 business or the electric --

25 MR. BOB PETERS: I'm referring to the

1 need for any inspector once four (4) party trench is
2 optimized?

3 MR. DOUG KROEKER: We have decided that
4 when we go to that model of in-house crews, when we get
5 them trained, the inspector will be on site with them for
6 a period of time as we start down that path and then we
7 will reduce the level of inspection. And what we will
8 replace that with is some auditing. So there will be no
9 inspection per se as we do it today but there will be
10 auditing of the work performed by the crews.

11 MR. BOB PETERS: Does auditing suggest
12 you have to take the earth back out of the trench to see
13 what was done?

14 MR. DOUG KROEKER: No. The auditing that
15 we would be doing would be during construction auditing.
16 I can't rule out the fact that we may do some line
17 locating and tracer wire continuity type checks after the
18 fact but I was primarily referring to during construction
19 that the auditing would take place.

20 MR. BOB PETERS: And the largest savings
21 in terms of human resource costs will come from the fact
22 that you're changing the way in which you inspect the
23 construction on four (4) party trenching compared to
24 conventional?

25 MR. DOUG KROEKER: Yes. Our inspection

1 costs on four (4) party have been quite significant with
2 our current model and will be significant savings as we
3 move away from the current model.

4 MR. BOB PETERS: Mr. Wiens, I think
5 you're answering questions on the feasibility test and if
6 you are, am I correct that when you do a feasibility test
7 presently to extend gas to an urban residential
8 development you embed the assumption that only 65 percent
9 of the -- of the customers will use natural gas?

10 MR. ROBIN WIENS: Yes, in Winnipeg.

11 MR. BOB PETERS: Does that number change
12 outside the city?

13

14 (BRIEF PAUSE)

15

16 MR. ROBIN WIENS: We use 50 percent in
17 the city of Brandon. And outside of Winnipeg and Brandon
18 the assumption is that it will be even a smaller
19 proportion of services -- of new homes will take gas.

20

21 (BRIEF PAUSE)

22

23 MR. ROBIN WIENS: That would be in the
24 first five (5) years. And I'm advised as well that the
25 50 percent would apply to other growth areas in the

1 province such as Winkler.

2 MR. BOB PETERS: In the feasibility
3 study, Mr. Wiens, you are currently putting in the
4 assumed conventional gas main installation costs as part
5 of the cost component?

6 MR. ROBIN WIENS: That's correct.

7 MR. BOB PETERS: You're not using the
8 four (4) party trench costs?

9 MR. ROBIN WIENS: That's correct.

10 MR. BOB PETERS: Why don't you use the
11 four (4) party trench costs in the feasibility tests for
12 these new developments?

13

14 (BRIEF PAUSE)

15

16 MR. ROBIN WIENS: Mr. Peters, part of the
17 reason is consistency and, of course, part of the reason
18 is that we do believe we're going to take those costs
19 down in future.

20

21 (BRIEF PAUSE)

22

23 MR. BOB PETERS: The last part of your
24 last answer, Mr. Wiens, suggests that the company expects
25 the costs of four (4) party trench installation to be on

1 par if not better than with conventional installation;
2 correct?

3 MR. ROBIN WIENS: Well, we -- we're
4 hoping we will be able to get them as low as possible but
5 our assumption at this point is that we would achieve
6 cost parity.

7 MR. BOB PETERS: All right. If we assume
8 that you can't reach cost parity or even, I think Mr.
9 Snyder indicated, five (5) or 10 percent of parity --
10 within 5 percent or 10 percent of parity, would Centra
11 consider using the actual installation costs for four (4)
12 party trench rather than the estimated conventional costs
13 presently used in the feasibility test?

14 MR. ROBIN WIENS: Well, there's a whole
15 host of questions that we would want to answer if it
16 became apparent to us that we were only going to get down
17 to, say, within 5 or 10 percent. We would be --
18 certainly the feasibility test is -- is one (1) issue
19 that we would be looking at.

20 We'd obviously be looking at what are the
21 barriers to us getting down to -- right to parity and we
22 might very well be inclined to undertake a further review
23 that we may be looking at a situation in which it was not
24 realistic to assume using any method that we would get
25 down to where the assumptions are -- regarding

1 conventional installation are today.

2 Mr. -- Mr. Peters, --

3 MR. BOB PETERS: I though the Liberal
4 candidacy election was over and that political answer,
5 Mr. Wiens, I guess what you're telling the Board is
6 you're going to look at that in the future if it arises.

7 You're not going to be prepared to commit
8 today?

9 MS. ROBIN WIENS: That's correct.

10 MR. BOB PETERS: All right. Thank you,
11 Mr. Ignatiuk -- I meant, Mr. Wiens.

12 MR. ROBIN WIENS: Well, if you're going
13 to confuse me with any of them, that's probably the best
14 one (1).

15 MR. BOB PETERS: In terms of the present
16 installation and let me get back to my notes here, does
17 Centra have agreements with developers as to how they're
18 going to install their gas mains and services?

19

20 (BRIEF PAUSE)

21

22 MR. DAVID PETURSSON: No, we do not.

23 MR. BOB PETERS: Would it suffice to say,
24 Mr. Petursson, that the developer expects that -- excuse
25 me, the developer expects that Centra and the other

1 utilities will install the necessary infrastructure to
2 support the buildings that are being built?

3 MR. DAVID PETURSSON: I think that's a
4 fair statement.

5 MR. BOB PETERS: And if you need an
6 easement on which to put your utilities, they do grant it
7 and they will grant it?

8

9 (BRIEF PAUSE)

10

11 MR. DAVID PETURSSON: Sorry, Mr. Peters,
12 could you repeat your question? I believe it was about
13 the developers granting the easement? Yeah, the
14 developers will grant the easement as required for us to
15 install the plant but the -- the developers actually are
16 quite supportive of this. They -- there are benefits to
17 the -- to the developers that four (4) party presents.

18 First the -- getting all the shallow
19 utilities in, you know, in a short timeframe and
20 coincidentally is a benefit to the developers to allow
21 them to continue and -- with the developments that they
22 are putting in and building houses, yeah.

23 MR. BOB PETERS: There's no mandatory
24 requirement from any developer that you use four (4)
25 party trench compared to conventional installation?

1 MR. DAVID PETURSSON: We've got no -- no
2 hard agreements where they require it but many have come
3 to expect it and very much appreciate it.

4 MR. DOUG KROEKER: Let me just add to Mr.
5 Petursson's answer if I could. The -- you know, one (1)
6 noticeable exception to that is in the City of Brandon
7 they -- there's no formal agreements with the developers
8 in the City of Brandon but they -- the City of Brandon
9 operates on a different method for completion of
10 developments and starting home construction.

11 In the City of Brandon, the City requires
12 all services to be installed into a subdivision and to
13 the -- and for the streetlights to be operational before
14 they will issue building permits to home builders. And
15 that's certainly very different than what's done in the
16 City of Winnipeg.

17 But because of that the developers in
18 Brandon want to get the shallow utility services
19 installed as quickly as they can so the fact that we come
20 in there with four (4) party, one (1) crew, and all of
21 the services installed are at one (1) -- are installed at
22 one (1) time and the we move out, they like that. It's
23 very conducive to -- or at least service in the
24 development and to an early turn-on of all the lights and
25 then to the sale of the lots and the issuing of the

1 building permit so they're very much in favour it -- in
2 favour of it and would be very disappointed to see us go
3 back to the former method.

4 MR. BOB PETERS: And you expect that's
5 the same from Winnipeg developers although maybe not
6 quite as concrete?

7 MR. DOUG KROEKER: The feedback we have
8 from the Winnipeg developers is that they do like it, but
9 the City of Winnipeg does have a different permitting
10 practice for homes and will issue permits for home
11 construction before utility services are in and they do
12 that on a regular basis.

13 MR. BOB PETERS: Speaking of other
14 jurisdictions, Mr. Kroeker, in PUB/Centra-9, it looked
15 like Centra did a survey of some of the other utilities
16 including Union, Embridge and Atco, I think.

17 And in those cases, there were cost
18 savings realized by the utility in four (4) party
19 trenching, is that correct?

20 MR. DAVID PETURSSON: That is correct.

21 MR. BOB PETERS: And Mr. Petursson, have
22 you analyzed why other utilities can save money by going
23 to four (4) party trenching, but Centra's expectations is
24 now cost parity with conventional installation?

25 MR. DAVID PETURSSON: I haven't got

1 sufficient information to analyze it. One (1) thing is
2 clear though, is they've been at it longer than what we
3 have and I suspect they've had ample opportunity to
4 optimize their processes.

5 MR. BOB PETERS: Is another matter that's
6 clear, is that other jurisdictions use external
7 contractors?

8 MR. DAVID PETURSSON: Some do, but not
9 all.

10

11 (BRIEF PAUSE)

12

13 MR. BOB PETERS: In PUB 11 -- PUB/Centra
14 IR-11, there were some steps that Centra still needs to
15 take to optimize the four (4) party trench process. And
16 I take it these are the steps that Centra would embark on
17 if the Board approved the application and the continued
18 use of four (4) party trenching?

19 MR. DOUG KROEKER: Yes, those are the
20 significant items left to be done.

21 MR. BOB PETERS: In terms of the
22 timeline, you find on page 3 of 3 of Centra -- PUB/Centra
23 11, a fully costed activity plan with timelines in it.

24 Do I take from this that even if the Board
25 gave approval as being requested today, when would be the

1 earliest that four (4) party trench in an optimized form
2 would be out in the field?

3 MR. DOUG KROEKER: Twelve (12) months
4 from the date of approval.

5 MR. BOB PETERS: And between -- excuse
6 me, in the interim, Centra is taking incremental steps as
7 indicated on the fully costed activity plan to reach a
8 fully optimized construction process?

9 MR. DOUG KROEKER: That's correct, Mr.
10 Peters.

11 MR. BOB PETERS: So, if it takes a full
12 twelve (12) months, why is it that you want to wait
13 twenty-four (24) months before the Board looks at the
14 data that is collected, in terms of the cost
15 efficiencies?

16 MR. DOUG KROEKER: We believe that it's
17 going to take us twelve (12) months to make the number of
18 changes that we need to make to get to the point where we
19 believe that the model is fully optimized.

20 And then at that point, we would like to
21 be able to do a number of projects to help us see where
22 the costs are coming in and monitor it and then make any
23 more modifications that need to be made.

24 As well, we consider it to be quite a
25 significant step to move away from our current method of

1 construction inspection to the one I described earlier
2 and we certainly want to take our time in moving away
3 from that and then allow some time for monitoring of it.

4 MR. BOB PETERS: Would that suggest then
5 that the -- that the true optimization won't occur until
6 approximately eighteen (18) months from the date of Board
7 approval?

8 MR. DOUG KROEKER: No, our process of
9 optimization is a continuous process. As soon as we get
10 the green light, we'll continue to make as many steps as
11 we can ahead of time and I don't think -- well I
12 certainly know that they -- all of the steps won't wait
13 eighteen (18) months -- we'll be taking many smaller
14 steps along the way.

15 But, certainly after the twelve (12)
16 months timeframe we believe that we will have implemented
17 all of the items of our process that are part of the
18 optimized process.

19 And then having a few months to practice
20 that and work at it and review the results, then I would
21 think that eighteen (18) months from the time of approval
22 that we would be fully optimized and that would be the
23 point in time at which we should identify projects for
24 the purposes of a cost analysis.

25 MR. BOB PETERS: All right. Back to

1 PUB/Centra-11B and the steps to optimize, there's an
2 indication that there has to be the completion of the
3 training of internal staff to complete all aspects of gas
4 installation necessary for URD projects.

5 Do I take from this answer that you have
6 to train internal staff to do the things that you're
7 presently contracting out?

8 MR. DOUG KROEKER: That is correct.

9 MR. BOB PETERS: And presently, is there
10 any restriction on the employees that you have -- the
11 internal employees doing the work, where their prohibited
12 from doing some gas work?

13 MR. DOUG KROEKER: Do you mean by your
14 question, Mr. Peters, is there something -- something
15 preventing -- some sort of a policy or procedure
16 preventing us from training these people?

17 MR. BOB PETERS: Let me ask it a
18 different way.

19 It looks from the way you've set out the
20 plan that you're going to optimize, that you have people
21 right now, in the three (3) party trench that you will
22 want to be able to do the work in a four (4) party
23 trench, would that be fair?

24 MR. DOUG KROEKER: Yes, that's right.

25 MR. BOB PETERS: And the only change

1 that's happening is you're introducing a gas line into
2 the trench nothing else?

3 MR. DOUG KROEKER: To move from the three
4 (3) party to four (4) party, yes, that pretty much sums
5 it up.

6 MR. BOB PETERS: All right. And the
7 people that you have presently in the three (3) party
8 trench, aren't able to do the gas work and hence you're
9 bringing in external contractors?

10 MR. DOUG KROEKER: That's correct.

11 MR. BOB PETERS: And you have people in
12 the organization though, who would be qualified, don't
13 you, to do the gas work in the trench?

14 MR. DOUG KROEKER: Yes, we do have people
15 that work and maintain the pipelines on a regular basis
16 and are familiar with the required procedures.

17 MR. BOB PETERS: And why aren't those
18 people being included in the four (4) party trench crew
19 at this time, rather than the external contractor?

20 MR. DOUG KROEKER: Those folks are fully
21 engaged on the maintenance of our system. And we -- if
22 we were to free them up to work on construction projects,
23 then it would leave the maintenance of our system
24 unattended to.

25 MR. BOB PETERS: So you need to hire more

1 people?

2 MR. DOUG KROEKER: Yes, we are going to
3 train more personnel. We also, in an earlier report and
4 I believe it was in our July report, we've identified
5 five and a quarter (5 1/4) additional EFT's that would be
6 directed towards the gas side of four (4) party
7 installations.

8 MR. BOB PETERS: And that's still the
9 plan?

10 MR. DOUG KROEKER: That is still the
11 plan.

12 MR. BOB PETERS: And those five (5)
13 people you hire will be able to do the gas installation
14 work in the four (4) party trench, where presently that
15 information or that ability is lacking?

16 MR. DOUG KROEKER: That's correct. We
17 may use people that are already employees of Manitoba
18 Hydro to do the gas work and these five and a quarter (5
19 1/4) EFT's would backfill those people.

20 MR. BOB PETERS: Are there any
21 professional requirements that your employees have to
22 have to go into the trench to work on either the gas or
23 the electricity?

24 MR. DOUG KROEKER: For Manitoba Hydro
25 staff, there isn't any professional designation. They

1 are required to have certification through our training
2 centre, but no external certification.

3 MR. BOB PETERS: Does it matter which
4 union an employee belongs to as to whether or not they
5 can perform work in the four (4) party trench?

6 MR. DOUG KROEKER: I might be interested
7 in hearing Sandy -- Mr. Sandy Boyd's comment later, but I
8 -- I don't believe there is. I believe that the unions
9 have sorted out jurisdiction and have identified core gas
10 jobs.

11 We certainly have a number of positions in
12 our Corporation where employees work on both -- unionized
13 employees work on both gas and electric, and I think that
14 we'd be able to accomplish that here as well.

15 MR. BOB PETERS: From a previous answer I
16 take that you will certify and internally train any
17 employee that you have so that that employee could do the
18 gas or the electric installation in the four (4) party
19 trench?

20 MR. DOUG KROEKER: That's right. We will
21 have on each of those construction crews over time -- all
22 of the personnel on there will be familiar with the gas
23 and electric procedures, although the work of fusing and
24 testing will predominantly fall to a small number of
25 people on that crew that -- that can work at it on a

1 regular basis and obtain a higher level of proficiency in
2 that work.

3 MR. BOB PETERS: But those people who do
4 the fusing and testing of the gas line don't have to have
5 any professional designation, they don't have to belong
6 to any particular union from the Corporation's point of
7 view?

8 MR. DOUG KROEKER: They do not need any
9 external certifications but they will certainly need to
10 belong to one of Manitoba Hydro's unions.

11 MR. BOB PETERS: And it doesn't matter
12 which one of the unions they belong to?

13 MR. DOUG KROEKER: Well, I think the --
14 the unions will definitely determine that jurisdiction.
15 I would think it would be the IBEW Union but the
16 jurisdiction will -- will definitely need to be sorted
17 out.

18 MR. BOB PETERS: Maybe my lack of
19 familiarity is -- is making the questions clumsy but
20 using your last answer, can a -- can a Manitoba
21 Hydro/Centra employee who belongs to the International
22 Brotherhood of Electrical Workers go into the four (4)
23 party trench to work on a gas main if properly trained by
24 the Utility?

25 MR. DOUG KROEKER: Yes.

1 MR. BOB PETERS: Yes. And likewise, can
2 a member of the Communication Energy & Paperworkers'
3 Union go into the trench and work on electricity matters
4 if certified by the Company?

5 MR. DOUG KROEKER: Yes.

6

7 (BRIEF PAUSE)

8

9 MR. BOB PETERS: There was one bullet --
10 I'll try to find it -- here it is -- on page 2 of 3 of
11 PUB/CENTRA-11 about reinforcing the feedback loop to
12 foster continuous improvements.

13 What does "reinforcing a feedback loop"
14 mean?

15 MR. DOUG KROEKER: It's just our
16 terminology for a continued improvement or a continuous
17 improvement process whereby we continually need to be
18 looking not only forward but backwards to measure past
19 performance.

20

21 (BRIEF PAUSE)

22

23 MR. BOB PETERS: Am I correct in
24 interpreting your answer to PUB/CENTRA-13 as meaning that
25 the Corporation presently has one internalized crew that

1 is now fully optimized?

2 MR. DOUG KROEKER: What page reference
3 are you referring to, Mr. Peters? Do you have that?

4 MR. BOB PETERS: I was hoping you
5 wouldn't ask me that. Page 2 of 13.

6 MR. DOUG KROEKER: Yes. Thank you very
7 much.

8 MR. BOB PETERS: I'm looking line 5.

9 MR. DOUG KROEKER: Thank you. Yes. We
10 do have one (1) crew that is performing the gas work and
11 fusing work.

12 MR. BOB PETERS: And this crew has been
13 working this past summer?

14 MR. DOUG KROEKER: Yes. I don't recall
15 off the top of my head exactly when it started but it
16 would -- it would have been sometime this summer.

17 MR. BOB PETERS: And that crew would have
18 been responsible for some of the URD projects found on
19 page 66 of Centra Exhibit 1?

20 MR. DOUG KROEKER: No, not -- they would
21 not have been -- that model of that crew -- I should step
22 back.

23 Certainly that crew would have performed
24 some of the -- some of the work of these project. It
25 would have completed the installation of some of these

1 projects, but it would not have been done with the
2 optimized model that they're now currently using because
3 this history that's shown on page 66 would have occurred
4 prior to the point in time when we trained the internal
5 staff and equipped them to perform the work.

6 MR. BOB PETERS: All right. So I've
7 heard from Mr. Wiens that then this crew would have done
8 work this past summer but those work orders are not yet
9 closed off so the costs haven't been totally accounted
10 for?

11 MR. DOUG KROEKER: That's correct.

12 MR. BOB PETERS: Could the Board take the
13 projects on which this one (1) optimized crew worked and
14 look at the costs of those URDs compared to conventional
15 installation to see how successful optimization is?

16

17 (BRIEF PAUSE)

18

19 MR. DOUG KROEKER: I don't think using
20 the work of that crew this past summer would be a fair
21 comparison. For one, we're still incurring the cost of
22 inspection. We still are inspecting with our model
23 geared towards an external contractor and secondly it was
24 the -- that crew just started recently performing that
25 work and I think they need an acclimatization period so

1 if we look at their early projects I don't think they
2 would be working to the same level of efficiency had they
3 had more exposure to the work.

4 MR. BOB PETERS: You can confirm that
5 they have all of the capital equipment that they need to
6 -- to be optimized?

7 MR. DOUG KROEKER: Yes.

8

9 (BRIEF PAUSE)

10

11 MR. BOB PETERS: Mr. Wiens, something you
12 told me before lunch didn't quite fit with something that
13 your panel-mates told me after lunch and I -- maybe I
14 didn't understand it, which is possible.

15 I understood you before lunch to be
16 telling the Board that as a result of your four (4) party
17 trench initiative the Corporation will not incur
18 additional overheads; is that correct?

19 MR. ROBIN WIENS: Additional? Yeah,
20 additional corporate overheads won't be incurred.

21 MR. BOB PETERS: I also thought I heard
22 just now or a few minutes ago an indication that and
23 confirmation that five point two five (5.25) EFTs or
24 equivalent full-time positions will be added to get to an
25 optimized four (4) party trench methodology?

1 MR. ROBIN WIENS: Mr. Peters, first
2 bringing on additional staff is not what we mean when we
3 talk about corporate overhead. Those are staff that we'd
4 be charging directly to those projects. But second and
5 at least equally important is that they would be
6 replacing contractor personnel.

7 MR. BOB PETERS: Well, the costs of those
8 additional employees may be covered by the costs that you
9 would otherwise spend on contractors; that's your point?

10 MR. ROBIN WIENS: That's one (1) of them,
11 yes.

12 MR. BOB PETERS: All right. And the
13 second point is that -- that overheads don't appear when
14 you have more bodies onsite, when you hire more bodies?

15 MR. ROBIN WIENS: Corporate overheads
16 don't reappear when you hire more bodies but you spread
17 existing overheads over -- over more individuals.

18 MR. BOB PETERS: And the -- maybe you
19 should just educate me, Mr. Wiens, then as to what do
20 overheads include?

21

22 (BRIEF PAUSE)

23

24 THE CHAIRPERSON: Without appearing in
25 any way disrespectful probably the group that we're

1 looking at, along with buildings and --

2 MR. ROBIN WIENS: Now, that's -- that's
3 even more painful than being compared to Mr. Ignatiuk,
4 but quite correct, Mr. Chairman.

5 It involves the -- the expenses that are
6 incurred to carry on business at a corporate level. It
7 doesn't -- it -- it doesn't include, for example, my
8 time. I don't believe it would include Mr. Kroeker's
9 time because his time would be accounted for in the
10 activity rates of the his staff but it would include
11 buildings, it would account -- include accounting
12 personnel, it would include some of the external
13 expenditures that we incur.

14

15 CONTINUED BY MR. BOB PETERS:

16 MR. BOB PETERS: Doesn't it follow, Mr.
17 Wiens, that as you add more employees the overheads will
18 also increase?

19 MR. ROBIN WIENS: I think if -- yes.
20 Measured over a long enough period of time, you add
21 enough employees you have to add more human resource
22 managers, you have to add more buildings but I think if
23 you're talking about at a -- at a level of -- of adding a
24 few additional employees it's not going to add
25 meaningfully to our overheads -- our corporate overheads.

1 MR. BOB PETERS: Same answer if we get
2 down to capital equipment? You're buying more equipment,
3 you've got to service it. There's costs associated with
4 all of that; that doesn't contribute to the overheads?

5 MR. DOUG KROEKER: The -- one (1) of the
6 -- one (1) of the strange things for some people to wrap
7 their heads around was when we do hire more people, if we
8 look at what I'll refer to as the direct overheads
9 associated with the employees in the field, and that is
10 the purchase and maintenance of tools and equipment, the
11 monthly charges that we would receive for vehicles and
12 fuel, et cetera, there is administrative staff in the
13 office that are required to process their work orders and
14 do timesheets, et cetera.

15 So if you look at those as being direct
16 overheads, the more people you actually have in the field
17 and the more chargeable hours reduces the direct overhead
18 percentage.

19 So on one (1) hand as it relates to direct
20 overheads, if the more people you have at the working
21 level, the smaller your overhead percentage is. It gets
22 spread over a larger base.

23 MR. BOB PETERS: And the more efficient
24 your employees are, in terms of charging their time out
25 to different -- to different cost centres, again, the

1 lower the overhead rate would have to be?

2 MR. DOUG KROEKER: Yes.

3 MR. BOB PETERS: I'm trying to conclude
4 on PUB -- my questions on PUB-13. We talked about the
5 comparisons and we used Royalwoods because Royalwoods was
6 perhaps the pilot project that you brought forward at the
7 general rate application where four (4) party was first
8 discussed with the Board, would that be correct?

9 MR. DOUG KROEKER: Yes, that's correct.

10 MR. BOB PETERS: And in the cost
11 comparisons that you've done and the variance analysis
12 that you've done, it appears that the cost of four (4)
13 party trench declined and I want you to confirm that one
14 (1) of the reasons the cost declined is that the project
15 was actually larger than it was estimated.

16 And therefore, that had the effect of
17 giving lower costs the first time around, compared to
18 what they actually were.

19

20 (BRIEF PAUSE)

21

22 THE CHAIRPERSON: Mr. Peters, just so we
23 can have some rough idea, about how much time do you
24 think you'll have to complete?

25 MR. BOB PETERS: Ten (10) minutes,

1 assuming the answers come promptly.

2 MR. DOUG KROEKER: Yes, that's correct.

3

4 CONTINUED BY MR. BOB PETERS:

5 MR. BOB PETERS: You also -- you
6 initially put forward the Royalwoods project as a hundred
7 (100) units and it ended up being as much as a hundred
8 and forty-four (144) construction units?

9 MR. DOUG KROEKER: Yes, it was a one
10 hundred and forty-four (144) lot subdivision, as opposed
11 to a one hundred (100) lot.

12 MR. BOB PETERS: All right. You've also
13 removed the costs and we've talked about overheads, that
14 was another major reduction in the costing of the four
15 (4) party trench analysis?

16 MR. DOUG KROEKER: That's correct.

17 MR. BOB PETERS: And we've also talked
18 about the third method that you've reduced the four (4)
19 party trench costing, it was by using average costs from
20 nine (9) URD's that you surveyed and reconciling those
21 averages with the expenditures you made?

22 MR. DOUG KROEKER: That's correct.

23 MR. BOB PETERS: I want to split hairs
24 with you, the few that I have, Mr. Kroeker. On page 4 of
25 13 of PUB/Centra 13, you have on page 4 of 13, a chart

1 which talks about actual four (4) party costs.

2 And where actual four (4) party costs are
3 shown, I want to suggest to you that the proper heading
4 might be, actual/average base costs?

5 MR. DOUG KROEKER: Sure, or adjusted
6 actual costs.

7 MR. BOB PETERS: I like that. Because
8 there's no dispute here with you and the Board that those
9 are not the actual out of pocket costs or incremental
10 costs incurred, those are arrived at by different
11 methodologies that we've already talked about, including
12 averaging, including removing overheads, those items?

13 MR. DOUG KROEKER: That is correct, Mr.
14 Peters.

15 MR. BOB PETERS: All right. One of the
16 things that led to the conventional costs increasing from
17 when you last explained it to the Board was something
18 called safety watches has increased the cost, and I am
19 looking on page 8 of 13 of PUB/Centra 13.

20 Can you explain to the Board briefly what
21 safety watches are and why that's increased?

22 MR. DOUG KROEKER: Under conventional
23 installation, as Mr. Petursson has described it, for
24 short services and long services, there's a requirement
25 to excavate over the gas main, fuse on a service tee, and

1 then trench from that point across the remainder of the
2 public property and then on to private property and
3 trench across the easement containing the three (3) other
4 utilities, the MTS, the cable, and the electric, and
5 continue on up to the home.

6 The safety watch is required over the
7 electric system. There is -- where there is high voltage
8 cables, primary cables, Manitoba Hydro's practice is to
9 have that excavating work done under the guidance of a
10 qualified safety watcher.

11 And so those costs are incurred by the gas
12 side of the business for that safety watch. They are
13 billed out to the gas side of the business.

14 MR. BOB PETERS: As I understood it, an
15 employee of Manitoba Hydro stands there while the gas --
16 while the gas line is being installed, but wasn't that
17 employee's time and expense charged through to the
18 electricity side of the business?

19 MR. DOUG KROEKER: No. The safety
20 watcher's time and expense was charge through to the gas
21 side of the business.

22 MR. BOB PETERS: Has it always been that
23 way?

24

25

(BRIEF PAUSE)

1 MR. DOUG KROEKER: Since Manitoba Hydro
2 has implemented the practice of safety watch, the
3 practice to have that individual's time charged to the
4 gas side of the business has been our practice.

5 MR. BOB PETERS: Do you charge it through
6 to a third party who may be doing work as well when you
7 have a safety watcher on site?

8 MR. DOUG KROEKER: Yes, we do.

9 MR. BOB PETERS: In terms of one of the
10 other factors, the line location, you -- you indicate
11 that the conventional costs would change as a result of
12 line location and you add nine dollars and fifty cents
13 (\$9.50) per lot for a four (4) party trench; is that
14 correct?

15 MR. DOUG KROEKER: That is correct.

16 MR. BOB PETERS: Is that an intuitive
17 calculation or is there actual data to support that --
18 that increased cost?

19

20 (BRIEF PAUSE)

21

22 MR. DOUG KROEKER: There was an internal
23 review of that and part of that review was some
24 discussion with the line-locating personnel in the field
25 that do the line locates, and they estimated for us the

1 time savings resulting from four (4) party installation
2 and from that the nine dollars and fifty cents (\$9.50)
3 was calculated.

4 MR. BOB PETERS: All right. Thank you.
5 On page 4 of 13 of PUB/CENTRA-13 we're back to a chart
6 with estimated conventional costs and I think the new one
7 is adjusted four (4) party costs.

8 Have you found page 4 of 13?

9 MR. DOUG KROEKER: Yes, I have.

10 MR. BOB PETERS: And the -- and as
11 briefly as you can, recognizing I'm on the clock -- can
12 you explain to the Board the difference between the
13 estimated conventional and why the adjusted four (4)
14 party costs differ, starting with the subtotal for
15 property survey and design?

16

17 (BRIEF PAUSE)

18

19 MR. DOUG KROEKER: Mr. Peters, just so
20 I'm clear, are you asking me to explain kind of the
21 differences in construction between conventional and four
22 (4) party and relate that to the costs?

23 MR. BOB PETERS: Well, just in -- in
24 general terms you're showing that four (4) party trench
25 under the adjusted four (4) party trench column is

1 approximately three (3) times as expensive as the
2 estimated conventional.

3 Can you tell the Board what gives rise to
4 -- to that being so much more money?

5 MR. DOUG KROEKER: Yes, I can. I just
6 want to ask one question of the back row and I'll
7 respond.

8

9 (BRIEF PAUSE)

10

11 MR. DOUG KROEKER: I will start then.
12 The first one on the property survey design and GIS
13 there's a difference there between about seventy-two
14 hundred (7,200) for conventional and twenty thousand
15 (22,000) for actual four (4) party. That's related to --
16 primarily to time charge of internal staff working on
17 acquiring easements but more so working on the design of
18 the four (4) party and the interaction between the gas
19 designers and electric designers. It's an area that in
20 the future we hope to also obtain some efficiencies in.

21 MR. BOB PETERS: Under the "Inspection"
22 line where seven thousand (7,000) or eight thousand
23 (8,000) is for the conventional and fifty-five (55) is
24 for the four (4) party do you eventually see the four (4)
25 party being zero?

1 MR. DOUG KROEKER: We eventually see the
2 four (4) party being -- being close to zero. Again,
3 we're going to incur some costs on these projects for the
4 auditing that I spoke of but pretty close to zero.

5 MR. BOB PETERS: You've already told me
6 about the materials, and then when I get down to the
7 "Contractor" line, I'm just wondering whether you have
8 broken the contractor out into two (2) different parts
9 here under the four (4) party trench where you're
10 comparing contractor costs of fifty-three thousand
11 (53,000) to forty-five thousand five hundred (45,500),
12 but in addition there are some joint use trench costs and
13 contributions to electric shown as twenty-six thousand
14 nine hundred (26,900).

15 Would the Board understand this to mean
16 that those -- that the twenty-six thousand (26,000) and
17 the forty-five thousand (45,000) should be added together
18 to compare to the fifty-three thousand dollar (\$53,000)
19 number?

20 MR. DOUG KROEKER: That is correct. That
21 would be the installation labour for four (4) party.

22 MR. BOB PETERS: In terms of the service
23 installations, that's a unit pricing number that's just
24 multiplied by the number of units installed? I think
25 more accurately three hundred dollars (\$300) per service

1 installation for conventional and two hundred (200) under
2 -- under four (4) party?

3 MR. DOUG KROEKER: That's right and that
4 represents the contractor lever portion for that work.

5

6 (BRIEF PAUSE)

7

8 MR. BOB PETERS: Not that it amounts to
9 much. I shouldn't mean it -- I don't mean it in a
10 negative way but is that service stub material in the
11 wrong column? Should that be under the adjusted four (4)
12 party cost or are you giving a credit back to
13 conventional?

14 MR. DOUG KROEKER: No, what we wanted to
15 do again comparing -- comparing the fruit as we did
16 earlier on an apples to apples comparison, the four (4)
17 party adjusted estimate includes the cost of installing
18 service stubs because that's the way that we do the four
19 (4) party.

20 There's the main and service header and
21 then service stubs into chute boxes. So for the
22 installation on a conventional side we wanted to include
23 that material into the estimate to have a fair
24 comparison.

25 MR. BOB PETERS: All right. In terms of

1 inspection -- I'm sorry, in terms of sod cut permits and
2 inspections that's the cost for permits on public
3 property; is it not?

4 MR. DOUG KROEKER: That's correct.

5 MR. BOB PETERS: And there'd be no such
6 costs to four (4) party trenches on private property?

7 MR. DOUG KROEKER: That's correct.

8 MR. BOB PETERS: If four (4) party
9 trench was on public property, then you'd remove this
10 number from the -- from the comparison or else add it
11 under both columns?

12

13 (BRIEF PAUSE)

14

15 MR. DOUG KROEKER: There would be some
16 amount included into the four (4) party if the -- if the
17 main was on public property versus public property
18 there's a very small cost for permits for the main
19 installation but our plan -- where the majority of the
20 costs come in for permits is on the service extensions
21 and it's our plan even under four (4) party if the main
22 is on public property, it is our plan to extend the
23 service, to stub it out onto private property. So when
24 we go later to connect at the chute box and take it to
25 the home, there would be no permits required.

1 MR. BOB PETERS: Are the line locating
2 costs, Mr. Wiens, and the safety watch costs, are those
3 costs already embedded in the feasibility test that --
4 that you do?

5

6 (BRIEF PAUSE)

7

8 MR. ROBIN WIENS: Mr. Peters, my
9 understanding is that neither of those are included in
10 the feasibility test.

11 MR. BOB PETERS: All right, thank you.
12 Mr. Wiens, and Mr. Schneider, then, maybe last words to
13 either or both of you.

14 In terms of what you're requesting, then,
15 of the Board, is that, I want to be clear, that you're
16 asking the Board to approve unconditionally the use of
17 four (4) party trench methodology going forward?

18 MR. ROBIN WIENS: That would be our
19 preference, Mr. Peters. That doesn't mean to say that it
20 wouldn't necessarily be subject to review or certainly to
21 a major report two (2) years down the road, but we would
22 like -- we are looking for the certainty of knowing that
23 we can continue to use this methodology for at least long
24 enough time to allow us to optimize it or show that we
25 can achieve it.

1 MR. BOB PETERS: Your alternative, but
2 not your preference, would be to have this Board approve
3 the four (4) party trench methodology at least until
4 March 31 of 2009, by which time you will have had some
5 time to optimize the process of installing four (4) party
6 trench and at that time, also to report to the Board on
7 your findings, including the cost findings?

8 MR. ROBIN WIENS: We would like until
9 March 31st to comply with the Directive number 9 in Order
10 10/06 which would be to produce a report for the Board
11 which does a cost comparison of different types of
12 development situations with four (4) party as optimized
13 and with conventional.

14 We would probably be looking for, and this
15 speaks in part to our desire to have it approved
16 unconditionally, there would obviously be some time
17 required for the Board to review that report and to come
18 to a determination on what it wanted to do.

19 So, clearly we would want to be able to
20 continue to use four (4) party at least until such time
21 as we received an order or some other direction from the
22 Board based on the report that we would submit on or
23 before March 31st, 2009.

24 MR. BOB PETERS: All right. Just
25 continuing on that line, Mr. Wiens, should the Board

1 grant either unconditional approval to continue with four
2 (4) party trench or conditional on the report and an
3 order to subsequently follow, should at any point in time
4 in the future the Board determine that the costs incurred
5 in the four (4) party trench installation process were
6 not prudently incurred, what options does the Company see
7 that the Board has at that time if and when it made that
8 determination?

9 MR. ROBIN WIENS: What options does the
10 Company have to deal with it?

11 MR. BOB PETERS: No, what options does
12 the Board have?

13 MR. ROBIN WIENS: With respect to
14 prudence?

15 MR. BOB PETERS: Yes.

16 MR. ROBIN WIENS: I would -- my
17 understanding would be that the Board would carry out its
18 normal reviews of prudence during the course of a General
19 Rate Application or future General Rate Applications and
20 would make a determination based on the best evidence
21 that it had at that time.

22 MR. BOB PETERS: And if the Board
23 concluded that the costs or some of the costs related to
24 four (4) party trench were not prudently incurred, the
25 Board would have the option to disallow them from

1 recovery from consumers.

2 Would you agree with that?

3 MR. ROBIN WIENS: Yes, I would.

4 MR. BOB PETERS: Thank you, Mr. Chairman.

5 Those complete my questions. I want to thank Messrs.

6 Schneider, Petursson, Kroeker and Wiens; thank you.

7 THE CHAIRPERSON: Thank you, Mr. Peters.

8 Mr. Holloway, you've been quite patient

9 and I'm sure you're raring to go.

10 MR. IVAN HOLLOWAY: I'm wondering, Mr.

11 Chairman, if it might not be a bad idea to take a break

12 right now as opposed to later on.

13 I presume there's going to be a break

14 later on?

15 THE CHAIRPERSON: That's fine. If we

16 came back at 2:30 would that suffice for you?

17 MR. IVAN HOLLOWAY: Yeah, no, that would

18 be great.

19 THE CHAIRPERSON: Do you have any

20 estimate right now as to the time that you expect to

21 carry on?

22 MR. IVAN HOLLOWAY: Half hour, forty-five

23 (45).

24 THE CHAIRPERSON: Very good, sir. We'll

25 see you back at 2:30.

1 --- Upon recessing at 2:20 p.m.

2 --- Upon resuming at 2:37 p.m.

3

4 THE CHAIRPERSON: Okay, Mr. Holloway.

5

6 CROSS-EXAMINATION BY MR. IVAN HOLLOWAY:

7 MR. IVAN HOLLOWAY: Thank you, Mr.

8 Chairman.

9 I'd like to refer the board of Witnesses -
10 - or, pardon me, the Panel of Witnesses to the December
11 15th, 2005 response to Public Utilities Board Order
12 103/05, 135/05, specifically page 20 and 21.

13

14 (BRIEF PAUSE)

15

16 MR. IVAN HOLLOWAY: This is the document
17 that pertains to an analysis of the damages under the
18 conventional system and whether those damages would have
19 been apparent in the four (4) party system or not.

20 Under the conventional system you avoid
21 damages -- a number of damages as a result of road
22 construction and as a result of -- of sewer and water
23 repair because you don't have services or you have less
24 services underneath the road; right?

25 MR. DAVID PETURSSON: That is correct.

1 MR. IVAN HOLLOWAY: And clearly that
2 constitutes a reduction in potential damages that would
3 likely occur in the future under the four (4) party
4 system; right?

5 MR. DAVID PETURSSON: That's correct.

6 MR. IVAN HOLLOWAY: But at the same time
7 what happens is that essentially the physical plant that
8 would ordinarily be under the road is essentially
9 transferred onto private property; right?

10 MR. DAVID PETURSSON: Well, it's the
11 plant that would be just outside property goes just
12 inside, it's not actually under the road surface. It
13 would be -- would be going from 1-1/2 metres off of the
14 property line to an alignment inside the property line on
15 -- on private property.

16 MR. IVAN HOLLOWAY: Right. Right. But
17 the general -- the general thrust is -- is that the --
18 the physical plant is moving from either under the
19 sidewalk, under the road, under public property to --
20 mostly on to private property; right?

21 MR. DAVID PETURSSON: That is correct.

22 MR. IVAN HOLLOWAY: So what I don't --
23 what I notice from your analysis of the -- of the damages
24 -- the previous damages is that there's -- it's -- at
25 least for 2003/2004, I think it's also the same for the

1 2005/2006, is that there's -- the point is made there's
2 going to be a reduction of damages as a result of street
3 repairs and -- and sewer and water and so on, things that
4 are happening on public property, but there's no --
5 there's no kind of correlative assessment that perhaps
6 damages are going to increase as a result of having that
7 physical plant on private property.

8 MR. DAVID PETURSSON: We've looked at
9 that and -- two (2) things we've looked at.

10 One is that with our gas pipes adjacent to
11 the electric and having the -- any locates done -- any
12 Call Before You Dig to locate electric will locate gas,
13 and -- and so all plant is located during any Call Before
14 You Dig, and with all plant together we anticipate that
15 anybody digging in that area would be more likely to --
16 to call.

17 The other thing we did is we, as
18 referenced on the page 21, we looked at a number of areas
19 in some Winnipeg communities typical of where some four
20 (4) party designs would have been, you know, or could
21 have been used, and very typical of developments.

22 And we looked at it to try and determine
23 the indications of excavation in the area of our -- of
24 the gas main that would be on private property. And we
25 found very few front yard fences and -- or other such

1 excavations of -- or evidence of excavations that would
2 have occurred.

3 So although the main is going on the front
4 property, we do not expect there to be a significant
5 increase in damages because of the main location on
6 property.

7 MR. IVAN HOLLOWAY: I'll deal with your -
8 - your first point first, then your second point.

9 Clearly though the Call Before You Did
10 program, not everyone adheres to it because obviously
11 there's some people that are still digging and -- and
12 hitting things that they probably wouldn't have had they
13 used that service, so clearly there's some people
14 inevitably who don't use that; is that right?

15 MR. DAVID PETURSSON: Yeah, not everybody
16 calls before they dig unfortunately.

17 MR. IVAN HOLLOWAY: Now, with respect to
18 the front yard fences, if I could turn your attention to
19 Exhibit 3, this -- the Centra Gas/Manitoba Hydro four (4)
20 party presentation.

21 Actually, before I want to refer to that,
22 though there may not be that many front yard fences, is
23 it fair to say that there's quite a few side fences
24 between properties?

25 MR. DAVID PETURSSON: Side fences are

1 more prevalent. One (1) thing we are doing now is we are
2 working hard to keep the gas service location right near
3 the front of the house as opposed to taking it further
4 back which would have the service line less exposed to --
5 to fence installation but the -- we're still going to
6 have to have a service line going to the house regardless
7 of whether we have the main trench on property or on --
8 on easement, standalone, or four (4) party. The service
9 line will still be there.

10 MR. IVAN HOLLOWAY: Right. But if you
11 look at this Exhibit 3 page -- it's the third page in,
12 Four (4) Party Trench Installation is what it says on the
13 top.

14 When I look at this diagram I see that the
15 -- the service header and the gas main is running from
16 property -- from private property to private property to
17 private property, right?

18 MR. DAVID PETURSSON: Yes.

19 MR. IVAN HOLLOWAY: And I also would see
20 that if there's more prevalence of having side fences
21 that there would be, at least on a theoretical basis,
22 more likelihood that a person or contractor building a
23 fence would be more likely to hit that gas main given
24 that now it's on a -- on private property, right?

25 MR. DAVID PETURSSON: Yeah, there would

1 be more prevalence of hitting that gas main on private
2 than there would be on public if the fence is going up on
3 private property.

4 MR. IVAN HOLLOWAY: Right. But generally
5 as a result of the fact that -- and I'm not talking about
6 the services and I'm not talking about, you know, the --
7 the thing that crosses the road, but the fact that
8 there's greater numbers of side fences, that's more
9 prevalent, one (1) would think that -- and because
10 there's gas mains that are crossing over people's
11 personal property, that you would think that there would
12 be more accidents related to fences running into the gas
13 mains generally or more accidents general related to
14 fencing; is that not fair to -- to say?

15 MR. DAVID PETURSSON: Generally, the
16 fencing damage we find tends to be more on the service
17 lines and they tend to be further back on the property.
18 Fences extending out into the front yards near the front
19 of the property line are quite rare in new developments,
20 you know, typical of where we'd be installing four (4)
21 party. The front yard fences really are quite rare so it
22 -- I don't see much activity for excavation for fences in
23 the future.

24 MR. IVAN HOLLOWAY: When you say, "front
25 yard fences," are you referring to the fence facing the

1 street or are you -- are you referring to fences that are
2 in the front yard facing neighbours' property just for
3 clarification?

4 MR. DAVID PETURSSON: I would say both.
5 The front -- front fences that would extend beyond the
6 front facade of the house. Fences that would connect
7 between the two (2) front corners of a house and extend
8 to the back yard are far more prevalent. Fences that
9 would go forward beyond the front corner of the house are
10 far less common.

11 MR. IVAN HOLLOWAY: But clearly they do
12 exist, right?

13 MR. DAVID PETURSSON: They do and that
14 little survey we had, we found 2.2 percent of houses,
15 say, you know, one (1) in fifty (50) had a -- a fence in
16 the front yard in the area, you know, going as far
17 forward as what the gas main might be.

18 MR. IVAN HOLLOWAY: Okay. And -- but the
19 general point, I mean clearly you have more -- regardless
20 of whether it's fence work or -- or building a deck, or
21 putting in a basketball hoop, or planting a tree, or
22 whatever it is, clearly when you have more plant on your
23 private property, just the law of averages, the more
24 likely is that there's going to be a strike at some point
25 in time. Is that not fair to say?

1 of nine (9), that's about 75 percent of your damages are
2 happening on -- on your gas main which would be on
3 private property.

4 MR. DAVID PETURSSON: Of these -- these
5 are nine (9) damages in four (4) party areas. Definitely
6 two (2) were on service lines and seven (7) were on -- on
7 the gas mains. However, all of these were done by
8 contractors and all of these were done in open excavation
9 damages, all were associated with the initial
10 construction in the -- in the development. And some of
11 them were similar sort of damages that we would expect on
12 conventional too, where you get a bunch of activity in
13 new construction areas.

14 I think it's important to note that the --
15 all of these were done by contractors during the initial
16 excavation and initial construction phases of these
17 developments.

18

19 (BRIEF PAUSE)

20

21 MR. IVAN HOLLOWAY: That doesn't change
22 the fact that it happened, I mean, regardless, right,
23 whether it was during construction or not, the fact of
24 the matter is, is that it is susceptible to having damage
25 to it regardless, right?

1 that are being dealt with in page 20 and 21 of this
2 December 15, 2005 Centra response to the PUB?

3 I mean, I'm assuming that what's being
4 referred here is not just new developments but old
5 developments, you know, middle-aged developments and so
6 on.

7 Am I making myself clear?

8 MR. DAVID PETURSSON: On page 20 of that,
9 when we talk about review of damages, we are looking at
10 overall damages in the residential settings.

11 Many of these have been around for decades
12 and we are examining, you know, what's the nature of the
13 damages that occur and -- and we see the damages, we see
14 things such as road bed rebuilding, sewer and water
15 rehabilitation.

16 We see the excavation of gas mains, tie in
17 services. We see activity that -- that results in
18 damages and many of those damages -- for example, tying
19 in for a new gas services occur fairly early in the life
20 of the plant.

21 Other stuff, such as road bed rebuilding
22 and sewer and water occur much later in the life of the
23 plant.

24 What we -- the intent of the study that is
25 documented on page 20 was to identify the nature of these

1 damages and try and identify whether or not a four (4)
2 party design would have avoided these damages; that was
3 the intent of that study.

4 MR. IVAN HOLLOWAY: Right. now, the --
5 the experience of four (4) party, as it is for the last
6 couple of years, and the experience of damages that have
7 resulted to the plant, in fairness, is only -- it's all
8 very new, right? It's all no more than two (2) or three
9 (3) years old, right?

10 So the renewal to roads, renewal to sewers
11 that might have a twenty (20) or thirty (30) year cycle
12 would not have been part of this two (2) or three (3)
13 year review of four (4) party trench in Manitoba, right?

14 MR. DAVID PETURSSON: Well, clearly,
15 yeah, because a lot of that occurs much down the road and
16 four (4) party is so new there is no direct history of
17 that right now.

18 MR. IVAN HOLLOWAY: And from your own
19 numbers, it's clear that -- that, or it appears to be
20 clear that a lot of the damage that's being -- that's
21 happening on the plant and the conventional system has to
22 do with sewer renewal, road repair and so on, right?

23 MR. DAVID PETURSSON: That's right. The
24 -- with a lot of that conventional, where we have those
25 long services under the road, that in -- there is a

1 potential they get hit and they do get hit with that
2 activity, with -- you know, with four (4) party, with all
3 short services, none of that under the road, in future
4 road rebuilding and sewer line rehabilitation, you can't
5 hit what's not there.

6 MR. IVAN HOLLOWAY: So in fairness, the -
7 - the review of the last two (2) or three (3) years of
8 damages, accidental damages on four (4) party trenches in
9 Manitoba isn't entirely fair because we really need to
10 have a full sense of what the damages are going to be.

11 We really almost need a twenty (20) or
12 thirty (30) year cycle to be able to see that; is that
13 fair to say?

14 MR. DAVID PETURSSON: We'd be happy to
15 continue four (4) party for twenty (20) or thirty (30)
16 years to find out.

17 MR. IVAN HOLLOWAY: But is that fair to
18 say?

19 MR. DAVID PETURSSON: Yeah, at this point
20 without that history, all we can do is predict, which is
21 what we've tried to do.

22 MR. IVAN HOLLOWAY: Right. So over a
23 twenty (20) or thirty (30) year cycle, all things being
24 equal, likely that number is going to, on a yearly basis,
25 increase because there's going to be more need for, you

1 know, various underground repairs.

2 Is that fair to say?

3 MR. DAVID PETURSSON: I don't understand
4 the question.

5 MR. IVAN HOLLOWAY: Well, because you
6 have a plant that's installed that's so new, you're not -
7 - the -- and brand new developments, the regular renewal
8 process and, of course, under the conventional system it
9 would have to do with roads and so on which may not be as
10 -- impact as much, but nonetheless, surely there is
11 infrastructure renewal projects that would happen on a
12 longer cycle that would likely, all things being equal,
13 have an effect of damaging some of these -- some of this
14 plant every so often; that hasn't -- essentially that
15 hasn't been factored in; that's all I'm getting at,
16 because it's so new what we're looking at.

17

18 (BRIEF PAUSE)

19

20 MR. DAVID PETURSSON: I think the
21 benefits are a combination of short-term or immediate and
22 long-term. The -- in the short-term some of the damages
23 we have are with sewer and water installation, extending
24 sewer and water lines to houses; you know, damages do
25 occur there.

1 With the four (4) party design and
2 stubbing the services in we expect to see a reduction of
3 damages associated with that four (4) party and -- and
4 that would be more of a short-term benefit.

5 On the longer term, I look forward to -- I
6 look forward to many years from now sitting in a
7 wheelchair rolling down the sidewalk watching road bed
8 rebuilding twenty (20) or thirty (30) years from now when
9 all they've got to worry about is one (1) gas line going
10 across the road to take gas to the service header and --
11 and seeing no service lines at all to worry about.

12 MR. IVAN HOLLOWAY: Right. But I mean
13 even if it's not -- even if we're not talking about
14 renewal in the sense of road repairs and so on that would
15 likely affect the four (4) party plant, there's obviously
16 all kinds of other renewal that happens, I mean whether
17 it's a person, you know, tearing down their house and
18 building a new one or doing any number of things to -- to
19 renew and improve their property which may not happen on
20 a two (2) or three (3) year cycle but may in fact happen
21 on a much longer twenty (20) or thirty (30) year cycle
22 like road repair or sewage repair, et cetera; is that
23 fair?

24 MR. DAVID PETURSSON: Yes. If we're
25 looking at renewal from a very broad sense where you

1 could be dealing with -- with rehabilitation of roads or
2 sewers or anything on property, the one (1) aspect with
3 the four (4) party trench and having the gas located 400
4 millimetres, you know, from the electric plant
5 consistently in the ground is overall the shallow
6 utilities are taking a -- a smaller footprint and
7 occupying, you know, less space in the ground which
8 actually would leave more room for any kind of future
9 renewal, either of shallow utilities and -- and less of a
10 footprint, it would just give more room to work for other
11 sorts of rehabilitations.

12 MR. IVAN HOLLOWAY: Would it be fair to
13 say that City of Winnipeg or City of Brandon crew who
14 does street repairs, sewer and waterworks and so on would
15 be more experienced and more equipped to handle a -- a
16 strike on -- on a gas line as opposed to a homeowner that
17 decides to build a fence and -- and hits a gas line; is
18 that fair to say?

19 MR. DAVID PETURSSON: I think the gas
20 company is far more equipped to handle the damages as
21 long as we're alerted to it by -- by any party that does
22 the damage. We don't consider the City or any
23 contractors as really equipped or capable of handling
24 damages directly.

25 MR. IVAN HOLLOWAY: So essentially your

1 answer is "yes;" is that fair?

2 MR. DAVID PETURSSON: I'd say more my
3 answer is "no," they are not equipped to handle damages
4 than, you know, contractors. The City, or homeowners
5 really are not equipped to handle damages; the gas
6 company is.

7 MR. IVAN HOLLOWAY: So you're saying that
8 the average homeowner John or Jane who fancies himself a
9 fence builder goes out in the back -- in their front yard
10 and, you know, bores a hole and hits a line and something
11 happens is equally as capable of handling the -- out --
12 the impact of that as -- as a -- as a City of Winnipeg
13 crew that does this for a living five (5) days a week, is
14 -- is boring underground and -- and is, you know, much
15 more aware of the hazards and so on?

16

17 (BRIEF PAUSE)

18

19 MR. DAVID PETURSSON: Well, neither
20 party, neither the City nor a homeowner is equipped,
21 trained or capable to handle the damage themselves. Our
22 expectation is they would be more than capable of phoning
23 the -- the gas company for us to come and handle the
24 situation and effect the repair.

25

1 (BRIEF PAUSE)

2

3 MR. IVAN HOLLOWAY: Do you have any
4 breakdown in terms of injuries? I think Mr. Peters
5 touched upon this before. The issue is not just the
6 number of -- of strikes or damage, accidental damages to
7 -- to the plant but also the injuries that result from
8 that.

9 Do you have any statistics on injuries
10 that have happened from accidental strike of a physical
11 plant?

12 MR. BRENT CZARNECKI: Mr. Chairman, maybe
13 if he could be more specific, either four (4) party or
14 within Manitoba. I think it's been clear on the record
15 earlier that of the nine (9) hits that we do know with
16 four (4) party, that there was no personal injuries that
17 were observed.

18 So I'm not sure what Mr. Holloway is in
19 fact questioning on.

20 THE CHAIRPERSON: Mr. Holloway...?

21

22 CONTINUED BY MR. IVAN HOLLOWAY:

23 MR. IVAN HOLLOWAY: I'm actually
24 referring to the conventional method in Manitoba, not
25 necessarily, but I'm specifically referring to

1 conventional method in Manitoba.

2

3

(BRIEF PAUSE)

4

5

MR. DAVID PETURSSON: There have been
6 some instances where property damage has occurred but we
7 do not directly track those. We note them but we just
8 don't have any reportable numbers to present.

9

One (1) thing though just to follow up.
10 It should be noted that the -- quite often a lot of these
11 damages that did occur on the four (4) party and often on
12 conventional occur earlier, at the time of initial
13 construction. And, you know, where the -- in a case like
14 that they -- they happen and they get dealt with, they
15 get repaired, and then -- but on an ongoing basis, you
16 know, damages are less likely.

17

MR. IVAN HOLLOWAY: Let's talk about
18 stubbing for a moment. As I understand stubbing, and
19 please correct me if I'm wrong, it -- it's a short branch
20 off from the main line prior to being attached to a house
21 that is put in to -- or at least the end of it is put in
22 to a wooden box with a marker underground so that when
23 it's to be connected in the future it's something that's
24 accessible without likely damage happening to the gas
25 main.

1 Is that right?

2 MR. DAVID PETURSSON: That is correct.

3 MR. IVAN HOLLOWAY: And this is something
4 that I think has been repeatedly attributed to or as a
5 new benefit to four (4) party trenching. It's not clear
6 to me why stubbing in this method could not also be done
7 under single party trenching.

8 Could you tell us why that is?

9 MR. DAVID PETURSSON: There would really
10 be no benefit to doing it under single party. If we had
11 the -- if we wanted to put in a gas stub on -- to bring
12 the gas line from a conventional alignment and stub it on
13 to property, to the same point, we would still then be
14 digging around the electrical cables in order to extend
15 that stub; that is one (1) hazard that we would still
16 incur regardless if we tried stubbing on conventional.

17 And the other aspect is on conventional we
18 would be -- we do not have an easement on the property in
19 order to locate these stubs, whereas on the four (4)
20 party we do have an easement to locate these stubs.

21 MR. IVAN HOLLOWAY: And why wouldn't you
22 be able to get an easement for this -- the single party?

23 MR. DAVID PETURSSON: If I could just
24 finish on that previous question. The other is on a
25 conventional we have the long services, if we want to

1 stub those, it would require a -- a rather long stub
2 going underneath the road on to the property.

3 And if we're going to take it that far you
4 might as well keep it going all the way to the house.
5 Stubbing likely would not be cost-effective.

6

7 (BRIEF PAUSE)

8

9 MR. IVAN HOLLOWAY: Are the fact that
10 there's mains and services on private individuals'
11 properties, is it going to have a -- what effect is it
12 going to have on -- on their yards being dug up every
13 whatever time that it might be in order to repair the --
14 the plant or -- or test it or renew it, or things like
15 that?

16 Is there any concern from a homeowner's
17 perspective that having this gas main on their property,
18 they're likely going to have it dug up on a -- on a
19 greater than usual basis?

20 MR. DAVID PETURSSON: I would not expect
21 so. One of the primary reasons for digging up plant is
22 to repair damages and the intent would be for four (4)
23 party, is that with a reduction in damages we would
24 expect to see less excavation required to repair those
25 damages.

1 Down the road, if there is renewal of the
2 plant, then of course we'd have to look at renewing the
3 plant. With our -- the present materials we use, we
4 expect that to be very, very far in the future.

5 MR. IVAN HOLLOWAY: If there is an
6 accidental strike on a -- on a gas main on someone's
7 property, I guess unlike a -- a service to the property,
8 it could have the effect of affecting the rest of the
9 block, is that fair, or the rest of the street?

10

11 (BRIEF PAUSE)

12

13 MR. DAVID PETURSSON: Well, it could,
14 depending on the reason for which the gas line was
15 excavated. Do I understand the question right?

16 MR. IVAN HOLLOWAY: Well, if -- if
17 there's -- someone's drilling, you know, to -- to put in
18 a tree or something like that and they -- they hit a gas
19 line and the gas starts to leak, I presume it's more --
20 there's a greater likelihood than if it's just a service
21 that -- that that leak could affect anyone else down the
22 line from the gas main.

23 Is that right?

24 MR. DAVID PETURSSON: I don't believe
25 that it would, not directly. If it was a, like, drilling

1 to put in a tree or excavation, typical excavation in a
2 yard, the gas itself would simply escape to the
3 atmosphere. It might stink up the neighbourhood a little
4 but it would escape to the atmosphere and in that way not
5 directly impact somebody.

6 If we -- to repair it there may be a -- a
7 temporary shutdown of gas service to repair the leak and
8 repair the damage, but then we would repair -- or restore
9 service, much as we do conventionally now.

10 One (1) thing that I'd like to point out
11 though too is a perception of homeowners as to where
12 their property line is and the view of their front yard.

13 Right now there's a lot of consternation
14 on conventional installations by some homeowners. When
15 we go to install a long service across the street and we
16 show up and we dig a hole, albeit on public property but,
17 you know, for all outwards appearances in somebody's
18 front yard, this big, gaping hole in their yard to tie in
19 the gas service across the street.

20 And some homeowners really don't take too
21 kindly to coming home from work and seeing a, you know, a
22 big -- a big hole in their front yard.

23 That sort of invasive approach is going to
24 be avoided because of all the service stubs and avoidance
25 of the long services.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

(BRIEF PAUSE)

MR. IVAN HOLLOWAY: I'd like to refer you to PUB Centra's answer to IR-13B.

MR. ROBIN WIENS: Could you give us a page reference on that, please?

MR. IVAN HOLLOWAY: When I find it myself, I will.

(BRIEF PAUSE)

MR. IVAN HOLLOWAY: I'm not sure if this is in your materials, Mr. Peters, in which you have the pages numbered.

The IRs that I have, that I went off of originally don't have consistent page numbers, except it's 1 of 13, IR question 13B. Sorry, 2 of 13.

(BRIEF PAUSE)

MR. IVAN HOLLOWAY: Just for the record, I'd like to read part of the answer here and I'll ask a question on it.

"The installation costs of the gas

1 plant, whether in the conventional or
2 four (4) party method is dependent on
3 the amount of plant needed to service
4 the sub-division. The difference in
5 the amount of plant required between
6 the conventional and four (4) party
7 method dictates to a large extent the
8 difference in cost."

9 I find that -- I think, Mr. Peters
10 referred to this in his cross to some extent. I find
11 that statement somewhat surprising, I guess, compared to
12 the tenor and direction of most of the other information
13 that we're receiving in that -- that the material is not
14 that much of a factor, that it's really other factors
15 such as, you know, the work structure optimization and so
16 on.

17 I'm wondering if there's an explanation
18 for that?

19

20 (BRIEF PAUSE)

21

22 MR. DOUG KROEKER: That part of the
23 response refers to the fact that as a sub-divisions -- or
24 the larger sub-divisions will definitely attract or
25 require more material and then, of course, there's more

1 installation, labour, et cetera, required to install that
2 material.

3 And -- and so that can lead to some
4 differences when compared to conventional.

5

6 (BRIEF PAUSE)

7

8 MR. DOUG KROEKER: And that's, of course,
9 depending on the layout of the sub-division and, you
10 know, as we move forward to optimize, we expect that
11 those differences are going to come down.

12

13 (BRIEF PAUSE)

14

15 MR. IVAN HOLLOWAY: But the optimization
16 won't have any impact on the amount of plant required
17 though, right?

18

19 (BRIEF PAUSE)

20

21 MR. DOUG KROEKER: No, not -- it's not --
22 optimization is going to have little impact on the plant.
23 There may be something that we might learn about design
24 down the road that we haven't seen today that might cause
25 us to change something but -- but we don't expect much

1 change in the amount of material but we do expect to be
2 able to get more efficient on the installation of that
3 and to be able to lower the costs, as well as to reduce
4 the level of inspection which again would bring the costs
5 down of four (4) party closer to conventional and reach
6 the parity that we're targeting for.

7 MR. ROBIN WIENS: I -- I think the point
8 here is that whether we're optimized or not there are
9 going to be differences in costs relative to conventional
10 that depend on the configuration.

11 In those situations that have
12 significantly more material under the four (4) party
13 method we're probably not going to be able to get under
14 the cost of conventional. In those that have a similar
15 amount of material, once we're optimized we hope to be
16 significantly under the cost of conventional.

17

18 (BRIEF PAUSE)

19

20 MR. IVAN HOLLOWAY: When the Panel
21 referred before and I -- forgive me, I can't remember
22 which witness it was, it might have -- it might have been
23 a few of you -- said that we hope to reach parity on
24 terms of cost some time in the future, maybe within the
25 next year or a couple of years, when you're saying

1 "parity," do you mean parity between what it would be
2 estimated of the conventional cost and what the actual
3 cost of the four (4) party is?

4 I mean, I assume that's what it is in part
5 but does that also include parity in terms of all the
6 extra costs that have been incurred to-date and may be
7 incurred in the future that are extra? Does parity
8 include a factor in of those extra expenses?

9 MR. DOUG KROEKER: Are you referring to
10 the seven hundred and eighty-eight thousand (788,000) as
11 an example that we've incurred to date?

12 MR. IVAN HOLLOWAY: Yes.

13 MR. DOUG KROEKER: No, going forward our
14 definition of parity is once the process is fully
15 optimized that the average cost of four (4) party, if we
16 look at a year in history the average cost of the
17 projects completed on a four (4) party would be equal to
18 what they would have been done under conventional, but
19 there'll be no recovery or I should say the seven hundred
20 and eighty-eight thousand (788,000) was not factored into
21 that or not included in that parity.

22

23 (BRIEF PAUSE)

24

25 MR. IVAN HOLLOWAY: I'd like to talk

1 about the costs for the inspection for a moment. That
2 appears to be a significant cost in the process.

3 And my -- I guess my first basic question
4 is, what is it in -- in the -- in the current system of -
5 - of having a contractor as opposed to an internal crew
6 that an inspector cannot either be trained as one (1) of
7 the contractors who's already working on it or something
8 like a model you were talking about which you hope to
9 achieve or there would be an audit system of the
10 contractor.

11 Why can that not be placed in the current
12 contractor system as opposed to just something that could
13 only be done under the in-house system?

14 MR. DOUG KROEKER: The -- I guess you
15 could move to a model under a scenario whereby we use
16 contractor personnel for installations that we do less
17 inspection. We've tried that in various ways in the
18 past, moving away from inspection during construction to
19 audit and inspection of contractors' work after the fact
20 and we haven't had a favourable experience with some of
21 that and so we're reluctant to expand on that. Well, I
22 guess it, you know, it could be an option for some.

23 MR. IVAN HOLLOWAY: Can you elaborate on
24 the not being a favourable experience?

25 MR. DOUG KROEKER: We had situations with

1 one (1) of our transmission lines in the past, as an
2 example, whereby we relied more heavily on some of the
3 inspection after the fact and we ended up with a number
4 of quality control issues on that project and on that
5 pipeline that required significant remedial action.

6 MR. IVAN HOLLOWAY: And can you explain
7 why you think those problems were just specific to or
8 endemic, I guess, to the structure of contractors or is
9 this something that could be just specific to that
10 individual contractor?

11 MR. DOUG KROEKER: I don't think it's
12 just specific to that individual contractor. I think
13 that -- that there is a need with any contractor
14 performing any type of work, whether it's on our gas
15 lines or if it's the City of Winnipeg building streets,
16 or it's Qualico constructing homes, there is a need for
17 the inspection of the contractors, and it's certainly not
18 -- not specific to our contractors working on our
19 pipelines.

20 MR. IVAN HOLLOWAY: I'm not sure I quite
21 follow. I'm not sure if it's an issue of -- of the, you
22 know, contractors or, you know, there's an inherent trust
23 issue because they're arm's length and they're not
24 employee, or -- or what exactly is -- I'm just not
25 following why there would be an extra requirement to

1 supervise a contractor, all things being equal, than an
2 internal employee.

3 MR. DOUG KROEKER: At the heart of it, it
4 probably does boil down to -- I don't know if it's the
5 trust factor but it may boil down to the pride factor
6 that I have certainly seen over time, that the employees
7 that work for us, that work on our system take an
8 increased pride in their work than a contractor that may
9 be hired for a short period of time for a company that is
10 not Manitoba Hydro or Centra, and then move on.

11 So I think that our employees are -- take
12 an increased pride in their work. They're here for the
13 long term. And that contributes to better quality and
14 contributes to the fact that we find that we don't need
15 to inspect internal employees and crews to the same level
16 that we need to inspect external contractors.

17 MR. IVAN HOLLOWAY: But isn't there a way
18 of being able to keep your contractors accountable? I
19 mean, there's a number of ways I can think of. You know,
20 if they do something wrong you could take them to Court,
21 you could -- you could just not hire them again, you
22 could, you know, refuse to -- to pay them the full amount
23 of -- of their contract.

24 I mean, is there -- is there not other
25 ways that we could kind of pursue that would keep the

1 contractor more accountable?

2 MR. DOUG KROEKER: There are certainly
3 other ways, some of the ones that you've just described,
4 to me, certainly don't sound easier and may not even be
5 more cost-effective than the method of inspection. Doing
6 -- ensuring the work is done right when the work is
7 completed is a -- is a far easier process than trying to
8 go back after the fact and -- and correct it and then
9 deal with contractor through penalties or litigations.

10 MR. IVAN HOLLOWAY: I'd like to refer you
11 to IR -- PUB/CENTRA IR-13, the question and answer, 13C
12 on page 4 of 13.

13 MR. DOUG KROEKER: Sorry. Could you
14 repeat the reference, Mr. Holloway?

15 MR. IVAN HOLLOWAY: Sorry. It's
16 PUB/CENTRA IR question/answer 13C, page 4 of 13.

17 MR. DOUG KROEKER: Okay. I have it.
18 Thank you.

19 MR. IVAN HOLLOWAY: I'm looking at the
20 inspection costs under the conventional and it's seventy-
21 eight hundred -- roughly seventy-eight hundred dollars
22 (\$7,800) and under the four (4) party it's fifty-five
23 thousand (55,000), at least for the Royalwoods project.

24 It seems to me that the contractors and
25 from your -- from previous evidence is that the

1 contractors were used to do the -- the conventional
2 system, that their inspection requirements were
3 relatively minimal.

4 Can you explain that?

5 MR. DOUG KROEKER: Certainly the cost to
6 inspect the conventional main construction for gas or --
7 are a lot lower than the four (4) party and that relates
8 primarily to the amount of plant to be installed up front
9 for four (4) party versus conventional.

10 On the conventional main installation
11 that's shown here in this response and the costs
12 associated with it are for a contractor to trench in or
13 plough in a distribution main on one side of a road and
14 the inspection costs are for that and do not include any
15 of the services going off.

16 Conversely with the four (4) party, it's
17 installing the distribution main along one side of the
18 road, the service that are crossing the road and the
19 service header on the other side of the road, along with
20 all of the service stubs.

21 And so as a result, in the conventional
22 method a contractor might progress along to do fifteen
23 (15), twenty (20) or even thirty (30) lots in a day to
24 put a distribution main in front of that many lots or
25 possibly more.

1 And therefore, the inspection costs
2 associated with those lots are much lower individually
3 than when you look at a four (4) party crew that has much
4 more plant to put in and they are servicing approximately
5 five (5) lots a day.

6 And so there's just more days required on
7 site for a four (4) party crew to complete the
8 installation of all of the plant.

9 You know, there's electric cables to go
10 in; there's Shaw and MTS at the same time as the gas
11 line, and so they're getting five (5) lots a day instead
12 of thirty (30) and therefore the number of days on site
13 goes up and so does the inspection costs.

14 THE CHAIRPERSON: Mr. Kroeker, didn't you
15 say before that the -- initially through your test and
16 piloting of four (4) party, the inspection costs would be
17 higher than they will be in the long haul?

18 MR. DOUG KROEKER: Yes. We're expecting
19 our inspection costs to drop off. We're going to move to
20 a different model using in-house crews and we expect them
21 to dramatically drop off.

22 THE CHAIRPERSON: Thank you.

23

24

(BRIEF PAUSE)

25

1 CONTINUED BY MR. IVAN HOLLOWAY:

2 MR. IVAN HOLLOWAY: Is part of those --
3 that drop off from your new model of the in-house crew,
4 is part of that due to a system of auditing as opposed to
5 a continual system of -- of inspection of everything
6 that's happening?

7 MR. DOUG KROEKER: Yes, that's correct.
8 Using in-house crews and then auditing their work.

9

10 (BRIEF PAUSE)

11

12 MR. IVAN HOLLOWAY: Do you have an
13 estimate on a project like Royalwoods as to how much -- I
14 mean, currently we have fifty-five thousand dollars
15 (\$55,000) allocated for the four (4) party system to
16 inspection.

17 Do you have a sense under a similar type
18 of project what the inspection costs would be under the
19 ideal optimized internal system?

20

21 (BRIEF PAUSE)

22

23 MR. DOUG KROEKER: No, I don't have those
24 numbers available. We have never turned out an estimate
25 like that.

1 MR. IVAN HOLLOWAY: You don't have any
2 ball park sense? There's no one on the panel who could
3 provide a ball park sense?

4 I mean, there seems to be a lot of
5 confidence that this is going to -- this system is going
6 to decrease that cost.

7 I'm assuming that, given there's a lot of
8 confidence in that, that there would be some sense of how
9 much the cost would be decreased?

10

11 (BRIEF PAUSE)

12

13 MR. DOUG KROEKER: Actually, I -- we may
14 have some numbers here that we can take a look at. If I
15 refer you to the exhibit handed out by Mr. Peters, I
16 believe it's Exhibit number 1, page 24 is a reference to
17 Centra's December 15th of 2005, report.

18 MR. IVAN HOLLOWAY: Sorry, what page is
19 that?

20 MR. DOUG KROEKER: Page 24.

21 MR. ROBIN WIENS: I believe that page 24
22 is Mr. Peters' numbering of that exhibit.

23

24 (BRIEF PAUSE)

25

1 MR. DOUG KROEKER: And as you can see in
2 the -- we've got three (3) columns there; conventional,
3 single party estimated, actual cost for the Royalwoods,
4 which I would suggest were after some adjustment and then
5 our projected four (4) party costs are in the right-hand
6 column. And with inspection there for this example we
7 show them dropping from forty-nine thousand six eighty
8 (49,680) down to eight thousand two eighty-one (8,281).

9 MR. IVAN HOLLOWAY: And I also noticed
10 those inspection costs are actually slightly less for the
11 four (4) party concept as opposed to for the conventional
12 party -- single party estimate; do you see that?

13 THE CHAIRPERSON: Mr. Holloway, I'm
14 wondering whether you have a further estimate of the time
15 remaining in your cross?

16

17 (BRIEF PAUSE)

18

19 MR. IVAN HOLLOWAY: I don't think it'll
20 be much longer, Mr. Chairman, ten (10) minutes maybe.

21 THE CHAIRPERSON: Thank you.

22 MR. DOUG KROEKER: To answer your
23 question the -- the cost there, the eighty-two hundred
24 (8,200) is just slightly lower than what's in the
25 conventional. That includes -- the eighty-two hundred

1 (8,200) and it's factored it there, includes the cost for
2 the auditing that we have talked about here today and as
3 well it includes some of the time of the foreman and lead
4 hand, you know, in recognition of their responsibilities
5 in the area of ensuring the quality of the work of their
6 crews.

7

8 CONTINUED BY MR. IVAN HOLLOWAY:

9 MR. IVAN HOLLOWAY: But that also tells
10 me given that the relatively similar nine thousand two
11 hundred (9,200), eight thousand two hundred (8,200) that
12 -- that it wouldn't be much -- that the amount of plant
13 wouldn't be much of a factor.

14 There would be other factors; is that fair
15 to say?

16 MR. DOUG KROEKER: Are you suggesting --
17 I'm -- I'm trying to follow the question, Mr. Holloway.
18 Are you suggesting that -- to me that the amount of plant
19 installed is not a direct relation to inspection costs;
20 is that what you were suggesting?

21 MR. IVAN HOLLOWAY: Well, part of my
22 understanding of your -- of your answer to me originally
23 as to what the difference in cost from a single party to
24 the four (4) party under the Royalwoods project was that
25 at least, in part, there were differences in terms of the

1 amount of plant and so on that would cause, all things
2 being equal, more inspection and -- and so on.

3 But it seems to me based upon these
4 numbers that in fact that those other characteristics are
5 almost nonexistent because they're almost identical
6 numbers?

7 MR. DOUG KROEKER: No, it's -- as it --
8 as it relates to the inspection our hope as we move
9 towards parity in the area of costs for four (4) party,
10 it's important for us to reduce out costs of inspection
11 in order to be able to reach parity.

12 In this example it's important to drop the
13 costs from forty-nine thousand six hundred (49,600) down
14 to eighty-two hundred (8,200) and that will deliver in
15 this example forty-one thousand dollars (\$41,000) in
16 savings that will help us reach parity with four (4)
17 party costs.

18 If you do look at this example shown here
19 and the combined total at the bottom, even with
20 inspection costs being close to that of conventional we
21 still show a bottom line savings in four (4) party. Our
22 projected costs for four (4) party a hundred and fifteen
23 thousand (115,000) and conventional estimated is one
24 twenty-eight -- a hundred and twenty-eight thousand
25 (128,000). So even though inspection costs are similar

1 to conventional we still have achieved our parity goal.

2 And so by reference earlier with the high
3 cost of inspections, trying to reduce it from what we're
4 currently experiencing on four (4) party to -- to
5 something less than that.

6 MR. IVAN HOLLOWAY: And I guess that's
7 part of what I'm getting it. If I can refer you back to
8 that IR 13, page 4 of 13 which is the -- as I understand
9 it is the most updated estimate of the -- of the costs of
10 the four (4) party under the Royalwoods. Fifty-five
11 thousand dollars (\$55,000) is allocated to inspection and
12 if -- and granted what you said before that, you know,
13 it's -- it's -- Centra doesn't seem to want to go down
14 the path of making its inspector -- or making its
15 contractors more accountable by other purposes, but it
16 seems to me that if you could reduce that fifty-five
17 thousand dollars (\$55,000) down to eighty-two hundred
18 dollars (\$8,200) which in my quick math is it's -- that
19 would be a reduction of forty-seven thousand dollars
20 (\$47,000) and change.

21 You minus that from your bottom line, that
22 you're actually -- your conventional system and your four
23 (4) party system are virtually equal, and if not, your --
24 your four (4) party system is less expensive.

25 MR. DOUG KROEKER: Oh, it's -- you're

1 right on the money I think, Mr. Holloway. If we could
2 reduce the cost of inspection for four (4) party we would
3 be at parity with the conventional certainly.

4 MR. IVAN HOLLOWAY: But doesn't that just
5 kind of directly lead to the point that -- that perhaps
6 it's worth looking into making your contractors, as
7 opposed to just changing the whole system, making your
8 contractors more accountable, looking at that kind of
9 more seriously, because the -- the potential savings are
10 just so great?

11 MR. DOUG KROEKER: If we weren't, I think
12 -- I think you may be suggesting inspection on -- on our
13 current method of installation. On conventional the cost
14 shown on that same page of the same reference is only
15 seventy-eight hundred and forty-nine dollars (\$7,849).
16 So there's not a lot of room in there for savings.

17 We could change our inspection model with
18 a contractor to attempt to make them more accountable for
19 their work. I'm sure there would be some after-the-fact
20 costs that would chew up some of those savings in the way
21 of litigations and claims and time to deal with some
22 remedial actions, et cetera.

23 But it's -- to move to that kind of a
24 model on our current conventional model only allows us to
25 save a portion of the seventy-eight hundred (7,800),

1 which I'm not sure is worth the risk of going after.

2

3 (BRIEF PAUSE)

4

5 MR. IVAN HOLLOWAY: Atco in Alberta and
6 Enbridge in Ontario use contractors for their four (4)
7 party systems; right?

8

9 (BRIEF PAUSE)

10

11 MR. IVAN HOLLOWAY: It's actually in your
12 IR number 9, page 1 of 2, at the bottom.

13 MR. DAVID PETURSSON: Yes, they do.

14 MR. IVAN HOLLOWAY: I notice also, if you
15 look at page 2 of your response to Information Request
16 that Enbridge, which uses contractors for their four (4)
17 party, according to your answer, saves approximately
18 twenty (20) to 30 percent on their conventional and Atco
19 saves approximately 10 percent.

20 I'm just wondering that given that they
21 use contractors and given that they have such savings,
22 that if there's been, you know, what attempt has been
23 made to try to duplicate the type of system that they
24 have in place?

25 MR. DAVID PETURSSON: Those are two (2)

1 facts and -- or that we've received from these companies
2 when we enquired about this, but I do not see that they
3 are directly related. There's no -- I don't know of the
4 correlation that they -- they have cost savings because
5 they use contractors or it may be due to a number of
6 other factors.

7 Our hope was that -- or our expectation is
8 cost parity and our hope is that we'll do better than
9 cost parity and -- and show a cost savings when we get
10 fully optimized in our four (4) party operation.

11 MR. IVAN HOLLOWAY: But clearly these are
12 two (2) utilities that have used this and -- and seem to
13 have used it successfully.

14 Wouldn't it be advantageous to take a look
15 at a more closer level as to what they've done, how
16 they've done it, to -- to achieve their ostensible
17 success before one makes, you know, the radical change of
18 -- of going to internal crews and buying a whole bunch of
19 capital equipment?

20 I mean, would that be something that's
21 kind of important to investigate?

22 MR. DAVID PETURSSON: Part of it is,
23 like, report of cost savings. Now, that's a cost savings
24 that they report from earlier but we do not know the
25 basis of their previous cost experience and -- and the

1 fact that they use contractors is only one (1) aspect of
2 their present cost experience.

3 We definitely want to learn from every
4 place we can to help us do our work better and we are
5 continually keeping our eyes open to see what we can
6 learn from others.

7

8 (BRIEF PAUSE)

9

10 THE CHAIRPERSON: Mr. Holloway, I think
11 if you've got suggestions with respect to their overall
12 approach to in-house as opposed to external you could
13 relate to them in your final remarks.

14 I think you've made your point.

15 MR. IVAN HOLLOWAY: Yeah, thank you, Mr.
16 Chairman. I have nothing really more to ask.

17 THE CHAIRPERSON: Thank you, Mr.
18 Holloway.

19 Mr. Boyd, do you have anything..?

20 MR. SANDY BOYD: No, I have no questions.

21 THE CHAIRPERSON: Thank you. Mr.
22 Czarnecki, do you have any re-direct of your panel?

23

24 RE-DIRECT EXAMINATION BY MR. BRENT CZARNECKI:

25 MR. BRENT CZARNECKI: I do, Mr. Chairman,

1 and it'll be very brief. It's just relating to one (1)
2 area.

3 I'd just like to re-direct the panel to
4 the area which relates to the adjusted actual four (4)
5 party costs that we've spoke about and to ensure everyone
6 has a clear understanding of how those costs were
7 determined.

8 Now, Mr. Kroeker, would you please refer
9 to page 66 of Centra Exhibit 1?

10 MR. DOUG KROEKER: I have the reference.

11 MR. BRENT CZARNECKI: And could you
12 please describe how the total four (4) party costs were
13 determined?

14

15 (BRIEF PAUSE)

16

17 MR. DOUG KROEKER: As I discussed
18 earlier, Centra completed an in-depth analysis of nine
19 (9) of those sixty (60) projects that are shown.

20 And, based on that analysis, it was
21 determined that the costs included in the work orders
22 were 5 percent higher than they should have been, because
23 of charges to incorrect work orders, et cetera.

24 As a result, the work orders of the
25 remaining fifty-one (51) projects were adjusted to

1 reflect the findings of the in-depth analysis and the
2 costs shown in the column entitled "Total Four (4) Party"
3 have been reduced by that 5 percent.

4 MR. BRENT CZARNECKI: And then next, Mr.
5 Kroeker, Mr. Peters referred you to the response to
6 PUB/Centra 13 and specifically page 4 of 13.

7 MR. DOUG KROEKER: Okay, I have the
8 reference.

9 MR. BRENT CZARNECKI: And you had
10 indicated that material costs had been adjusted.

11 Can you please explain how that relates to
12 the adjusted costs which we just went through on page 66?

13 MR. DOUG KROEKER: The tables shown here
14 in -- on page 4 of 13 of PUB/Centra-13 is really the
15 detail associated with one of the projects listed in
16 Appendix A which is page 66 of exhibit 1.

17 It provides a breakdown of the 5 percent
18 adjustment we've discussed. The example of material
19 demonstrates one (1) component of the adjustments that
20 were made as a result of the in-depth analysis. This is
21 one (1) component of the total 5 percent adjustment.

22 The costs depicted do not represent an
23 average of construction costs, but rather the cost of
24 each project were adjusted by 5 percent to reflect the
25 findings of our in-depth analysis.

1 Thank you.

2 MR. BRENT CZARNECKI: Thank you, Mr.
3 Kroeker. Mr. Chairman, that's all for our re-direct.

4 THE CHAIRPERSON: Very good. Mr. Peters,
5 do you have any closing remarks?

6

7 CLOSING REMARKS BY MR. BOB PETERS:

8 MR. BOB PETERS: Yes, thank you, Mr.
9 Chairman. I will be brief. I will take no position on
10 the application but I will try to summarize certain
11 aspects that the Board may find key.

12 I believe the Board was introduced to the
13 four (4) party trench construction technique back at the
14 19 -- back at the 2005 General Rate Application for this
15 Utility and apparently it's a new technique for Manitoba
16 related to gas mains.

17 The Board looked at four (4) party trench
18 from the perspectives of safety and of costs and
19 reflected its findings in its Board Orders 103/05 and
20 135/05.

21 From the safety perspective, we have heard
22 from the Company that Centra acknowledges that it carries
23 the responsibility to design and create and operate
24 safely its gas distribution system.

25 In terms of where four (4) party trench

1 and safety cross, I believe the witnesses have also
2 testified that, in their view, the four (4) party trench
3 installations of mains will be safer relative to
4 conventional costs of main installations.

5 I noted five (5) reasons; the transcript
6 will bear me out or correct me, and one (1) of them was
7 the verifiable separation between the utility's -- the
8 various utility's plants.

9 Secondly, there's the simultaneous
10 installation, and that includes the installation of plant
11 when it's un-energized and it also includes reduced need
12 for crossing of other utility's plants.

13 The third reason related to safety was the
14 elimination of long services under the roadway and what
15 that may or may not contribute to safety concerns.

16 Fourthly, was the use of the stubs to
17 start the service installations to dwelling. And
18 fifthly, there was a reduced need to excavate an exposed
19 plant during construction using the four (4) party trench
20 methodology.

21 When I look at my notes from questions as
22 to costs it may be that from the GRA, when this was last
23 visited, to now there may have been some evolution in
24 terms of the assessment of costs such that now Centra
25 expects cost parity on average between four (4) party

1 trench and conventional installations. And perhaps
2 depending on the specific design, there may be up to a 20
3 percent savings on some of those projects.

4 In terms of what this Board is being asked
5 to do by the Utility, and I'm sure Mr. Czarnecki will
6 address this in his comments, but it appears to me that
7 Centra wants to continue to optimize its four (4) party
8 trench installation process and defend its costs after
9 March 31 of 2009.

10 I perceive, and I guess subject to
11 Centra's counsel's comments, that the Board directive in
12 Order 10/06 that makes the company nervous or
13 apprehensive or uncertain, has to do with the end date
14 after which the Board indicated four (4) party trench
15 would not be permitted if the Board was not satisfied as
16 to the merits of this new -- this new construction.

17 And I surmise, again subject to being
18 corrected by Centra's counsel, that removing that defined
19 end date would alleviate the Utility's concerns and still
20 make Centra defend its costs after March 31 of 2009.

21 The Board will need to consider the safety
22 and cost issues, and also consider directive number 9
23 from Order 10/06 and whether that directive needs removal
24 or refinement based on the evidence it has heard in this
25 Hearing.

1 And thank you for this assistance in this matter, as well
2 as our other advisors.

3 Now, we'll move on to Mr. Holloway. Do
4 you have any closing remarks?

5 MR. IVAN HOLLOWAY: I will, Mr. Chairman.
6 I'm in a bit of a difficult situation because I need to
7 get instructions from my client in terms of the exact
8 position.

9 We were going to wait for the evidence to
10 come out before we were going to take a final position on
11 things. I have their cell numbers. They weren't able to
12 be in attendance today. I'm wondering if I could have
13 leave to have, you know, five (5), eight (8) minutes to
14 be able to contact them via cell.

15 THE CHAIRPERSON: Okay. We'll come back
16 to you in a second.

17 Mr. Boyd, do you have anything?

18 MR. SANDY BOYD: No, I do not.

19 THE CHAIRPERSON: Our normal practice is
20 to allow Mr. Czarnecki to bat clean-up but in this case
21 we'll delay for ten (10) minutes if you want to make your
22 phone call. Thank you.

23 MR. IVAN HOLLOWAY: Thank you.

24

25 --- Upon recessing at 3:53 p.m.

1 --- Upon resuming at 4:08 p.m.

2

3 THE CHAIRPERSON: Okay, Mr. Holloway, any
4 time you're ready.

5

6 FINAL SUBMISSIONS BY MR. IVAN HOLLOWAY:

7 MR. IVAN HOLLOWAY: Thank you, Mr.
8 Chairman. The position that CAC/MSOS is taking on this
9 matter after having had an opportunity to review and test
10 the evidence is that we don't believe the Board is in a
11 position to be able to give Centra Gas a carte blanche
12 green light to go ahead and -- and pursue its
13 optimization process as it has requested.

14 And the -- the reason for that is that
15 this project I think it's fair to say has been plagued
16 with numerous mis-estimations from the beginning. The
17 initial estimations were that this was going to be a
18 neutral cost saving to a 25 percent cost saving; that
19 hasn't panned out.

20 The initial reasons given for that began
21 with the fact that this was in the beginning stages, that
22 there were some kinks to be ironed out, that there was
23 some -- some startup costs, engineering and so on in
24 order to -- to get the project on track. And -- and
25 that made a certain amount of intuitive sense but clearly

1 there's something more to it than that.

2 The -- the Royalwoods Project I think by
3 the latest numbers was 24 percent over what it would have
4 been for the -- in the -- in the four (4) party method as
5 opposed to what it likely would have been under the one
6 (1) party method.

7 That was the second project. We're at
8 sixty-six (66) now and we're averaging, if I have this
9 correctly, 31 percent over. And I can be corrected if I
10 have those numbers wrong but I believe I'm right. Surely
11 there should have been some greater increase in
12 efficiency from -- from the second project to, you know,
13 the -- the bulk of the sixty-six (66) projects and that
14 clearly hasn't happened.

15 The -- the new or the -- the more recent
16 reason for that that's been presented to us is that there
17 needs to be internal crews, largely as I understand it
18 and -- and I know there's more nuance in this but largely
19 there needs to be this optimization process which needs
20 internal employed people of Centra Gas and Manitoba Hydro
21 that can do this work and that -- and it's the
22 contractors and the inspection of the contractors and so
23 on is what is causing these cost overruns and if we can
24 buy the capital equipment, if we can -- if we can do this
25 in-house we will be able to provide the cost savings or

1 at least likely provide the cost savings that -- that we
2 were hoping to provide in the beginning.

3 And I submit that, number 1, I don't want
4 to be disrespectful but there's a certain -- there's a
5 certain credibility issue that plays into -- into effect
6 here, that -- and I think it ties in to the -- the
7 appearance that there doesn't seem to be real
8 investigation into how to put this process together.

9 The idea of four (4) party trenching
10 intuitively has some sense to it, and I'm going to grant
11 that. There's been jurisdictions, Ontario, Alberta, that
12 have done this. They appear to have done it
13 successfully.

14 It's not clear to me why there wasn't more
15 -- both two (2) years ago, three (3) years ago and today
16 -- why there hasn't been more effort to find out exactly
17 how they do what they do and if they're -- if they're
18 successful or if they're not, although they appear to be
19 successful, what is it and what they're doing.

20 It seems to me before we embark upon a
21 holus bolus new arrangement, that that further kind of
22 basic type of investigation is paramount, and it hasn't
23 happened as far as I can see.

24 It's being offered up that internal crews
25 that be more cost-effective than a contractor crew. It

1 hasn't been offered as to -- as far as I can see in the
2 record, as to why that is. There hasn't been a detailed
3 analysis presented to us as to what a -- an internal crew
4 is capable of doing and why it's capable of doing it
5 better than a contracting crew.

6 I mean, clearly a contracting crew has all
7 these costs, you know, they have the cost of the
8 amortization of their equipment, their operation and
9 maintenance, their labour and so on. They have similar
10 costs that an internal system would have. It's not clear
11 as to why that would be in and of itself that much of a
12 saving.

13 And the fact that these -- this work under
14 the one (1) party trench has been done by contractors
15 for, as I understand it, decades, it kind of lends
16 support more to it not being a contracting issue but
17 being something other than a contracting issue. What it
18 is, I'm not entirely sure.

19 The -- but I think it's something that
20 should be explored. I don't think it has been explored
21 in -- in the requisite depth that it ought to be in order
22 to determine, you know, what the real root cause of why
23 these cost overruns are occurring.

24 In my cross-examination I focussed on --
25 one (1) of the things I focussed on was the -- the

1 inspection costs and -- and this was one of -- this was a
2 relatively large cost that was happening on -- on the
3 particular project that we were observing as an example,
4 which is the Royalwoods project. A cost that's -- that's
5 fifty-five thousand (55,000) out of a project that's two
6 hundred and twelve thousand (212,000), when under the
7 optimized approach it could be eighty-two hundred
8 (8,200).

9 The -- and the explanation provided that -
10 - that, you know, we can't reduce these -- these
11 inspection costs for a contractor because, you know,
12 there's something that -- an internal workforce takes
13 more pride in their work and -- and, kind of, arguments
14 of that nature, with respect, don't seem to have -- don't
15 seem to have a lot of force and effect.

16 I don't see why the regular incentives
17 that any professional contractor has to do their job
18 properly, whatever they are, whether it's a bonus system
19 or a -- or a penalty system, should not and cannot be
20 implemented in this particular case here. And I don't
21 think the Board has been given a proper explanation as to
22 why that can't happen.

23 And I -- I am focussing on -- on
24 inspection costs to some extent, but the fact of the
25 matter is, is that, as I -- I tried to point out in my

1 cross-examination, if you were able to reduce these
2 inspection costs by what it would be under the optimized
3 situation, if you were able to have a -- an auditing
4 process or something like that and drastically reduce
5 them, let's say by, you know, in this particular case,
6 forty (40) or forty-five thousand dollars (\$45,000), you
7 would be at cost parity.

8 You would be at cost parity between the
9 four (4) party and the single party system without having
10 to go through the monumental task of -- of training all -
11 - training a whole bunch of workforce, buying a whole
12 bunch of capital equipment and all the incidentals that
13 would be involved in putting together an internal crew.

14 With respect to safety, you know, clearly
15 there -- there's been -- there's been, and in terms of
16 less likelihood of damage for street repairs and sewage
17 repairs, in terms of the connecting of the -- of the --
18 of the plant to the house, clearly there's been evidence
19 has been put forward that favours the four (4) party
20 trench over the single party trench.

21 The concern that CAC and MSOS have is that
22 the -- essentially the bulk of the plant is being moved
23 from public property onto private property and that, I
24 think as was acknowledged in cross-examination, that all
25 things being equal, a home owner on his -- on his -- on

1 know it's the evidence of -- of the -- of -- of -- I
2 believe it was Mr. -- Mr. Petursson, that a homeowner is
3 probably no better or worse able to handle a -- an
4 accidental gas strike than a City of Winnipeg or a City
5 of Brandon crew -- street crew.

6 I respectfully disagree and I submit to
7 the Board that that's not reasonable, that the street
8 crew who's trained in safety presumably trained in safely
9 -- safety who's used to -- who's job is to bore
10 underground on a regular basis, who has safety equipment
11 at his or her disposal, who has, you know, foremen and so
12 on, has got all the contacts at their fingertips to
13 Centra and hydro and so on, that that crew is much more
14 capable of handling a disaster in which a gas line is
15 struck than a homeowner, Jack or Jane homeowner who
16 fancies themselves a -- a fence builder or a -- or a deck
17 builder or a what have you that strikes a gas main and
18 something happens.

19 And that the -- the -- the -- the -- not
20 only is there increased possibility given that there's
21 more plant underground but the potential effect of a
22 strike on those -- that particular segment of the
23 population, theoretically at least, could be more
24 devastating.

25 Unfortunately, we don't have -- we don't

1 have facts or statistics that -- that -- that break down
2 what the nature of injuries are when it comes to gas line
3 breakage and I think it's unfortunate and it would be
4 helpful to the Board to have that.

5 But, I mean, clearly, from one's day to
6 day experience and knowledge of these things, someone
7 who's smoking and -- and, you know, digging a trench in
8 their back yard, having a couple of beers, you know,
9 could put themselves at a lot greater risk than, you
10 know, by -- by hitting -- by hitting a gas line, putting
11 themselves at serious risk and at a heightened risk
12 because there are simply more gas lines in their property
13 than there was before.

14 And I don't think -- I know that the
15 evidence of the witnesses were that while there's --
16 there's, you know, easements and -- and the fact that
17 they know there's -- there's, you know, electrical works
18 underground, that they're more likely going to be aware
19 of the fact there's a gas main on the property, but the
20 reality is that people don't go to their local land
21 titles office and have a very good sense of what exactly
22 are the easements on their property.

23 People have busy lives and so on and --
24 and the reality is, is there's going to be a portion out
25 of any given number of people that decide that they're

1 going to build themselves something or do something and,
2 you know, there's going to be a portion of those that
3 aren't going to call before they dig and there's going to
4 be a portion of those that are going to strike the
5 equipment. And it's almost -- it's almost a sure thing.

6 The fact that there's more of this stuff
7 in the ground than -- than before I -- I submit means
8 that that likelihood is going to happen more and that
9 these are the most vulnerable of the public. The City
10 crews and the -- and the sewer and water crews and -- and
11 the -- and the electrical crews and the -- and the gas
12 crews -- they're not the most vulnerable. It's -- it's
13 the homeowner and perhaps even the -- the average fence
14 contractor.

15 So I submit that -- that there may be
16 safety benefits in some areas. It's not clear that those
17 safety benefits are in all areas. And it's certainly not
18 clear that -- that the safety concern has not been
19 shifted essentially from one (1) set of -- of our society
20 to another set of our society who, in my respectful
21 submission, is probably less capable of being able to
22 handle it than who's handling it right now.

23

24

(BRIEF PAUSE)

25

1 MR. IVAN HOLLOWAY: Subject to any
2 questions you have, Mr. Chairman, Mr. -- Chairman, Member
3 Molgat, that -- that's my submission.

4 THE CHAIRPERSON: Thank you, Mr.
5 Holloway.

6 Mr. Czarnecki, are you all right providing
7 closing statements now or do you want a short break, too?

8 MR. BRENT CZARNECKI: No, Mr. Chairman, I
9 think I'm prepared to proceed.

10 THE CHAIRPERSON: Please.

11

12 FINAL SUBMISSIONS BY MR. BRENT CZARNECKI:

13 MR. BRENT CZARNECKI: Mr. Chairman, On
14 September 29th, 2006, Centra submitted a formal request
15 to the Public Utilities Board for an extension of time to
16 evaluate the four (4) party trench initiative.

17 Centra is requesting the Board's approval
18 to continue using the four (4) party construction process
19 without limit as to time. The request seeks to vary
20 Order 10/06 which provided that no further four (4) party
21 installations were to occur past August 31st, 2006, which
22 date was subsequently extended by the Board to allow
23 Centra to further consider the four (4) party
24 methodology.

25 With respect to the filing of a response

1 to Directive 9 of Order 10/06 Centra is requesting that
2 the Board extend the time for filing of a response to
3 this directive until at least March 31st, 2009. That
4 date is significant as this time would -- is required by
5 Centra to allow for two (2) full construction seasons to
6 fully implement and optimize four (4) party installation
7 processes, evaluate these processes, and provide a
8 complete response to the Board.

9 Mr. Chairman, Centra remains firmly
10 committed to the four (4) party methodology. The reasons
11 underlying this commitment were articulated in the
12 testimony of Centra's panel and are contained in the
13 responses to the Board's Information Requests.

14 Mr. Snyder testified that development
15 configurations and technology within the industry are
16 continuously evolving. Centra needs to be responsive and
17 adapt to these changes to ensure continuous improvement
18 in installation methods where safety will be enhanced.

19 The four (4) party methodology exemplifies
20 this and is the preferred industry method for installing
21 natural gas mains in new residential subdivisions.

22 First and foremost, the impetus for the
23 four (4) party methodology was and continues to be that
24 of enhanced safety. Continuously monitoring and
25 improving safety for its customers and the public is one

1 of Centra's primary -- primary strategic goals and
2 continued use of the four (4) party methodology serves to
3 better achieve this strategic goal.

4 Mr. Petursson described the enhanced
5 safety benefits that result from the four (4) party
6 method. In summary they include firstly the virtual
7 elimination of the need to cross energized high voltage
8 electric cables and gas mains when extending services to
9 homes within subdivisions, and I think his presentation
10 was helpful in demonstrating that to the Board and
11 others.

12 The second of which is the coincidental
13 installation eliminates the excavation of the second
14 utility around the first utility's plant, which occurs
15 when using the conventional method. And this also
16 verifies the separation between the utilities, as Mr.
17 Petursson spoke to.

18 Third, the elimination of long gas
19 services traditionally installed under the street which
20 correspondingly eliminates the damages historically
21 caused during the road rehabilitation or renewal of the
22 water and sewer mains.

23 Fourth, by eliminating the long gas
24 services a clear corridor is left available on public
25 property for future use for new or renewed plant.

1 And fifth, the convenient installation of
2 service stub enclosed in a buried wooden box, which again
3 eliminates excavation around energized high voltage
4 electric cables and gas main when installing service to a
5 customer.

6 It is also worth noting, Mr. Chairman, the
7 Board's conclusion in Order 10/06 that four (4) party --
8 the four (4) party methodology is of not greater risk
9 than the conventional method of installation.

10 Now, we've just heard from Mr. Holloway
11 briefly on his views on safety and I would caution the
12 Board to allocate whatever weight and a minimal amount of
13 weight to his own personal views as to what may be the
14 safety issues. I don't think there was any evidence that
15 was produced by any party to this proceeding that
16 questions that at least the safety is at the same -- and
17 there was an abundance of information that was provided
18 to this Board by the Centra -- Centra Panel as to how it
19 in fact is enhancing the safety.

20 And I would just suggest, too, that Mr.
21 Holloway, his suggestion on whether a contractor or a
22 homeowner is in a better position to respond may be as a
23 result of his misunderstanding of how natural gas leaks
24 are reported and responded to.

25 Mr. Petursson was quite clear, and that is

1 that Centra is the expected first responder along with
2 emergency personnel, and that is in fact what occurs.
3 And contrary to his suggestion, I would suggest that
4 neither a contractor or a homeowner are -- is in any
5 better position to respond to any such occurrence.

6 We also heard from Mr. Petursson that 60
7 percent of the number of below grade damages would have
8 or likely would have been avoided had the four (4) party
9 design been used versus conventional installation
10 methods. This is significant to Centra. Yes, we don't
11 have a crystal ball going forward but we do look at the
12 best information that was available and in doing so we
13 make certain assessment and judgment from that
14 assessment.

15 Once the method if fully optimized, the
16 costs -- the costs are expected to be equal to or less
17 than the costs of conventional installation practice. As
18 Mr. Kroeker has testified, although there are expected to
19 be a number of cost efficiencies achieved by Centra in
20 using the fully optimized four (4) party methodology,
21 future optimization efforts will focus primarily on,
22 firstly, reducing the high cost of construction
23 inspection by using in-house crews and, second, after
24 completion of the required training, in-house crews will
25 perform the fusing and testing of the gas lines as

1 opposed to incurring the costs of using a contractor.

2 As Mr. Wiens testified, Centra believes
3 that the safety benefits already achieved are sufficient
4 to justify the incremental costs incurred by modifying
5 insulation practice prior to full optimization. Centra's
6 estimate of this incremental capital cost is seven
7 hundred and eighty-eight thousand (788,000), which would
8 contribute seventy-nine thousand dollars (\$79,000)
9 annually to Centra's revenue requirements.

10 Upon optimization of the four (4) party
11 process costs will, on average, reach parity with the
12 conventional method. Therefore, the future safety
13 enhancement of the four (4) party methodology will be
14 achieved at no incremental cost to Centra's customers.
15 Or, in other words, the investment of additional costs
16 today and in the recent past will continue to deliver the
17 safety benefits we have heard about into the future.

18 Mr. Peters invited Centra to comment on
19 the appropriate time frame upon which the PUB should
20 perform its cost analysis of the four (4) party
21 methodology if it is approved by the Board. Mr. Kroeker
22 testified that it would take at least twelve (12) months
23 to fully optimize this process. This leads us to the
24 2008 construction season as being the most appropriate
25 for the Board to perform its analysis from.

1 Most likely, the latter half of the 2008
2 construction season would be the most appropriate as the
3 most recent and best information would be available at
4 that time.

5 In closing and in summary, Mr. Chairman,
6 Centra remains firmly committed to fully implementing and
7 optimizing the four (4) party methodology.

8 It is the preferred, although not the
9 only, industry method for installation of underground
10 utility plant in residential subdivisions.

11 The reasons are: improved public safety,
12 reduced damage in incidents relating to plant, better
13 responsiveness to developer requirements and, once the
14 method is fully optimized, equal or better cost
15 performance relative to conventional installation
16 practice.

17 As we heard from Centra's panel,
18 proceeding with the implementation of a fully optimized
19 four (4) party process requires significant changes to
20 establish processes, corporate systems, and staff
21 responsibilities.

22 Prior to embarking upon the significant
23 processes -- process changes and committing to the
24 necessary capital expenditures to do so, Centra requires
25 certainty with respect to the future of the four (4)

1 party methodology from the Board.

2 The form of certainty requested and
3 required by Centra is the Board's approval for Centra to
4 continue to use the four (4) party method -- methodology
5 without time restriction.

6 This will permit Centra to fully implement
7 and optimize the four (4) party process over the next two
8 (2) full construction seasons, after which time Centra
9 will then be best positioned to fully respond to
10 directive 9 of Board Order 10/06 by March 31st, 2009.

11 And lastly, in terms of timing of a
12 potential Board Order, the sooner the better for Centra.

13 A quick turn around of a Board Order would
14 facilitate the timely purchase of the required equipment
15 and training of staff prior to the 2007 construction
16 season.

17 And subject to any of your -- any
18 questions you may have, Mr. Chairman, that concludes
19 Centra's submission.

20 THE CHAIRPERSON: Thank you, Mr.
21 Czarnecki. With respect to your last comment, we'd like
22 to -- the panel would like to confer.

23 If you could -- if all the parties could
24 give us ten (10) minutes, we'll be back.

25

1 --- Upon recessing at 4:35 p.m.

2 --- Upon resuming at 4:45 p.m.

3

4 THE CHAIRPERSON: Thank you for your
5 patience. We realize what time it is.

6 The Board is quite familiar with the
7 issues and the topic that was dealt with today. The
8 Board will grant Centra's request for more time to
9 continue with four (4) party trench towards establishing
10 and hopefully confirming its value from both the safety
11 and an economic perspective.

12 Accordingly, the Board will extend
13 Centra's deadline for filing a response to Directive 9 of
14 Order 10/06 to May 31st, 2009, as opposed to March 31st,
15 2009.

16 As well, the Board will approve the
17 ongoing use of four (4) party trench. This is subject to
18 the Board's review which will follow Centra's filing of
19 its response to Directive 9 of 10/06 as may be amended to
20 ensure a proper test.

21 Upon receiving and assessing Centra's
22 filing, the Board will provide final approval and/or
23 other direction. I'm talking about 2009, now.

24 In short, the Board will approve Centra's
25 request to allow a two (2) full construction seasons to

1 implement, optimize, and experience four (4) party --
2 four (4) party trench, and some time after the 2008
3 season, to evaluate the results prior to providing its
4 filing with the Board in 2009.

5 This, on the understanding that, if at any
6 time from this date, Centra's current favourable view of
7 the new approach changes, either in respect to safety or
8 economics, that Centra would then advise the Board and
9 propose action to mitigate.

10 I would remind the parties that
11 opportunities arise from time to time and matters are
12 discussed as things such as the GRA which presumably will
13 occur in 2007 and reports of progress are always welcome
14 as well.

15 For the Board is apparently as the -- also
16 is the case with Centra and, as we interpret it, also
17 CAC/MSOS safety concerns trump economic concerns.

18 This, of course, should not be taken to
19 infer the Board or any other party to this proceedings
20 isn't interested in cost effectiveness; far from it.

21 And when considering the prospects of
22 reduced damage from four (4) party trenching the Board
23 particularly notes that there are elements that extend
24 beyond the financial. These factors will hopefully
25 compensate for the additional accumulated costs through

1 the initial four (4) party trench implementation period.

2 The Board appreciates and counts on
3 Centra's commitment to closely monitor four (4) party
4 trench experience with the intent to amend where required
5 and advise the Board where warranted. As to providing
6 direction now rather than waiting for Order issuance, the
7 Board is sufficiently assured that the public interest is
8 furthered by four (4) party trench proceeding and
9 concludes that an early indication from the Board is
10 warranted.

11 We give this indication now partly in
12 recognition of the costs that have been associated with
13 past delays and the general cost of regulation.

14 The Order confirming this decision with
15 comments and rationale will follow in due course, likely
16 or hopefully by the end of January.

17 Thank you for your participation and this
18 concludes the public phase of these proceedings. Thank
19 you.

20

21 --- Upon adjourning at 4:50 p.m.

22 Certified Correct

23

24

25 _____
Wendy Warnock