

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MANITOBA PUBLIC UTILITIES BOARD

Re: CENTRA GAS MANITOBA INC.
 2006/07
 COST OF GAS APPLICATION

Before Board Panel:

- Graham Lane - Board Chairman
- Monica Girouard - Board Member
- Alan Molgat - Board Member

HELD AT:

Public Utilities Board
400, 330 Portage Avenue
Winnipeg, Manitoba
November 28th, 2006
Volume II
Pages 342 to 570

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES

R.F. Peters) Board Counsel

Marla Murphy) Centra Gas
Brent Czornecki)

Eric Hoaken) Direct Energy Marketing
Andrea Gibbs) Limited/Municipal Gas

Nola Ruzycki) Energy Saving (Manitoba)
Corp.

Kris Saxberg) CAC/MSOS
Brian Meronek)

1	TABLE OF CONTENTS	
2		Page No.
3		
4	List of Undertakings	345
5		
6		
7	CENTRA PANEL	
8	Vince Warden, Resumed	
9	Howard Stephens, Resumed	
10	Lori Stewart, Resumed	
11	Brent Sanderson, Resumed	
12	Kelly Derksen, Resumed	
13		
14	Continued Cross-Examination by Mr. Bob Peters	346
15	Discussion	454
16	Cross-Examination by Mr. Kris Saxberg	459
17		
18		
19	Certificate of Transcript	570
20		
21		
22		
23		
24		
25		

	LIST OF UNDERTAKINGS		
1			
2	NO.	DESCRIPTION	PAGE NO.
3	5	Centra to provide Board Attachment	
4		Number 3 with another stepped line	
5		showing what rates would have been	
6		just pulling out the effects of	
7		hedging alone.	438
8	6	Mr. Warden to indicate to Mr. Saxberg what	
9		documents he had with him at meetings of	
10		October 18th, 2005 and April 25th, 2005.	567
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1 --- Upon commencing at 9:25 a.m.

2

3 THE CHAIRPERSON: Good morning, everyone.

4 Another fine day in Winterpeg. Mr. Peters, anytime

5 you're ready to begin.

6

7 Vince Warden, Resumed

8 Howard Stephens, Resumed

9 Lori Stewart, Resumed

10 Brent Sanderson, Resumed

11 Kelly Derksen, Resumed

12

13 CONTINUED CROSS-EXAMINATION BY MR. BOB PETERS:

14 MR. BOB PETERS: Thank you and good
15 morning, Mr. Chairman. The first thing I'd like to do is

16 change my time estimate I left on the record yesterday.

17 But leaving that aside, I want to start with Ms. Derksen

18 and question that I pondered since she provided some

19 information yesterday.

20 Ms. Derksen, you indicated to the Board

21 that for the special contract class and the \$13.2 million

22 accumulated funds in the deferral accounts and purchased

23 gas variance accounts, Centra has negotiated with that

24 customer to pay a lump sum payment.

25 MS. KELLY DERKSEN: We have, sir, yes.

1 MR. BOB PETERS: And that lump sum
2 payment was approximately two hundred and seventy-three
3 thousand dollars (\$273,000).

4 MS. KELLY DERKSEN: Yes, sir.

5 MR. BOB PETERS: That wasn't a term of
6 the service that you provide to that customer but it's
7 rather a matter of negotiation, would that be fair?

8 MS. KELLY DERKSEN: Yes, sir, we don't --
9 that specific agreement is not written in their contract;
10 it's just something that we've agreed with and it's being
11 for -- that way for about the past three (3) years or so.

12 MR. BOB PETERS: When that special
13 contract customer owes Centra money, do they pay it to
14 Centra in a lump sum?

15 MS. KELLY DERKSEN: Yes, they do.

16 MR. BOB PETERS: Rather than have a rate
17 rider on their billed rate, they pay it off by way of
18 lump sum payment?

19 MS. KELLY DERKSEN: Yes. Their concern
20 was that they wanted to true-up at the end of every
21 period and generally it's in August, and because it's one
22 (1) customer, our -- our largest customer, we're able to
23 -- to deal with that.

24 MR. BOB PETERS: I suggest they want to
25 true-up at the end of August because they would like

1 their costs confined to the period in which they produced
2 the products that they produce?

3 MS. KELLY DERKSEN: Presumably that's the
4 case, yes.

5 MR. BOB PETERS: They want to know what
6 their true cost of production was and that helps them
7 determine what they charge their customers?

8 MS. KELLY DERKSEN: That's probably the
9 case, yes.

10 MR. BOB PETERS: Would that probably be
11 the case for the other hundred and sixty-three (163) or
12 hundred and sixty-two (162) large-volume customers that
13 Centra serves?

14 MS. KELLY DERKSEN: It possibly could.
15 It's really a cashflow issue. And, you know, to the
16 extent that customers can identify a few months in
17 advance - and these applications always take a number of
18 months - so by the time that we actually file the
19 information with the Public Utilities Board, we are in
20 contact with those hundred and fifty/sixty (150/60)
21 customers about what their rates are going to look --
22 look like for the upcoming year, and no one has -- other
23 than this one (1) customer -- has expressed concern.

24 MR. BOB PETERS: Do you know if the
25 service and sales and key contact people from Centra ask

1 the hundred and sixty-three (163) largest volume
2 customers whether they would prefer to deal on a fiscal
3 basis where all of the costs are either -- are netted out
4 within that time period, whether they are owing to Centra
5 or owing to the customer?

6 MS. KELLY DERKSEN: They don't
7 specifically ask, Mr. Peters.

8

9 (BRIEF PAUSE)

10

11 MR. BOB PETERS: Ms. Derksen, do the
12 principles change whether Centra owes money to the large-
13 volume customer or the large-volume customer owes money
14 to Centra?

15 MS. KELLY DERKSEN: Can you describe for
16 me what principles would change, please?

17 MR. BOB PETERS: Well, the principles of
18 confining the -- the costs of the large-volume customers
19 to a fiscal period so that they know what their total
20 costs were within that period and they're not paying or
21 receiving refunds in subsequent periods?

22 MS. KELLY DERKSEN: Mr. Peters, we have
23 no way of knowing what their fiscal periods are. There
24 could be some that run a calendar and some that don't run
25 a calendar and so an August to July timeframe, which is

1 typically the period by which we -- we set our rate
2 riders flowing from gas costs applications, may very well
3 not coincide with any of their fiscal periods.

4 MR. BOB PETERS: Would it be
5 administratively more convenient for Centra to net out
6 the hundred and sixty-three (163) largest volume
7 customers by way of lump sum payments on the rate riders?

8 MS. KELLY DERKSEN: No, sir, it would
9 not. It would be -- it would be fairly onerous and the
10 only reason that we agreed to these terms with the
11 special contract classes, it's one (1) customer in a
12 class. We know through the cost allocation study
13 precisely what amount is owed to them or owed from them
14 and from that perspective it can be accommodated.

15 It is even a fair amount of work on -- on
16 my part to be able to accommodate that. But we have
17 agreed to do so; to do that for the other -- other
18 hundred and fifty or sixty (150 or 60) customers would be
19 a fair undertaking, sir.

20 MR. BOB PETERS: Ms. Derksen, do the
21 hundred and sixty-two (162) other large customers know
22 that Centra is refunding to the special contract customer
23 the amount in the PGVA's in one (1) lump sum?

24 MS. KELLY DERKSEN: Likely not, sir, no.

25 MR. BOB PETERS: And you've told me

1 already that you don't give that option to those hundred
2 and sixty-two (162) customers; that's not something
3 that's discussed with the.

4 MS. KELLY DERKSEN: We don't explicitly
5 tell them that they don't -- that they can have that
6 option but if they were to approach us, we'd have to
7 consider it obviously.

8 MR. BOB PETERS: So you leave it in the -
9 - in the hands of the large volume customers to decide
10 whether they want to make that request of the Company or
11 not?

12 MS. KELLY DERKSEN: We do and -- and no
13 one has asked that of us, sir.

14 MR. BOB PETERS: All right. Let's go
15 down that slippery slope. If -- if starting tomorrow two
16 (2) or three (3) people made that request because they
17 read the transcripts today of -- and find out that a
18 special contract customer has -- getting their lump sum,
19 what would Centra do?

20 MS. KELLY DERKSEN: My thoughts initially
21 are that if it's several customers that we -- we may not
22 want to go down that road because talking about one (1)
23 customer in their own class is one issue, talking about
24 several customers imbedded within a class of ninety (90)
25 or a hundred (100) is a different matter entirely. So

1 I'm not sure that we would want to go down that road.

2 THE CHAIRPERSON: Would you mind, just
3 for the benefit of the Panel Members, to explain why it's
4 -- you indicated be an onerous task?

5 MS. KELLY DERKSEN: Sir, it has to do
6 with the fact that we would have to retroactively go and
7 look at how much -- well, first of all, you need to
8 decide how that you're going to bill out that lump sum.

9 So if you decide that you want to go back
10 and look at each of the customers individually and figure
11 out how much volume they consumed during the past year
12 and how much that they are then entitled to, that in
13 itself is a difficult process, particularly when you're
14 talking about two hundred and fifty thousand (250,000)
15 customers. To then track them later on to find out where
16 they have gone to is another matter entirely.

17 And we have a significant number of moves
18 and changes on the system such that the customers that
19 were on the system in the year that the amount has
20 accumulated may no longer be on the system. And so,
21 that's a difficult process as well.

22

23 CONTINUED BY MR. BOB PETERS:

24 MR. BOB PETERS: Thank you, Ms. Derksen,
25 but the -- the onerous part that you talked about with

1 the Chairman that pales in comparison then and it's not
2 as onerous when you're talking about a hundred and sixty-
3 two (162) as opposed to two hundred (200) and -- two
4 hundred and three thousand (203,000)?

5 MS. KELLY DERKSEN: I guess -- I guess
6 the difficult thing is, you either do it all for everyone
7 in that class or you don't do it at all because you don't
8 want to have differential rates between the customers
9 within the class.

10 So it can be done. It's fairly lengthy to
11 do that and we've avoided that in the -- the last time
12 that we have issued a lump sum payment was through an
13 issue that we dealt with in 1993 and it's because of the
14 administrative complexities of -- of doing that.

15 And so as long as you were to keep it
16 consistent for each customer within a class and don't
17 give them an option such that you have differential rates
18 it can be accomplished. It's not our preference at this
19 -- at this time.

20 MR. BOB PETERS: All right. And just to
21 close off on that, at Tab 6 of the Book of Documents that
22 I hope you took home last night and brought back today,
23 Schedule PUB/CENTRA 5(a) is a chart that contains
24 customer numbers.

25 And just to put the discussion you've had

1 with the Chairman and myself into a context, looking in
2 the PUB/CENTRA-5(a) Attachment 1 -- it's the second page
3 in Tab 6 of the book of documents. Looking at the March
4 '06 column for example, you would have to -- if you did
5 it on an entire class basis, you would have to do it for
6 not only the system-supplied customers in the top half of
7 the page, but also those supplied under Western
8 Transportation Service in the bottom half of that page.

9 MS. KELLY DERKSEN: That's correct and I
10 might add that we'd also have to do the same thing for
11 your transportation customers to the extent they don't
12 obviously incur transportation-related cost or
13 supplemental-related costs because they are responsible
14 for their own supplies.

15 But to the extent that amounts have
16 accumulated in the distribution PGVA, for example,
17 transportation customers would also have to be included
18 in this amount.

19 MR. BOB PETERS: All right, understood.
20 And if you flip to Tab 14 of the book of documents and
21 look at Schedule 7.4.0, and this the one that we find a
22 little difficult to read, I'm not sure why, but the -- am
23 I correct that for some classes there would be a rate
24 rider not refunding money but recovering money from some
25 of these classes?

1 MS. KELLY DERKSEN: That's a very good
2 point as well, Mr. Peters, that I should have -- have
3 brought up. And indeed we can look on a general basis and
4 say we are refunding an amount of 13.2 million but
5 because of our -- the unbundled nature of our rates, that
6 would mean that some rates we would be collecting a lump
7 sum money payment from a customer, and other amounts
8 would be refunding -- on a net basis we would be
9 refunding. But that doesn't mean that there aren't gives
10 and takes and that could be very confusing to the
11 customer.

12 MR. BOB PETERS: Well, in terms of the
13 gives and takes, Ms. Derksen, on Schedule 7.4.0, am I
14 correct in interpreting that the mainline customer would
15 receive on their distribution rate a rate rider that is
16 charging them more money than the base rate?

17 MS. KELLY DERKSEN: That's correct, sir.

18 MR. BOB PETERS: Why is that? And I
19 appreciate mathematically how it is but what -- what led
20 to the mainline customer not getting a rate rider that
21 will reduce the base rate like most other classes, but
22 having to -- having to pay more when there's a \$13.2
23 million total refund going out?

24

25 (BRIEF PAUSE)

1 MR. BOB PETERS: Ms. Derksen, while
2 you're perhaps looking for some information, I see the
3 same question could be asked of the power stations, and
4 perhaps Mr. Warden's other utility would be interested in
5 the answer, but is it -- it's under the distribution
6 column and do I take from that that it relates to the
7 unaccounted for gas portion?

8 MS. KELLY DERKSEN: It, indeed, relates
9 to unaccounted for gas, and I can answer with respect to
10 the power stations. I don't know off the top of the --
11 my head what's happening in the mainline class although
12 I'm suspecting at this point that it's the same reason
13 for both.

14 And for the power stations we -- we have
15 seen a significant reduction in their -- their annual
16 usage such that last year we projected a certain volume,
17 and to the extent that they did not use that volume of
18 gas we would have under-collected the amount that we had
19 forecasted to collect from that class. And that's what
20 you're seeing this year, is -- is the amount owing from
21 that class. I'm thinking it's probably the same for the
22 mainline but that would be subject to check.

23 MR. BOB PETERS: And when you do check
24 that, if it is different, maybe through your counsel you
25 can let us know but I'll -- we'll take that answer

1 subject to any -- any revisions that you would have
2 later.

3 MS. KELLY DERKSEN: Fair enough.

4 MR. BOB PETERS: Yeah. All right.

5 THE CHAIRPERSON: Ms. Derksen, when
6 you're carrying forward these balances either due or
7 from, you also apply -- you impute interest too, do you
8 not?

9 MS. KELLY DERKSEN: We do, sir.

10 THE CHAIRPERSON: I'm just trying to
11 recall what the rate is. It's on your short-term
12 borrowings is it? Is that you develop it? And it's
13 identical whether owing to or from?

14 MS. KELLY DERKSEN: It is indeed short-
15 term -- the short term interest rate and regardless of
16 its -- if it's owing or that we have to collect and
17 interest is applied to both.

18 THE CHAIRPERSON: Thank you.

19

20 CONTINUED BY MR. BOB PETERS:

21 MR. BOB PETERS: Mr. Warden, maybe you
22 can assist Ms. Derksen and the Chairman in the -- in
23 terms of the short term debt rate that is charged on
24 these deferral accounts.

25 That's the short term debt rate that

1 Manitoba Hydro was able to secure for Centra Gas?

2 MR. VINCE WARDEN: Yes, that's correct.

3 MR. BOB PETERS: Would you know off the
4 top, Mr. Warden, what it would have been for the '05/'06
5 fiscal year?

6 MR. VINCE WARDEN: I don't know
7 precisely, Mr. Peters. We perhaps could get that -- deal
8 with that. It -- the short term rate by its very nature
9 is quite variable so I would have to determine that and
10 get back to you.

11

12 CONTINUED BY MR. BOB PETERS:

13 MR. BOB PETERS: And just help me out,
14 and help the Board out, I hope in terms of how you charge
15 that short term rate recognizing it's variable, is it
16 averaged out and charged on an annual basis or is it
17 charged as of the short term debt rate for the day, or
18 the week, or the month in which the debt occurs?

19 MR. VINCE WARDEN: The -- the rate would
20 change every month depending on what the borrowing rate
21 is for that month for -- for Manitoba Hydro.

22 THE CHAIRPERSON: Mr. Warden, does it
23 include the debt guarantee fee?

24 MR. VINCE WARDEN: It does.

25 MR. BOB PETERS: And the debt guarantee

1 fee is .95 percent?

2 MR. VINCE WARDEN: No, it's 1.0 percent
3 now.

4 MR. BOB PETERS: Did it go up or have I--

5 MR. VINCE WARDEN: It went up effective
6 April the 1st of 2007, yes -- sorry, 2006.

7 MR. BOB PETERS: Yeah. So it was 1.0?

8 MR. VINCE WARDEN: It was 0.95 prior to
9 that date. April the 1st, 2006 it went up to 1.0.

10 MR. BOB PETERS: I have to read those
11 budgets more carefully. The -- thank you, sir.

12 I'd like to turn, Mr. Stephens, to the
13 Western Transportation Service offerings.

14 And while My Friends opposite may have
15 some specific questions, let's just understand that
16 Centra had a number of meetings with stakeholders and one
17 (1) of the discussion points on Western Transportation
18 System for the -- the four (4) discussion points are
19 found under Tab 16 of the Book of Documents and flip to
20 the second page of that which is actually marked Page
21 Number 3.

22 There were four (4) issues that Centra was
23 asked by the Board to look at and this is your report on
24 the results of that examination, would that be fair?

25 MR. HOWARD STEPHENS: Give me a moment,

1 Mr. Peters.

2 MR. BOB PETERS: Yes. I'm on Tab 16, Mr.
3 Stephens, and I'm on the second -- on the page marked
4 Number 3.

5

6 (BRIEF PAUSE)

7

8 MR. HOWARD STEPHENS: I haven't got my
9 glasses here today, so, it's going to take me a little
10 bit longer to respond to your questions.

11 Yes, this is the report that we provided
12 on the basis of that.

13 MR. BOB PETERS: I'll try not to make you
14 look at some of those schedules that we've been looking
15 at.

16 MR. HOWARD STEPHENS: You can make me
17 look but I won't be able to answer.

18 MR. BOB PETERS: Now, let's just go down
19 these four (4) points. Centra presently establishes the
20 maximum daily quantity in its gas supply arrangements
21 from Alberta, is that correct?

22 MS. LORI STEWART: Mr. Stephens and I may
23 tag team on this, Mr. Peters. And, yes, Centra does
24 currently establish the MDQ.

25 MR. BOB PETERS: What was the request

1 from the broker community on this -- on this issue?

2 MS. LORI STEWART: Issues 1, 2 and 3 are
3 not as discreet as they may seem. So they're -- they're
4 quite inter related and it -- and it has to do I guess
5 from the broker's perspective.

6 There is some discomfort as it relates to
7 the variability of our nominations. And the ability for
8 Centra to adjust the MDQ on a daily basis. And Centra is
9 required to do that because of the market in which we
10 operate which is an extremely variable weather -- weather
11 load.

12 MR. BOB PETERS: Are you suggesting then
13 that brokers are asking that the -- that the amount
14 nominated from them be a -- perhaps a fixed percentage of
15 a year, one three hundred and sixty-fifth (1/365th) of
16 their volume?

17 MS. LORI STEWART: Yes, my understanding
18 is that the broker's preference would be that we flatline
19 in essence the MDQ and they flow the same -- same volume
20 of gas to us every -- virtually every day of the year.

21 MR. BOB PETERS: And that wouldn't
22 recognize the -- the heat sensitivity of the load?

23 MS. LORI STEWART: That's correct.

24 MR. BOB PETERS: And what problems does
25 that cause for Centra if that was to be done? Just

1 before I -- let me rephrase that.

2 To do what's being requested by the
3 brokers is permitted under your -- under your contract,
4 is it not?

5 MR. HOWARD STEPHENS: We ask the brokers
6 to follow the same load profile that we purchase the
7 system supply so that it's a level playing field.

8 And that has been the premise of all of
9 our services that we've provided since going back to
10 1986, that when we -- and because we don't have the
11 benefit of storage and we do operate and I talked
12 yesterday of our purchase load factor being on the order
13 of 70 to 80 percent means that the -- the purchase load
14 factor that we take, the broker supplies, is at the same
15 level.

16 So if we have to change nominations during
17 the course of the day and we've gone to great extent or,
18 I mean, great lengths to avail ourselves of additional
19 nomination windows with a different pipeline so that we
20 can balance our load it can mean within -- within the day
21 a number of changes if the weather is very changeable.

22 So what they're looking for though is akin
23 to the experience they have out in the east where the --
24 the LDC's have a significant amount of storage which
25 acts as a big surge tank and to the extent that you put

1 five (5) in and take ten (10) out, there's no real impact
2 on the system.

3 For us if you put five (5) in and take
4 out -- well, you're taking ten (10) out that's delivered
5 -- supposed to be going someplace else or causing an
6 imbalance on the pipeline.

7 MR. BOB PETERS: But you said you wanted
8 the same level playing field for the brokers as well as
9 the system supply.

10 Does it -- does it -- how does it impact
11 the system supply if the brokers have a flatline
12 nomination?

13 MR. HOWARD STEPHENS: Well, now they have
14 the benefit of just delivering -- we would make -- well,
15 presumably if it's one three sixty-fifth (1/365th) we'd
16 make one (1) nomination during the course of the year and
17 then I would have to reduce our baseload supply because I
18 don't know how much it's going to vary over the course of
19 the year and increase the amount of swing service that we
20 can get and make sure that it's at a very -- what's the
21 term I'm looking for? We'd need much more flexibility in
22 terms of how frequently we can nominate during the course
23 of a day.

24 And we would now have to compensate for
25 those variances between what the -- I mean and there are

1 naturally going to be variances between what the brokers'
2 consumers are taken and what they're delivering. And in
3 the winter months it would be huge. I mean, their loads
4 would be double what they would be delivering to us and
5 in the summer months it would be half.

6 So I would have to be able to accommodate
7 that with swing services which draw a premium.

8 MR. BOB PETERS: And that premium you
9 told us about yesterday and of course I've forgotten it
10 but for one (1) of the swing services it was at ten (10)
11 cents a gigajoule?

12 MR. HOWARD STEPHENS: No, the premium for
13 our swing services depending on the first tier as I
14 described yesterday is two and a half (2 1/2) cents and
15 on the second tier is five (5) cents.

16 MR. BOB PETERS: And have you approached
17 the brokers to see if they're prepared to pay those
18 premiums on -- on the swing service if you accommodated
19 their flatline nominations?

20 MR. HOWARD STEPHENS: Well, when we
21 developed both the WTS service which was really just a
22 modification of the original western buy/sell service and
23 prior to that our city gate T service or I should say
24 city gate buy/sell service -- there's been so many
25 different variances I'm certain to forget.

1 We've always held the premise that we
2 would make sure that the broker customers got the same
3 benefits and disadvantages as the customers that are
4 buying gas on the system -- system supply so that -- and
5 it's basically under the premise that there be...

6

7 (BRIEF PAUSE)

8

9 MR. HOWARD STEPHENS: I mean - and this
10 was something that was actually dictated by the Regulator
11 during the course of the -- of deregulation involving
12 that - when we provide a service, that there would be no
13 costs as a result of us implementing a service that
14 provided for competition that would be thrown back into
15 the lap of the system supplier -- system customer.

16 MR. BOB PETERS: I'm not sure I heard the
17 answer to my question, Mr. Stephens.

18 Are the brokers prepared to pay the
19 additional costs, if any?

20 MR. HOWARD STEPHENS: Oh, I'm sorry, Mr.
21 Peters, because I was giving you the preamble, I never
22 did get to the answer.

23 The answer, in short, is based -- based
24 upon those principles. We have never endeavoured to pro
25 -- I mean pursue that avenue because taken to the extreme

1 if we -- I mean, the entire market were displaced, all of
2 the broker -- say the broker community took all of our
3 customers, we would have an unworkable system.

4 We'd have customers delivering gas at one
5 hundred and three sixty-fifth (103/65th) of their daily
6 requirement -- of their MDQ, but their daily requirement
7 is going to be something substantially different and then
8 all the customers are doing that, I have got a mess in my
9 hands. In the middle of January I haven't got half the
10 gas and even in the middle of the summer I got twice as
11 much gas that I need.

12 So it would put the onus on us in terms of
13 developing a huge amount of storage with a great deal of
14 flexibility.

15 MR. BOB PETERS: And the brokers haven't
16 offered to pay for that.

17 MR. HOWARD STEPHENS: Not that I have
18 heard that.

19 MR. BOB PETERS: On the --

20 MS. LORI STEWART: Additionally, Mr.
21 Peters, simply to, you know, account for each Gj of gas
22 that's flowing at the premiums will -- would of course
23 complicate our operations and those costs as well, if
24 we're going down that path, would -- would need to be
25 considered in terms of the appropriate party which caused

1 the cost to thus incur the related cost.

2 MR. BOB PETERS: Ms. Stewart, are some of
3 those related costs for balancing fees?

4 MS. LORI STEWART: Certainly we -- we
5 would -- those -- those are some of the costs that --
6 that we're -- we're discussing in terms of needing to
7 balance the system and of course the penalties that we're
8 subject to on TCPL.

9 MR. HOWARD STEPHENS: On the -- Mr.
10 Peters, I'll --

11 MR. BOB PETERS: Your turn again.

12 MR. HOWARD STEPHENS: -- I'll just add to
13 that. I mean, the T-Service customers are really the
14 ones that expose us to most of the balancing fees because
15 they're making their own nominations and forecasts and
16 delivering a certain amount of gas relative to their
17 actual takes-off versus -- so they can cause us to incur
18 a -- a load balancing fees.

19 With the WTS customers because we control
20 the gas and because we nominate the supplier, we don't
21 ask the broker customers to pay the balancing fees
22 because we're essentially controlling. So if there are
23 any errors in the forecast relative to their actual
24 requirements, they're errors that we have made.

25 MR. BOB PETERS: Do you ask the T-Service

1 customers to pay the balancing fees?

2 MR. HOWARD STEPHENS: If -- and I mean --
3 and I've talked about this before. We don't have a
4 formal penalty charge for a balancing fee for our T-
5 Service customers right now. As I eluded to yesterday,
6 we do quite a bit of babysitting with the T-Service
7 customers but only because we only have a handful of
8 them; they can make a significant difference. So that
9 we're on the phone with them almost daily.

10 And the understanding -- I mean the -- we
11 -- I mean -- or the premise that I've worked from in
12 terms of providing it -- this type of service is that
13 because we have so few and -- we could look at it on a
14 day to day basis.

15 If somebody is making a significant -- is
16 not being diligent and they're not providing the gas on a
17 responsible basis causing us to incur very large
18 imbalances, then to the extent that we can discreetly
19 identify those, we will charge them back.

20 But for the most part the -- the T-Service
21 customers -- and I don't know why it is, but typically
22 when we're going along, if we're low on gas, they're
23 short gas and one offsets the other. So they get the
24 benefit. There is no penalty.

25 I mean, in the ordinary course if you set

1 a penalty charge on our system, regardless of whether or
2 not we were harmed by the fact that they were out of
3 balance, we would be obliged to charge them an imbalance
4 fee when we're really not incurring any costs.

5 So we're giving them the best -- best of
6 both worlds or the most reasonable approach, but it does
7 take some extra effort on our part. If we were to
8 increase the number of customers that we have on T-
9 Service, then it would become too onerous for us to be
10 babysitting the customers and helping them trying to
11 balance and then we would have to implement something.

12 MR. BOB PETERS: Did you charge any
13 balancing fees back to customers in the '05/'06 fiscal
14 year?

15 MR. HOWARD STEPHENS: Yes, we did.

16 MR. BOB PETERS: Where would those have
17 been shown in the -- in the cost of gas rule, 506?

18 MR. BRENT SANDERSON: They would have
19 flowed through the transportation PGVA as an offset to
20 any TCPL penalties to which we would have been exposed as
21 a utility. So in any given month where a charge-back
22 like that occurred, the net amount of TCPL balancing fees
23 that are shown in our figures, if -- if there isn't net
24 amount remaining, would include the net amount of what we
25 incurred as a utility, offset by any amount charged back

1 to any T-Service customers.

2 MR. BOB PETERS: Thank you, Mr.
3 Sanderson. In the -- in the report that's at Tab 16, Ms.
4 Stewart has explained to me that some of these points, 1,
5 2, and 3, interrelate but in terms of alternatives to
6 Centra controlling the daily nominations, you've
7 indicated, Mr. Stephens, that if Centra didn't control
8 it, you'd have a real mess on your hands and those may
9 have been your words.

10 MR. HOWARD STEPHENS: Well, if I didn't
11 say it before, I'll say it now, we'd have a real mess on
12 our hands.

13 MR. BOB PETERS: Is the suggestion from
14 the broker community that they control their nominations
15 or that a third party control the -- the nominations?

16 MR. HOWARD STEPHENS: I don't know how
17 they could forecast the load any better than we could.
18 Certainly being at a distance and looking at the variety
19 of factors that we have to look at in terms of trying to
20 get the appropriate amount of gas into our very weather-
21 sensitive system, it would be very difficult for them to
22 bring the appropriate amount of gas to the system.

23 So we would -- in the end if they were
24 providing their own nominations and left them sit, then
25 we would have to be making much more drastic changes on

1 the system supply which would likely result in additional
2 costs.

3 MR. BOB PETERS: But I don't understand
4 what the request is. Is the request from the broker that
5 they control the nominations or that they have a third
6 party control them?

7 MR. HOWARD STEPHENS: Well, that be
8 request -- request that they -- they've elucidated to us
9 is that they want to provide the nomination for their
10 supply; that they would know better what their customer
11 is going to take. And it -- the individual customer it --
12 -- went into the WTS service is really not the issue, it's
13 -- we look at it on an aggregated basis and then we -- I
14 mean and there's give and take with respect to different
15 customers, et cetera.

16 MR. BOB PETERS: On the other -- the
17 third -- the third issue being alternatives to Centra
18 controlling the reduction of daily nominations of direct
19 purchase gas, presently Centra controls those nominations
20 intra-day?

21 MR. HOWARD STEPHENS: That's correct.

22 MR. BOB PETERS: And the brokers would
23 like to do that on their own?

24 MR. HOWARD STEPHENS: Well, I'm -- I
25 would presume that if the brokers were doing -- and we

1 haven't gotten into a great deal of detail with respect
2 to that, but I mean brokers wouldn't necessarily have the
3 information available to them in terms of what their
4 relative takes for their group of customers are as
5 compared to what they've delivered to their system.

6 And we look at it as an aggregate in terms
7 of what the overall load is doing and then we have to
8 make cuts on the basis, or increases as the case may be,
9 to manage the difference between what we'd originally
10 anticipated needing for the system and what we ultimately
11 will need for the system.

12 And we make our last change with respect
13 to that at eleven o'clock effective for nine o'clock in
14 the morning. This is in the -- so eleven o'clock at
15 night.

16 MR. BOB PETERS: Why do you suggest that
17 brokers wouldn't know what their customers need and what
18 the brokers have already delivered?

19 MR. HOWARD STEPHENS: Because they're all
20 lumped into -- they would have to have meter readings
21 from each one of their individual customers which we
22 don't have.

23 MR. BOB PETERS: When you do those 11:00
24 p.m. the night before revisions to the nominations do you
25 treat the brokers' customers pro rata to the way you

1 treat your own?

2 MR. HOWARD STEPHENS: And that goes back
3 to the level playing field. We treat them exactly the
4 same which is a change that we -- that has occurred since
5 we got out from under the TCP contract which provided us
6 a lot more flexibility with respect to this issue.

7 Once we started buying gas in the
8 competitive marketplace and we had an opportunity to try
9 and extract a lower price associated with it, I mean we
10 looked very hard now at the cost of the peak -- of the
11 swing services to manage that, the balances/imbances on
12 the system.

13 MR. BOB PETERS: In terms of the fourth
14 issue that's raised in this report -- let me move to
15 that. In terms of enrolling WTS customers on a more
16 frequent than monthly base -- or them -- a more frequent
17 than quarterly basis, the present arrangement you have in
18 the Nexen contract is that you can de-contract a certain
19 amount of your baseload supply without penalty if it's
20 taken up by the direct purchase market?

21 MS. LORI STEWART: Yes, that's correct.

22 MR. BOB PETERS: And that quarterly de-
23 contracting has been a provision in your long-term gas
24 supply contract for many years, Ms. Stewart?

25 MS. LORI STEWART: Yes.

1 MR. BOB PETERS: And the request has been
2 for many years from the direct purchase community that
3 their customers be allowed to change from system supply
4 over to direct purchase on a more frequent than quarterly
5 basis?

6 MS. LORI STEWART: Yes, that's correct.

7 MR. BOB PETERS: And in this regard, you
8 have had some discussions with Nexen according to this
9 report and Nexen has given you three (3) alternatives.

10 MS. LORI STEWART: That's correct.

11 MR. BOB PETERS: Have these alternatives
12 been run by the broker community yet?

13 MR. HOWARD STEPHENS: No, they haven't.

14 MR. BOB PETERS: And the alternatives
15 that you've been given, two (2) out of three (3) of them
16 have a price tag on them?

17 MR. HOWARD STEPHENS: That's right.

18 MR. BOB PETERS: Let's just start off
19 with the existing situation because maybe I'm not quite
20 clear on it. If a customer wants to leave system supply
21 and receive supply from a broker, how long in advance do
22 you have to notify Nexen?

23

24

(BRIEF PAUSE)

25

1 MR. HOWARD STEPHENS: Are you talking
2 existing, sir, or are we talking under a new arrangement?

3 MR. BOB PETERS: I'm talking under the
4 existing arrangement. Sorry about that, the existing
5 arrangement.

6 MR. HOWARD STEPHENS: Okay, we -- we have
7 a last true-up that we can do for the quarter two (2)
8 weeks prior to the beginning of the quarter. But it's a
9 true-up only for changes in terms of the number -- number
10 of WTS customers that we have on the system.

11 I can change my mind in terms of how much
12 gas I need for system supply, in other words. So it's an
13 adjustment to allow for last minute adjustments to allow
14 customers to migrate either to or from WTS service.

15 MS. LORI STEWART: Because an initial
16 estimate is provided thirty-two (32) days in advance of
17 the quarter. However, customers on WTS may enroll up to
18 thirty (30) days in advance of the quarter, thus we have
19 this fifteen (15) day window in order to adjust for WTS
20 submissions either moving the load up or down and then
21 submit a final number fifteen (15) days in advance of the
22 quarter.

23 MR. BOB PETERS: All right. Thank you
24 for that. So presently you notify Nexen thirty-two (32)
25 days before the gas quarter begins as to what your

1 baseload requirement will be and they allow you fifteen
2 (15) days later to tweak that for any additional direct
3 purchase customers that have signed up?

4 MS. LORI STEWART: Yes, that's correct.

5 MR. BOB PETERS: And in terms of
6 Alternative 1, Nexen's prepared to allow you to let them
7 know thirty-two (32) days before the first day of the
8 month as to what your requirements are and then you can
9 tweak that fifteen (15) days before the month starts;
10 that's their first alternative?

11 MR. HOWARD STEPHENS: That is the
12 alternative we just discussed.

13 MR. BOB PETERS: And that -- that's the
14 one that's being offered? Well, maybe I -- maybe I
15 misspoke or misunderstood.

16 MS. LORI STEWART: No, the difference in
17 what we just described which is the situation with our
18 current contract, that only happens on a quarterly basis.
19 What's described in Alternative 1 would be providing for
20 monthly enrollments on WTS, thus this would happen now on
21 a monthly basis and the premium associated with that
22 estimated by Nexen would be ten (10) cents a Gj.

23 MR. BOB PETERS: All right. Thank you
24 for that. So the -- the clarification is instead of on a
25 quarterly basis, Nexen will extend the same thirty-two

1 (32) day before the month and -- and fifteen (15) days
2 before the month final adjustments to you for a price of
3 ten (10) cents a gigajoule?

4 MS. LORI STEWART: Yes, that's correct.

5 MR. BOB PETERS: And that ten (10) cents
6 a gigajoule is for all baseload quantities, not just
7 those that shift over to direct purchase?

8 MS. LORI STEWART: That's correct.

9 MR. BOB PETERS: And -- and so that
10 calculates out to about a \$3.3 million price tag. Is
11 that on an annual basis?

12 MR. HOWARD STEPHENS: That's correct.

13 MR. BOB PETERS: There's -- there's not
14 \$3.3 million of incremental work required from their end,
15 is there?

16 MR. HOWARD STEPHENS: It's simply the
17 optionality cost, Mr. Peters. The more flexibility you
18 look for, the more optionality you're asking for and
19 there's a cost associated with optionality as we've
20 talked about ad nauseam in our price -- price management
21 program.

22 MS. LORI STEWART: It's not necessarily
23 the work that Nexen would have to undertake, it's the
24 risk that they're undertaking because they're now into
25 the month, fifteen (15) days in advance of the month, and

1 thus there's a risk in -- a price risk that Nexen is
2 undertaking. It's not necessarily the additional effort.

3 MR. BOB PETERS: You haven't asked the
4 broker community if they're interested in paying that
5 extra premium for this flexibility?

6 MR. HOWARD STEPHENS: No, we haven't.

7 MR. BOB PETERS: All right. The -- the
8 second alternative would be similar to the first one
9 except there would be no fifteen (15) day tweaking
10 allowed and that is you have to know thirty-two (32) days
11 in advance of the month as to what your base load volumes
12 were and -- and that's the second option?

13 MS. LORI STEWART: Yes, that's correct.
14 And clearly that option would require some changes to the
15 existing parameters of the service because we could not
16 provide Nexen with an estimate of base load volumes
17 thirty-two (32) days in advance and still permit brokers
18 to submit new customers up to thirty (30) days in
19 advance.

20 We would need to roll that back likely to
21 a forty-five (45) day notice period for new customers to
22 come on the system or come off the system such that we
23 can then do our calculations and provide Nexen with an
24 estimate of -- a firm estimate of base load volumes
25 thirty-two (32) days in advance.

1 MR. BOB PETERS: So that provides less
2 flexibility, would require some changes to the existing
3 arrangement with the brokers, but the price tag from
4 Nexen is only two (2) cents a gigajoule?

5 MS. LORI STEWART: Yes, that's correct.

6 MR. BOB PETERS: Or six hundred and
7 sixty-four thousand dollars (\$664,000) a year.

8 MS. LORI STEWART: That's correct.

9 MR. BOB PETERS: And again, you've had no
10 comment from the brokers as to whether that's something
11 that's of interest to them.

12 MR. HOWARD STEPHENS: Well the comment
13 that I -- I mean, I was just thinking about that in terms
14 of what the process was going to be, Mr. Peters.

15 We submitted this report and it was
16 submitted to the regulator per the deadline I think that
17 we were suppose to meet, August the 15th, 2005. And then
18 it was circulated amongst all the broker community, as
19 well, at that time.

20 And we were looking -- I was actually
21 looking -- interested in looking to see what the
22 responses were going to be and to my knowledge there were
23 none.

24 MR. BOB PETERS: Stay tuned.

25 MR. HOWARD STEPHENS: I have no doubt of

1 that.

2 MR. BOB PETERS: And Nexen your long-term
3 gas supplier also provides you with a third option and
4 that is to go sixty-two (62) days before the month to
5 make your base load determinations and they'd allow you
6 to do that at no additional charge.

7 MS. LORI STEWART: That's correct. And
8 the corollary action with this alternative is the fact
9 that we would then need to push back the time that we
10 could accept broker submissions to seventy-five (75) days
11 in advance of the time frame that they're looking to flow
12 such that we have a few days for our calculations could
13 then provide Nexen with a firm estimate of our base load
14 volume sixty-two (62) days in advance of that month.

15 So there would be some associated negative
16 ramifications for how the service works for brokers
17 today.

18 MR. HOWARD STEPHENS: I think there's --
19 I mean -- I just want to make one (1) comment I mean and
20 that's -- it's from my perspective very important.

21 When we look at these alternatives I mean
22 and I eluded to it earlier is that -- I mean given the
23 current status, we could likely provide for precisely
24 what the -- the brokers are looking for.

25 But if we always -- and I'm looking at

1 these services I always look at it on the basis of if the
2 brokers were to fully displace our system -- our system
3 supply, how would we operate the system?

4 And if we can't -- I mean if I can't see
5 that it's going to be a sustainable process, then it's
6 not viable. And we won't contemplate that sort of a
7 situation.

8 MR. BOB PETERS: Let me just follow that
9 up, Mr. Stephens.

10 Presently you could accommodate the
11 request of the broker related to the enrolment issue?

12 MR. HOWARD STEPHENS: Not under the
13 current contract. But in terms of the other issues that
14 we discussed, in terms of the balancing and the delivery
15 of gas at a hundred and thirty (130) -- one three hundred
16 and sixty-fifth (1/365th) of the their annual requirement
17 et cetera, we could manage those because they are the
18 minority component of our supply -- overall supply coming
19 into the system and it just means that we have to buy
20 more and more swing services to accommodate that.

21 But even at that -- at some point, if they
22 become the majority supplier, say they now serve 75
23 percent of the market, I can't buy enough swing service
24 to accommodate the swings that are going to occur day to
25 day and then our Trans Canada Pipeline's balancing fees

1 start to climb through the roof.

2 And Trans Canada balancing fees are just
3 the first measure that they can take. I mean if we're
4 significantly out day after day after day, they can order
5 us to decrease and desist in terms of taking gas that's
6 not equal to our requirements or doing a better job and
7 acting responsibly basically and valve us off at a
8 certain point where we would only be allowed to take so
9 much gas and then there's emergency operating procedures
10 that they can put into place and we get into quite a ball
11 of wax now.

12 MR. BOB PETERS: All right. So those
13 first three (3) components are ones that while it's
14 technically possible for Centra to accommodate them,
15 there are some long-term ramifications and particularly
16 if Centra's system gas is displaced become the minority
17 or nonexistent?

18 MR. HOWARD STEPHENS: In that
19 circumstance and it doesn't -- it's not sust -- a
20 sustainable model and it's I guess the point that I
21 wanted to make.

22 MR. BOB PETERS: In case the Board wants
23 to go back and look at the volumes, Tab 6 of the book of
24 documents contains Centra -- PUB/CENTRA-5(a), Attachments
25 1 was the customer numbers and Attachments -- Attachment

1 2 contains the normalized as well as the actual volumes
2 that you were just talking about, Mr. Stephens.

3 I told you I wouldn't make you look at
4 them, didn't I? But -- but you'll agree with me that you
5 put the volumes and the customer numbers in the materials
6 and PUB-5(a) is -- is a source for that for the Board to
7 do their calculations as to what percentages of volumes
8 are sourced directly and what are -- what are sourced by
9 system supply?

10 MS. LORI STEWART: Yes, that's correct.

11 MR. BOB PETERS: All right. Then -- then
12 back with the -- with the ability to enroll WTS customers
13 on a more frequent than quarterly basis, Ms. Stewart, I
14 didn't quite follow your suggestion that even the free
15 alternative from Nexen is to the disadvantage of the
16 brokers.

17 I read that in your answer and you may not
18 have said that, but is that what you're suggesting?

19 MS. LORI STEWART: No, I simply wanted to
20 ensure that there was some understanding that there --
21 with that positive benefit of being able to enroll
22 customers on a monthly basis the practical reality of
23 Alternative 3 is such that they would actually -- there
24 would still be a seventy-five (75) day delay between when
25 the deadline for submitting a customer was to when they

1 would actually flow on the system.

2 And that's currently one (1) of the
3 critiques associated with our quarterly enrollment. So
4 the free option is, in essence, getting us right back to
5 the same place where we are today which is that there's a
6 significant lag between when the broker signs the
7 customer, processes the submission, and when they
8 actually flow on our system.

9 So the free option doesn't really -- it
10 doesn't really accomplish very much.

11 MR. HOWARD STEPHENS: Only buys fifteen
12 (15) more days.

13 MS. LORI STEWART: Yeah. So I -- I
14 simply wanted to ensure that there was some understanding
15 that with a sixty-two (62) day firm notice requirement
16 from our supplier that we would need to back up when we
17 can -- the deadline related to submissions to a seventy-
18 five (75) day window.

19 MR. BOB PETERS: But the distinction, Ms.
20 Stewart, is sixty-two (62) days on the quarter versus
21 seventy-five (75) days on the month?

22 MS. LORI STEWART: Yes, that's correct.

23 MR. BOB PETERS: And that would be a
24 matter that the brokers would have to determine whether
25 it's to their financial or -- benefit to do it.

1 MS. LORI STEWART: That's correct.

2 MR. BOB PETERS: All right. All right.
3 Thank you for that. Included in the Tab 8 of the -- I'm
4 sorry.

5

6 (BRIEF PAUSE)

7

8 MR. BOB PETERS: Ms. Stewart, Mr.
9 Sanderson and Ms. Derksen, included in Tab 8 of the
10 materials was a report from Centra on broker costs. The
11 upshot of that report in Tab 8 of the -- of the
12 application not the book of documents -- the upshot of
13 that was it's an ongoing examination by the Utility and
14 they have nothing concrete to report at this time.

15 And if I can summarize it further, the
16 suggestion is it will be brought back before this Board
17 at the next General Rate Application which Mr. Warden
18 tells us is forthcoming early in the new year.

19 MS. KELLY DERKSEN: That's the plan
20 today, yes, sir.

21 MR. BOB PETERS: You didn't speak with
22 confidence there, Ms. Derksen. The plan today might --
23 might change I appreciate, but you're -- you're presently
24 investigating the charges that are made to brokers and
25 deciding whether or not it's appropriate, is that fair?

1 MS. KELLY DERKSEN: That's fair.

2 MR. BOB PETERS: And is there a
3 discussion ongoing with the broker community itself on
4 those costs and those issues?

5 MS. KELLY DERKSEN: No, sir, because we
6 have not concluded internally on how that we want to deal
7 with -- with those costs.

8 MR. BOB PETERS: Do I take from that
9 answer that once you determine internally how you plan to
10 deal with those costs, you will be in consultation with
11 the broker community?

12

13 (BRIEF PAUSE)

14

15 MS. KELLY DERKSEN: Mr. Peters, the issue
16 boils down to the fact that there are incremental costs
17 that the utility incurs in providing the WTS service that
18 we don't currently charge explicitly to brokers. We
19 charge to the -- all of customers because we've taken the
20 position in the past that that service is for the benefit
21 of all customers, whether they explicitly choose to use
22 that service or not.

23 So the issue then becomes if you take --
24 if the company takes the position that -- that is no
25 longer their position, our position, and that we feel

1 that we want to be incrementally charging the brokers for
2 that, it would be something that we would bring forward
3 to them through a General Rate Application or other
4 proceeding.

5 THE CHAIRPERSON: Ms. Derksen, you're
6 planning to bring forward information related to that
7 issue then to the GRA?

8 MS. KELLY DERKSEN: Yes, sir. That is
9 the current plan. We plan to likely file this piece of
10 it not in January but likely later, in February. And
11 it's expected that that issue be raised as part of that
12 piece of the filing.

13 THE CHAIRPERSON: Regardless of the
14 preference of your choice?

15 MS. KELLY DERKSEN: We have to make a
16 determination one (1) way or the other and that would be
17 what we would bring forward to the Board regardless of
18 the decision.

19 THE CHAIRPERSON: Does the review include
20 the matter of bad debts, things of that nature?

21 MS. KELLY DERKSEN: Those are all part
22 and parcel of the discussions that are -- that are
23 occurring.

24 THE CHAIRPERSON: Thank you.

25

1 CONTINUED BY MR. BOB PETERS:

2 MR. BOB PETERS: Just so I'm clear then,
3 Ms. Derksen, you're doing a study, a report and a review,
4 and that will bring forward a number of the incremental
5 costs for WTS that you've identified.

6 You will also bring forward, independent
7 of that, a position as to whether you're seeking any
8 changes or no changes?

9 MS. KELLY DERKSEN: That's true, yes.

10 MR. BOB PETERS: And presently, and I
11 appreciate we're not at a GRA, Ms. Stewart I believe told
12 me yesterday that the ABC service offered to the brokers
13 was at a cost of twenty-five cents (\$0.25) per customer
14 per month.

15 MS. LORI STEWART: Yes, that's correct.
16 And there is no fee associated with Western
17 Transportation Service at this time.

18 MR. BOB PETERS: And while there's no fee
19 with Western Transportation Service there is a charge
20 made by the utility to the broker for certain operating
21 and maintenance expenses?

22 MS. KELLY DERKSEN: A nominal fee to
23 recognize the fact that we incur monthly costs to -- to
24 bill.

25 MR. BOB PETERS: And a nominal fee,

1 again, is how much, Ms. Derksen?

2 MS. KELLY DERKSEN: The twenty-five cents
3 (\$0.25), sir.

4 MR. BOB PETERS: And moving through Tab 8
5 of your application, there was an Attachment 6 dealing
6 with basic monthly charge.

7 And the upshot of that issue appears to
8 be that Centra is proposing no changes to the basic
9 monthly charges to any of the customer classes?

10 MS. KELLY DERKSEN: That would be fair,
11 yes, sir.

12 MR. BOB PETERS: Would it be also fair,
13 Ms. Derksen, that while there may be a principled reason
14 to change the basic monthly charge for the SGS customers
15 including residential customers, the feared human outcry
16 will drown out the principled discussion as to whether or
17 not to change it?

18 MS. KELLY DERKSEN: That has been our
19 experience for about the last fifteen (15) years, that I
20 can recall, being employed with this company, yes, sir.

21 MR. BOB PETERS: When you say it's been
22 your experience, is that as a result of discussions with
23 consumers or is that internal discussions?

24 MS. KELLY DERKSEN: That's our experience
25 with discussions with customers, sir.

1 MR. BOB PETERS: And that experience then
2 is even though there may be a -- a legitimate reason in
3 principle to change the basic monthly charge, customer
4 acceptability doesn't appear to be there?

5 MS. KELLY DERKSEN: That's correct, sir.

6 MR. VINCE WARDEN: Having said that, Mr.
7 Peters, if we determine it was the right thing to do,
8 then we would -- we would go forward with it. We haven't
9 determined internally that it is in fact the right thing
10 to do from a principle point -- point of view.

11 MR. BOB PETERS: Is there further
12 information on this plan to be forthcoming in the GRA or
13 is -- does the utility consider this issue dormant?
14

15 (BRIEF PAUSE)

16
17 MS. KELLY DERKSEN: I think we've
18 concluded that we are comfortable where we are with
19 respect to how we charge out the basic monthly charge and
20 nothing more further is to be coming through the General
21 Rate Application with respect to that matter.

22 MR. BOB PETERS: Right. Thank you, Ms.
23 Derksen. In terms of the Attachment 7 at Tab 8 of your
24 application, you had some discussion about customer class
25 composition.

1 And there was consideration as to whether
2 the customer classes should be changed, is that correct?

3 MS. KELLY DERKSEN: Yes.

4 MR. BOB PETERS: And in terms of that
5 report, as well as some of the information requests that
6 were asked, the company's position is that that will be a
7 matter to be again raised at the next General Rate
8 Application?

9 MS. KELLY DERKSEN: We are currently
10 undergoing work with respect to the -- the appropriate
11 class structure that Public Utilities Board raised
12 concerns through the primary gas application with respect
13 to November 1, 2005 about creating a residential class as
14 opposed to a class that contains residential customers
15 and others.

16 And so some of the work that's ongoing is
17 how do you deal then with the several thousands of
18 customers who are not residential however defined and
19 that's not yet defined, how do you deal with those
20 customers?

21 Do you put them in a class of their own or
22 do you embed them in -- in the LGS class for example?
23 And I'm specifically thinking of local mom and pop
24 stores, corner grocery stores that might be embedded in -
25 - in the small general service class today, because from

1 a cost perspective there's not a lot of difference to
2 serve that type of customer than a residential customer.

3 How then might you handle that situation?

4 So those are some of the discussions that are ongoing
5 right now.

6 MR. BOB PETERS: And those discussions
7 also include issues as to how to categorize condominium
8 units whether they're metered separately or on a joint
9 basis?

10 MS. KELLY DERKSEN: That's probably a
11 fair statement. What I'm hesitating about is while a
12 condominium very well may contain residential type
13 customers, the cost to serve that condominium will be
14 different than a typical residential customer because of
15 the size of the service that we need to put in the ground
16 in order to serve them.

17 So those are obviously discussions that we
18 too are having.

19 MR. BOB PETERS: And the Board will next
20 expect to see the fruits of those discussions in the
21 General Rate Application that will be filed early in the
22 new year?

23 MS. KELLY DERKSEN: Yes, sir.

24 MR. BOB PETERS: Thank you. And with
25 that, Mr. Chairman, this might be an appropriate time for

1 the morning recess or I can continue on and engage the
2 Panel in the discussion on hedging matters.

3 THE CHAIRPERSON: I think we'll let you
4 have a bit of a rest, Mr. Peters. Thank you.

5

6 --- Upon recessing at 10:25 a.m.

7 --- Upon resuming at 10:42 a.m.

8

9 THE CHAIRPERSON: You know, it's so nice
10 outside, it's almost a crime that we're in here. We
11 should be all outside. We could be meeting under a tree
12 or something. How's that?

13 Bob, do you want to pick up from where you
14 left off?

15

16 CONTINUED BY MR. BOB PETERS:

17 MR. BOB PETERS: Yes, thank you. I'd
18 like to turn, Mr. Chairman, Board Members and Panel
19 Members to the issue of hedging.

20 Ms. Stewart, historically Centra started
21 hedging, was it in the mid-90's, do you recall?

22 MR. HOWARD STEPHENS: I think I'm the
23 historian, so yes, mid-90's would be the time.

24 MR. BOB PETERS: And is it -- why is it
25 that the company started hedging, first of all?

1 MR. HOWARD STEPHENS: It was at that time
2 that we moved to index contracts and the bank saw an
3 opportunity to sell a bunch of greenhorn gas companies
4 some financial products.

5 MR. BOB PETERS: And so what you've --
6 what you're saying to the Board is that because you have
7 an index price in your long term gas supply contract,
8 it's indexed to some trading exchanges, would that be
9 correct?

10 MR. HOWARD STEPHENS: That's right. I
11 mean the markets were very immature, but they were being
12 established at the time.

13 MR. BOB PETERS: And so with your
14 contract that you have for your gas supply being indexed,
15 that just meant that your physical supply was being
16 priced according to a contract which used an index for
17 pricing it?

18 MR. HOWARD STEPHENS: Yes and it was on
19 the basis of the market view at any particular time of
20 the fair value of the commodity and the suppliers were
21 looking for fair market value for the commodity.

22 MR. BOB PETERS: And this was a change
23 from the suppliers point of view because they used to
24 price their gas long term on fixed arrangements?

25 MR. HOWARD STEPHENS: That's correct.

1 MR. BOB PETERS: And what they saw was
2 the price being below what they thought the market price
3 would be and so, eventually, they wanted to move to a
4 market price?

5 MR. HOWARD STEPHENS: Well, actually the
6 price was dictated by the Federal government so at that
7 point in time when deregulation hit the scene, they now
8 saw their opportunity to get what they thought was the
9 appropriate value for the gas?

10 MR. BOB PETERS: And so we have your
11 physical supply which is the molecules that you flow down
12 the pipelines, that's priced according to the contract
13 and the contract has some indexing to it, correct?

14 MR. HOWARD STEPHENS: That's correct.

15 MR. BOB PETERS: But that also permits
16 from the answer you also gave Mr. Stephens, for the
17 company to enter into derivative transactions to hedge
18 out the price of gas into the future?

19 MR. HOWARD STEPHENS: It allowed anybody
20 that wanted to purchase gas under an index contract to
21 give effect to fix prices or modified pricing formulas et
22 cetera and there were a number of instruments available
23 to different consumers to accommodate their risk
24 tolerance.

25 MR. BOB PETERS: And while it was

1 available to anybody to enter into those derivative
2 transactions, there was some meaning in it for gas
3 companies because you could actually hedge your future
4 price because you knew that you were going to need a
5 physical supply at some point in time?

6 MR. HOWARD STEPHENS: That's correct.

7 MR. BOB PETERS: And so rather than
8 speculate and never take delivery, you knew you were
9 going to take delivery and you could effectively hedge
10 the future price and you would -- you would know with
11 some certainty as to what it would be?

12 MR. HOWARD STEPHENS: That's correct.

13 MR. BOB PETERS: And does the Corporation
14 consider the hedging and the purchasing on the long term
15 contracts as two (2) separate transactions?

16 MR. HOWARD STEPHENS: Do you want to run
17 it by me again?

18 MR. BOB PETERS: I'm just wondering from
19 a Corporate point of view, Mr. Stephens and Ms. Stewart,
20 does Centra view hedging as two (2) separate
21 transactions, that is, on one (1) side you have the
22 physical supply and then on the other side you enter into
23 hedging contracts?

24 MS. LORI STEWART: Yes, there are
25 separate and distinct contractual arrangements given that

1 we're dealing with different counter parties on the
2 physical and financial sides of the business.

3 However, those two (2) matters definitely
4 inter-relate for us to be in a position to hedge, we need
5 to contract for gas at a liquid -- at a liquid hub.

6 And as such, the two (2) activities become
7 intertwined or inter-related.

8 MR. BOB PETERS: I'm not sure I
9 understand the answer, Ms. Stewart, as to why a liquid
10 hub is needed to make the two (2) interrelate.

11

12 (BRIEF PAUSE)

13

14 MR. BRENT SANDERSON: Maybe I might just
15 add a little bit of a different perspective on it, maybe
16 to help clarify.

17 While they're two (2) separate and
18 distinct transactions, one (1) transaction is with an eye
19 on reducing the risk exposure on the initial transaction,
20 that being the physical transaction.

21 To the extent that you take delivery of
22 your physical commodity at a delivery point that is not
23 liquid where there's not an extensive amount of trading
24 activity, there may not be any availability in the
25 marketplace of hedging instruments to hedge that risk

1 exposure on the physical purchases.

2 There is many delivery points in North
3 America where the activity isn't sufficient that
4 financial counter-parties will not offer financial
5 instruments that would allow the physical buyer to hedge
6 their risk exposure on their physical purchases.

7

8 (BRIEF PAUSE)

9

10 MR. BOB PETERS: Do you agree that
11 hedging is optional for the Corporation?

12 MS. LORI STEWART: Yes, we do.

13 MR. BOB PETERS: And you don't need to
14 hedge to get the physical delivery of gas under your
15 long-term contract?

16 MS. LORI STEWART: That's correct.

17 MR. BOB PETERS: You raised the topic in
18 your last answers, Mr. Sanderson and Ms. Stewart, about a
19 liquid hub.

20 A liquid hub, you're suggesting to the
21 Board, is that when the gas that you're purchasing under
22 your long-term contract for physical delivery is indexed
23 to a hub that has sufficient activity.

24 You can also enter into future hedging
25 transactions based out of that -- that use that hub as a

1 centre?

2 MR. BRENT SANDERSON: Yes. It's much
3 more likely that there will be ready buyers and sellers
4 at that market for risk-management instruments and, on
5 top of that, that they will be much more likely to be
6 available at a low embedded margin cost.

7 To the extent liquidity is less at a given
8 delivery point, there's less buyers and sellers, the cost
9 to manage that risk through financial instruments, if
10 they are available, would be significantly increased.

11 MR. BOB PETERS: Which delivery point are
12 you now referring to?

13 MS. LORI STEWART: The AECO 'C' hub.

14 MR. BOB PETERS: Can you explain to the
15 Board where that is notionally located?

16 MR. BRENT SANDERSON: It's a point in
17 Southern Alberta that is essentially the southern
18 terminus of the inter-Alberta gathering and processing
19 system for natural gas, and it's actually a physical
20 valve atop a storage site.

21 And so all of the gathering system from
22 all of the gas wells in Alberta all migrate and
23 interconnect at this large storage field, and then
24 there's a number of takeaway pipelines to the various
25 markets west on the TransCanada system and then into the

1 US from that point.

2 So that it's just a natural gathering
3 point for buyers and sellers to exchange physical
4 commodity and risk-management instruments.

5 MR. BOB PETERS: What's the physical
6 location? Is there a town or a community nearby that..?

7 MR. BRENT SANDERSON: No. It's -- like I
8 said, it's -- if someone were to take you to AECO 'C',
9 there is a valve in a -- on a storage facility, that that
10 is the notional physical point, but it's a large storage
11 facility is -- is about as specific as it gets in
12 Southern Alberta.

13 MR. BOB PETERS: All right. We'll rename
14 that valve Alberta then for this proceeding.

15 And you talk about there being sufficient
16 activity.

17 Can you explain to the Board over the
18 years how AECO 'C' has become a more liquid centre than -
19 - than it was when it started?

20 MR. HOWARD STEPHENS: Now, you'll recall,
21 Mr. Peters -- yes, I believe you were around. You've
22 been around longer than I have, so.

23 But originally indexed contracts with TCP
24 or TransCanada Gas Services, or whatever name they were
25 going by at that point in time, were indexed in fact to

1 the NYMEX, simply because the AECO index was not
2 sufficiently liquid. Or we -- we were of the view at
3 that point in time that it wasn't sufficiently liquid.

4 MR. BOB PETERS: And the NYMEX is from
5 where?

6 MR. HOWARD STEPHENS: The NYMEX is gas
7 that is sold at Henry hub in the United States, and it is
8 a very liquid trading point. There are ...

9
10 (BRIEF PAUSE)

11
12 MR. BRENT SANDERSON: Hundreds of
13 thousands of natural gas contracts trade based on a Henry
14 hub delivery point every day on the New York Mercantile
15 Exchange.

16 And just to sort of give you some
17 parallel, the Henry hub is similar to AECO, it's a
18 storage facility in Southern Louisiana, near the gulf
19 coast, where there's a significant capacity to accept
20 deliveries of natural gas.

21 There's a large -- a lot of natural gas
22 production in that area and a number of takeaway
23 pipelines to take that gas from the Henry hub to market.

24 So those are the type of physical points
25 that tend to grow into liquid trading hubs --

1 MR. HOWARD STEPHENS: The same sort of
2 thing would be said for Dawn because there are a number
3 of intersecting pipelines at that point -- that
4 particular point, and there's a significant amount of
5 trading that goes on and it's, I mean, very easily
6 identified in terms of what the trading is and the volume
7 that's being traded.

8 So it gives you a sense of security that
9 if you go out to buy gas at that particular point that
10 you're getting the appropriate market value associated
11 with it.

12 MR. BOB PETERS: If there wasn't
13 sufficient activity, you would be concerned that people
14 could manipulate the market on the hedging that you would
15 transact?

16 MR. HOWARD STEPHENS: Well, the biggest
17 concern you would have is that -- and this was the case
18 in the early years with AECO, is that if you're setting
19 the index from your contract price on a monthly index
20 price then the only -- on a monthly index if there's only
21 2,000 gigajoules being traded, you're hinging your whole
22 contract on something that's very small and may be
23 something that's just an anomaly.

24 So you want to make sure that there's a
25 significant amount of volume, that there are a number of

1 counterparties that are trading at that point to ensure
2 that you're getting the appropriate market value.

3 MR. BOB PETERS: How does Centra ensure
4 themselves that they are getting the appropriate market
5 price on their -- on their hedging?

6 MR. HOWARD STEPHENS: Well, we made a
7 decision, I'm going to say in 1999 to move our contract
8 from the NYMEX index to the AECO index simply from the
9 perspective that the liquidity had now improved and we --
10 so we could get pricing that we felt was representative
11 of the fair market value for the gas.

12 And it was much more closely related to
13 the fundamental impacts that could drive -- change prices
14 in the marketplace in Canada simply because that's where
15 we were buying the gas. So if something were to occur on
16 the NYMEX prior to that when we were indexed on the
17 NYMEX, we could see changes where it could be driving up
18 prices for us and our customers which had really nothing
19 to do with our customers.

20 Moving to the AECO index was really much
21 more indicative of the appropriate pricing mechanism for
22 Manitoba consumers.

23 MR. BOB PETERS: Does that suggest that
24 the AECO and the NYMEX don't parallel each other, Mr.
25 Stephens?

1 MR. HOWARD STEPHENS: I know the basis
2 differential moves around quite a bit. We saw
3 significant change in the -- in the 2000/2001 year when
4 the Alliance Pipeline was built and that was supposedly
5 going to make the two (2) indexes correlate much better.
6 That has not happened and in fact we've seen a wide
7 divergence right now and in fact the basis differential
8 between the two (2) points is likely as high now as it
9 ever has been.

10 MR. BOB PETERS: Does that give the
11 Corporation any cause to consider whether it should be
12 indexed back out of NYMEX as opposed to AECO 'C'?

13 MR. HOWARD STEPHENS: None whatsoever.
14 In fact, I mean to -- to -- well, depending upon the
15 basis differential that we fixed between the two (2)
16 points, the NYMEX index would not be appropriate for us.

17 In a perfect market the prices would
18 adjust for transportation costs and all the rest of it
19 and you could pick any viable liquid point and buy your
20 gas from that point but the market is not entirely
21 perfect.

22 MR. BOB PETERS: But you're confident
23 that for Manitobans using the AECO 'C' which is the --
24 close to the source of where you get your gas, as well as
25 the pricing mechanism in your -- in your long-term

1 contract, it's the appropriate mechanism for Manitobans?

2 MR. HOWARD STEPHENS: Definitely.

3 MR. BOB PETERS: In terms of hedging on
4 that, I see at Tab 17 of the book of documents an extract
5 from Appendix B of Tab 8 I believe of the -- of the
6 application and it's Centra's derivative hedging policy
7 and operating principles and procedures.

8 How long has this policy been in effect?

9 MS. LORI STEWART: I believe the last
10 time it was approved by our Board of Directors was in
11 2005.

12 MR. BOB PETERS: And in 2005, Ms.
13 Stewart, the -- the change that was made to this policy
14 was the giving of -- of hedging up to 100 percent of
15 eligible volumes, is that right?

16 MS. LORI STEWART: Yes, that's correct,
17 versus the former requirement to hedge 90 percent of
18 eligible volumes. Additionally, we made a number of
19 housekeeping changes to the operating principles and
20 procedures to have it more accurately reflect our
21 organizational structure.

22 MR. BOB PETERS: And this is the same
23 policy that was before the Board at the last GRA for
24 2005/'06?

25 MS. LORI STEWART: Yes, that's correct.

1 MR. BOB PETERS: All right. Your policy
2 for hedging indicates that:

3 "Centra will mitigate natural gas price
4 -- natural gas price volatility to
5 customers through the use of derivative
6 hedging products restricted to price
7 swaps, call options, and cashless
8 collars. At the start of each gas
9 quarter Centra will have hedges in
10 place for up to 100 percent of eligible
11 volumes for the ensuing twelve (12)
12 months."

13 That remains the same today as it did back
14 at the last GRA?

15 MS. LORI STEWART: Yes, that's correct.

16 MR. BOB PETERS: And you've indicated
17 there's no hedging on supplemental gas, it's strictly
18 primary gas volumes?

19 MS. LORI STEWART: That's correct.

20 MR. BOB PETERS: And those are all
21 western Canadian source gas which is priced out of the
22 same index in which you hedge?

23 MS. LORI STEWART: Yes, that's correct.

24 MR. BOB PETERS: And when the policy
25 says, Centra will mitigate natural gas price volatility,

1 what are you specifically referring to in terms of that
2 volatility?

3

4 (BRIEF PAUSE)

5

6 MS. LORI STEWART: Mr. Peters, I think
7 it's safe to say that our policy statement outlines the
8 objective that Centra has as it relates to its
9 derivatives hedging program, that is the mitigation of
10 rate volatility.

11 Of -- I'm being a bit cautious here
12 because there are certain months, of course, where the
13 settled price lands between the ceiling and the floor,
14 therefore the volatility reduction delivered by virtue of
15 that hedge is in essence zero. However, on the whole,
16 over the long term this policy statement describes the
17 Corporation's objective.

18 MR. BOB PETERS: And in that answer, I
19 thank you for it, Ms. Stewart, you also said mitigate --
20 I think you used the word 'rate volatility'.

21 Did you mean rate volatility or price
22 volatility?

23 MS. LORI STEWART: The program delivers
24 rate volatility over the long term. Centra's hedging
25 program will not protect consumers from a long term

1 trend, for example, of natural gas prices increasing. We
2 only hedge a year out. But what we can do in the short
3 term is to miti -- mitigate rate volatility.

4 MR. BOB PETERS: Why do you mitigate rate
5 volatility?

6

7 (BRIEF PAUSE)

8

9 MS. LORI STEWART: Customer's energy
10 bills represent a fair portion of their expenditure in
11 Manitoba. And the customer research that we've conducted
12 indicates that customers would like for the Utility to
13 endeavour to constrain what that -- what that rate is
14 going to jump around by on a quarterly basis.

15 MR. BOB PETERS: Can you remind the Board
16 of this customer research. And I think you've already
17 put on the record that it was done, I think 1999 and also
18 in 2004.

19 MS. LORI STEWART: It's 1998. Centra
20 contracted with Viewpoints Research at that time to
21 conduct market research on the topic of rate and bill
22 volatility.

23 Once again, in 2004 we conducted market
24 research. We contracted at that time with Western
25 Opinion Research and we were specifically looking at the

1 topic of primary gas rate volatility which we would then
2 relate specifically to our hedging program.

3 MR. BOB PETERS: Customers were telling
4 you in your research that they expected the Corporation
5 who bought its gas to try to restrict the rate
6 volatility?

7 MS. LORI STEWART: Yes, I noted that, in
8 my examination-in-chief, that the general inferences we
9 can derive from that customer research are that customers
10 have some tolerance for rate volatility, but a fairly
11 limited tolerance.

12 MR. BOB PETERS: How do you quantify that
13 limited tolerance?

14 MS. LORI STEWART: The benchmark that we
15 work from is derived from our 1998 research and it was
16 validated in 1994, but the benchmark that we work from is
17 the sixty dollar (\$60) quarter over quarter increase in a
18 customer's bill or decrease in a customer's bill, on an
19 annual basis.

20 MR. BOB PETERS: I'm not sure I
21 understand that, Ms. Stewart. The sixty dollar (\$60)
22 quarter over quarter, was the -- was the cut -- was the
23 results sixty dollars (\$60) on an annual basis in terms
24 of bill volatility?

25 MR. BRENT SANDERSON: Given that it's a

1 difficult thing to take somewhat nebulous opinions
2 regarding a subject like this and to quantify them and
3 put them into hard and fast numbers but, yes, Ms. Stewart
4 was correct in describing it as the conclusion of the
5 1998 research, was that customers felt they could
6 tolerate quarter over quarter increases in their annual
7 natural gas bill of sixty dollars (\$60).

8 And at the time that typical residential
9 customer, in a normal year, used typically a 120
10 gigajoules of natural gas. So the sixty dollars (\$60)
11 divided by the 120 gigajoules in a normal year because we
12 were talking the customer's annual bill in this case,
13 sixty dollars (\$60) of divided by a hundred and twenty
14 dollars (\$120) yields the fifty (50) cents which is what
15 then we use as our quantitative benchmark to determine
16 the upper bound of the price protection which we would
17 put in place on behalf of customers through the program.

18 THE CHAIRPERSON: Just remind us, what --
19 what was a gigajoule costing in 1998?

20 MR. BRENT SANDERSON: In 1998 and for
21 most of the 1990's it was typical for gar -- natural gas
22 prices to be, over that period I guess they migrated
23 between two and three dollars (\$2 and \$3) a gigajoule.

24

25 CONTINUED BY MR. BOB PETERS:

1 MR. BOB PETERS: Has Centra considered
2 updating that calculation based on more current
3 consumption levels and prices?

4 MS. LORI STEWART: In -- in 2004,
5 although the approach that we took was slightly different
6 in terms of customer research, customers were provided
7 with a description of the hedging program in layperson's
8 language and then asked to indicate whether or not they
9 would be prepared to pay a little bit more money for more
10 -- more protection, whether the current program was
11 meeting their needs, or whether their preference was to
12 pay a little bit less money over the long haul but incur
13 much more significant rate volatility.

14 So those three (3) options were presented
15 to consumers and a statistically sample val -- a
16 statistically sample was surveyed by phone. And the
17 outcome of that research was that a total of 66 percent
18 for a customer base would prefer either that we continue
19 to hedge at the current levels or to increase the hedge
20 protection in place.

21 MR. BOB PETERS: In terms of increasing
22 the hedge protection, how would that be accomplished?

23 MS. LORI STEWART: Certainly, we could
24 narrow the band or shrink the -- what we refer to as the
25 out of the money band, or we could simply swap the price

1 out.

2 MR. BOB PETERS: Presently it appears
3 that Centra's hedging is all done through cashless collar
4 instruments, would that be correct?

5 MS. LORI STEWART: Yes, the cashless
6 collar is our instrument of preference.

7 MR. BOB PETERS: And that cashless collar
8 restricts the upside price that Centra would have to pay?

9 MS. LORI STEWART: Yes, that's correct.

10 MR. BOB PETERS: And it will also limit
11 the downward price that would -- would be available in a
12 declining market.

13 MS. LORI STEWART: Yes, we characterize
14 it as limiting the downside participation.

15 MR. BOB PETERS: And by putting on a
16 cashless collar you would agree with me, Ms. Stewart,
17 that you are just by virtue of putting on such a collar,
18 automatically reducing volatility?

19 MR. BRENT SANDERSON: From a purely
20 technical perspective, if you were to place collars one
21 (1) year out and then miraculously find yourself in a
22 situation where market prices, either in futures market
23 or one the index has been set, are absolutely flat
24 between the bounds of the collars which you've placed
25 resulting in the end likely circumstance that none of

1 them will be triggered well you would have no volatility
2 reduction relative to if you hadn't placed the
3 instruments.

4 But that's never occurred since we've
5 undertaken this program.

6 MR. BOB PETERS: So by undertaking this
7 program with your out of the money positions, you are
8 restricting volatility to some extent as opposed to no
9 restriction of volatility had you not hedged.

10 MS. LORI STEWART: Yes, that's correct.

11 MR. BOB PETERS: So your policy is
12 successful as soon as the market price exceeds the limits
13 of the collar?

14 MS. LORI STEWART: I would suggest that
15 our -- our program is successful even in the instance
16 where the ceiling or the floor are not breached, because
17 consumers have had the benefit of insurance against
18 dramatic natural price increases even if the ultimate
19 outcome is that the insurance wasn't required.

20 It's akin to purchasing fire insurance for
21 one's home. I wouldn't want to enter the -- the
22 beginning of the year not having my fire insurance in
23 place. And in the event that a premium is -- is
24 triggered, then I'm going to feel -- feel really positive
25 about having put that insurance in place.

1 THE CHAIRPERSON: Mr. Sanderson, if I
2 may, you indicated a little while ago that since you
3 started the practice the price had always been outside
4 the bend.

5 Was that the case in 1999?

6 MR. BRENT SANDERSON: No. I guess more
7 specifically my reference was -- is over an -- we've
8 never experienced an annual period where none of our
9 hedges had been triggered. There have been monthly
10 periods where the price floated between the bands and
11 didn't trigger the hedges.

12 And I just might also clarify that there's
13 two (2) ways in which the hedge program mitigates
14 volatility.

15 One is on an actual settled basis, to the
16 extent that the prices we have to pay for our physical
17 supply are outside of the bounds of any given collar; the
18 volatility of that actual price we paid has been
19 mitigated.

20 But we set our rates on a prospective
21 basis every quarter looking at the forecast market price
22 of natural gases and -- as embedded in the future's
23 market prices. And so to the extent that future's market
24 prices have moved outside the bounds of our collars,
25 customers enjoy protection from that volatility relative

1 to what they otherwise would have experienced even if, at
2 the end of the day, once that instrument settles, it
3 settles with no financial impact one way or the other.

4 So there's a backward looking, if you
5 will, volatility mitigation and a perspective or forward-
6 looking volatility mitigation. So it's two (2) sides of
7 the same coin, if you will.

8

9 CONTINUED BY MR. BOB PETERS:

10 MR. BOB PETERS: And, Mr. Sanderson,
11 maybe to help emphasize your point, if you turn to Tab 8
12 of the book of documents with the Board, you'll see the
13 settled hedging results for the fiscal year 2005/'06.

14 Have you found that document?

15 MR. BRENT SANDERSON: Yes, I have, sir.

16 MR. BOB PETERS: And I'd suggest to you
17 that for the months of -- the gas months of June, July
18 and August, where in the far right-hand column there are
19 no mark-to-market financial impacts, those would be
20 examples of three (3) months where the gas price settled
21 between the cap and the floor.

22 MR. BRENT SANDERSON: Yes, exactly. But
23 I wouldn't go so far as to say, sitting looking at only
24 these figures in isolation, that customers did not enjoy
25 any reduction in the volatility of their rates as a

1 result of these instruments having been placed.

2 This information in and of itself is not
3 enough to make that broad a conclusion.

4 MR. BOB PETERS: Well, you want to take
5 the measurement on a -- on a longer period of time, is
6 that what you're suggesting?

7 MR. BRENT SANDERSON: No. You would have
8 to go back to each quarter at which we actually set
9 customers' primary gas rates, where these instruments
10 would have been part of the forward period we were
11 looking at to determine whether on a forward-looking
12 basis the parameters or bounds of those hedge instruments
13 were triggered on a perspective basis to see whether they
14 would have had an effect -- a mitigation effect on
15 customers' rate volatility.

16 MR. BOB PETERS: All right. Thank you
17 for that. In terms of the volumes that you're entitled
18 under your policy to hedge, how do you define those?

19 MS. LORI STEWART: They're the base load
20 volumes in our contract with Nexen.

21 MR. BOB PETERS: And it's -- how much of
22 the base load volumes are you allowed to -- to hedge?

23 MS. LORI STEWART: The base load volumes
24 are those which are defined as eligible volumes, and
25 we're entitled to hedge up to 100 percent of eligible

1 volumes.

2 MR. BOB PETERS: And how do you calculate
3 the base load volume?

4 MS. LORI STEWART: On a monthly basis we
5 forecast those volumes which we're confident that we will
6 take in that forward month.

7 MR. BOB PETERS: Is it based on warmest-
8 year data?

9 MR. BRENT SANDERSON: Our gas supply
10 storage and transportation specialists model the world as
11 we know it at the point in time we make -- need to make
12 the decision as to what are our eligible volumes on a
13 forecast basis.

14 And given how much of the market we serve
15 at that time and how much is supplied by brokers, and
16 given average levels of customer usage and so forth, they
17 make a forecast determination of what they would set the
18 base load levels at for that quarter that's ten (10),
19 eleven (11) and twelve (12) months out into future, such
20 that in the warmest year yet experienced, given what we
21 know today, we would not be in a situation of having
22 take-or-pay gas that we would not have an underlying
23 requirement for -- for our market.

24 MR. BOB PETERS: I take from that answer
25 that it -- that it is based then on a warmest year?

1 MR. BRENT SANDERSON: Yes, sir.

2 MR. BOB PETERS: And in terms of an
3 actual typical year or a normal year, Mr. Stephens, if
4 there is such a thing anymore, what -- what percentage of
5 your -- of your normal volumes would be subject to
6 hedging?

7 MR. HOWARD STEPHENS: In a normal year
8 it's about 65 percent. I should just -- just add to Mr.
9 Sanderson's discussion of how we determine those volumes.

10 Because we are talking nine (9) to twelve
11 (12) months out there's a little bit of art associated
12 with that process. It's not complete science because we
13 can't tell with absolute certainty how many customers are
14 going to be on direct purchase and what weather pattern
15 are going to do. So we are relatively conservative with
16 respect to that forecast.

17 MR. BOB PETERS: Is the conservative part
18 the -- using the -- the warmest year volumes?

19 MR. HOWARD STEPHENS: That's correct.
20 And looking at it from -- I mean, looking at the volumes
21 for -- and then patterns over the -- the past several
22 years. Because we were concerned also that we don't want
23 to have more gas contracted for in those months because
24 it is take-or-pay supply and I don't want to be in a
25 position where we're having to buy gas -- or in a

1 position to be having to buy gas when I don't need it.

2 MS. LORI STEWART: Mr. Peters,
3 specifically it's the uncertainty relative to Western
4 Transportation Service migration, either on or off the
5 system. Because we are hedging ten (10), eleven (11),
6 and twelve (12) months in the future and at that point we
7 have no indication of the success of the brokers in terms
8 of attracting -- attracting new customers to our system
9 and as a result we need to be conservative relative to
10 what that migration could do to our basal volume
11 estimate.

12 MR. BOB PETERS: Well, if I turn back to
13 Tab 6 in the book of documents and look at PUB/CENTRA-
14 5(a) and I'll excuse Mr. Stephens if he doesn't want to
15 look at this chart with us, but you -- you list the
16 customers, and I see and maybe it's my interpretation
17 that there's a trend where Western Transportation Service
18 customers are increasing over the years, would that be
19 fair to say?

20 MS. LORI STEWART: That's a fair
21 characterization of the general trend, yes.

22 MR. BOB PETERS: And I haven't taken the
23 same time with the volumes but I suspect the volumes are
24 parallelling that increase in customer number?

25 MS. LORI STEWART: There's more variation

1 around the -- the volumetric trend because the attraction
2 of for example one (1) large industrial customer either
3 on or off the system can swing the -- the volumes fairly
4 significantly.

5 MR. BOB PETERS: So when you say you're
6 conservative in -- in using your estimates of customers
7 and baseloads do you -- do you go back to a -- a year
8 prior and use those or how do you -- how do you estimate?

9 MR. HOWARD STEPHENS: Yes, we use prior
10 year history adjusted then again for any changes in
11 customer usage and that sort of thing.

12 MR. BOB PETERS: Any changes that you're
13 -- that are known?

14 MR. HOWARD STEPHENS: That's correct.

15 MR. BOB PETERS: All right. Ms. Stewart,
16 why did the policy of Centra change from 90 percent
17 eligible volumes to 100 percent eligible volumes back in
18 2005?

19 MS. LORI STEWART: Do you mean why from
20 a policy perspective the discretion or do you mean why
21 the change between 90 percent and 100 percent?

22 MR. BOB PETERS: No, why the -- why the
23 change between 90 percent and 100 percent in the policy?

24 MS. LORI STEWART: Prior to the
25 introduction of Centra's supply agreement with Nexen, it

1 was Centra's practice to place hedges on 90 percent of
2 forecast eligible volumes which also represented
3 approximately two-thirds (2/3's) of all natural gas
4 supplies that the Utility expected to purchase in a
5 normal weather year.

6 Under the terms of the former Nexen
7 agreement volumes equivalent to baseload were termed
8 operational demand volumes or ODV. ODV were priced at
9 the monthly AECO index and Centra could purchase less
10 than the set amount on days -- on days when the full ODV
11 complement was not required as long as it achieved that
12 annual purchase load factor of 85 percent.

13 Under the current Nexen supply contract
14 daily baseload levels must be determined and communicated
15 in advance to Nexen. Once set, the contract requires
16 Centra to take these volumes at levels low enough to
17 ensure that the Utility would not be in a situation of
18 having purchased more than is actually required, even in
19 the warmest year experience.

20 Thus the transition to hedging 100 percent
21 of eligible volumes which are really our base load
22 volumes to accomplish the objective of continuing to
23 hedge two-thirds (2/3's) of our total normal weather year
24 requirement.

25 MR. BOB PETERS: Thank you, Ms. Stewart.

1 When you do the actual hedging, it's done according to
2 your policy at the start of each gas quarter for the last
3 three (3) months of the ensuing year?

4 MS. LORI STEWART: Yes, that's correct.

5 MR. BOB PETERS: And does that mean then
6 that your hedging actually takes place on approximately
7 four (4) time periods a year?

8 MS. LORI STEWART: Yes, that's correct.

9 MR. BOB PETERS: And when specifically
10 you hedge, that would be a matter that would remain
11 confidential to Centra?

12 MS. LORI STEWART: That's correct.

13 MR. BOB PETERS: Why do you keep that
14 confidential?

15

16 (BRIEF PAUSE)

17

18 MS. LORI STEWART: There's a phrase in
19 the business called 'front running' which is why Centra
20 retains the confidentiality of the dates that it intends
21 to go to market.

22 And the outcome of -- or a layperson's
23 definition of front running would be trading in advance
24 on the expectation that another counterparty is going to
25 come to market.

1 So anticipating a trade, trading in
2 advance and therefore perhaps taking -- having an unfair
3 advantage in that marketplace. So you know, it doesn't -
4 - doesn't cost us anything to retain the confidentiality
5 of that information and it provides us with some
6 assurance that we don't have a counterparty that's front
7 running on us.

8 And potentially resulting in higher
9 embedded dealer margins for consumers in Manitoba.

10 MR. BOB PETERS: Do you think the counter
11 parties from the phone calls, they're going to get from
12 you every quarter, are going to be able to determine with
13 some precision as to when you'll be going to market?

14 MS. LORI STEWART: No, our counter
15 parties certainly see the trend of Centra coming to
16 market four (4) times a year, however, we're quite
17 diligent about varying the timeframe within the days --
18 within -- for example, the span between the two (2) times
19 that we take volumes to market within a given month and
20 also the specific days of the month that we -- that we
21 come to market.

22 MR. BOB PETERS: When you referenced in
23 your prior answer, counterparties, who are you referring
24 to?

25 MS. LORI STEWART: Those counterparts

1 that Centra is authorized to transact financial
2 derivatives instruments with.

3 MR. BOB PETERS: And in your direct
4 evidence to Ms. Murphy, I think yesterday, you indicated
5 you've increased the number from six (6) to seven (7)?

6 MS. LORI STEWART: Yes, that's correct.

7 MR. BOB PETERS: And when you increase
8 the number of counter parties, there are some legal --
9 there are some legal due diligence that's being done?

10 MS. LORI STEWART: Yes, we must put into
11 place what's referred to as an ISDA agreement or
12 International Swaps and Derivatives Association
13 documentation between the two (2) counter parties.

14 MR. BOB PETERS: Does the Province of
15 Manitoba get involved in that transaction?

16 MS. LORI STEWART: Yes, we rely on legal
17 counsel from the Province of Manitoba for the bulk of the
18 negotiations related to ISDA documentation.

19 MR. BOB PETERS: Does Centra seek out a
20 counterparty or do they come looking for you?

21 MS. LORI STEWART: They come looking for
22 us.

23 MR. BOB PETERS: Happens with regularity?

24 MS. LORI STEWART: Yes it does.

25 MR. BOB PETERS: And I take it then that

1 a number of them are sent away disappointed?

2 MS. LORI STEWART: Yes, there's limited
3 benefit for Centra in terms of assuring price discovery.
4 We reach a point where having fifteen (15) quotes on the
5 table, I don't think would deliver any additional benefit
6 as opposed to having six (6) or seven (7) quotes
7 available for the purposes of price discovery and thus
8 extracting the best possible price for Manitobans.

9 MR. BOB PETERS: Have you ever tested
10 that thought as to whether or not there may be somebody
11 out there -- a group of fifteen (15) that you don't
12 presently have authority to deal with that may have a
13 better price?

14 MS. LORI STEWART: We -- we also have
15 operational constraints, Mr. Peters, in order to execute
16 our open outcry system whereby we're receiving
17 simultaneous quotes for the -- the given month and the
18 volumes.

19 We -- we have to have that many
20 individuals on the phone at the same time with counter
21 parties. And there reaches a point where I wouldn't be
22 prepared to incur the execution risk of having fifteen
23 (15) individuals simultaneously on the phone with fifteen
24 (15) different counter parties.

25 MR. BOB PETERS: Has the in -- has the

1 increase from six (6) to seven (7) counter parties
2 improved a price discover ability?

3 MS. LORI STEWART: It's really too soon
4 to assess that.

5 MR. BOB PETERS: And -- and you say the
6 open outcry and maybe my agricultural commodity trading
7 days cloud my mind on this, but -- but it's not a public
8 open outcry it's -- its electronic over the telephone
9 sequentially through different counter parties?

10 MS. LORI STEWART: Perhaps an auction
11 would be a good way for everyone in the room to come onto
12 the same or reach the same understanding of -- of what
13 Centra does.

14 It -- it's not sequential, it's
15 simultaneous that we are receiving price quotes for a
16 certain volume per certain month. And internally we're -
17 - we're able to display those price quotes and thus
18 select the lowest price quote from the auction bids that
19 -- that are on -- on our white board.

20 MR. BOB PETERS: Maybe more for -- for
21 hopefully more than my curiosity, but do you -- do you
22 tell these counter parties that they have between ten
23 o'clock and 10:15 to send in their -- their price for
24 their either cashless collar or their call option or
25 their put?

1 MS. LORI STEWART: Approximately --
2 because we -- because of our requirement of obtaining
3 simultaneous quotes, we do provide our counter parties
4 with approximately forty-five (45) minutes notice that
5 we'll be coming to market.

6 Such that we can be confident that when we
7 phone at 11:25 a.m. we're getting the dealers and their
8 analysts who can provide the price quotes exactly at that
9 point in time.

10 MR. BOB PETERS: But if you phone them,
11 you phone each of the seven (7) sequentially?

12 MS. LORI STEWART: We've got two (2)
13 analysts and they contact our six (6) or seven (7)
14 counter parties within a very narrow time window.

15 MR. BOB PETERS: And in terms of the
16 instruments just while we look at -- finish up with this
17 policy, the policy restricts the type of instrument that
18 is available to be used by Centra?

19 MS. LORI STEWART: Yes, it restricts us
20 to price swaps, call options or cashless collars, all
21 what we would refer to as vanilla instruments.

22 MR. BOB PETERS: Do you believe you have
23 the ability under the policy to go to some other
24 instrument and what's listed in the policy if the
25 executive approves it?

1 (BRIEF PAUSE)

2

3 MS. LORI STEWART: Centra's understanding
4 of the -- Centra's understanding of the policy is that it
5 is strictly -- that it is strictly restricted to price
6 swaps, call options and cashless collars.

7 MR. BOB PETERS: And in the time period
8 under review at this Hearing the only instrument you have
9 used is the cashless collar.

10 MS. LORI STEWART: That's correct.

11 MR. BOB PETERS: And -- and it's called
12 cashless because there is no financial out of pocket
13 expenditure by the utility to implement that hedging
14 transaction?

15 MS. LORI STEWART: There's no upfront
16 premium transaction cost.

17 MR. BOB PETERS: And there's no other
18 premium, is there?

19 MS. LORI STEWART: Well certainly when
20 the collar settles, if it settles out of the money then
21 Centra does write a cheque to its counterparty.

22 MR. BOB PETERS: But there's no premium
23 on top of that for the -- for the actual instrument
24 itself. It's the -- it's the settling of the -- of the
25 result is all you pay.

1 MS. LORI STEWART: That's correct.

2 MR. BOB PETERS: When we talk of
3 volatility, at Tab 18 in the book of -- excuse me -- at
4 Tab 18 of the book of documents is some extracts from
5 some information requests that you -- you answered.

6 And just quickly looking at PUB/CENTRA-
7 44(b), Attachment 2, which is the first document, Ms.
8 Stewart, do I take from this that this is simply a
9 graphical reproduction of the extreme limits of the
10 cashless collars that the Corporation has put on since
11 April of '02?

12 MS. LORI STEWART: No. It's an
13 illustration of and a comparison of what happened with
14 the hedging program and what would have happened in the
15 absence of the hedging program.

16 And the range of primary gas billed rates
17 with our hedge portfolio has been between fourteen
18 decimal seven seven (14.77) cents per M3 ranging up to
19 thirty-five decimal zero seven (35.07) cents per M3,
20 while the range of primary gas rates in the absence of
21 hedging would have been between thirteen point five
22 (13.5) cents per M3 and forty-five point four three
23 (45.43) cents per M3.

24 So the difference between that thirty-five
25 (35) cents per M3 and forty-five and a half (45 1/2)

1 cents per M3 value represents the protection that the
2 hedging program provided against upside price risk.

3 MR. BOB PETERS: But looking at the first
4 document in Tab 18, which is the Attachment 2 to
5 PUB/CENTRA-42-B, those parameters up at thirty-five (35)
6 cents a cubic metre as a cap, that's not necessarily each
7 and every monthly cap, that's just the -- the highest
8 limit since 2002 that you've placed on the cap?

9 MS. LORI STEWART: Attachment 2 to
10 PUB/CENTRA-42(b) is attempting to illustrate the range of
11 primary gas rates experienced with our hedge portfolio
12 relative to what the range of primary gas rates would
13 have been in the absence of any hedging on behalf of the
14 company.

15 MR. BOB PETERS: All right. If we turn
16 to the second page then at Tab 18, Ms. Stewart,
17 Attachment 3 to PUB/CENTRA-42(b), we see a lot more
18 spikes and valleys here with the -- if we compare the
19 spikes and valleys to the horizontal lines, those
20 horizontal lines are the three (3) month rate setting
21 that's done through your rate-setting methodology?

22 MS. LORI STEWART: Yes. The highlighted
23 straight lines represent our primary gas billed rates,
24 which tend to change on a quarterly basis.

25 MR. BOB PETERS: And they appear like

1 steps just to reflect that every three (3) months there's
2 a change and they -- they then go horizontal?

3 MS. LORI STEWART: Yes, that's correct.

4 MR. BOB PETERS: And where -- where the -
5 - the peaks and the -- the chart is above that horizontal
6 lines, that indicates a situation where the placing of
7 hedges reduced the gas cost to consumers?

8 MR. BRENT SANDERSON: What this
9 significantly variable line shows is an illustration of
10 what I was speaking to earlier about how we need to
11 consider that the hedging program provides customer
12 stability in terms of mitigation of volatility of our
13 purchase prices, but we set our rates on a prospective
14 basis, looking forward.

15 So this highly variable line is the twelve
16 (12) month average of future's market prices at AECO and
17 that's the basis on which we set our primary gas rates.
18 So what that shows is, is that is what our customers'
19 rates would have been exposed to in the absence of the
20 hedge program.

21 That is a direct -- a directly corelated
22 value with the basis on which we set our primary gas
23 rates. So it's that prospective or forward-looking
24 illustration of what our customers' rates actu -- so the
25 straight line is what actually happened with our

1 customers' rates, the highly variable line is the
2 variability to which they would have otherwise been
3 exposed had we not hedged.

4 MR. BOB PETERS: And you set the flat-
5 line rate in advance, whereas you say the -- based on a
6 twelve (12) month forward strip?

7 MR. BRENT SANDERSON: And as I -- yes.
8 And as I described, this variable line on this chart on
9 Attachment 3 is the depiction of that forward looking
10 price on which we set our rates?

11 MR. BOB PETERS: In the materials that
12 you filed and I think they're in at Tab 20 of the Book of
13 Documents, particularly on -- I think starting on page 4,
14 you've introduced what may be new to the Board, primary
15 gas rate volatility management program.

16 Do you find that?

17 MS. LORI STEWART: Yes.

18 MR. BOB PETERS: Is this a new program or
19 is this just a combination of tools that were already in
20 the toolbox?

21 MS. LORI STEWART: I think it's a
22 packaging up of tools that have been in place in an
23 attempt to ensure that our stakeholders understand that
24 hedging is but one (1) of the means that we use to
25 mitigate rate volatility on behalf on consumers in

1 Manitoba.

2 MR. BOB PETERS: If we go back to those
3 charts that Mr. Sanderson was explaining to me, can you
4 show those to a consumer and say that we have met the
5 objectives of what you have asked us in either of those
6 documents in Tab 18, that were attachments to PUB 42(b)?

7 Do those charts, Ms. Stewart, show you
8 that you have followed through with what consumers have
9 asked of you?

10 MS. LORI STEWART: I believe that they
11 do, yes.

12 MR. BOB PETERS: In what way?

13 MS. LORI STEWART: In Attachment 3 to
14 42(b), one can I think quite clearly see the benefit of
15 the hedging program relative to what the twelve (12)
16 month forward average strip looks like.

17 Consumers have seen relatively small step
18 changes to their rates versus being subject to dramatic
19 price volatility in the natural gas market.

20 MR. BOB PETERS: All right. The -- that
21 horizontal line that you say is the relatively modest
22 increases in movements either upwards or downwards in
23 consumer rates, that wasn't strictly then accomplished by
24 hedging alone under this volatility management plan for
25 primary gas?

1 MS. LORI STEWART: No, it's -- it's a
2 compendium of all of the tools and the benefits that
3 those tools deliver.

4 MR. BOB PETERS: And one (1) of those
5 tools is the quarterly primary gas rate setting
6 methodology that the Board employees?

7 MS. LORI STEWART: Yes, that's correct.

8 MR. BOB PETERS: And one (1) of them is
9 the disposal of the PGVA account for primary gas on a
10 quarterly basis over the ensuing next twelve (12) months?

11 MS. LORI STEWART: That's correct.

12 MR. BOB PETERS: And seasonal storage is
13 another methodology for controlling the volatility of the
14 primary gas rate?

15 MS. LORI STEWART: That's correct. Mr.
16 Peters, it's useful to note that in Attachment 2 to
17 PUB/Centra 42(b), that depiction and that range of
18 primary gas billed rates that I spoke to you, that does
19 represent strictly the benefit delivered by the hedging
20 program.

21 So that range does -- it's confined to the
22 impact of the hedging program.

23 MR. BOB PETERS: Ms. Stewart, does the
24 twelve (12) month price strip plus the quarterly rate
25 setting methodology without any hedging, provide

1 customers with the -- with the protection that they
2 request?

3 MS. LORI STEWART: No, we don't believe
4 that it would.

5 MR. BOB PETERS: Do you have any -- can
6 you graph that in a different way to show the Board what
7 it would look like if you did -- continued with the
8 quarterly primary gas rates, the disposition of the PGVA
9 quarterly and the seasonal storage, but with no hedging;
10 what would that look like on these graphs?

11 MR. BRENT SANDERSON: To reiterate what
12 Ms. Stewart just described to you, Attachment 2 does
13 illustrate that. If you look at the wider range of
14 primary gas rates, the range that's depicted as the range
15 of primary gas rates which would have occurred had
16 hedging not occurred, those rates reflect -- still
17 reflect the benefits of the quarterly rate setting
18 methodology, the use of storage, the use of PGVA's and
19 setting rates on a twelve (12) month perspective basis.

20 So, if we just stripped out hedging, but
21 retained all the other elements of the Rate Volatility
22 Management Program residential customers' primary gas
23 rates would have gone to over forty-five (45) cents a
24 cubic metre last November 1, that wide range we're
25 talking there.

1 (BRIEF PAUSE)

2

3 MR. BOB PETERS: Just so then the Board
4 is clear, the one (1) instance since 2002 where hedging
5 was needed with those other tools to meet the consumer
6 objectives was in approximately September of '05?

7 MR. BRENT SANDERSON: I wouldn't agree at
8 all that hedging wasn't needed in periods prior to that.

9 MR. BOB PETERS: Well, I'm just trying to
10 find out and understand your -- your graph here and how
11 the Board should interpret it that if there was no
12 hedging, you're suggesting that the consumers' rates
13 could have gone up to forty-five (45) cents a cubic
14 metre, even with those other tools in the toolbox being
15 used?

16 MS. LORI STEWART: Yes, that's correct.

17 MR. BOB PETERS: And if that was the
18 case, how would it look on Attachment 3 if you had to re-
19 plot that.

20 Can -- is that something that you can --
21 that you can do -- take out the hedge impact and just
22 show the Board what would be the results of the
23 Volatility Management Program excluding the results of
24 hedging?

25 MR. BRENT SANDERSON: We could undertake

1 to do that, to add in another stepped line showing rates
2 with the benefit of all of the other elements of the
3 program and without.

4 There's an IR response which we filed
5 which quantifies the relative percentage reductions in
6 rate volatility in each of the fiscal years as a result
7 of hedging alone and then there's a result of all of the
8 other elements of the Rate Volatility Management Program.
9 If you'd like to explore that I can pull that out.

10 MR. BOB PETERS: No, we've -- we've
11 reviewed that I think and -- and we understand. What
12 you're trying to show in -- in that IR that you're
13 talking about is simply doing a mathematical measurement
14 of how much rate volatility was -- was constrained by
15 virtue of the price management program -- the Volatility
16 Management Plan for primary gas?

17 MR. BRENT SANDERSON: No, the IR which I
18 referred to separates out in percentage terms the
19 volatility reduction customers enjoyed by virtue of the
20 hedge program alone and then the percentage reduction
21 that they enjoyed as a result of the other elements of
22 the Rate Volatility Management Program separate and apart
23 from hedging.

24 MR. BOB PETERS: We'll look at that but
25 would you -- would you take from that data, just subtract

1 the hedge volatility from the -- from the total
2 volatility to -- to come up with what it would look like?

3 MR. BRENT SANDERSON: So just so I'm
4 clear you'd like Attachment Number 3 with another stepped
5 line showing what rates would have been just pulling out
6 the effects of hedging alone?

7 MR. BOB PETERS: That's correct.

8 MR. BRENT SANDERSON: We'll undertake to
9 do that, sir.

10

11 --- UNDERTAKING NO. 5: Centra to provide Board
12 Attachment Number 3 with
13 another stepped line showing
14 what rates would have been
15 just pulling out the effects
16 of hedging alone.

17

18 THE CHAIRPERSON: And presumably in
19 developing that particular chart you would still be
20 excluding any potential intervention by the Board or the
21 Legislature, both of which occurred around that period of
22 time?

23

24 (BRIEF PAUSE)

25

1 MR. BRENT SANDERSON: Yes.

2

3 CONTINUED BY MR. BOB PETERS:

4 MR. BOB PETERS: Continuing then, would
5 you agree with me, Ms. Stewart, that weather has a far
6 greater impact on consumer bills than does Centra's
7 efforts at hedging?

8 MS. LORI STEWART: Yes, I would.

9 MR. BOB PETERS: And in terms of
10 combatting the volatility of consumer bills, another tool
11 in the toolbox is the equal payment plan?

12 MS. LORI STEWART: Yes, that's correct.

13 MR. BOB PETERS: And --

14 MS. LORI STEWART: Perhaps I should
15 distinguish that the equal payment plan is a bill
16 volatility mitigation tool while the hedging program is a
17 rate volatility mitigation tool.

18 MR. BOB PETERS: The distinction you're
19 making for the benefit of the Board is that one attempts
20 to control the volatility in the rates, whether it's up
21 or down, whereas one controls -- the equal payment plan
22 controls the bill volatility that the consumer has to pay
23 on a monthly basis?

24 MS. LORI STEWART: Yes, that's correct.

25 MR. BOB PETERS: And you have provided in

1 answer to PUB/CENTRA-41 found at Tab 19 of the book of
2 documents an indication of the number of customers who
3 are on the equal payment plan in Manitoba, is it possible
4 for brokers' customers to be on the equal payment plan?

5 MS. LORI STEWART: Yes, it is.

6 MR. BOB PETERS: And in this case 45
7 percent approximately Manitobans in 2005 were taking --
8 were -- were on the equal payment plan and that would be
9 for all customers of the Corporation, not just
10 residential?

11

12 (BRIEF PAUSE)

13

14 MS. LORI STEWART: Subject to check, my
15 understanding is that the equal payment plan is only
16 available to our small general service rate category, Mr.
17 -- Mr. Peters.

18 MR. BOB PETERS: That was a question I
19 was going to ask because you show the actual customers on
20 PUB/CENTRA 41 and I think if we flip back to Tab Number 6
21 in the Book of Documents, the total number of small
22 general service customers would be smaller than the total
23 number of customers so you -- you defect the percentages.

24 MS. LORI STEWART: Yes, the percentages
25 are a percentage of those customers that are eligible to

1 be on the equal payment plan.

2 MR. BOB PETERS: Why does Centra not make
3 the equal payment plan a default position; that is, every
4 residential customer will get an equal payment plan bill
5 throughout the year?

6 MS. LORI STEWART: Well, general consumer
7 reaction to negative options has not been favourable and
8 the Corporation is comfortable with providing its
9 customers with choice.

10 And, you know, there are certainly not
11 barriers to consumers being on the equal payment plan if
12 they choose.

13 MS. KELLY DERKSEN: Mr. Peters, I might
14 add to Ms. Stewart's response if I might.

15 In the past ten (10) or more years that
16 I've been involved, the number of customers on that --

17 MR. BOB PETERS: You said fifteen (15)
18 earlier, but go ahead.

19 MS. KELLY DERKSEN: Okay. Yes, thank you
20 for listening to that.

21 As long as I've been around, the number of
22 customers on the budget plan have been consistent and
23 it's always been around a hundred thousand (100,000)
24 number of customer mark and that's suggesting to me that
25 those customers who want to avail themselves of that

1 option have done so.

2 And second to that, any time a customer
3 moves and we have a significant number of moves annually,
4 that we always ask the customer if they want to be on the
5 budget plan?

6 So we feel, as a corporation, that -- in
7 addition to that, we send out annual billing stuffers
8 that suggests that if you want to go on the budget plan,
9 to give us a call or they can sign up by the website as
10 well.

11 So we think that we're doing a pretty good
12 job in advertising that option to customers and I think
13 that's evidenced by the fact that we see a consistent
14 number of customers on the budget plan from year to year.

15 MR. BOB PETERS: Or maybe, Ms. Derksen,
16 interpreted another way, you're continuing efforts at
17 advertising is having no affect because you're not
18 attracting new customers to the budget plan.

19 MS. KELLY DERKSEN: Based on my
20 experience, that's not the case, Mr. Peters.

21 MR. BOB PETERS: Okay. Well I'll -- why
22 -- why don't people want the budget plan though, Ms.
23 Derksen?

24 Is there -- I appreciate if they move
25 every month maybe that makes it difficult but do you know

1 some specific reasons that are impediments to people
2 wanting to be on the budget plan?

3 MS. LORI STEWART: Some customers have a
4 preference to pay as they go.

5 MR. BOB PETERS: Does Centra charge
6 interest to budget -- I'm now using the terminology from
7 fifteen (15) years ago.

8 The equal payment plan customers, are they
9 charged an interest or a carrying cost component if their
10 account runs at a deficit position?

11 MS. KELLY DERKSEN: No, sir.

12 MR. BOB PETERS: And likewise, if it's in
13 a positive position and they've paid more than they
14 consumed you don't afford them any carrying costs or
15 interest on that?

16 MS. KELLY DERKSEN: We do not.

17 MR. BOB PETERS: Ms. Stewart, would you
18 agree with me that if the -- if the out of the money band
19 was tightened, that would -- that would restrict
20 volatility further?

21 MS. LORI STEWART: Yes, I would.

22 MR. BOB PETERS: And can that be done on
23 a cashless collar basis?

24 MS. LORI STEWART: Certainly it's
25 feasible that we would have a -- for example, twenty-five

1 (25) cents out of the money band as opposed to a fifty
2 (50) cents out of the money band.

3 One could argue that we've got fifty (50)
4 cents of latitude to move or degrees to move in that
5 regard.

6 MR. BOB PETERS: Have you ever tracked
7 that to see if it would provide consumers with the
8 volatility control that they're expecting of the
9 Corporation?

10 MS. LORI STEWART: Recognizing that
11 market research is anything but definitive, however, the
12 Corporation has -- has made two (2) attempts at
13 understanding what consumers want and has --- in terms of
14 the market research conducted in 1998 and 2004.

15 And -- are there different ways to conduct
16 the market research? Certainly there are. Are there
17 different questions that could have been asked?
18 Certainly there are.

19 However, we went into that process to
20 ascertain whether or not consumers were generally in
21 favour of what we were doing on their behalf in terms of
22 hedging.

23 And the answer we got back was that almost
24 two-thirds (2/3's) of our customers either were entirely
25 happy with our hedging program and the benefit that it

1 was delivering or that some portion of that 66 percent
2 was 13 percent, would actually prefer that we provide
3 greater coverage.

4 So a simple majority of our customers
5 landed in the camp of no changes required and we've not
6 altered the parameters of our program because we've got
7 that data in front of us and we don't believe that it
8 should be ignored.

9 And we -- additionally, we will undertake
10 customer research in the future to further validate or
11 explore options around the parameters of the hedging
12 program.

13 MR. BOB PETERS: That research that
14 you're talking about, you've told the Board earlier that
15 you're planning on that for 2008?

16 MS. LORI STEWART: Yes, that's correct.

17 MR. BOB PETERS: Why not 2007?

18 MS. LORI STEWART: It's a matter of
19 incurring costs that ultimately consumers will have to
20 pay and the question is whether the market is
21 significantly different than what it was in 2004.

22 Certainly, one (1) of the reasons that we
23 undertook research in 2004 was to address the fundamental
24 shift that happened in natural gas markets, following the
25 winter of 2000/2001.

1 There was a fundamental shift in the
2 natural gas market. The base price of the commodity has
3 -- it's safe to say has doubled. And that's one of the
4 reasons that we did undertake customer research in 2004.

5 Has the market changed materially since
6 2004? I would suggest not. We continue to see -- see
7 dramatic volatility in the marketplace. However, we're
8 satisfied that undertaking and incurring that cost --
9 undertaking the research and incurring that cost in 2008,
10 is a prudent time frame.

11 MR. BOB PETERS: Ms. Stewart, if
12 controlling volatility and limiting it to a higher degree
13 was sought after by the Corporation, you could fix an
14 annual price for consumers in Manitoba through derivative
15 instruments, could you not?

16 MS. LORI STEWART: Yes, we could employ
17 fixed price swaps for each of the months in question.

18 MR. BOB PETERS: And that would be 100
19 percent reduction in volatility?

20

21 (BRIEF PAUSE)

22

23 MS. LORI STEWART: I think it's useful at
24 this point to ensure that there is common understanding
25 that when we talk about hedging 100 percent of eligible

1 volumes, that represents two thirds (2/3's) of our total
2 normal weather year requirements.

3 That's -- at any given point in time
4 approximately one third (1/3) of customers' volumes are
5 swinging with the market. So if the market is -- is
6 falling, consumers are participating in that falling
7 market and getting the benefit of downside participation
8 on one third (1/3) of the volumes in our portfolio.

9

10 (BRIEF PAUSE)

11

12 MR. BOB PETERS: So if you're talking
13 about fixing the contract price on a -- on 100 percent
14 basis, even if you did that you're indicating there would
15 be -- one third (1/3) of the actual volumes would be
16 subject to the market swings.

17 MS. LORI STEWART: I guess that's what
18 I'm -- I'm attempting to ensure that we're talking --
19 we're not comparing apples to oranges here.

20 So I'm not sure whether your question was
21 related to the eligible volumes and whether or not I
22 could fix the price on those volumes, or whether or not -
23 - whether you're inquiring I could fix the volumes on the
24 entire portfolio of volumes.

25 MR. BOB PETERS: All right. Well, you've

1 answered, I think, the first part of the question, is
2 that if you -- if you fix the contract for eligible
3 volumes you would still be exposing consumers to one
4 third (1/3) of their gas being subject to market --
5 market swings.

6 MS. LORI STEWART: Yes, that's correct.

7 MR. BOB PETERS: And --

8 MS. LORI STEWART: And that's correct
9 today by virtue of -- of the cashless collars. I guess
10 I'm just wanting to ensure that we're not forgetting that
11 at any give point in time one third (1/3) of consumers'
12 volumes are swinging with the market.

13 MR. BOB PETERS: And in the second part
14 of that question, that you didn't answer, that is if you
15 did 100 percent of the actual volumes used, first of all,
16 are you permitted to do that under the Nexen agreement?

17 MS. LORI STEWART: Now we're getting into
18 a position where there's volume risk because we, in
19 essence, hedge our warmest-year requirements. And for me
20 to hedge 100 percent of our entire portfolio would cause
21 me to be in a position where I'm -- I'm out on that limb
22 of perhaps having hedged volumes that ultimately I'm not
23 going to take.

24 MR. BOB PETERS: And if you don't take
25 them you're going to have to pay -- pay to sell them at

1 that time, before delivery is required.

2 MS. LORI STEWART: Well, I've just got a
3 dirty hedge because I'm -- I'm in a position where I'm
4 hedged and I don't know if I'm even going to take the
5 volumes.

6 MR. BOB PETERS: Mr. Stephens considered
7 that to be speculative yesterday when we talked.

8 MS. LORI STEWART: I would concur.

9 MR. BOB PETERS: Ms. Stewart, under the
10 policy which says that Centra will mitigate natural gas
11 price volatility, if that policy was to also include an
12 objective of reducing the price for consumers, how would
13 you -- how would you accomplish that differently than
14 what you do today?

15 MS. LORI STEWART: Then I've got a policy
16 statement with conflicting objectives, Mr. Peters.

17 MR. BOB PETERS: You don't believe that
18 there are occasions when you can still seek to mitigate
19 price volatility and also minimize gas costs to -- to
20 Manitobans?

21 MS. LORI STEWART: Not without
22 speculating on natural gas markets.

23 MR. BOB PETERS: And you're indicating
24 then that to have an objective, even a secondary
25 objective of reducing gas costs, you would have to take a

1 market position on what was happening?

2 MS. LORI STEWART: Yes, that's correct.

3 MR. BOB PETERS: Would it not be correct
4 to say that perhaps the Corporation did take a market
5 position on two (2) occasions in the past couple of
6 years?

7 MS. LORI STEWART: Fairly recently, yes.

8 MR. BOB PETERS: And Mr. Warden I think
9 talked to the Board about that in his direct evidence,
10 where on two (2) occasions the Corporation did not put in
11 100 percent hedges initially, as it could have, but it
12 chose to wait and see what the market was doing instead.

13 MS. LORI STEWART: Yes, that's correct.

14 MR. BOB PETERS: And in the materials
15 somewhere you explain that by waiting and not putting on
16 100 percent, that was beneficial to consumers.

17 MR. VINCE WARDEN: It turned out to be
18 beneficial to the consumers in those instances, Mr.
19 Peters.

20 MR. BOB PETERS: Would it have been more
21 beneficial, Mr. Warden, had you not put the trailing 50
22 percent on at all?

23 MS. LORI STEWART: It was always the
24 Corporation's intention to have its portfolio fully
25 hedged. It was a matter of at what point did we hedge

1 that second 50 percent on, but you're saying you weren't
2 allowed to do that?

3 MS. LORI STEWART: There was a lesser
4 addition to customers' gas costs related to the deferral
5 of 50 percent of eligible volumes for the months of
6 August, September, and October 2006, relative to when we
7 would have normally contracted for those volumes.

8 The other outcome is unknown at this point
9 as the months of February, March, and April 2007 have yet
10 to settle, but the outcome will either be a lesser
11 addition to customers' gas costs or a greater reduction
12 to customers' gas costs by virtue of having deferred that
13 portion of volumes.

14 So the outcomes in both instances were
15 favourable, however, we've also spoken in our evidence
16 about the risk that we undertook in exercising that
17 discretion and that we intend to only exercise that
18 discretion cautiously and infrequently.

19 MR. BOB PETERS: I have that point and I
20 thank you for that explanation. Now, maybe just one (1)
21 last question before the lunch hour if I might and Mr.
22 Warden may need to weigh in on this as well.

23 In terms of the choice of instruments that
24 you use, is the payment of the premium a factor that
25 limits you or restricts you or sends you towards the

1 cashless collar as the preferred option rather than
2 paying the premiums?

3 And what I suppose I'm asking by that is,
4 for some of these transactions if you simply put a cap
5 on, you may pay a very significant premium initially and
6 that money I suppose has to come out of somebody's pocket
7 and perhaps it's the -- the parent corporation that has
8 to underwrite that.

9 And I'm wondering if that is a limiting
10 factor in the type of instrument that you can choose?

11 MS. LORI STEWART: I'm -- I'm going to
12 answer in -- in two (2) regards. The call option is --
13 provides less volatility reduction benefit and that's the
14 primary reason that our instrument of choice is the
15 cashless collar.

16 The collar represents that balanced middle
17 position in terms of a fixed price swap, the collar, and
18 the call option. However, given our objective of
19 mitigating rate volatility the call option is least
20 effective in that regard and that's the primary reason
21 for our utilization of the cashless collar.

22 The risk with call options is that at the
23 point in time that one is determining to go to the
24 market, that the so-called price tag is viewed as too
25 expensive, there's a psychological risk that the hedger

1 will back away from the transaction because of the
2 magnitude of the premium being required.

3 Now, as a -- as a practitioner in this
4 market I know that that premium simply represents an
5 increase in volatility in the market at that time,
6 therefore the premium needed to be extracted by the
7 dealer is going to be higher and that the expected
8 outcome of any transaction at any point in time is zero
9 other than that small embedded margin.

10 However, as an organization, as a
11 corporation, there is that added psychological risk of us
12 backing away from the transaction because at the -- the -
13 - on the day that we intend to go to the market the price
14 tag is \$30 million.

15 MR. BOB PETERS: With that, Mr. Chairman,
16 this might be an opportune time for the lunch recess.

17 THE CHAIRPERSON: Mr. Peters, do you have
18 much more on this line?

19 MR. BOB PETERS: No, I don't. I'll use
20 the lunch hour to go through my notes and tidy up in the
21 short time after lunch.

22 THE CHAIRPERSON: The reason I ask is
23 that we have a few question too. Do you think it's
24 better to do it now or after?

25 MR. BOB PETERS: At your pleasure. Any

1 time.

2 THE CHAIRPERSON: We'll have our break
3 now. We'll come back at 1:15. Thank you.

4

5 --- Upon recessing at 12:02 p.m.

6 --- Upon resuming at 1:25 p.m.

7

8 THE CHAIRPERSON: Okay, welcome back
9 everyone.

10 Mr. Peters...?

11 MS. MARLA MURPHY: Mr. Chairman, if I
12 might have the mic for just a moment before Mr. Peters
13 resumes.

14 THE CHAIRPERSON: Of course.

15 MS. MARLA MURPHY: There's a couple of
16 items that we wanted to address. First, with respect to
17 an undertaking that was made Ms. Derksen, page 320 and
18 321 of the transcript.

19 She's prepared to speak to the -- the
20 impact of the incremental costs for an extra customer
21 added to the RM of Rockwood expansion and the feasibility
22 test.

23 THE CHAIRPERSON: Ms. Derksen...?

24 MS. KELLY DERKSEN: Thank you. For
25 feasibility test purposes for that particular expansion

1 project, when we were advised that an additional customer
2 was going -- was interested in taking natural gas service
3 in that area, we had re-run the feasibility test to
4 include the incremental cost of serving that customer.

5 MS. MARLA MURPHY: Also, Mr. Chairman, on
6 -- on page 324 of the transcript, with respect to the
7 inquiry that Mr. Peters made of the North Cypress Co-Op,
8 the question was posed to Ms. Derksen when Centra
9 expanded to takeover the Co-Op were there capital costs
10 that were incurred?

11 And I think Mr. Peters and Ms. Derksen had
12 a different impression of that question so she'd like to
13 speak to that as well.

14 MS. KELLY DERKSEN: I understood the
15 question, Mr. Peters, that -- to mean that when we
16 purchased the distribution facilities there, if we had
17 intended at that time to expand the system or incur
18 additional capital costs for that system and my answer
19 then to you was 'no'.

20 On retrospect, we did pay some monies to
21 that Co-Op to acquire the distribution facility and if
22 that was the question, yes, indeed we paid a sum of money
23 for the assets.

24 THE CHAIRPERSON: Thank you.

25 Mr. Peters, do you have a followup?

1 MR. BOB PETERS: Just on that, in terms
2 of the Co-Op, do you recall how much -- how much you were
3 paying to the Co-Op for acquiring their assets?

4 MS. KELLY DERKSEN: We were to pay
5 approximately twenty-four thousand dollars (\$24,000), Mr.
6 Peters.

7 MR. BOB PETERS: And you've paid four
8 thousand (4000) of that so far?

9 MS. KELLY DERKSEN: Yes, sir.

10 MR. BOB PETERS: And the balance will
11 come in annual increments provided the volumes are
12 sustained?

13 MS. KELLY DERKSEN: That is correct, sir.

14 MS. MARLA MURPHY: Just a couple of other
15 matters. There was an undertaking taken at page 315 of
16 the transcript which related to Schedule 7.1.0.

17 There was some confusion yesterday as to
18 whether that chart on page 1 and page 2 demonstrated both
19 the impact of primary gas changes as well as non gas and
20 Ms. Derksen is prepared to speak to that.

21 MS. KELLY DERKSEN: Sorry for the
22 confusion on that one. Yes, indeed on Schedule 7.1.0,
23 page 2 of 2 which identifies the base rate impacts as at
24 August the 1st, 2006.

25 And I can conclude for you that it

1 includes both the base rate impacts of the changes to the
2 supplemental transportation and distribution rates as
3 well as the changes that were contemplated flowing out of
4 the primary gas application in terms of base rate impacts
5 for Nov -- excuse me, for August the 1st of 2006.

6 THE CHAIRPERSON: Thank you.

7 MS. MARLA MURPHY: Just by way of
8 cleanup, we noted in looking at the book that Mr. Peters
9 had put together, the response to PUB/CENTRA-67 is
10 included at Tab 28 of the PUB book of documents.

11 We've noted that in the response to Part
12 'B' at line 13, there's actually an error in the
13 percentage there. It reads 2.5 percent, it should in
14 fact be 2.0 percent. I just wanted to take the
15 opportunity to put that on the record.

16 And finally Mr. Stephens has had an
17 opportunity to review the comments that he made at page
18 340 of the transcript relating to Centra's gas supply
19 contract and would like an opportunity to speak to those.

20 THE CHAIRPERSON: Very good.

21 MR. HOWARD STEPHENS: You'll have to bear
22 with me because I'm dealing with very small font and no
23 glasses so this may be choppy. I may confuse you more
24 than I help you.

25 We would like to clean up the record on --

1 made to renegotiate or renew the Nexen contract
2 documentation will be filed in conjunction with the --
3 with the next General Rate Application.

4 Now, I certainly hope you got that because
5 I'm not sure I did.

6 THE CHAIRPERSON: Mr. Warden was
7 watching; he seemed okay.

8 MS. MARLA MURPHY: Thank you. That
9 concludes our matters.

10 THE CHAIRPERSON: Okay, Mr. Peters, back
11 to you.

12

13 CONTINUED BY MR. BOB PETERS:

14 MR. BOB PETERS: The upshot of that last
15 answer, Mr. Stephens, is that if there's an RFP to be
16 issued for gas supply, that will find its way to the
17 Board in February of '07, but if you're simply going to
18 renew it or that's your proposal to renew it, you're
19 going to incorporate that into the next General Rate
20 Application?

21 MR. HOWARD STEPHENS: And I would suggest
22 that if we had it available to us -- to us earlier that
23 we might -- may indeed file it sooner but certainly the
24 latest would be the GRA application.

25 MR. BOB PETERS: All right. Thank you

1 for that. Turning back to hedging, --

2 MR. HOWARD STEPHENS: Mr. Peters, just
3 maybe I could ask or just indicate, there was some --
4 certainly from my perspective in terms of the Order
5 131/04 -- there was some confusion on my part in terms of
6 exactly what the Board's expectation was with respect to
7 that.

8 So that's why I had clarified that here
9 so that we are -- I'm sure that we are talking the same
10 language and reading from the same hymn book so if that
11 is an indication or you want something different or
12 something else was envisioned I'd certainly appreciate
13 hearing about it. Thank you.

14 MR. BOB PETERS: All right. And I guess
15 all I can say is stay tuned and let's see what's -- see
16 what the Board writes and you'll -- you'll get an idea if
17 anything further is needed on that.

18 I would like to turn back with Ms. Stewart
19 onto the hedging issues. At Tab 22 of the book of
20 documents, Ms. Stewart, you've provided the Board in
21 answer to PUB/Centra 57 with a listing of the seven (7)
22 counterparties that you utilize, correct?

23 MS. LORI STEWART: Yes, that's correct.

24 MR. BOB PETERS: Are those all Canadian
25 counterparties?

1 (BRIEF PAUSE)

2

3 MS. LORI STEWART: They're all Canadian
4 subsidiaries, however, the -- the parents of some of
5 those subsidiaries may be resident outside of Canada.

6 MR. BOB PETERS: Can you tell me who is
7 Fimat Alternative Strategies Inc?

8

9 (BRIEF PAUSE)

10

11 MS. LORI STEWART: They're a subsidiary
12 of Societe Nationale -- Societe Generale. And it's
13 spelled with the French accents, et cetera.

14 MR. BOB PETERS: I can -- is that an
15 insurance company, Mr. Sanderson?

16 MR. BRENT SANDERSON: No, they're -- they
17 may not be familiar to most North Americans. They're one
18 (1) of the largest investment banks on the planet,
19 they're Europe based.

20 MR. BOB PETERS: And they have a Canadian
21 subsidiary?

22 MS. LORI STEWART: Yes, they're based out
23 of Calgary.

24 MR. BOB PETERS: And the -- of the other
25 ones, some of them are known. Which other ones have --

1 are subsidiaries of the -- of the American or
2 international?

3 MR. BRENT SANDERSON: Citibank Canada
4 would be a subsidiary of Citibank which is based out of
5 the US.

6 MR. BOB PETERS: And that's the only one
7 other than Fimat?

8 MS. LORI STEWART: Fimat, yes.

9 MR. BOB PETERS: Ms. Stewart, when you
10 were telling the Board about the process of, you called
11 it, the open outcry and you gave us a bit more
12 explanation about that, it -- it's really sequentially
13 placing phone calls to the counterparties to receive
14 their bids.

15 Would that be fair?

16 MS. LORI STEWART: Not quite. It's
17 simultaneously placing phone calls. So if you can
18 imagine this Panel all picking up the phone at the exact
19 same time dealing with a unique counterparty and
20 obtaining simultaneous price quotes.

21 MR. BOB PETERS: I thought there was only
22 two (2) people picking up the phones or maybe I
23 misunderstood that.

24 MS. LORI STEWART: Yes, you did then.
25 What I described in terms of having two (2) analysts who

1 were in contact with three (3) or four (4)
2 counterparties, forty-five (45) minutes in advance of the
3 hedge transaction session to advise the counterparties
4 that we would be wanting to transact at a specific point
5 in time.

6 And therefore, assuring ourselves that the
7 counterparty would be there with a bid at the precise
8 time that we need it.

9 MR. BOB PETERS: And you give them a
10 forty-five (45) minute heads up on that?

11 MS. LORI STEWART: That's correct.

12 MR. BOB PETERS: In your answer are you
13 telling the Board that on each and every time you go to
14 market, you contact all seven (7) counterparties?

15 MS. LORI STEWART: Not necessarily all
16 seven (7), anywhere from five (5) to seven (7)
17 counterparties.

18 MR. BOB PETERS: And who decides whether
19 you do five (5), six (6) or seven (7) counterparties?

20 MS. LORI STEWART: Sometimes the matter
21 is -- is decided for us as a result of the credit limits
22 within which we must operate.

23 For example, a counterparty could be
24 outside of or on the other side of its \$100 million
25 credit limit with us and as a result that counterparty

1 wouldn't be invited to participate in the hedge
2 transaction session.

3 Also, another example would be if the
4 hedge transaction that we're about to enter into, if that
5 would push them above the \$100 million credit limit then
6 once again we would not accept the price quote because it
7 would put us in breach of our operating principles and
8 procedures.

9 So that's one (1) example of when a
10 counterparty would not be invited to the table.

11 Conversely sometimes counterparties are
12 concerned about their credit exposure to Centra Gas
13 Manitoba and will pull themselves away from the table
14 because they don't feel that enough parental guarantee is
15 in place to assure them that future hedge transactions
16 could be covered in a worst-case scenario.

17 MR. BOB PETERS: Parental guarantees from
18 Manitoba Hydro?

19 MS. LORI STEWART: That's correct.

20 MR. BOB PETERS: Has that happened in
21 '05/'06 or '06/'07?

22

23 (BRIEF PAUSE)

24

25 MS. LORI STEWART: Both of those

1 situations that I've described are -- are fairly common.
2 The exposures which are calculated relatively
3 conservatively by both Centra Gas Manitoba and our
4 counterparties can push us outside those acceptable
5 credit limits relatively quickly.

6 MR. BOB PETERS: Would you phone one (1)
7 of the seven (7) and say, we're going to market in forty-
8 five (45) minutes but we won't be calling you?

9 Do you give them that courtesy call or do
10 you just not bother calling them?

11 MS. LORI STEWART: No. We -- we would
12 know well in advance if we were in that position.

13 MR. BOB PETERS: But the counterparty
14 wouldn't be told that you wouldn't be calling them?

15

16 (BRIEF PAUSE)

17

18 MS. LORI STEWART: To provide some
19 background in terms of the continuity of the relationship
20 that Centra has with its counterparties on a weekly basis
21 we're in contact with our counterparties to obtain -- to
22 obtain quotes of indicative volatility that we then use
23 for some confidence analyses that we perform -- some --
24 some risk calculations.

25 And as a result, as we're heading into --

1 as we're heading into a hedge transaction session and we
2 see that we have got a counterparty who's sitting above
3 our existing credit limit, in the course of that -- that
4 week-by-week relationship that we have with them we would
5 simply indicate to them that, you know, you've reached
6 our credit limits and therefore we can't transact with
7 you next round.

8 There's nothing, you know, mysterious
9 about it, it's -- it's just sort of a matter of course
10 and like I say our counterparties are performing the
11 identical calculations that we are to assess their
12 exposure to us and so it's quite commonplace.

13 MR. BOB PETERS: So if you don't exclude
14 the counterparty because of credit limit issues and they
15 don't exclude themselves, they would receive a phone call
16 from you every quarter asking to -- to bid on your -- on
17 your hedging requests?

18 MS. LORI STEWART: Generally speaking,
19 yes.

20 MR. BOB PETERS: Are any of these
21 counterparties legally related?

22 MS. LORI STEWART: No.

23 MR. BOB PETERS: There's no common
24 ownership or anything else that you know of that would --

25 MS. LORI STEWART: I don't --

1 MR. BOB PETERS: -- that would provide
2 some affiliation between them?

3 MS. LORI STEWART: No.

4 MR. BOB PETERS: Are any of these
5 counterparties or are all of these counterparties acting
6 on their own behalf or is there a third party hedging
7 firm involved?

8 MS. LORI STEWART: One (1) of the
9 counterparties acts, in essence, as a broker.

10 MR. BOB PETERS: And that individual then
11 is not in-house with the particular counterparty then?
12 They're an independent contractor providing a quote on
13 behalf of the -- the counterparty?

14 MS. LORI STEWART: No, one (1) of our
15 counterparties acts, in essence, as a middle person and I
16 guess it could be described as that counterparty acting
17 as a market maker and we don't know who it's got on the
18 other side of the transaction; who it may be obtaining
19 price quotes from that ultimately flows into the price
20 quote that they provide for us.

21 MR. BOB PETERS: I'm just not
22 understanding that particular example, Ms. Stewart.

23 If you phone this individual who is the --
24 the middle person, they go out and seek some bids but
25 would they seek them from all seven (7) of these

1 counterparties?

2 MS. LORI STEWART: I'm sorry, Mr. Peters,
3 I'll need you to repeat that question.

4 MR. BOB PETERS: Let -- let me ask it
5 this way.

6 In terms of the -- the one (1) -- there's
7 only one (1) counterparty that doesn't have in-house
8 staff doing the hedging; is that your understanding?

9 MR. BRENT SANDERSON: Maybe I could help
10 out a bit, Mr. Peters, in just describing the nature of
11 the options dealers bid -- the options dealer's business
12 on the other side of the table.

13 I wouldn't say there's any one (1)
14 circumstance that would apply in all cases as to their
15 business model. There is a chance that with any
16 counterparty when we go to provide a quote for a
17 transaction they may on the one (1) hand choose to price
18 up an instrument based on putting together a number of
19 exchange traded instruments from another market that
20 satisfies our needs, that they can leverage their
21 presence and trading abilities at NYMEX and with basis
22 instruments and foreign exchange and what have you in a
23 much more cost effective way than we could on our own.

24 But it's just as likely that they could
25 have a natural gas producer on the phone at the same time

1 and that our needs equally offset each other and that
2 their role is to facilitate that transfer of risk to all
3 their customers in a way that serves their customers'
4 needs.

5 So we have no way of knowing at any point
6 in time where that price is coming from and what type of
7 offset they would be placing on their side in order to
8 hedge their own risk in offering us the instrument.

9 And we just want to take advantage of what
10 the most advantageous set of circumstances are, that any
11 one counterparty can bring to bear on any given day. But
12 all of our counterparties are the principals to our
13 transactions; be it if they're acting as a middle man
14 between two (2) counterparties or acting in the role of
15 serving our interests by accessing risk management
16 instruments in an exchange traded market.

17 But all of our counterparties are the
18 principal with which we are dealing.

19 MR. BOB PETERS: And those are the seven
20 (7) that you listed from whom you have guarantees or
21 parental guarantees?

22 MR. BRENT SANDERSON: Absolutely. Our
23 transaction in our business is conducted with each of
24 those counterparties directly with which we have a legal
25 agreement.

1 because it is important to understand that we have them
2 on the phone, all six (6) of them simultaneously. So
3 there would be, you know, no opportunity for what you
4 just described because within -- by the time I pick up
5 the phone, run through the terms of the deal and ask them
6 to provide a price quote, they need to provide that price
7 quote most often within a fifteen (15) of twenty (20)
8 second window.

9 MR. BOB PETERS: Are you aware of other
10 volumes or other transactions into which these
11 counterparties have also entered into prior to your phone
12 call?

13 MS. LORI STEWART: No, sir.

14 MR. BOB PETERS: So you may know that
15 they have a \$100 million credit limit with you but you
16 have no idea what their credit is with other -- other
17 parties?

18 MS. LORI STEWART: That's correct,
19 although our financial counterparties are required to
20 maintain a minimum 'A' credit rating from a bond rating
21 agency or to provide us with a parental guarantee from an
22 'A' rated parent.

23 MR. BOB PETERS: In the second last
24 answer you gave me, you said -- you used the number six
25 (6). The (6) six of them would -- would be on the phone

1 with us.

2 Did you mean to say seven (7)?

3 MS. LORI STEWART: No. Until fairly
4 recently we only had six (6) individuals authorized to
5 transact and as a result we had an operational
6 constraint. We recently trained a seventh transactor.

7 MR. BOB PETERS: So from now on you'll
8 have the opportunity to contact seven (7) counterparties?

9 MS. LORI STEWART: We'll have the
10 opportunity, yes.

11 MR. BOB PETERS: And but for those
12 limitations that you've indicated from your end, you
13 expect you will contact all seven (7) on each of the
14 transactions?

15

16 (BRIEF PAUSE)

17

18 MS. LORI STEWART: I guess I need -- I
19 need for -- for the Board to understand that there are
20 times where counterparties book may be in a position --
21 their book of trades may be in a position such that they
22 choose not to provide us with a price quote.

23 It's one of the reasons why we've grown
24 our stable is because there are points in time in the
25 market that a certain counterparty will extract itself

1 from -- from the process because it's book is moving
2 opposite to where -- providing price quotes on the
3 transactions that we're looking for. It -- it might hurt
4 their position and as a result we're -- we're not
5 committing to every session having seven (7)
6 counterparties at the table.

7 What we're committing to is to exercise
8 our judgment, our best judgment, as it relates to who can
9 be at the table and who should be at the table.

10 MR. BOB PETERS: But you wouldn't know
11 what their book of business is unless you made the phone
12 call and asked them to be available in forty-five (45)
13 minutes when you call back.

14 MS. LORI STEWART: Yeah. Or we could
15 become aware of that even earlier as a result of these
16 weekly touch -- weekly conversations that we have with
17 our counterparties.

18 MR. BOB PETERS: All right. And in the
19 materials as well you have an ability to have an internal
20 audit done at Centra to find out if you, from an
21 operational point from of view, are following your
22 policies and procedures?

23 MS. LORI STEWART: Yes, that's correct.

24 MR. BOB PETERS: And am I correct in that
25 in the materials there was an instance where the internal

1 audit found that there was one (1) issue with one (1) of
2 the counterparties?

3 MS. LORI STEWART: Yes, an issue in terms
4 of the timeliness of our receipt of verbal confirmations
5 of the transactions. Currently our operating principles
6 and procedures outline that we are to receive verbal
7 confirmations from our counterparties within one (1)
8 business day of the transaction and we were experiencing
9 a bit of lag with one (1) of our counterparties in terms
10 of completing the verbal confirmation.

11 MR. BOB PETERS: Do you record your
12 verbal confirmations -- audio record?

13 MS. LORI STEWART: No, our transaction
14 sessions are recorded. However, the verbal confirmations
15 between the back office personnel are not recorded to the
16 best of my knowledge.

17 MR. BOB PETERS: Are you still doing
18 business with that counterparty that was tardy in making
19 the -- the verbal confirmations?

20 MS. LORI STEWART: Yes, we are.
21 Following receipt of internal audits, recommendations, a
22 frank conversation was conducted with the counterparty
23 and we helped them understand that this was a -- a term -
24 - a term or condition of our operating principles and
25 procedures and we needed them to abide by that.

1 MR. BOB PETERS: You know that when you
2 deal with these counterparties that they're making money
3 off of you, do you not?

4 MS. LORI STEWART: Yes, I knew.

5 MR. BOB PETERS: And imbedded in the
6 transaction is a dealer cost?

7 MS. LORI STEWART: A dealer margin, yes.

8 MR. BOB PETERS: And you estimate in the
9 materials and I'm not sure I -- in one (1) place it looks
10 like you estimate that the cost of the -- the cost of the
11 cashless collar is two hundred and fifty thousand dollars
12 (\$250,000) a year on average; in another place I think it
13 was four hundred thousand dollars (\$400,000) a year on
14 average.

15 But having said that, how do you come to
16 that determination?

17 MS. LORI STEWART: I believe what we say
18 in the application is that the estimated long-run cost of
19 our hedging program would be less than one-tenth (1/10th)
20 of 1 percent of our annual gas costs. And what that
21 equates to is approximately four hundred thousand dollars
22 (\$400,000) relative to a \$400 million gas cost budget.

23 And I -- in terms of -- in terms of how we
24 come up with that estimate; number 1, of course we are
25 historically tracking what our long-term costs are since

1 the inception of the program. However, we have relied
2 upon a combination of the KIODEX Report which was filed
3 as part of this -- this proceeding, as well as some
4 clarification conversations with our counterparties in
5 terms of how that estimate is actually derived. I
6 believe the basis of it is three-quarters (3/4's) of a
7 cent per Gj.

8 MR. BOB PETERS: I was looking, Ms.
9 Stewart, on page 24 of Attachment 3 to Tab 8 of your
10 application, and this was a retrospective review of
11 derivative hedging July of '05. And on page 4 there was
12 an estimate of about two hundred and fifty thousand
13 dollars (\$250,000) annually for the costs of the hedging
14 program.

15 I'm not suggesting a lot turns on the --
16 on the difference but you don't actually use the KIODEX
17 software to determine dealer margins or estimate dealer
18 margins, do you?

19 MS. LORI STEWART: Now, we don't, Mr.
20 Peters.

21 MR. BOB PETERS: You are convinced that -
22 - Centra is convinced that its simultaneous solicitation
23 of prices is sufficient discipline on the market to
24 ensure that there's not an exaggerated dealer margin
25 being charged to Centra.

1 MS. LORI STEWART: Very much so.

2 MR. BOB PETERS: And that -- I appreciate
3 you say one tenth (1/10th) of 1 percent of total gas
4 costs, that amount is not discreetly identified is it,
5 Mr. Sanderson, in the cost of gas accounting?

6 MR. BRENT SANDERSON: It's an estimate
7 and a long run average based on what traders and dealers
8 active in that market have shared with us given the
9 prevailing conditions today and liquidity and the
10 efficiency of the market.

11 But we're no more likely to be able to
12 determine at the time we place a transaction what the
13 exact margin being embedded by that dealer and the cost
14 of the instrument is any more than if you were to go down
15 and buy a new sofa at the Brick if you were to determine
16 -- to ask the Brick to tell you what their profit margin
17 is on the sale of that sofa.

18 So it's competitive information and we're
19 never going to be able to determine with certainty what
20 the margin embedded in each transaction is and it would
21 differ depending on the -- the circumstances and the
22 individual dealer.

23 But it's a long run expected average and
24 we feel there's a lot of support for that number. And if
25 anything, it's been indicated to us that it's probably a

1 little bit conservative on the high side relative to a
2 hedger like ourselves with our credit rating and the term
3 over which we hedge.

4 MR. BOB PETERS: In the book of documents
5 at Tab 20 is the retrospective review of derivative
6 hedging.

7 Ms. Stewart, are you speaking to this
8 primarily?

9 MS. LORI STEWART: Yes, myself or Mr.
10 Sanderson.

11 MR. BOB PETERS: And this was in response
12 to the Board's Order 131/'04 where they wanted you to
13 give yourself a report card if I may in terms of some of
14 the options you used or didn't use and what the results
15 would have been had you done so.

16 MS. LORI STEWART: I wouldn't
17 characterize it as a report card but that's -- the other
18 portions of your description I would say you're accurate.

19 MR. BOB PETERS: All right. What -- what
20 I believe the conclusion -- excuse me, the conclusion was
21 that you can't legitimately test the alternatives because
22 Centra has no competitive information advantage?

23

24

(BRIEF PAUSE)

25

1 MS. LORI STEWART: The Corporation did go
2 to significant effort, Mr. Peters, to back test the
3 alternative -- the use of alternative instruments.

4 For example, fixed price swaps and call
5 options relative to cashless collars and also position
6 that relative to an unhedged portfolio. What the
7 corporation is not able to do is to go back and back test
8 or back test any number of permutations and combinations
9 of instruments and -- and dates and actually we would
10 need to know the time that the transaction would take
11 place.

12 So I -- I don't want to have discounted
13 the effort that went into the analyses performed in the
14 retrospect of review. We felt that it would provide
15 meaningful information in terms of directionally what
16 benefit does a collar provide relative to the alternative
17 instruments that Centra has access to by way of its
18 policy.

19 And we did undergo significant effort to
20 back test those strategies and to be able to confirm some
21 of our theoretical -- some of our theories about what the
22 benefits and drawbacks of each of the various instruments
23 would be.

24 MR. BOB PETERS: So was that comment that
25 I suggested to you then in reference to if you had

1 advance knowledge of the market that would taint how you
2 would -- how you would hedge and, therefore it wouldn't
3 be appropriate to back test?

4 MR. BRENT SANDERSON: I -- I think what
5 you're referring to is there's a term for that type of
6 activity and it's called, "data snooping" and it
7 essentially means testing in essence what could amount to
8 an effectively -- an infinite number of different
9 scenarios, strategies, as Ms. Stewart characterized
10 timing and placement of instruments, different bandwidths
11 and -- and what have you to an historical series of data
12 to try and find the one (1) that would have yielded the
13 most advantageous or attractive financial result.

14 But that has no value whatsoever in terms
15 of guiding one's actions in the future and -- and it's
16 true you -- you have the benefit with hindsight knowledge
17 of knowing how the market moved and to be able to fit a
18 strategy to that past market movement, but that is
19 absolutely and essentially valueless in providing
20 guidance in terms of subjective placement of hedges in
21 future periods.

22 MR. BOB PETERS: And that -- you didn't
23 do data snooping to prepare this report then is what
24 you're telling the Board?

25 MS. LORI STEWART: That's correct.

1 MR. BOB PETERS: You -- you pretended if
2 I can use that word that you -- instead of using the
3 cashless collar you would have used a call option or a
4 fixed price swap at the same time as you ended up putting
5 on the cashless collar and you would have seen what the
6 results would have been?

7 MS. LORI STEWART: Yes, that's correct.

8 MR. BOB PETERS: All right. Well, with
9 no more suspense, the last page of Tab 20 contains the
10 results colourfully depicted. It's in the book of
11 documents at Tab 20; it's also Attachment 10 at the back
12 of this report.

13 And, Ms. Stewart, why don't you briefly
14 explain to the Board what you concluded by doing this
15 retrospective review?

16 MS. LORI STEWART: The basic conclusion
17 of the retrospective review is that Centra's instrument
18 of choice, the cashless collar, generally speaking is
19 what I would describe as the middle position on the
20 spectrum of volatility reduction.

21 And clearly, the type of market that
22 we're -- that we're operating within has -- has an impact
23 on which of the other strategies ends up being the most -
24 - delivering the most benefit in terms of volatility
25 reduction or the least benefit.

1 What this chart demonstrates is that the
2 fixed price swap strategy in the '02/'03, '03/'04,
3 '04/'05, and it was '05/'06 to-date that the fixed price
4 swap strategy would have delivered the greatest reduction
5 in volatility and the lowest addition to customers'
6 primary gas -- primary gas costs.

7 Conversely, the call-option strategy would
8 have delivered the lowest reduction in volatility and
9 would have contributed the greatest addition to
10 customers' primary gas costs in that period of time and
11 that the collar landed in between the two (2). So it --
12 it didn't provide the greatest reduction in volatility.
13 It also didn't provide the greatest addition to
14 customers' primary gas costs.

15 And what it's important to note is that
16 generally speaking the timeframe depicted in this
17 schedule was a timeframe that could be characterized as a
18 trending upwards market. And that's relatively
19 consistent throughout this timeframe.

20 So these outcomes need to be -- need to be
21 reviewed in that context and we go on in the
22 retrospective analysis to suggest what the theoretical
23 outcomes would be in just the opposite type of market
24 situation in a falling market and which -- which strategy
25 would deliver the -- the most reduction, et cetera.

1 MR. BOB PETERS: Ms. Stewart, did you
2 find that there was a correlation between the greatest
3 reduction in volatility and the lowest addition to gas
4 rates?

5

6 (BRIEF PAUSE)

7

8 MR. BRENT SANDERSON: I understood your
9 question, Mr. Peters, and maybe I would answer it this
10 way. What we found was and we covered that in -- in the
11 study in a fair amount of detail.

12 Given that a fixed price swap would in --
13 we would expect in the vast majority of circumstances
14 deliver the greatest reduction in volatility and
15 customers' rates and that was proven out in this study
16 and continues to be the case today.

17 If we bring the analysis to -- up to the
18 current day because it provides the greatest level of
19 volatility reduction coincident with that, it has the
20 greatest potential to either add to or reduce customers'
21 gas cost along with it.

22 MR. BOB PETERS: I'm -- I'm wondering --
23 I think you've each said that it's confirmed your
24 suspicions or confirmed your expectations that the fixed
25 price swap strategy would provide the greatest reduction

1 to volatility and it would also add -- it would provide
2 the lowest addition to primary gas cost rates.

3 MS. LORI STEWART: No. To be clearer we
4 -- our -- our theory or expected outcome was that the
5 fixed price swap would in virtually all situations
6 provide the greatest reduction to customers' gas cost
7 volatility or gas rate volatility.

8 And -- however, depending on what the
9 market circumstance is the fixed price swap strategy will
10 either deliver the lowest addition to customers' primary
11 gas costs in a rising market or the greatest addition to
12 customers' gas cost potentially in a falling market.

13 MR. BOB PETERS: All right to follow it
14 through at Tab 20, the Attachment 10, you've caveated
15 your answer by saying this was a rising market and the
16 expectation was realized in terms of which one (1) of
17 those instruments will provide the greatest production to
18 volatility and also would provide the lowest addition to
19 primary gas costs.

20 MS. LORI STEWART: Yes, given that --

21 MR. BOB PETERS: All right.

22 MS. LORI STEWART: -- that market trend.

23 MR. BOB PETERS: Thank you. And your
24 second last answer, if we turn to Tab 21 of the book of
25 documents, we continue with some -- some coloured

1 graphics here.

2 What you're telling the Board is that if
3 you update the schedule that we were looking at under Tab
4 20 to see what's at Tab 21, when the market starts to
5 trend downwards, you end up finding the lowest reduction
6 in volatility associated with a fixed price swap column
7 which is column 7 on PUB/CENTRA-45.

8 Have I got that right?

9 MR. BRENT SANDERSON: No, you don't, Mr.
10 Peters. There's no indication on that table as to the
11 extent of the volatility reduction achieved by any of the
12 strategies. It's merely looking exclusively at the
13 relative impact on customers' gas costs plus or minus.

14 And if I could just take you through in
15 the period of April 2006 through March 2007 and then the
16 forecast period of April 2007 through July 2007. So it's
17 lines 12 and 14 that is that downward trending market
18 that we had described.

19 And it's been characterized different ways
20 that Ms. Stewart and I have been saying the same thing
21 just in different ways.

22 But I would put it for the sake of
23 absolute clarity, in a generally upward trending market a
24 fixed price swap strategy would provide the greatest
25 reduction to customers' gas costs of the three (3)

1 strategies we're talking about here in the vast majority
2 of cases.

3 In a generally downward trending market, a
4 fixed price swap strategy would provide the greatest
5 addition to customers' gas costs of the three (3)
6 strategies that we're talking.

7 And you can see by virtue of the fact that
8 lines 12 and 14 are highlighted in red, what that
9 indicates is, indeed, in a downward trending market the
10 fixed price swap strategy would have resulted in the
11 greatest addition to customers' gas costs of the three
12 (3) strategies for those two (2) periods.

13 It makes no statement whatsoever about the
14 reduction of volatility.

15 MR. BOB PETERS: And the previous -- the
16 previous document at Tab 20, likewise you're saying has
17 no -- has no -- is not making any statement with respect
18 to the greatest reduction and volatility?

19 MR. BRENT SANDERSON: Right. It's purely
20 the additions or reductions to gas costs which I will
21 reiterate we do not consider to be a valid measure of the
22 program. But we would be more than willing to discuss
23 the -- the degree of volatility reduction as a result of
24 each of the individual strategies that we studied.

25 MR. BOB PETERS: If we turn in Tab 21 to

1 the second page which is PUB/CENTRA 43 Attachment 5,
2 we'll now get to your volatility discussion would we, Mr.
3 Sanderson?

4 MS. LORI STEWART: Yes, that's correct.

5 MR. BOB PETERS: And which of the three
6 (3) strategies provides the best reduction to volatility
7 which is the policy under which you operate?

8 MS. LORI STEWART: Generally speaking the
9 fixed price swap strategy would deliver the greatest
10 reduction in gas rate volatility.

11 MR. BOB PETERS: You knew that before you
12 did the study though, didn't you?

13 MS. LORI STEWART: Based on market
14 theory, yes.

15 MR. BRENT SANDERSON: I'd just like --
16 I'd just like to just add a little -- we -- we've talked
17 about our theorized outcomes under these different
18 strategies. I'd just like to point out that these are not
19 theories that we've dreamed up. These are what one would
20 expect --

21 MS. LORI STEWART: That's right.

22 MR. BRENT SANDERSON: -- based on -- on
23 market rules and market theories. So it's just we are
24 espousing general -- generally accepted market theory as
25 we -- when we talk about the expected outcomes of these

1 different strategies.

2 MR. BOB PETERS: You're being too modest,
3 Mr. Sanderson, but if we look at both Attachments 4 and 5
4 to PUB/Centra 43 what -- the Board can conclude can it
5 from these that the greatest rate reduction comes from
6 the fixed price swap mechanism in a rising market and
7 that also provides the greatest reduction in volatility.

8 MR. BRENT SANDERSON: I would agree with
9 you on both counts with just an additional bit of
10 clarification.

11 We would expect that regardless of the
12 direction of the trending of the market that a fixed
13 price swap would in most cases all -- most of the time be
14 the most effective instrument in mitigating volatility
15 exclusive of the issue of the addition or reduction to
16 gas costs.

17 MR. BOB PETERS: And why is it then that
18 under your policy you don't exercise this derivative
19 instrument?

20 MS. LORI STEWART: Our -- our customer
21 research indicates that our customer base generally
22 speaking has -- has some tolerance for volatility. It --
23 it's not a significant tolerance but if we -- if we swap
24 out -- if we swap out the price, then we're providing
25 with no opportunity for downside participation and our

1 understanding of our customers' needs are such that we
2 believe they're best met by the cashless collar which
3 sort of positions itself in that middle place on the
4 spectrum.

5 MR. BOB PETERS: Didn't your most recent
6 market survey conclude that the majority of customers
7 wanted you to do more -- more active hedging?

8 MS. LORI STEWART: No, our 1994 research
9 indicated that 53 percent of our customers stated that
10 they were -- would be satisfied with the status quo in
11 essence and that 13 percent were -- were interested in
12 increased hedge protection in -- sorry if I misspoke, it
13 was 2004.

14 MR. BOB PETERS: If we look back to
15 Attachment 4, the first page of the book of documents,
16 twenty-one (21), which column represents the -- the no
17 hedging impacts?

18 MR. BRENT SANDERSON: As this schedule is
19 just looking at the cost impacts relative to underlying
20 market prices under each of the three (3) strategies the
21 no hedging alternative is not indicated because if one
22 weren't to hedge, one would be paying market price and
23 there would be no hedge impact.

24 So there is no -- there would be -- it
25 would be zero in every case if one were to not hedge.

1 There would be no cost impact relative to market on
2 customers' gas costs or rates.

3 MR. BOB PETERS: Looking -- I may be
4 looking at a different schedule than you, Mr. Sanderson,
5 but on -- on Attachment 4 of PUB/Centra 43 isn't column
6 number 2 the total gas costs excluding hedging?

7 Does that indicate what consumers would
8 pay if you chose not to hedge?

9 MR. BRENT SANDERSON: Correct, sir.

10 MR. BOB PETERS: And then the -- column
11 number 3 is the fifty (50) cent out of the money costless
12 collar which is in fact the strategy that Centra has and
13 continues to operate?

14 MR. BRENT SANDERSON: Those are our
15 actual results under our current program, yes.

16 MR. BOB PETERS: Actual up until the
17 April 2006/March '07 year and the '07 stub year?

18 MR. BRENT SANDERSON: They include all
19 instruments that we had placed at the time that it was
20 prepared and results are settled as indicated in line 16
21 to October -- the end of October 2006.

22 And at the point we had this prepared we
23 had some forward instruments in place for the period
24 November 2006 to July 2007 and that's on line 18.

25 And those are shown as an item for

1 information and that's just the market position of those
2 hedge instruments as of the date of preparation of this
3 schedule.

4 MR. BOB PETERS: And to which Ms. Stewart
5 has updated it in her oral evidence?

6 MS. LORI STEWART: Yes, I've updated as
7 the month of November has settled.

8 MR. BRENT SANDERSON: So just to add
9 clarification, Ms. Stewart's direct evidence was one (1)
10 month more current than what is shown in this schedule
11 here before you right now.

12 MR. BOB PETERS: And so on line 16 where
13 it's April -- I'm sorry, if we go -- I'm sorry I won't --
14 I -- I'll do the math later, I won't do it on the record.

15

16 (BRIEF PAUSE)

17

18 MR. BRENT SANDERSON: I'm just seeing
19 here -- just to avoid any confusion, these things always
20 can get a little busy, I'd just like to add, maybe it'll
21 help you when you're doing the math, line 14 includes
22 results for April 2007 through July of 2007, line 12
23 April 2006 through to March 2007 and then line 18 -- or
24 line 16 takes all of the columns above it and sum -- and
25 sums them to the end of the period for which we have

1 October 2006 for that entire period inclusive, April 2002
2 through October 2006, the net result has been a \$44.1
3 million reduction to customers' gas costs and the net
4 overall basis since April 2002

5 MR. BOB PETERS: You're choosing to deal
6 with the actual settled results at this point in time not
7 anticipating what may happen with the current mark to
8 market on the unsettled positions?

9 MS. LORI STEWART: We're simply -- we're
10 simply trying to distinguish between what has actually
11 settled and is a realized result and what remains
12 unsettled and thus will ultimately settle at some place
13 different than what we're forecasting here.

14 MR. BOB PETERS: And the results you show
15 on line 20 under the 5th column and the 7th column, that
16 is results for the fifty (50) cent out of the money call
17 option in column 5 and the fixed price swap in column 7,
18 those final numbers are also unsettled?

19 MR. BRENT SANDERSON: The same
20 circumstances would apply as we described for the fifty
21 (50) cent of the money call option. Line 16 would give
22 the April 2002 through to October 2006 settled results,
23 if we had a pursuit that's each of those strategies. And
24 then line 18 should -- breaks out what the unsettled
25 impact would be and then line 20 is the sum total of

1 those two (2).

2 We just want to be careful about making
3 statements such as was made earlier that we can expect
4 for April 2002 through July 2007 customers' gas cost will
5 have been \$6.8 million more. We can't make that
6 statement at this point as all we're saying; that's -- we
7 can't make that with certainty.

8 MR. BOB PETERS: Fair enough. I want to
9 go back quickly to the mechanistic versus the market
10 approach and, Ms. Stewart, I think before lunch you --
11 you used the words that it would be unusual and
12 infrequent for the Corporation to deviate from the
13 mechanistic hedging approach.

14 MS. LORI STEWART: To be precise I use
15 the words "cautiously" and "infrequently".

16 MR. BOB PETERS: You're not denying that
17 you, in fact, did so on at least two (2) occasions?

18 MS. LORI STEWART: No, sir.

19 MR. BOB PETERS: And when you did so on
20 those two (2) occasions it was because the Corporation
21 had a market view; would that be fair?

22 You developed a market view?

23 MS. LORI STEWART: Yes, I think that's a
24 fair assumption of -- of Mr. Warden's examination-in-
25 chief.

1 MR. BOB PETERS: Did the Corporation pay
2 money for that market view -- an incremental cost or was
3 that within an internal market view?

4 MR. VINCE WARDEN: It was internal.

5 MR. BOB PETERS: Was that internal market
6 view at the executive level or at the -- the gas hedging
7 meeting committee level?

8 MR. VINCE WARDEN: It would have been at
9 the executive level.

10 MR. BOB PETERS: And the executive would
11 rely on information it received from -- from staff or was
12 this independent of staff information?

13 MR. VINCE WARDEN: Definitely information
14 was compiled by staff, yes.

15 MR. BOB PETERS: What compelled the
16 Corporation to take a market view at those two (2) times
17 when it did, Mr. Warden?

18 MR. VINCE WARDEN: Mr. Peters, I think I
19 explained that in my direct testimony. I probably
20 couldn't elaborate much more than what I did provide
21 through that testimony. It was the aftermath of Katrina,
22 Rita, and prices appeared to be abnormally high.

23 MR. BOB PETERS: Mr. Warden, if the
24 Corporation wanted to take a market view on a more
25 regular basis would the Corporation need to expand

1 incremental revenues?

2 MS. MARLA MURPHY: Mr. Peters, maybe you
3 can clarify that question for us. I'm not sure if you're
4 asking about whether we'd be expending money to do that
5 or you're referring to the policy itself.

6

7 CONTINUED BY MR. BOB PETERS:

8 MR. BOB PETERS: The policy, Mr. Warden,
9 has some discretion in the executive as to whether to --
10 to hedge fully 100 percent of the eligible volumes,
11 correct?

12 MR. VINCE WARDEN: The policy does
13 provide for hedging less than 100 percent of the eligible
14 volumes, yes.

15 MR. BOB PETERS: And when you did hedge
16 less than 100 percent of the eligible volumes, you did so
17 only temporarily, not on a permanent basis?

18 MR. VINCE WARDEN: Correct. We did it --
19 did it on two (2) -- two (2) occasions.

20 MR. BOB PETERS: And you did it based on
21 a market view being taken by Centra's executive?

22 MR. VINCE WARDEN: Correct.

23 MR. BOB PETERS: And in terms of Centra's
24 executive taking a market view more regularly than it
25 has, do you believe that the Corporation would have to

1 obtain additional information or expertise from what it
2 already has?

3 MR. VINCE WARDEN: Well, we have really
4 no intention of taking a market view on a regular basis
5 so we have not contemplated that situation you're
6 describing.

7 MR. BOB PETERS: What you're saying, Mr.
8 Warden, is that there is no criteria developed as to when
9 you will hedge less than 100 percent?

10 MR. VINCE WARDEN: There's really no
11 criteria that anybody that I know of would have for
12 taking a market view so, no, there is no criteria
13 developed.

14 MR. BOB PETERS: The decision that you
15 made to hedge less than 100 percent at least on a
16 temporary basis then was made in what Ms. Stewart has
17 said would be -- would be done cautiously and
18 infrequently.

19 MR. VINCE WARDEN: Absolutely. Yes, I
20 agree with that.

21 MR. BOB PETERS: And -- and how does the
22 Board know that it will be cautious and infrequent if you
23 don't know the criteria against which you will measure
24 that?

25 MR. VINCE WARDEN: Well, there would have

1 to be special circumstances prevailing, abnormal
2 circumstances, such as the ones I described.

3 MR. BOB PETERS: Would you agree with me,
4 Mr. Warden, that if you -- if Centra was to decide to
5 start taking a market view more regularly to influence
6 how money -- how much of its volumes it would hedge, it
7 would need to expend additional resources to do that?

8 MR. VINCE WARDEN: Mr. Peters I think I
9 answered, we have no intention of taking a market --
10 market view on a regular basis.

11 MR. BOB PETERS: And -- and my question
12 was only then in a hypothetical, and I thought it would
13 follow that if you did for whatever reason decide to
14 become more market view oriented you would need some
15 additional resources.

16 MR. VINCE WARDEN: I think I would prefer
17 not to answer that hypothetical.

18 MR. BOB PETERS: What about the
19 hypothetical, Mr. Warden, of Centra not hedging at all;
20 abandoning the hedging program as has been suggested by -
21 - by others?

22 Is that something of interest to the
23 corporation?

24 MR. VINCE WARDEN: Well, we have an
25 approved derivatives hedging policy which was approved by

1 the Manitoba Hydro Board, approved by this Board. If we
2 wanted to change that, it would be appropriate for us to
3 take a -- a recommendation for change first to the
4 Manitoba Hydro Board and back to this Board.

5 There is no -- at this time no appetite
6 within the Corporation to -- to change that policy. We
7 think the policy serves us and the customers of Manitoba
8 well.

9 MR. BOB PETERS: And the reason there's
10 no appetite, Mr. Warden, is based on, as Ms. Stewart told
11 us, the market research?

12 MR. VINCE WARDEN: That's certainly a big
13 component of that, yes. We think what we're doing is
14 serving our customers well and we believe it -- it
15 interprets the -- the wants and needs of those customers
16 in accordance with the market research that was done.

17 I did indicate that we -- or Ms. Stewart
18 did indicate that we will be doing additional market
19 research in 2008 and we, of course that -- that could
20 influence the policy going forward.

21 MR. BOB PETERS: And is there, again, no
22 appetite, Mr. Warden, to look at other possible methods
23 of price management or hedging such as those suggested at
24 Tab 26 of the book of documents on page number 2?

25

1 (BRIEF PAUSE)

2

3 MR. VINCE WARDEN: Well, I -- Mr. Peters,
4 I did indicate in -- in my direct that we did consider
5 the directives of the PUB and the discussion document
6 provided to us.

7 We did conclude however that the current
8 derivatives hedging policy that we have in place is
9 appropriate to our requirements at this time and is not -
10 - we do not intend to change that until such time as we
11 have other evidence that supports the change.

12 MR. BOB PETERS: Nowhere, Mr. Warden,
13 does the Corporation feel that the policy should have as
14 a -- either a secondary or a stated objective of
15 attempting where possible to reduce the cost of natural
16 gas for Manitobans?

17 MR. VINCE WARDEN: We believe to
18 reiterate again that the policy that we have in place is
19 appropriate to our requirements.

20 MR. BOB PETERS: Would Centra need to
21 have a market view in order to consider whether to unwind
22 any positions?

23 MS. LORI STEWART: Yes.

24 MR. BOB PETERS: And presently you don't
25 have a market view or one that you're not comfortable

1 enough in to act to lead you to unwind any positions;
2 would that be true?

3 MS. LORI STEWART: That's correct and
4 additionally the process of unwinding transactions is one
5 (1) in which generally the market has availed itself of
6 information and knows that one is in a position of
7 vulnerability and the market will extract a premium in
8 the process of unwinding the transactions that from our
9 perspective it -- it just -- it wouldn't make sense to
10 do.

11 MR. BOB PETERS: Well, it wouldn't make
12 sense to do unless you took a market view as to where the
13 market was going to be and then you weighed the cost of
14 unwinding against the cost of additional gas costs that
15 may result if you didn't unwind the position.

16 MS. LORI STEWART: That's correct.

17 MR. VINCE WARDEN: And, Mr. Peters, I
18 think I would like to add to the record that because we
19 don't want to include in our derivatives hedging policy an
20 explicit objective for -- to reduce costs that we're not
21 concerned about costs. We certainly are.

22 We're as concerned about the cost of gas
23 to the ratepayer of Manitoba as anybody is but we believe
24 that taking a market view over the long term will not
25 serve to reduce those costs to consumers.

1 MR. BOB PETERS: Does that answer --

2 THE CHAIRPERSON: Just to clarify before
3 you go on. This whole hypothetical unwinding, there's no
4 provision in the policy for unwinding in any case, is
5 there?

6 MS. LORI STEWART: No, sir.

7 THE CHAIRPERSON: Under your proceedings,
8 if you were even contemplating such an act you'd have to
9 go back to your Board with revisions to the policy to
10 provide you. Like, the way the policy reads right now is
11 that once you have a position it goes to maturity.

12 MS. LORI STEWART: Yes, sir.

13 THE CHAIRPERSON: Thank you.

14

15 CONTINUED BY MR. BOB PETERS:

16 MR. BOB PETERS: We're just wanting to
17 bring to your attention to complete that thought, Mr.
18 Chairman and Panel Members, at Tab 17 of the book of
19 documents is the Derivative Hedging Policy and Procedures
20 and in the bottom of what is Appendix B, page 3 of 8,
21 there is an indication under the operating principles
22 that:

23 "Once a derivative has been put in
24 place the contract will not be sold or
25 otherwise dealt with, i.e., unwound

1 except in unusual circumstances."

2 Maybe I interpreted that wrong, but I
3 interpret that to mean that in unusual circumstances you
4 could unwind a transaction or is it absolutely forbidden
5 I guess?

6 How do we -- how does the Corporation
7 interpret that?

8

9 (BRIEF PAUSE)

10

11 MS. LORI STEWART: I think it's a matter
12 of interpretation here, Mr. Peters. I guess the
13 Corporation's understanding of those particular
14 circumstances would be in a situation where we had a
15 counterparty default and as a result were -- were, in
16 essence, forced to unwind the position.

17 MR. BOB PETERS: Mr. Chairman, with that
18 answer I'd like to thank Mr. Warden, Mr. Stephens, Ms.
19 Stewart, and Mr. Sanderson and Ms. Derksen for their
20 answers. Those complete my questions.

21 THE CHAIRPERSON: Thank you, Mr. Peters.
22 Just before we break and then come back with Mr. Saxberg
23 I believe just one (1) general question for the general
24 understanding of the Board.

25 The futures market, generally speaking, is

1 populated presumably by a whole host of different beasts
2 like producers, buyers, and speculators as well; is that
3 not true?

4 MS. LORI STEWART: Yes, that's correct,
5 sir, the market is comprised of many and varied buyers
6 and sellers.

7 THE CHAIRPERSON: To what degree does the
8 market take into account say long-term purchase
9 agreements which actually have prices attached to it
10 between a supplier and a purchaser or is the market gone
11 to one of the same type of approach that Centra takes now
12 with Nexen?

13 MS. LORI STEWART: The market
14 incorporates -- and this is the power of it -- it
15 incorporates every piece of known information. So if the
16 terms of a bilateral arrangement between a producer and a
17 consumer of gas is known, for example, if it was known by
18 virtue of a process like this public process, the market
19 will take that information and incorporate it into -- to
20 whatever extent it -- it sees as relevant to the market
21 price and, boom, the price would change, for example, if
22 the magnitude of the contract was that -- was that great.

23 So any piece of information that the
24 market becomes privy to that is -- is generally known, it
25 will incorporate it. And that's why that price is moving

1 virtually every second of the day.

2 MR. BRENT SANDERSON: I would also like
3 to add as well, just to extend what Ms. Stewart said, the
4 market price or the information in the market that's
5 reflected in market prices also reflects private
6 information that is not available generally to the market
7 because participants in the market are acting for their
8 own gain based on information that they have that is not
9 generally available to the wider market, as well as
10 information which is generally available to the market.

11 And, again, it speaks to the power of the
12 market as we have the advantage of being able to see the
13 distillation of all that information, both public and
14 private, as manifested in the market price, either -- be
15 it current prices of the day for delivery or delivery for
16 some future period.

17 So it -- it reflects far more information
18 than any one (1) individual participant in the market
19 could ever hope to have at hand in terms of trying to set
20 out to beat the intelligence of that overall market.

21 THE CHAIRPERSON: Is there any truth to
22 some of the reports in the public press around the time
23 of the collapse of Amoran (phonetic) that some 70 percent
24 or whatever, the NYMEX market was basically comprised of
25 speculative activity?

1 MR. BRENT SANDERSON: We've actually
2 looked into or perused a lot of information over the past
3 couple of years with respect to speculators' activities
4 in the market and their influence on prices and we've --
5 we've had people from the New York Mercantile Exchange
6 come to conferences to speak that we've attended at.

7 We've had the benefit of hearing
8 presentation from people with decades of experience in
9 liberalized markets.

10 And counter to what we would read in the
11 popular press, the presence of speculators in the market
12 has in fact led to a reduction in volatility when you
13 look at statistically relative to what would have been
14 the case before, the greater percentage of participation
15 by speculators.

16 And when we heard speakers from the New
17 York Mercantile Exchange Market Oversight Committee, it
18 is not effectively possible in the natural gas market for
19 speculators to -- for want of a better term -- corner the
20 market.

21 Speculators' positions, they could be
22 referred to as non-commercials, in that they have no --
23 they are not a buyer and seller of end-use gas. They
24 just speculate on future price movements.

25 If they accumulate a position or -- in the

1 market that is beyond a certain small percentage of the
2 activity in that market, the Market Oversight Committee
3 calls them in for a review effectively and forces them to
4 explain their activities and why they've accumulated the
5 position that they have.

6 And if they are not satisfied that the
7 magnitude of their position will not unduly influence the
8 direction of the market, they will force them to unwind a
9 certain percentage of their positions to bring their
10 position in the market below a level at which they don't
11 feel that they can take -- have an undue influence on
12 price.

13 THE CHAIRPERSON: Was that proven out in
14 the Amoran experience?

15 MR. BRENT SANDERSON: We really don't
16 know how Amoran's position was accumulated. None of us
17 are going to have access to that competitively-sensitive
18 information.

19 I would say though that knowing how hedge
20 funds tend to earn their gains, they were probably very
21 heavily leveraged, and a lot of their activity would have
22 been in the options markets, taking a small upfront
23 financial position with an extraordinarily large
24 potential gain, but with a coincident extraordinarily
25 large downside potential risk.

1 And so it could have been any number of
2 combinations and permutations of positions. But
3 effectively, based on my conversations with the dealer
4 community subsequent to Amoran's failure, they took a
5 very heavily leveraged position in terms of uncovered
6 options positions and were heavily indebted to try and
7 magnify or leverage their gain on a subsequent market
8 movement which didn't materialize, which manifested
9 itself in an extraordinarily large loss.

10 And this is indicative of what we're
11 talking about when no matter how smart the trader or how
12 large the -- the capital that they have available to them
13 to speculate on their position, ultimately at the end of
14 the day it is effectively impossible over the long term
15 to beat the market.

16 And that's a case in point I would say as
17 to what happened with Amoran.

18 THE CHAIRPERSON: When they try, they
19 seem to create a lot of damage. However, they presumably
20 could have had positions with counterparties, could they
21 not?

22 MR. BRENT SANDERSON: I'm -- I would
23 probably say it's a good bet that they would have had --
24 and I'm assuming what you mean by with counterparties
25 would meaning over the counter markets or bilateral

1 transactions.

2 Yes, I -- I don't know for sure, but I
3 think that would be a reasonable assumption to make.

4 THE CHAIRPERSON: Thank you. Okay, we'll
5 have a break now and then when we come back, Mr. Saxberg,
6 are you ready to begin?

7 MR. KRIS SAXBERG: Yes, I will be.

8 THE CHAIRPERSON: Very good, sir.

9

10 --- Upon recessing at 2:40 p.m.

11 --- Upon resuming at 3:00 p.m.

12

13 THE CHAIRPERSON: Okay, Mr. Saxberg, it's
14 your time.

15

16 CROSS-EXAMINATION BY MR. KRIS SAXBERG:

17 MR. KRIS SAXBERG: Thank you, Mr.
18 Chairman. Good afternoon to everybody. With me is a
19 familiar face to most, Mr. Brian Meronek from our office,
20 who is helping me out on this file in a consultative
21 manner, so the Panel can breathe easy that he won't be
22 asking any questions today unless things go completely
23 awry.

24 To begin with, I have put together a book
25 of selective documents that's not intended to be evidence

1 on its own but it's -- it's there to help facilitate the
2 -- the examination and speed things up.

3 I have left a pile of those books on
4 Hollis' desk; that's right. And I passed -- I passed on
5 the documents to Centra already and they have had them in
6 advance and Intervenors also have them and I've left them
7 with Board counsel, so all that's left is for them to be
8 circulated to the Board.

9 THE CHAIRPERSON: Mr. Gaudreau is going
10 to give us an exhibit number.

11 MS. MARLA MURPHY: Mr. Chairman, I prefer
12 that that not be marked as an exhibit, as Mr. Saxberg and
13 I discussed in advance the material in here is not like
14 the book from the Public Utilities Board book of
15 documents. It doesn't all relate to this proceeding.
16 Some of --

17 THE CHAIRPERSON: Okay.

18 MS. MARLA MURPHY: -- it in fact is quite
19 old and as such it wouldn't be appropriate, I don't
20 think, at this point to have it admitted as evidence.

21 THE CHAIRPERSON: That's fine. Mr.
22 Saxberg, could make that motion at some point during the
23 -- yes, Mr. Saxberg?

24 MR. KRIS SAXBERG: Thank you, Mr.
25 Chairman. And perhaps I'll do that at the conclusion of

1 my cross-examination.

2

3 CONTINUED BY MR. KRIS SAXBERG:

4 MR. KRIS SAXBERG: To begin with some
5 very general and easy questions I hope, would you agree
6 and this is open to anyone to answer, that the Board has
7 to approve the hedging transactions conducted by Centra
8 for the '05/'06 fiscal year?

9 MS. LORI STEWART: I would agree that the
10 Board has the right to approve the cost consequence of
11 the derivatives -- hedges transactions placed in '05/'06.

12 MR. KRIS SAXBERG: And with respect to
13 each individual transaction, the Board has to ensure
14 itself that those transactions were executed in
15 accordance with Centra's policy?

16 MS. LORI STEWART: That's correct.

17 MR. KRIS SAXBERG: So in that way the
18 Board then is approving the individual hedging
19 transactions?

20 MS. LORI STEWART: Fair enough.

21 MR. KRIS SAXBERG: And with the reference
22 that the Board will be looking at to ensure that the
23 transactions are appropriate is the policy that this
24 Board approved at the -- at the last year GRA Hearing, is
25 that correct?

1 MS. LORI STEWART: Yes, that's correct.

2 MR. KRIS SAXBERG: And in general, that
3 policy gives the executive quite a bit of discretion with
4 respect to hedging insofar as the executive can decide
5 not to hedge at all.

6 MS. LORI STEWART: Yes, that's correct.

7 MR. KRIS SAXBERG: And the executive
8 committee has the absolute discretion as the policy
9 stands today, is that fair?

10 MS. LORI STEWART: That's correct. I
11 believe we've put on the record the only exception to
12 that would be the instrument used. The policy is quite
13 clear that the -- our options in terms of instruments are
14 the fixed price swap, the call option, or the cashless
15 collar.

16 MR. KRIS SAXBERG: And Centra's position
17 is that the individual hedging transactions have been
18 placed in accordance with the policy, correct?

19 MS. LORI STEWART: Yes, that's correct.

20 MR. KRIS SAXBERG: Would you agree that
21 because the policy is so broad in that there's a
22 discretion to not hedge at all, it's fairly hard for
23 these transactions to fall outside the policy, as it's
24 worded.

25 MS. LORI STEWART: I think the -- that

1 since the inception of this program in 2001 we've --
2 we've only seen two (2) exceptions to Centra's matter of
3 course -- matter of course process at it relates to -- to
4 the hedging program. I guess its history seems
5 relatively easy to assess I -- I believe.

6 MR. KRIS SAXBERG: But if -- if we put
7 aside the matter of course practice for a moment, just
8 based on the express wording of the policy, there --
9 there really are no restrictions on what Centra can or
10 can't do in terms of hedging. I mean, it can decide not
11 to hedge.

12 MS. LORI STEWART: That's correct,
13 although the -- Centra's matter of course actions are
14 explicitly defined in the operating principles and
15 procedures for the purpose of outlining what the
16 regulator and other stakeholders should be expecting to
17 see from Centra as it relates to its Derivatives Hedging
18 Program and the transactions.

19 MR. KRIS SAXBERG: Thank you. And,
20 therefore, notwithstanding this broad discretion on the
21 policy, the practice as a matter of course is fairly
22 narrow and Centra has made promises in past hearings and
23 in some of the related documents that it would implement
24 its hedging in a mechanistic fashion.

25 MR. VINCE WARDEN: Mr. Saxberg, I

1 wouldn't -- I wouldn't totally agree that the policy is
2 that broad. It does in fact provide for hedging of -- of
3 up to 100 percent of eligible volumes and in the case
4 where we don't -- don't do that then that's an exception
5 that requires executive committee approval.

6 So I think in that context the -- the
7 policy is actually quite narrow. I wouldn't agree that
8 it's that broad as -- as you intimated.

9 MR. KRIS SAXBERG: Okay. Well, maybe
10 we're -- we're just -- we're in agreement but -- in that
11 in terms of the practice that's been enunciated to the
12 Board there is a very narrow range in terms of what
13 Centra can do and it's going to implement its hedging in
14 a mechanistic fashion.

15 MR. VINCE WARDEN: Yes.

16 MR. KRIS SAXBERG: And I'm not going to
17 repeat the parameters because we all are extremely
18 familiar with them.

19 And there was one (1) caveat on that
20 mechanistic practice though that was mentioned at the
21 last hearing and that was that in the case of unusual
22 circumstances Centra may move away from its mechanistic
23 implementation of hedging. Do you recall that?

24 MS. LORI STEWART: Yes, I do.

25 MR. KRIS SAXBERG: And I have circulated

1 a transcript excerpt from that last hearing in which, Ms.
2 Stewart, you at that time gave two (2) examples of
3 unusual circumstances that would cause Centra to divert
4 from its mechanistic implementation.

5 Have you had a chance to review that
6 transcript?

7 MS. LORI STEWART: Yes, I had a quick
8 look at it over the break.

9 MR. KRIS SAXBERG: And the two (2)
10 instances simply put were: 1) if there was a disaster
11 with respect to the TransCanada Pipeline, and 2) if
12 everyone was switching over to broker service, is that
13 fair?

14 MS. LORI STEWART: Those were two (2)
15 examples provided, yes, of special circumstances.

16 MR. KRIS SAXBERG: And after that
17 discussion with Mr. Peters, at page 341 of the
18 transcript, which is -- it's included with the material
19 but it's not one (1) of the tabs. It's the loose
20 transcript.

21 At page 341 Mr. Peters asked you
22 specifically with respect to the definition of unusual
23 circumstances, at line 14:

24 "Is there any opportunity, Ms. Stewart,
25 to exercise discretion by taking a

1 market view?"

2 And your answer was:

3 "That is not the intent of the
4 company."

5 And then Mr. Peters asked:

6 "What you're telling the Board is that
7 there's no intention in Centra to look
8 and see what the market is doing and
9 put hedges in based on your best guess
10 as to what's happening in the market?"

11 And your answer was:

12 "Yes, that's correct. We have not
13 shifted our position to taking
14 subjective price views."

15 Do you acknowledge giving that evidence?

16 MS. LORI STEWART: Yes, I do.

17 MR. KRIS SAXBERG: And there's no
18 difference between special circumstances and unusual
19 circumstances?

20 MS. LORI STEWART: Not to my knowledge.

21 MR. KRIS SAXBERG: Now, at Tab 13 of the
22 book of selected documents there is a slide -- PowerPoint
23 slide presentation that Mr. Sanderson and Ms. Stewart
24 should be fairly familiar with.

25 Are you familiar with the document?

1 MS. LORI STEWART: Yes, I am.

2 MR. KRIS SAXBERG: And the document is a
3 PowerPoint presentation put together by Tim Simard, is a
4 former advisor to Centra on hedging; correct?

5 MS. LORI STEWART: Yes, that's correct.

6 MR. KRIS SAXBERG: Is it fair to say that
7 he's the author of -- of Centra's mechanistic
8 implementation approach to hedging?

9 MS. LORI STEWART: No. I wouldn't
10 characterize him as the author of our program.

11 MR. VINCE WARDEN: Mr. Saxberg, he wasn't
12 actually an advisor neither. He -- we engaged Mr. Simard
13 for a special assignment, that's as far as it went.

14 MR. KRIS SAXBERG: Okay. And Mr. Simard
15 testified for Centra at the 2003 Hearing?

16 MR. VINCE WARDEN: Correct.

17 MR. KRIS SAXBERG: About the new policy
18 that Centra was proposing at that time, which is
19 basically the policy that we're talking about today;
20 correct?

21 MS. LORI STEWART: Yes, with a few
22 modifications.

23 MR. KRIS SAXBERG: And Mr. Simard
24 testified about what it is to have a mechanistic
25 implementation strategy; correct?

1 MS. LORI STEWART: Yes.

2 MR. KRIS SAXBERG: And that's what he's
3 talking about in this slide presentation that we all have
4 before us; correct?

5 MS. LORI STEWART: I'm sorry, what was
6 the question, Mr. Saxberg?

7 MR. KRIS SAXBERG: Well, he testified
8 about what it means to put in place a -- a mechanistic
9 hedging program. That's what Mr. Simard was testifying
10 to in 2003.

11 MS. LORI STEWART: That's correct.

12 MR. KRIS SAXBERG: And he was also
13 testifying that Centra really couldn't do anything else
14 because it didn't have the skills.

15 MS. LORI STEWART: I think it's safe to
16 characterize Mr. Simard's testimony as not being
17 supportive of a utility taking a position that it could
18 outperform the market over the long term, that it could
19 not systematically outperform the market over the long
20 term.

21 MR. KRIS SAXBERG: And so the upshot is
22 he recommends using a mechanistic approach.

23 MS. LORI STEWART: Yes, that's correct.

24 MR. KRIS SAXBERG: And he describes it in
25 -- on page 2 of this slide presentation I think quite

1 well, in the very first PowerPoint slide with font on it
2 that says, under, "Definitions":

3 "Mechanistic implementation strategy.
4 Market directional views play no role
5 in the implementation of hedge
6 positions."

7 Mr. Simard is correct about that?

8 MS. MARLA MURPHY: Mr. Chairman, I'm a
9 bit confused about the purpose of this examination. To
10 be clear, this document wasn't prepared for Centra or at
11 Centra's request.

12 This is, as I understand it, a
13 presentation that Mr. Simard made in Chicago, Illinois,
14 and I don't think it's appropriate to put to our
15 Witnesses his views summarized in a PowerPoint
16 presentation which probably came with a fairly extensive
17 discussion, and I expect that that's going to be a
18 position that can be attributed to an expert who isn't
19 here.

20 MR. KRIS SAXBERG: Yeah, I'm simply
21 putting statements to the Panel about the mechanistic
22 approach and asking whether they agree or disagree. I'm
23 not asking them what Mr. Simard meant by them or if -- of
24 what the context was.

25 And it's -- it's just by way of

1 illustration. And these aren't difficult questions and
2 they're questions the Panel's familiar with.

3 THE CHAIRPERSON: Okay. Proceed for now.
4 We'll take it under that understanding.

5

6 CONTINUED BY MR. KRIS SAXBERG:

7 MR. KRIS SAXBERG: Ms. Stewart, the
8 second bullet says:

9 "Market [or, sorry, the third bullet
10 says] Even if Management is convinced
11 that prices are likely to fall, hedges
12 are still implemented."

13 Correct? Is that your understanding of
14 how the mechanistic implementation approach works?

15 MS. LORI STEWART: Yes, that would
16 describe a strict mechanistic implementation strategy.

17 MR. KRIS SAXBERG: And in previous
18 hearings you have testified that Centra's implementation
19 strategy was going to be the strong form mechanistic
20 implementation approach.

21 MS. LORI STEWART: Yes, that's correct.

22 MR. KRIS SAXBERG: And you and I have
23 gone into more than a few exchanges wherein you would
24 correct me that exercising discretion in -- in matters
25 that I had suggested would constitute taking market views

1 and the program simply is not designed to do that.

2 Is that a fair generalization of the -- of
3 -- of your position?

4 MS. LORI STEWART: It's a fair
5 generalization, however, the policy has always included
6 that provision for special circumstances such as physical
7 catastrophes like one (1) of the tubes on TCPL being
8 damaged, like hurricanes Rita and Katrina which represent
9 unforeseeable situations that a utility or -- that a
10 utility may -- may then choose to respond to.

11 MR. KRIS SAXBERG: Okay. Thank you for
12 that and I'll -- I'll get back to that but just again,
13 the next bullet down says:

14 "No market view discretion around
15 timing and magnitude of the hedge."

16 That was Centra's position prior to this
17 hearing that the program in the regular course, in the
18 absence of special circumstances, would never take a
19 market view with respect to timing of the hedge or the
20 size, correct?

21 MS. LORI STEWART: It continues to be
22 Centra's position even in this proceeding that discretion
23 around the timing, the magnitude of the hedge, and the
24 instrument employed will -- that -- that discretion will
25 not be employed in that regard.

1 4th hedging date was changed to October 18th.

2 MS. LORI STEWART: No, that's -- that's
3 not -- that's not correct actually. Our pre-defined
4 dates for hedging in the month of October were October
5 the 4th and October the 18th.

6 On October the 4th when we were scheduled
7 to go to the market our executive committee I believe met
8 that morning and provided us with the direction to not go
9 to the market and that it only wanted us to place hedges
10 on 50 percent of the volumes which were then hedged as
11 per the schedule on October the 18th.

12 MR. KRIS SAXBERG: Right. But for the
13 other 50 percent you changed the timing to discuss the
14 matter on October 18th.

15 MS. LORI STEWART: No. As I've indicated
16 in my prior answer, we were always scheduled to go to the
17 market on October the 4th and October the 18th.

18 MR. KRIS SAXBERG: Okay. Well, October
19 the 18th then switched to May the 2nd.

20 MS. LORI STEWART: No. October the 4th
21 changed to May the 2nd. October 18th went off just as
22 planned.

23

24

(BRIEF PAUSE)

25

1 MR. KRIS SAXBERG: Okay. Well, I'll come
2 back to that in a second when I go through the -- the
3 transcripts. But -- so that's one (1) instance, October
4 4th to May 2nd then that we agree on?

5 MS. LORI STEWART: That's correct.

6 MR. KRIS SAXBERG: April 15th to
7 September 19th was the change in -- in the timing of the
8 hedge?

9

10 (BRIEF PAUSE)

11

12 MR. KRIS SAXBERG: Perhaps we could just
13 refer to the other document that I've handed out, which
14 is the source of my information, which is CAC-6, the
15 second page.

16 MS. LORI STEWART: Yes, I see the
17 reference.

18 MR. KRIS SAXBERG: So it was originally
19 scheduled for April 15th, 2006 and it was deferred to
20 September 19th, 2006.

21 MS. LORI STEWART: That's correct.

22 MR. KRIS SAXBERG: So that would be the
23 second. The third instance would be July 24th to July
24 27th, which is also referenced in this answer.

25 MS. LORI STEWART: Technically, if you'd

1 like to characterize it as a -- an exercising of
2 discretion. I guess my concern with that is that it was
3 to address an operational consideration and we really
4 don't view that one (1) day deferral as a situation where
5 the Executive Committee exercised discretion.

6 MR. KRIS SAXBERG: Well, it's -- I'm just
7 following what the IR says, and it says that the
8 Executive Committee instructed this to occur.

9 "As per Executive Committee
10 instruction."

11 MS. LORI STEWART: That's the second
12 portion of the sentence. The third portion reads:

13 "And the hedges that were originally
14 scheduled to be purchased on July
15 24th" --

16 Oh. I'm sorry, Mr. Saxberg.

17 -- "were deferred to Thursday, July
18 27th, as per Executive Committee
19 instruction."

20 MR. KRIS SAXBERG: So that would have
21 been after a determination, as Mr. Warden has indicated,
22 of special circumstances.

23

24

(BRIEF PAUSE)

25

1 MS. LORI STEWART: I guess what I'd like
2 to make clear for the record is the fact that that three
3 (3) day deferral was due to some operational
4 considerations in our shop. It takes us -- we need our
5 transactors available, we had some scheduling conflicts
6 and, as a result, we -- we did defer by three (3) days.

7 MR. KRIS SAXBERG: And there were two (2)
8 occasions that -- that are synonymous with the -- the
9 timing decisions, in which Centra decided to only hedge
10 50 percent.

11 Would you count those as separate
12 exercises of the special -- of the discretion in terms of
13 -- as opposed to the timing of the hedge, the volume of
14 the hedge?

15 MS. LORI STEWART: Yes. The timing of
16 the hedge -- I mean, the decision encompassed, I guess,
17 if you want to break it out, to discreet -- to discreet
18 changes to the matter of course process.

19 MR. KRIS SAXBERG: Okay. And then other
20 exercises of the discretion as to whether they're special
21 circumstances would include those other Executive
22 Committee meetings where it was determined not to hedge
23 the balance of the 50 percent.

24 I think the first one was in January,
25 where there was a report to the Executive and the

1 Executive considered that this was still not the time to
2 -- to hedge the balance of -- of 50 percent, correct?

3 MS. LORI STEWART: That's correct.

4 MR. KRIS SAXBERG: So that would be
5 another exercise of special discretion, would it not?

6 MS. LORI STEWART: Yes, one must exercise
7 discretion as it relates to re-entering the market
8 following the decision to defer.

9 MR. KRIS SAXBERG: Right. And in
10 deciding not to re-enter the market on those other
11 occasions, Centra had to take a market view?

12 MS. LORI STEWART: Yes, that's correct.

13 MR. KRIS SAXBERG: And is it too far to
14 say that every single day after the decision to defer
15 hedging, that you -- that you chose not to hedge was
16 really contemplation of the market and taking a market
17 view; because surely you were monitoring what the market
18 was doing?

19 MS. LORI STEWART: Yes, we were
20 definitely monitoring what the market was doing.

21 MR. KRIS SAXBERG: And in every day that
22 passed up until May 2nd, there was a decision by someone
23 to not hedge that balance of 50 percent.

24 MS. LORI STEWART: The Corporation had
25 the choice to go to the market on any day thereafter the

1 decision was made to defer.

2 MR. KRIS SAXBERG: Right. And there was
3 a conscious decision, at least by somebody within the
4 organization, not to go to the market on those days.

5 MS. LORI STEWART: Yes, that's correct.

6 MR. KRIS SAXBERG: And that's an exercise
7 of discretion that isn't occurring at the executive
8 level, correct?

9

10 (BRIEF PAUSE)

11

12 MS. LORI STEWART: Mr. Saxberg, following
13 the occasions on which the Corporation chose to defer,
14 hedging 50 percent of its volumes, at that point gas
15 supply staff were in steady contact with our executive
16 committee as it relates to where the market was going.
17 However, the ultimate decision, just as it is the
18 executive committee's ultimate decision to defer the
19 hedges, it was also ultimately the executive committee's
20 decision as to when to re-enter the market.

21 MR. KRIS SAXBERG: Had the executive set
22 out any kind of criteria upon which Centra would be re-
23 entering the market?

24 MR. VINCE WARDEN: There were no specific
25 criteria. We just continued to monitor the -- the market

1 in consultation with gas supply people on a regular
2 basis.

3 MR. KRIS SAXBERG: Thank you, Mr. Warden.
4 And I'll direct this next question to you then. The
5 essence of the special circumstances was the executive's
6 belief that the prices were unsustainably high, is that
7 fair?

8 MR. VINCE WARDEN: Yes, as I indicated
9 earlier, we -- we looked at the market, at the price and
10 determined that it was abnormally high and decided for
11 that reason to defer hedging 50 percent of the volumes.

12 MR. KRIS SAXBERG: And the decision to do
13 that came around the same time that the Board released
14 its reasons for a decision relating to the GRA Hearing,
15 correct?

16 MR. VINCE WARDEN: Yes. We had that
17 order -- the benefit of that order, yes.

18 MR. KRIS SAXBERG: And -- but ultimately
19 the decision to not hedge and to exercise discretion was
20 made independent of -- of the Board by Hydro, correct?

21 MR. VINCE WARDEN: We did not consult
22 with the Board -- the Public Utilities Board I think
23 you're referring to. We did not consult with the Public
24 Utilities Board, yes.

25 MR. KRIS SAXBERG: And there was nothing

1 in that Board order that said -- or to Hydro not to
2 hedge?

3 MR. VINCE WARDEN: Not specifically,
4 however, there was a great deal of concern expressed on
5 that order about the high prices and the potential for
6 the price -- this being a price bubble as was referred to
7 in the -- I believe that was 1 -- Order 135/'05.

8 MR. KRIS SAXBERG: And my recollection is
9 that the Board was inviting parties to provide input on
10 what should be done in a circumstance like this.

11 Is that -- was that also Centra's
12 understanding?

13 MR. VINCE WARDEN: Yes, I recall that.

14 MR. KRIS SAXBERG: But they didn't give
15 any specific direction to Centra to do anything prior to
16 that consultation?

17 MR. VINCE WARDEN: Correct.

18 MR. KRIS SAXBERG: Now, again in April
19 the reason -- the special circumstances at their essence
20 were again a view that the price was unsubstantably un --
21 that it was too high and that it would likely come down;
22 is that correct?

23 MR. VINCE WARDEN: Yes, we'd come off --
24 in April of '06 we had just come through an extremely
25 mild winter; gas inventories were very high. The near

1 prices were coming down but the forward prices were still
2 staying what we considered at the time to be abnormally
3 high.

4 MR. KRIS SAXBERG: And you were looking
5 at the same forward price strip that you -- that you
6 always look at, correct?

7 MR. VINCE WARDEN: Correct.

8 MR. KRIS SAXBERG: Which as Ms. Stewart
9 indicated -- I think it was Ms. Stewart or maybe it was
10 Mr. Sanderson, incorporates every single known piece of
11 information in terms of the -- the prospect of future
12 prices, correct?

13 MS. LORI STEWART: That's correct.

14 MR. KRIS SAXBERG: But the executive's
15 view was that every -- was essentially a disbelief in the
16 number, is that fair?

17 MR. VINCE WARDEN: A concern. A concern
18 that the number was abnormally high.

19

20 (BRIEF PAUSE)

21

22 MR. KRIS SAXBERG: Now, would you agree,
23 Ms. Stewart, that those special circumstances aren't in
24 any way similar to the examples that you gave in the
25 prior hearing, and that in -- that in fact they are

1 precisely what you said, that Centra wouldn't do, that is
2 take a market view?

3 MS. LORI STEWART: I think that
4 Hurricanes Katrina and Rita are examples of a physical
5 catastrophe in the natural gas industry similar to my
6 example about a force majeure event on -- on TransCanada
7 Pipeline, and ultimately the executive committee's
8 decision was based on price that was precipitated by a
9 physical catastrophe in the business.

10 MR. KRIS SAXBERG: In your example though
11 you were referring to a catastrophe that would lead to
12 uncertainty in the marketplace to the extent that
13 counterparties with whom you were doing business wouldn't
14 be willing to enter into hedge transactions.

15 MR. BRENT SANDERSON: Well, Mr. Saxberg,
16 I can tell you that at the -- and I guess it's hard to
17 define at this point looking back what constitutes the
18 height of the crisis in the wake of those hurricanes, but
19 to give you some idea of the magnitude of the physical
20 catastrophe as Ms. Stewart described it, we had advantage
21 of being part of an internet conference convened by
22 Cambridge Energy Research Associates, one of the most
23 highly regarded energy consulting firms in North America
24 which was -- basically had looked at and quantified the
25 physical deliverability situation in the US in the out --

1 in the aftermath of those hurricanes.

2 And at the time, and I can't remember this
3 precise date, but it was in the mid to late fall, had we
4 faced a winter with normal weather in the US last year
5 there would have been firm customers across the southern
6 interior of the US that would have been curtailed. In
7 other words, that means homeowners would have very likely
8 been unable to acquire gas or the utilities required and
9 on their behalf would have been unable to acquire
10 physical gas for homeowners to heat their homes in the
11 event of a normal winter.

12 Circumstances were that bad and it was
13 only by -- and I -- I guess I use this term cautiously --
14 by the grace of God that the weather was so warm across
15 North America that that never did unfold.

16 And the effect of that on the market was -
17 - is, in my conversations with the derivatives dealer
18 community during the course of that crisis, there were
19 many days where many trading shops closed their books and
20 sat out the market because it was so volatile and so
21 unpredictable that they were not willing to take on a
22 position on behalf of a client for even as much as a
23 second given the potential risk to them in the
24 intervening time period between assuming a transaction on
25 behalf of a customer and laying off their own risk.

1 So there was circumstances where quite
2 large and highly-skilled derivative dealer shops just
3 closed their books and sat out the market on the
4 sidelines until they felt that the market had settled
5 down sufficiently to allow them to conduct their business
6 in a manner consistent with their organizational risk
7 parameters.

8 MR. KRIS SAXBERG: Were any of them doing
9 that on October 4th, 2005?

10 MR. BRENT SANDERSON: I had no
11 conversations with any shops specifically on that matter
12 on that day, so I can't say.

13 MR. KRIS SAXBERG: And surely the market
14 and the forward strip would incorporate all relevant
15 information about the hurricanes into the future price
16 strip; correct?

17 Everything that you've just said would
18 have been incorporated into the knowledge of the market?

19 MS. LORI STEWART: It would have been
20 incorporated. However, everyone in the marketplace would
21 have acknowledged at that point in time that there was
22 extraordinary uncertainty and volatility in the
23 marketplace.

24 MR. KRIS SAXBERG: But if we fast-forward
25 to April, it's a different reason as to why the hedges

1 weren't placed and it relates to disbelief that the price
2 is so high when there was so much supply around; correct?

3 MS. LORI STEWART: Yes.

4 MR. KRIS SAXBERG: And you're not drawing
5 any link between that fact and the hurricanes, are you?

6 MR. VINCE WARDEN: Although there didn't
7 appear to be a direct link because by this time the --
8 the hurricanes -- we're at the end of August of '05, the
9 price -- the forward prices did remain at that same high
10 level as they were immediately following the -- the
11 hurricanes.

12 So whether there -- there was a -- a
13 direct link or not, we don't know, but the uncertainty in
14 the marketplace prevailed.

15 MR. KRIS SAXBERG: So is it your view
16 then that special circumstances occur whenever there's
17 uncertainty in the marketplace?

18 MR. VINCE WARDEN: Well, there was the
19 one (1) major event that we've discussed and that event
20 led to a lot of uncertainty in the marketplace. And
21 whether there was a hangover that lasted as long as April
22 2006, we don't know.

23 We do know that the prices were what we
24 considered to be abnormally high and, as a consequence,
25 we -- we did what we did.

1 MR. KRIS SAXBERG: Mr. Sanderson, you
2 were at the Risk Advisory Summit, I remember well, since
3 you were the one asking the questions back then, but I'm
4 going to take you to the last page of the Tab 13, just to
5 illustrate what -- the question I'm going to ask.

6 And it's a -- it's a hypothetical that Mr.
7 Simard is putting to the group that was present there, in
8 Chicago, saying, What would you do if -- if you heard
9 there was a hurricane blowing through the Gulf of Mexico
10 and causing a spike in prices? What would your utility
11 do?

12 In light of the evidence that you've just
13 put on the record about the effect of the hurricane and -
14 - and its triggering of special circumstances, out of
15 these three (3) responses, what's going to happen with
16 this utility the next time a hurricane like that, as they
17 say in here, blows through the Gulf of Mexico?

18 MS. LORI STEWART: Mr. Saxberg, it's not
19 possible -- excuse me, for us to advise what the
20 Corporation's course of action would be in that
21 circumstance. Special circumstances are not possible to
22 define because by their very nature they're
23 unforeseeable.

24 No one in the nat. gas industry predicted
25 the combination of hurricanes Katrina and Rita and the

1 devastation that they would reek on the supply capability
2 in the Gulf.

3 So for us to suggest to you what we would
4 do in a hypothetical situation that I'm advising is
5 unforeseeable. I just can't do that.

6 MR. KRIS SAXBERG: Ms. Stewart, would --
7 would you share with us what your personal view was back
8 in October 4th as to whether or not you would have
9 delayed hedging that 50 percent?

10 THE CHAIRPERSON: I think that's a bit
11 unfair, Mr. Saxberg. My understanding of the situation
12 is that they were relating back and forth to their
13 executive committee, but I leave it up to Mr. Stewart.

14 OBJ MS. MARLA MURPHY: Well I was about to
15 register my objection on Ms. Stewart's behalf as well. I
16 -- I don't think it's appropriate that a company with
17 witnesses here presenting evidence on behalf of the
18 Corporation is asked for their personal opinion on this
19 type of issues.

20

21 CONTINUED BY MR. KRIS SAXBERG:

22 MR. KRIS SAXBERG: Your position again is
23 -- you're the manager of what? I don't want to get -- I
24 don't want to get the position wrong on the record.

25 MS. LORI STEWART: Up until quite

1 recently I was the manager of Gas Supply Pricing and
2 Administration at -- at which time I was responsible for
3 the derivatives hedging program and I am responsible for
4 the program as it relates to this proceeding.

5 My current position is the Manager of Gas
6 Supply Transport and Storage.

7 MR. KRIS SAXBERG: Okay. So for the
8 purposes of this Hearing, you -- and at the times that
9 we're reviewing here, you were in charge of the hedging
10 program?

11 MS. LORI STEWART: I certainly was.

12 MR. KRIS SAXBERG: And it's only in that
13 sense, in that capacity that I'm asking for what -- for
14 your position on the mater.

15 MS. MARLA MURPHY: Again, Mr. Chairman,
16 Ms. Stewart can advise us the Company position, but I --
17 I wouldn't be -- suggest it not go any further.

18

19 CONTINUED BY MR. KRIS SAXBERG:

20 MR. KRIS SAXBERG: I'll just -- I'll move
21 through it in a different way, perhaps. If we could turn
22 to Tab 15 which is a collection of minutes from the Gas
23 Supply Management Committee and the Executive Committee,
24 is that correct?

25 MS. LORI STEWART: Yes, that's correct.

1 MR. KRIS SAXBERG: Now at page -- I've
2 taken the liberty of writing numbers on the top of -- top
3 right hand corner of the page so that we can all be on
4 the same page.

5 If you could flip to page 2. Under
6 "Planned Transactions" there's a note that says:

7 "The Committee discussed whether the
8 hedge session scheduled for October
9 should proceed in the normal course
10 given the high price environment
11 related in part to the catastrophic
12 consequences of Hurricane Katrina. It
13 was agreed that V. Warden would discuss
14 the merits with the Executive Committee
15 prior to the hedge session scheduled
16 for October 4th and October 18th."

17 That's an accurate description of what
18 happened?

19 MS. LORI STEWART: Yes, it is.

20 MR. KRIS SAXBERG: Why wasn't the Gas
21 Supply Management Committee debating the issue? Why was
22 it passing it on to the Executive Committee to do the
23 debating?

24 MS. LORI STEWART: Oh trust me, the Gas
25 Supply Risk Management Committee debated the issue.

1 MR. KRIS SAXBERG: And it must have come
2 up with a recommendation then after that debate or reach
3 some form of opinion on the matter?

4 MS. LORI STEWART: No. The purpose of
5 that committee is not to -- is not to put forward
6 recommendations. It's a forum for discussion and for
7 review and debate with regard to our risk management
8 activities.

9 MR. KRIS SAXBERG: The committee, you're
10 suggesting, doesn't have any function relative to
11 providing advice to the executive?

12 MS. LORI STEWART: It provides advice to
13 the executive but not in the form of a formal
14 recommendation. There are a number of senior managers
15 that sit around the table when the Gas Supply Risk
16 Management Committee is convened and all of their
17 knowledge and expertise is shared in that forum for the
18 purpose of guiding the activities of -- of gas supply.

19 MR. KRIS SAXBERG: So there was no
20 recommendation that came out of the debate at the Gas
21 Supply Management Committee on the subject at that time,
22 correct?

23 MS. LORI STEWART: That's correct.

24 MR. KRIS SAXBERG: And there's no written
25 documentation of any of the discussions that took place

1 at the Gas Supply Management Committee at that time,
2 correct?

3 MS. LORI STEWART: These minutes are the
4 written documentation of the meeting.

5 MR. KRIS SAXBERG: And these minutes
6 don't include any description of the nature of the debate
7 and the issues that were discussed at the meeting.

8 MS. LORI STEWART: The minutes are fairly
9 concise.

10 MR. KRIS SAXBERG: Thanks. And if we
11 move on to the next page, this is the next Gas Supply
12 Management Committee meeting, which is December 15th,
13 2005, and under (a) Derivative Placement, second
14 paragraph, it states, quote:

15 "It was noted that the Executive
16 Committee directed that the planned
17 placement of natural gas derivatives on
18 the other 50 percent of eligible
19 volumes for the months of August,
20 September, and October 2006 be deferred
21 until further notice."

22 The further notice was going to be from
23 whom?

24 MS. LORI STEWART: From the Executive
25 Committee following discussion or updates from Gas

1 Supply.

2 MR. KRIS SAXBERG: So do I take it that
3 this means that whenever the Gas Supply Committee was
4 meeting then it -- it wasn't discussing the issue of when
5 to place that additional 50 percent, it was to wait until
6 the Executive provided direction on the subject?

7 MS. LORI STEWART: No. The Gas Supply
8 Risk Management Committee certainly continued to discuss
9 the tranche of hedges that were not placed.

10 MR. KRIS SAXBERG: And if we flip over to
11 page 4 -- and this just may be a photocopying matter, but
12 -- is there something that's being removed from there or
13 is that just the way that it was copied?

14 MS. LORI STEWART: I think it's merely a
15 photocopying anomaly.

16

17 (BRIEF PAUSE)

18

19 MS. LORI STEWART: The minutes do carry
20 on, on page 5 in your book of documents.

21 MR. KRIS SAXBERG: Okay. And there is
22 another instance at page 9 like that and I -- I just
23 wondered if there was -- it may just be the way that it
24 was printed, I suppose.

25 MS. LORI STEWART: I think you're right.

1 MR. KRIS SAXBERG: Now, if we can turn to
2 page 11 then.

3 At page 11 we have a minute from the
4 Executive Committee, correct?

5 MS. LORI STEWART: Yes, that's correct.

6 MR. KRIS SAXBERG: And it is even more
7 concise than the Gas Supply Management minutes and it
8 states that:

9 "Following discussion, the Committee
10 agreed to defer placement of natural
11 gas derivatives to October 18, 2005."

12 Do you see that?

13 MS. LORI STEWART: Yes, I do.

14 MR. KRIS SAXBERG: And that's where I --
15 I suppose, I -- I got in my head that there was a
16 deferral from October 4th to October 18th.

17 MS. LORI STEWART: The Executive
18 Committee -- I'm not sure that the Executive Committee
19 knew at the time of this minute that we already had a
20 hedge session scheduled for October the 18th. Generally
21 speaking, the dates that we plan to go to market are --
22 are kept under fairly tight wraps.

23 So I think their indication was to defer
24 the placement of hedges for two (2) weeks, at which point
25 we received authorization to go ahead. And we considered

1 that hedge transaction to be placed in the normal course
2 because it was always scheduled to take place on October
3 the 18th.

4 MR. KRIS SAXBERG: And if you look at
5 page 12, there was actually a recommendation made by
6 somebody to the Executive and the recommendation was to
7 defer the dates on which derivatives are placed.

8 Do you see that under "Justification"?

9 MS. LORI STEWART: Yes, I do.

10 MR. KRIS SAXBERG: Who's making this
11 recommendation on page 12? Where is it coming from?

12

13 (BRIEF PAUSE)

14

15 MS. LORI STEWART: Mr. Warden takes
16 forward the recommendation to the remainder of the
17 Executive Committee.

18 MR. KRIS SAXBERG: So I guess the
19 question is for you then, Mr. Warden.

20 Is this your document and -- and your
21 advice to the Executive Committee to defer dates?

22 MR. VINCE WARDEN: Well, as Ms. Stewart
23 just indicated it was a recommendation that I took
24 forward to the Executive Committee, yes.

25 MR. KRIS SAXBERG: Right. You brought it

1 there because you're -- you're the -- you're the link
2 between the Gas Supply Management Committee and the
3 Executive Committee, correct?

4 MR. VINCE WARDEN: Correct.

5 MR. KRIS SAXBERG: But someone else prior
6 to you bringing it there put it together and -- and gave
7 it to you.

8 And I guess what you're saying is that you
9 endorsed it; is that correct?

10 MR. VINCE WARDEN: Correct.

11 MR. KRIS SAXBERG: And the -- the person
12 or body that put it together and gave it to you for your
13 imprimatur was the Gas Supply Management Committee,
14 right?

15 MR. VINCE WARDEN: No, as Ms. Stewart
16 indicated earlier the Gas Supply Management Committee
17 doesn't really make recommendations. It -- this would
18 have come through Gas Supply Division but the gas -- not
19 through the Gas Supply Management Committee.

20 MR. KRIS SAXBERG: So who in the -- in
21 the division would be responsible for putting together
22 the recommendation?

23 MS. LORI STEWART: One (1) of the
24 management staff.

25 MR. KRIS SAXBERG: And would you agree

1 that the recommendation to defer the dates is -- is in
2 breach of the mechanical strong form of mechanistic
3 implementation of hedging?

4 MS. LORI STEWART: It's a deviation from
5 a strong form mechanistic hedge implementation strategy,
6 yes.

7 MR. KRIS SAXBERG: And shouldn't the Gas
8 Supply Committee have some input before others within the
9 department are making recommendations that are then
10 finding their way to the Executive Council -- Committee?

11 MS. LORI STEWART: They had input, Mr.
12 Saxberg, at the September 15th meeting.

13 MR. KRIS SAXBERG: Well, and that's what
14 I -- that's why I had supposed it had come from the Gas
15 Supply Management Committee because in the minutes as we
16 noted they indicated that it was agreed that Mr. Warden
17 would discuss the merits at the October 4th/October 18th
18 and subsequently then we have this recommendation which
19 is delivered to the Executive.

20 Does -- does that refresh your memory?

21 MS. LORI STEWART: My memory is clear.
22 The Gas Supply Risk Management Committee does not put
23 forward recommendations to the Executive Committee. They
24 come through front office through the Gas Supply
25 Division.

1 MR. KRIS SAXBERG: Okay. So front office
2 was recommending that there be a deferral of the dates
3 upon which derivatives are placed and, Mr. Warden, you --
4 you endorsed that recommendation?

5 MR. VINCE WARDEN: I did.

6 MR. KRIS SAXBERG: Now, is it the regular
7 practice then that front office -- that was the term that
8 you used, "front office" or "front management"?

9 MS. LORI STEWART: Front office.

10 MR. KRIS SAXBERG: That front office
11 makes recommendations to the Executive whenever the
12 Executive is faced with a discretionary decision
13 regarding hedging?

14 MS. LORI STEWART: Yes, that's correct.

15 MR. KRIS SAXBERG: And I see that in
16 these documents that have been produced. The -- the
17 first recommendation is the one (1) that we just looked
18 at at page 12 but there's another recommendation at page
19 16.

20 Can you confirm that that again is from
21 the front office?

22 MS. LORI STEWART: Yes, that's correct.

23 MR. KRIS SAXBERG: And this time front
24 office is -- is saying there do not appear to be special
25 circumstances warranting a departure from the normal

1 mechanistic hedging process, correct?

2 MS. LORI STEWART: That's correct.

3 MR. KRIS SAXBERG: And I believe that
4 this recommendation was accepted by the Executive; is
5 that correct, Mr. Warden?

6 MR. VINCE WARDEN: Correct.

7 MR. KRIS SAXBERG: Now, there's another
8 recommendation that comes at page 19.

9 Again that's from the front office?

10 MS. LORI STEWART: That's correct.

11 MR. KRIS SAXBERG: And is it -- the date
12 of that memo isn't -- isn't indicated on page 19 but I
13 think it's March 22nd, 2006. I get that from page 18.

14 MS. LORI STEWART: That's correct.

15 MR. KRIS SAXBERG: And in this
16 recommendation, once again, front office concludes that
17 there are no special circumstances.

18 Is that fair?

19 MS. LORI STEWART: That's correct.

20 MR. KRIS SAXBERG: And the Executive
21 Committee again endorses that recommendation, Mr. Warden?

22 MR. VINCE WARDEN: At that particular
23 time they did, yes.

24 MR. KRIS SAXBERG: And I -- I note your
25 caveat at that particular time because if you flip to

1 page 22 and 23, the Executive then -- these are minutes
2 from the Executive Committee; correct?

3 MR. VINCE WARDEN: Yes, correct.

4 MR. KRIS SAXBERG: And on page 23 the
5 minutes indicate that:

6 "Derivatives be placed on 50 percent
7 only of eligible volumes for months of
8 February, March and April, until
9 further approved by the Committee,
10 previously approved at 100 percent of
11 eligible volumes on April 4th, 2006."

12 Do you see that?

13 MR. VINCE WARDEN: I do.

14 MR. KRIS SAXBERG: And what's absent from
15 that decision is a recommendation from front office;
16 correct?

17 MR. VINCE WARDEN: Well, there's no
18 formal document attached to that recommendation, but that
19 doesn't mean there wasn't a recommendation, informal,
20 from -- from Gas Supply division.

21 MR. KRIS SAXBERG: Is it fair, from --
22 from looking at all of these -- these records of -- of
23 meetings, that in instances where the recommendation is
24 to stay the course with the mechanistic approach there's
25 -- there's something in writing?

1 MR. VINCE WARDEN: I'm sorry. Would you
2 please repeat that.

3 MR. KRIS SAXBERG: In the instances where
4 the recommendation coming from front office is, Stay the
5 course with the mechanistic approach, there's a document
6 in writing to that effect; correct?

7 MR. VINCE WARDEN: No. No. If we stay
8 the course, mechanistic, we do that as a matter of
9 course, without -- without a supporting recommendation.

10 MR. KRIS SAXBERG: But in the documents
11 that we've just reviewed the -- when I went to the three
12 (3) occasions where there were recommendations, they were
13 all saying, There are no special circumstances, Stay the
14 course; were they not?

15 MS. LORI STEWART: No. The first
16 instance of documents that we reviewed were recommending
17 just the contrary.

18 MR. KRIS SAXBERG: Well, no, quite -- the
19 first -- the first one said to defer, the second one
20 said, There are no special circumstances, and the third
21 one said, There are no special circumstances.

22 Is that fair?

23 MS. LORI STEWART: That's correct.

24 MR. KRIS SAXBERG: What I don't see in
25 any of these is any documentation reflecting

1 recommendations from front office regarding the exercise
2 of discretion to change the mechanistic implementation.

3 Is there a reason for that?

4 MS. MARLA MURPHY: I think we're having a
5 little trouble, Mr. Saxberg, given the evidence that's on
6 the record and the reference to the first recommendation,
7 which is in fact to defer the hedging, maybe you can try
8 your question another way.

9

10 CONTINUED BY MR. KRIS SAXBERG:

11 MR. KRIS SAXBERG: Well, I'll -- I'll be
12 specific then.

13 On October 18th the Executive made a
14 decision and the decision was to not hedge 50 percent of
15 volumes and to put it off until further notice, correct?

16 MS. LORI STEWART: Just to correct the
17 record, on October the 4th the Executive Committee made
18 that decision.

19 MR. KRIS SAXBERG: Well, let's go back to
20 the minute then.

21

22 (BRIEF PAUSE)

23

24 MR. KRIS SAXBERG: It's 14402, which is

25 14.

1 (BRIEF PAUSE)

2

3 MR. KRIS SAXBERG: And if you look at
4 this page, page 14, it indicates that:

5 "Following discussion the Committee
6 approved as follows:

7 That the Corporation purchase cashless
8 collars with strike prices set at fifty
9 (50) cents a Gigajoule on 50 percent of
10 eligible volumes for the months August
11 through October. The Committee will
12 provide further direction prior to the
13 placement of derivatives on the
14 remaining 50 percent of eligible
15 volumes for those months."

16 Do you see that?

17 MS. LORI STEWART: Yes.

18 MR. KRIS SAXBERG: So the -- does that --
19 that corrects your evidence then that the decision was
20 actually October 18th, not October 4th?

21 MS. LORI STEWART: There's a minute
22 related -- there's an Executive Committee minute on
23 October the 4th which was the initial decision to defer
24 hedges.

25 MR. KRIS SAXBERG: That's right and

1 that's what -- that was the distinction that I was
2 making, that on October 4th there was a decision to defer
3 from October 4th to October 18th a decision, correct?

4 And that's what the -- and that's what
5 the recommendation from front office suggests, correct?

6 MS. LORI STEWART: To -- to defer, yes.

7 MR. KRIS SAXBERG: And then on October
8 18th there's a decision here that's being made by the
9 Executive that for the months of August through October
10 only 50 percent of volumes will be hedged.

11 That's a decision that's on this minute
12 that we're looking at from the Executive being made on
13 October 18th, correct?

14 MS. LORI STEWART: Which in essence was
15 simply to carry forward the point in time at which the
16 hedges would be placed, that the -- that the unhedged
17 tranche would be -- would be hedged.

18 That decision was initially made to defer
19 on October the 4th and then on October the 18th it said
20 go ahead and hedge 50 percent. They were hedged later
21 that morning and also to defer the hedging of the second
22 50 percent.

23 MR. KRIS SAXBERG: And you may -- you may
24 be right but if you could just flip with me between pages
25 11 and page 14 then if you're right the documents are

1 wrong because the documents say on page 11 that what was
2 decided by the Executive was to defer placement of
3 derivatives.

4 What -- and what you've told me is that
5 notwithstanding that the directive of the Executive was
6 to defer hedges, you did it that day on 50 percent.

7 MS. LORI STEWART: No, Mr. Saxberg, page
8 11 is a minute from October the 4th and it says that the
9 Executive Committee agreed to defer placement of natural
10 gas derivatives to October the 18th. It then met the
11 morning of October the 18th because we're scheduled to go
12 to the market at a point later than that to confirm
13 whether or not it wanted us to hedge 100 percent, 50
14 percent, or zero.

15 And ultimately the decision was made that
16 the Corporation should purchase cash -- cashless collars
17 in -- as a matter of course on 50 percent of eligible
18 volumes that were subsequently hedged a number of hours
19 later.

20 We certainly had our Executive Committee
21 endorse the hedges that were placed on October the 18th.

22 MR. KRIS SAXBERG: And that may very well
23 be the case but these minutes seem to reflect a decision
24 to defer the placement of natural gas derivatives to
25 October 18th, not to defer 50 percent of them, correct?

1 MS. LORI STEWART: Except that I've just
2 outlined previously that months in advance we have in our
3 calendar the days on which we're going to go to market.
4 One (1) of them was October the 4th; the other was
5 October the 18th.

6 MR. KRIS SAXBERG: And -- and you also
7 explained that the Executive probably didn't know that
8 date.

9 MS. LORI STEWART: No, they didn't.

10 MR. KRIS SAXBERG: Okay. Well, so what
11 I'm saying is the Executive is giving a direction here to
12 defer hedging to October 18th and then if you go to the
13 October 18th date what they say is they've made a
14 decision to only hedge 50 percent; that's what the
15 minutes say.

16 MS. LORI STEWART: I don't understand
17 your point, Mr. Saxberg. The minutes are what they are
18 and I've also explained that October 18th was always --
19 we were always scheduled to hedge on October the 18th and
20 we did.

21 MR. KRIS SAXBERG: I -- I guess it would
22 probably be easier if I just asked Mr. Warden the
23 questions because he was at the Executive Committee
24 meeting.

25 He could tell us what was decided on

1 October 4th and what was decided On October 18th?

2 MR. VINCE WARDEN: Well, Mr. Saxberg, I
3 think the minutes that you have in front of you -- page -
4 - pages 11 and pages 14 accurately describe what
5 transpired at those Executive Committee meetings.

6 MR. KRIS SAXBERG: And -- and that was
7 that the Board adopted the recommendation on October 14th
8 (sic) to defer the matter to October 18th and then on
9 October 18th the Executive met again and at that time
10 made a decision to only hedge 50 percent, correct?

11 MR. VINCE WARDEN: I don't think
12 anybody's disagreeing with you.

13 MR. KRIS SAXBERG: Okay. Well that's all
14 I was getting to. So if we're on October 18th -- then a
15 decision to only hedge 50 percent was made on October
16 18th. Correct?

17 MR. VINCE WARDEN: Correct.

18 MR. KRIS SAXBERG: Well this whole thing,
19 sorry -- we'll -- we'll have to check them in the
20 transcript however messy it is but it started because I -
21 - I thought we were debating whether the decision was
22 made on October 4th 18th.

23 But anyway with it being made on October
24 18th then it leads me to what my initial question was.

25 Where's the written recommendation for

1 the October 18th meeting from front office about whether
2 or not to hedge 50 percent?

3 MR. VINCE WARDEN: Well there isn't -- it
4 doesn't appear to be one (1) in your book of documents,
5 Mr. Saxberg. Whether there was a written recommendation
6 or not, I would have to review Executive Committee files
7 but nevertheless the decision was made.

8 The important point is the decision was
9 made on October the 18th to defer the purchase of 50
10 percent of eligible volumes.

11 MR. KRIS SAXBERG: Could you undertake to
12 check your records and see if there is a written
13 recommendation from front office?

14 MS. LORI STEWART: My recollection is
15 that the original recommendation just stood in that
16 situation. There was a recommendation attached to the
17 decision or the minute on October the 4th and the
18 recommendation remained the same.

19 MR. KRIS SAXBERG: Where in the
20 recommendation does it say to only hedge 50 percent?

21 MR. VINCE WARDEN: Well, I think you're
22 looking at page 12 of your book of documents. The
23 recommendation there is dated October the 3rd in support
24 of what went to the Executive Committee on October the
25 4th and there was no further documentation beyond that

1 point for the decision on October the 18th.

2 MR. KRIS SAXBERG: And no written
3 recommendation by front office to only hedge 50 percent?

4 MR. VINCE WARDEN: Other than -- no.
5 None other than what we have before us here.

6 MR. KRIS SAXBERG: Which doesn't include
7 a written recommendation by front office to hedge 50
8 percent, correct?

9 MS. MARLA MURPHY: I think, Mr. Chairman,
10 Ms. Stewart is clear on the record that there is a
11 recommendation on -- on October the 3rd which they view
12 applies to both of those meetings.

13 MR. KRIS SAXBERG: That's not what Mr.
14 Warden said with all due respect. Unless you did and
15 then you can clarify it. The mic is yours.

16 MR. VINCE WARDEN: Well, you're right.
17 We -- we are going to have check the transcript on this
18 but the recommendation as I review this documentation
19 before me, on October the 3rd was used in support of the
20 meetings that -- of the Executive Committee that occurred
21 on both October the 4th and October the 18th.

22 MR. KRIS SAXBERG: Okay. And with
23 respect to the April minutes, the second decision to
24 hedge only 50 percent which is page 22.

25 Can you confirm that with respect to this

1 occasion there's no written recommendation from the front
2 office to hedge 50 percent rather than follow the
3 mechanistic implementation strategy, correct?

4 MS. LORI STEWART: Yes, that's correct,
5 Mr. Saxberg.

6 MR. KRIS SAXBERG: And it just begs the
7 question, why is it that when such important decisions
8 are being made with respect to the hedging program, that
9 there wouldn't be recommendations in writing?

10 MR. VINCE WARDEN: Well as Ms. Stewart
11 indicated earlier, there is ongoing dialogue between Gas
12 Supply Division and myself and I think is -- I would make
13 the determination as to whether or not I needed a formal
14 recommendation to take forward to Executive Committee and
15 it appears in this instance on April of '06, I determined
16 it wasn't required.

17 MR. KRIS SAXBERG: Was there a
18 recommendation at all from front office with respect to
19 the October 18th decision of the Executive and the April
20 decision of the Executive.

21

22 (BRIEF PAUSE)

23

24 THE CHAIRPERSON: Mr. Warden, just as a
25 suggestion, why don't you take an undertaking to have a

1 look and see whether there was a recommendation, because
2 I think there's some degree of just speculation going on
3 back and forth as to on what the Executive Committee
4 acted on or didn't act on on April 25th.

5 Correct, Mr. Saxberg?

6 MR. KRIS SAXBERG: That's right.

7 MR. VINCE WARDEN: I can certainly
8 undertake to review my files on that, Mr. Chairman, sure.

9 THE CHAIRPERSON: The way it sounds right
10 now you're saying basically, you sit at the Gas Supply
11 Risk Management Committee, you're ongoing monitoring
12 would carry-on, and then you potentially, short of a
13 document bringing a formal recommendation, you would have
14 carried a view into the Executive Committee meeting and
15 discussed it orally.

16 MR. VINCE WARDEN: Yes.

17 THE CHAIRPERSON: Short of you having
18 some other document that you might find.

19 MR. VINCE WARDEN: Which I will confirm
20 whether I have or not.

21 THE CHAIRPERSON: Okay, Mr. Saxberg.

22 MR. KRIS SAXBERG: I know that we're in
23 overtime already --

24 THE CHAIRPERSON: Well, I want you to
25 break at a point that's convenient for you too.

1 Committee."

2 Do you see that?

3 MR. VINCE WARDEN: I do see that, yes.

4 MR. KRIS SAXBERG: And what I was
5 referring to there was when would it be the case that --
6 that the Executive would exercise its discretion, and you
7 were suggesting, in this evidence at least, that it would
8 only be on the recommendation of the Gas Supply
9 Management Committee.

10 That was your evidence at that time;
11 correct?

12 MR. VINCE WARDEN: It was, but I can
13 tell-- I'll say now that the word "recommendation" there
14 wasn't intended in the formal sense of a recommendation.
15 It would be based on dialogue with the Gas Supply Risk
16 Management Committee, it would be based on dialogue with
17 Gas Supply front office, and recommendations would be
18 conveyed in that manner.

19 But I believe in the context it was being
20 -- it was being stated here, I was not referring to a
21 formal written recommendation.

22 MR. KRIS SAXBERG: Who is it within the
23 organization that has the most knowledge and expertise
24 with respect to hedging and the hedging program?

25 MR. VINCE WARDEN: Well, I think you see

1 those people on the Panel before you today.

2 MR. KRIS SAXBERG: And that -- it's
3 always been my understanding that it's Ms. Stewart and
4 Mr. Sanderson, not necessarily in that order.

5 And my question is, did the Executive
6 receive recommendations from those individuals then in
7 terms of whether or not to hedge in accordance with the
8 mechanistic policy on October -- in October and April?

9 MR. VINCE WARDEN: Well, I think we've
10 answered that question, Mr. Saxberg. Discussions take
11 place between myself and the Gas Supply front office.
12 Whether it was specifically Mr. Sanderson, Ms. Stewart or
13 other people, there was certainly a discussion that took
14 place prior to that recommendation going to the Executive
15 Committee.

16 MR. KRIS SAXBERG: And in those
17 discussions was the -- was the consensus to invoke
18 special circumstances and not hedge in accordance with
19 the policy?

20 MR. VINCE WARDEN: Well, I think the
21 minutes of the Gas Supply Committee meeting that we
22 reviewed earlier and Ms. Stewart indicated there was
23 considerable discussion -- debate at that committee and
24 that the conclusion was that it -- the recommendation or
25 the discussion as to whether or not we should be hedging

1 less than 100 percent of eligible volume should be
2 discussed at the Executive Committee, and that's what was
3 done.

4 MR. KRIS SAXBERG: But you will agree the
5 Executive Committee was making its decision based on
6 information that came from within the organization
7 outside of the Executive Committee, correct?

8 MR. VINCE WARDEN: Well, the Executive
9 Committee, as a normal course that's what the Executive
10 Committee does, it -- it considers recommendations that
11 come from all parts of the Corporation. Whether or not
12 it always accepts those recommendations is another
13 matter.

14 MR. KRIS SAXBERG: And here I believe
15 you're saying that there was no quote unquote
16 "recommendation" but there was discussion.

17 Do I have your evidence right?

18 MR. VINCE WARDEN: There was as the
19 record indicates here -- or your book of documents at
20 least and -- and as I undertook to confirm there was in -
21 - in -- not in every instance was there a formal
22 recommendation taken forward to the Executive Committee.

23 MR. KRIS SAXBERG: And -- and that was
24 the case for October and for April?

25 MS. LORI STEWART: It was the case for

1 October the 18th and April the 25th, however, preceding
2 those meetings there were meetings on October the 4th and
3 at some point earlier in April where there was backup
4 material provided to the Executive Committee.

5 At those future points in time what --
6 what my recollection is is that Mr. Warden was interested
7 in an update on strip prices for the months in question.

8 So on October the 4th the Executive
9 Committee received a recommend -- a formal recommendation
10 that was provided to it for the purpose of decision
11 making and a decision was taken to defer hedges.

12 In the ensuing period and prior to the
13 meeting that the Executive Committee held on October the
14 18th Mr. Warden would have phoned Gas Supply and said,
15 I'd like an update on where prices are at for the months
16 in question.

17 We would have provided that information
18 to him to supplement the recommendation, the formal
19 written recommendation, that had already been provided
20 because in essence nothing material would have changed.

21 The background information necessary for
22 the Executive Committee to assess the situation and make
23 a recommendation was contained in the initial
24 recommendation and what Mr. Warden would have been
25 looking for was an update on the -- of the prices for the

1 months in question.

2 MR. KRIS SAXBERG: So you're suggesting
3 that the Executive had sufficient documentation in front
4 of them to make the decisions that they made in October
5 and April, correct?

6 MS. LORI STEWART: The -- my
7 understanding of the Executive Committee is that it
8 doesn't strictly rely on the documentation that is
9 provided. It is also relying on its expertise and its
10 knowledge in the decisions that it makes.

11 MR. KRIS SAXBERG: And so we know from
12 what you've said that they would have had page 12 before
13 them which is the one (1) page recommendation to defer
14 hedging? Oh, sorry, that's Tab 15.

15 MS. LORI STEWART: They would have had
16 page 12 before them in advance of the meeting of the
17 Executive Committee on October the 4th.

18 MR. KRIS SAXBERG: And they may or may
19 not have had it before them on the 18th and the 25th of
20 April, correct -- 18th of October and 25th of April,
21 correct?

22 MS. LORI STEWART: Well, what I'm
23 suggesting is that they would have had page 12 in front
24 of them relative to their decision taken on October the
25 18th.

1 And they would have had pages 19, 20, and
2 21 in front of them for the meeting held earlier in April
3 on April the 4th and that they may very well have used
4 that information on April the 25th as well.

5 MR. KRIS SAXBERG: Okay. You weren't at
6 the meeting I guess?

7 MS. LORI STEWART: No.

8 MR. KRIS SAXBERG: But, Mr. Warden, you
9 were at the meeting, correct?

10 MR. VINCE WARDEN: That's correct.

11 MR. KRIS SAXBERG: Do you remember which
12 documents you had in front of you when you made your
13 decision on October 18th, 2005?

14 MR. VINCE WARDEN: Well, I think that's
15 what I undertook to confirm and I'll do that this
16 evening.

17 MR. KRIS SAXBERG: And can -- can you
18 also do that for April 25th as well?

19 MR. VINCE WARDEN: I will.

20

21 --- UNDERTAKING NO. 6: Mr. Warden to indicate to Mr.
22 Saxberg what documents he had
23 with him at meetings of
24 October 18th, 2005 and April
25 25th, 2005.

1 CONTINUED BY MR. KRIS SAXBERG:

2 MR. KRIS SAXBERG: And -- and
3 specifically if you could look for any documents which --
4 well, let me back up so I can -- page 19 is a
5 recommendation related to the months -- hedging the
6 months of August, September and October 2006, correct?
7 Page 19, 20 and 21, no?

8 MR. VINCE WARDEN: No. I think that's
9 referring to the forward months of February, March and
10 April 2007.

11 MS. LORI STEWART: Yes, that's correct.

12 MR. KRIS SAXBERG: Sorry. What's
13 correct?

14 MS. LORI STEWART: Pages 19, 20 and 21
15 are related to hedging the forward months of February,
16 March and April 2007, as noted in the recommendation.

17 MR. KRIS SAXBERG: Sorry, you're right.

18 And the recommendation indicates that
19 there are no special circumstances and the usual
20 mechanistic implementation approach should be followed;
21 that's at page 20.

22

23 (BRIEF PAUSE)

24

25 MS. LORI STEWART: Yes.

1 MR. KRIS SAXBERG: And what I want to
2 know by way of undertaking is whether there's a document
3 that then reverses this recommendation and indicates that
4 there are, indeed, special circumstances, as the
5 Executive later found on April 25th.

6 Could you undertake to -- to see if that
7 is the case?

8 MR. VINCE WARDEN: I think I did earlier,
9 yes.

10 MR. KRIS SAXBERG: And I'm sure everyone
11 wants to get home or get on their way home in this
12 blizzard, so I -- and this is a good point for me to
13 break off cross-examination, Mr. Chairman.

14 THE CHAIRPERSON: Thank you, Mr. Saxberg.
15 Just before closing, just for general
16 information, to remind the Panel here, the Board, the Gas
17 Supply Risk Management Committee is drawn from various
18 locations within Centra/Manitoba Hydro and it provides a
19 forum in which matters related to gas supply, including
20 hedging, market conditions, everything, are just
21 generally discussed and pitched on the table.

22 MR. VINCE WARDEN: That's right.

23 THE CHAIRPERSON: The information is
24 brought to it in a regular course, discussions occur, Mr.
25 Warden is a liaison to Executive Committee and carries on

1 any determinations that are reached from there, that's
2 his responsibility.

3 Are we correct in that?

4 MR. VINCE WARDEN: That's correct.

5 THE CHAIRPERSON: Okay. Well, we'll
6 leave it over until tomorrow then. Thanks again
7 everyone.

8 Those of you walking to your rooms will
9 have an easier time than those of us that are driving.

10

11 (PANEL RETIRES)

12

13 --- Upon adjourning at 4:21 p.m.

14

15

16

17 Certified Correct,

18

19

20

21 _____
Wendy Warnock, Ms.

22

23

24

25