

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MANITOBA PUBLIC UTILITIES BOARD

Re:                   CENTRA GAS MANITOBA INC.  
                                  2006/07  
                                  COST OF GAS APPLICATION

Before Board Panel:

- Graham Lane           - Board Chairman
- Monica Girouard       - Board Member
- Alain Molgat           - Board Member

HELD AT:

Public Utilities Board  
400, 330 Portage Avenue  
Winnipeg, Manitoba  
November 30th, 2006  
Volume IV  
Pages 852 to 1067

APPEARANCES

1  
2 R.F. Peters ) Board Counsel  
3  
4 Marla Murphy ) Centra Gas  
5 Brent Czornecki )  
6  
7 Eric Hoaken ) Direct Energy Marketing  
8 Andrea Gibbs ) Limited/Municipal Gas  
9  
10 Nola Ruzycki ) Energy Saving (Manitoba)  
11 ) Corp.  
12  
13 Kris Saxberg ) CAC/MSOS  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

|    | TABLE OF CONTENTS                              |          |
|----|--|----------|
|    |  | Page No. |
| 1  |  |          |
| 2  |  |          |
| 3  | List of Exhibits                               | 855      |
| 4  | List of Undertakings                           | 856      |
| 5  |  |          |
| 6  | CENTRA PANEL                                   |          |
| 7  | VINCE WARDEN, Resumed                          |          |
| 8  | HOWARD STEPHENS, Resumed                       |          |
| 9  | LORI STEWART, Resumed                          |          |
| 10 | BRENT SANDERSON, Resumed                       |          |
| 11 | KELLY DERKSEN, Resumed                         |          |
| 12 | Continued Cross-Examination by Mr. Eric Hoaken | 857      |
| 13 | Cross-Examination by Ms. Nola Ruzycki          | 903      |
| 14 | Re-Cross-Examination by Mr. Bob Peters         | 926      |
| 15 |  |          |
| 16 | ASHMEAD PRINGLE, Sworn                         |          |
| 17 | Voir Dire Commenced                            |          |
| 18 | Examination-in-Chief by Mr. Kris Saxberg       | 938      |
| 19 | Voir Dire Concluded                            |          |
| 20 | Examination-in-Chief by Mr. Kris Saxberg       | 940      |
| 21 | Cross-Examination by Mr. Eric Hoaken           | 973      |
| 22 | Cross-Examination by Ms. Marla Murphy          | 995      |
| 23 | Cross-Examination by Mr. Bob Peters            | 1031     |
| 24 |  |          |
| 25 | Certificate of Transcript                      | 1067     |

| 1  | LIST OF EXHIBITS |                                      |          |
|----|------------------|--------------------------------------|----------|
| 2  | EXHIBIT NO.      | DESCRIPTION                          | PAGE NO. |
| 3  | CAC/MSOS-4       | Resume of Ashmead Pringle.           | 936      |
| 4  | CAC/MSOS-5       | Filed copy of Mr. Pringle's evidence |          |
| 5  |                  | from the 2000 Rate Management        |          |
| 6  |                  | Hearing.                             | 937      |
| 7  | CAC/MSOS-6       | Written evidence of Ashmead Pringle  |          |
| 8  |                  | dated 6th March, 2001.               | 937      |
| 9  | CAC/MSOS-7       | Evidence of Ashmead Pringle dated    |          |
| 10 |                  | 29th May, 2002.                      | 937      |
| 11 | CAC/MSOS-8       | Pages 338 to 345 of the GRA Hearing  |          |
| 12 |                  | from 2005.                           | 938      |
| 13 | CENTRA-7         | Response to Undertaking 9.           | 1031     |
| 14 |                  |                                      |          |
| 15 |                  |                                      |          |
| 16 |                  |                                      |          |
| 17 |                  |                                      |          |
| 18 |                  |                                      |          |
| 19 |                  |                                      |          |
| 20 |                  |                                      |          |
| 21 |                  |                                      |          |
| 22 |                  |                                      |          |
| 23 |                  |                                      |          |
| 24 |                  |                                      |          |
| 25 |                  |                                      |          |

|    | LIST OF UNDERTAKINGS                  |          |
|----|---------------------------------------|----------|
| 1  |                                       |          |
| 2  | NO.                                   | PAGE NO. |
| 3  | 10                                    |          |
| 4  | Centra's to provide Mr. Hoaken        |          |
| 5  | current assessment of likely          |          |
| 6  | worse-case scenario for hedging       |          |
| 7  | losses this year.                     |          |
| 8  | (Answered on page 902)                | 869      |
| 9  | 11                                    |          |
| 10 | CAC/MSOS to provide details regarding |          |
| 11 | who answered which questions with     |          |
| 12 | respect to IR CENTRA/CAC/MSOS-5.      | 1011     |
| 13 |                                       |          |
| 14 |                                       |          |
| 15 |                                       |          |
| 16 |                                       |          |
| 17 |                                       |          |
| 18 |                                       |          |
| 19 |                                       |          |
| 20 |                                       |          |
| 21 |                                       |          |
| 22 |                                       |          |
| 23 |                                       |          |
| 24 |                                       |          |
| 25 |                                       |          |

1 --- Upon commencing at 9:05 a.m.

2

3 THE CHAIRPERSON: Good morning everyone.

4 It's days like today that make you thankful for gas  
5 coming on when you expect it to be, and electricity; I  
6 shouldn't forget that.

7 Mr. Hoaken, back to you.

8

9 Centra Panel:

10 Vince Warden, Resumed

11 Howard Stephens, Resumed

12 Lori Stewart, Resumed

13 Brent Sanderson, Resumed

14 Kelly Derksen, Resumed

15

16 CONTINUED CROSS-EXAMINATION BY MR. ERIC HOAKEN:

17 MR. ERIC HOAKEN: Yes. Thank you. Good  
18 morning, Mr. Chair, and good morning to the Panel.

19 I think that when we broke yesterday, Mr.  
20 Stephens, you and I were in the middle of a discussion  
21 about the WTS enrollments and particularly we were  
22 talking about the three (3) options or scenarios that are  
23 outlined in that report that you wrote.

24 And you said several times in your  
25 evidence, I believe to Mr. Peters on this point, you --

1 you made reference to a scenario, and we talked about  
2 this briefly yesterday, you made reference to a scenario  
3 in which Centra is fully displaced by brokers and that in  
4 that case the model would not be a sustainable model.

5 Do you remember making those comments?

6 MR. HOWARD STEPHENS: Yes. I think  
7 you've characterized it in a very general sort of way,  
8 yes, but I do remember making the comments.

9 MR. ERIC HOAKEN: Okay. And if you think  
10 it can be characterized more accurately, tell me. I'm  
11 just telling you what I took to be the gist of the  
12 comment.

13 MR. HOWARD STEPHENS: Well, the concern  
14 that I had is that if we had a mass migration over to  
15 direct purchase, that we would not be able to manage the  
16 swings on a daily basis. And from that perspective we  
17 had a concern and -- it would not be a sustainable model.

18 MR. ERIC HOAKEN: All right. Thank you.  
19 And you made that comment during the discussion about WTS  
20 enrollments and these three (3) options and do I take it  
21 that Centra wants the options for enrolment to be  
22 unattractive to the brokers in order to guard against the  
23 possibility of Centra being displaced?

24 MR. HOWARD STEPHENS: No, not by any  
25 means. We -- I mean, we try to accommodate the

1 requirements of the brokers to the best extent that we  
2 can, it's just a matter of making sure that it's going to  
3 function on a sustainable basis.

4 MR. ERIC HOAKEN: Right. And I'm just  
5 trying to understand why you made that comment in the  
6 course of the discussion about WTS enrollments.

7 MR. HOWARD STEPHENS: Well, I think I  
8 just made the comment because it was germane and that it  
9 was something that needs to be -- we have to be mindful  
10 of when we are making those contractual arrangements.

11 MR. ERIC HOAKEN: And has Centra  
12 communicated to Nexen, in soliciting these three (3)  
13 options, has it communicated its concern about Centra  
14 being fully displaced by the brokers?

15

16 (BRIEF PAUSE)

17

18 MR. HOWARD STEPHENS: We have general  
19 discussions with respect to the environment that we're  
20 working in and they're aware of the direct purchase  
21 environment, et cetera, so from that perspective they  
22 would understand exactly what it is that we're facing.

23 But they're there really to -- I mean it's  
24 my -- my responsibility to identify the areas that we  
25 need flexibility and then their role is then to try and

1 handle that and provide us with mechanisms to accommodate  
2 it.

3 MR. ERIC HOAKEN: But has Centra  
4 communicated to Nexen in the course of the discussions  
5 about enrollments that it would like to prevent -- it  
6 would like to prevent significantly increased migration  
7 from system gas to direct purchase?

8 MR. HOWARD STEPHENS: By no means.

9 MR. ERIC HOAKEN: And I think you agreed  
10 with me in the course of our discussion yesterday that  
11 this doomsday scenario of complete 100 percent migration  
12 is unlikely and remote?

13 MR. HOWARD STEPHENS: Unlikely and  
14 remote, but I'll never say never.

15 MR. ERIC HOAKEN: And I accept that. And  
16 I take it you'll agree with me that Centra should not,  
17 and I'm not suggesting that it has done so, but you'll  
18 agree with me that Centra should not structure its  
19 contractual arrangements be they for primary gas or  
20 storage or transportation, it should not structure its  
21 contractual arrangements in a way that has either the  
22 implicit or the explicit objective of preventing  
23 migration from system gas to direct purchase?

24 MR. HOWARD STEPHENS: Well, whether we  
25 should or not is another -- is one (1) matter; whether we

1 have is certainly -- the latter is not the case.

2 MR. ERIC HOAKEN: Right. And it's the  
3 "should" that my question was directed to.

4 MR. HOWARD STEPHENS: Well, I think  
5 that's the subject which -- more the subject of a generic  
6 hearing as opposed to this proceeding.

7 MR. ERIC HOAKEN: Now, I'll turn to a  
8 different subject. I want to just follow up on some of  
9 the comments you made, Ms. Stewart, about volatility, and  
10 I think this has been canvassed quite fully by others,  
11 and I wanted to just ask a couple of quick questions.

12 And I think that you've stated quite  
13 clearly there are other steps that Centra can and does  
14 take apart from hedging to deal with volatility, correct?

15 MS. LORI STEWART: Yes, that's correct.

16 MR. ERIC HOAKEN: Both bill and rate  
17 volatility?

18 MS. LORI STEWART: That's correct.

19 MR. ERIC HOAKEN: And you gave us figures  
20 for reductions in volatility and an example of those  
21 figures, it wasn't the only one, was the 53 percent  
22 reduction in volatility that you had achieved in the  
23 '05/'06 year.

24 Have I got that right?

25 MS. LORI STEWART: Yes, that's correct.

1                   MR. ERIC HOAKEN:   And is that 53 percent,  
2 just so I understand, Ms. Stewart, is that the reduction  
3 in volatility that was achieved just through hedging or  
4 through all of the tools that you use to deal with  
5 volatility?

6                   MS. LORI STEWART:   Strictly as it relates  
7 to the benefits delivered by the hedging program.

8                   MR. ERIC HOAKEN:   Thank you.  And could  
9 you just help me understand how you measure that  
10 reduction?  What is the mathematical exercise or what are  
11 you use -- what are the variable you were using to  
12 compute that percentage?

13                  MR. BRENT SANDERSON:   If you just give me  
14 a moment, I'm just going to dig up a reference that I can  
15 refer Mr. Hoaken to in the course of our discussion.

16  
17   (BRIEF PAUSE)

18  
19                  MR. BRENT SANDERSON:   I won't -- I won't  
20 drag this out needlessly.  There was an IR response that  
21 went into a significant amount of detail as to the  
22 methodologies employed, but I think we can just cover it  
23 pretty quickly here, just in a discussion.

24                                        We go back in time to the inception of the  
25 current hedging program and what we do is we recreate

1 history looking at our PGVA inflows and outflows, the  
2 rates that we would have set in the absence of the  
3 hedging program, and we -- and we basically recreate  
4 history and develop a time series of what our actual  
5 primary gas billed rates would have been given the -- all  
6 the other actual factors that were -- that occurred  
7 during the period and shows us what our primary gas  
8 billed rates would have been if we haven't have carried  
9 out our hedging program.

10                   And then for any given period what we do  
11 is we use a standard accepted measure of variability  
12 being standard deviation. We calculate what the standard  
13 deviation of our primary gas rate would have been under  
14 that hedgeless scenario if you will, and then look at  
15 what the standard deviation of our actual primary gas  
16 billed rates actually was over the period and compare  
17 those standard deviations and calculate the percentage  
18 difference in those two (2) measures over the period,  
19 with hedging and without, and that generates our  
20 percentage reduction achieved through our hedging  
21 program.

22                   MR. ERIC HOAKEN:   And -- and just out of  
23 interest do you have that IR just so I can make a note of  
24 it?

25                   MS. MARLA MURPHY:   It's PUB-42.

1 MR. ERIC HOAKEN: Thank you.

2

3 (BRIEF PAUSE)

4

5 CONTINUED BY MR. ERIC HOAKEN:

6 MR. ERIC HOAKEN: Okay. And if I could  
7 then just take you to Tab 21 of Mr. Peters' brief. And  
8 this is the chart we've looked at several times now  
9 showing the net reduction in costs or at least net  
10 reduction or addition to costs in that third column.

11 And for the portion of this year -- sorry,  
12 I'm just pausing. I see that the -- the figure on line  
13 16 is in the order of \$44 million; am I correct, Ms.  
14 Stewart, you testified that it's now a bit different than  
15 that as a result of the November results?

16 MS. LORI STEWART: No, that's a mix of  
17 apples and oranges. What line 16 represents is the --

18 MR. ERIC HOAKEN: Oh --

19 MS. LORI STEWART: -- cumulative results  
20 of the hedging program since it's -- since its inception.

21 MR. ERIC HOAKEN: I'm sorry, you're quite  
22 right.

23 Is it line 18? Line 18 is the unrealized  
24 results?

25

1 (BRIEF PAUSE)

2

3 MS. LORI STEWART: Sorry, you're looking  
4 for a clarification on what line 18 represents?

5 MR. ERIC HOAKEN: No, sorry, let me ask -  
6 - I'll just come at it a different way.

7 What is your best estimate thus far, based  
8 on settled positions? What is the either addition or  
9 reduction to gas costs for the '05/'06 year?

10 MS. LORI STEWART: The reduction to gas  
11 costs at -- as a result of our hedging activities in the  
12 2005/'06 timeframe is a \$47 1/2 million reduction to  
13 customers' gas costs.

14 MR. ERIC HOAKEN: All right. And then  
15 going forward into the current year could you just take  
16 me through again, and I'm sorry, could you take me  
17 through where we stand thus far in the year as to the  
18 addition or reduction?

19 MS. LORI STEWART: Certainly. To  
20 November 30th, 2006, thus for the timeframe of April 1st,  
21 2006, to the -- to November 30th, 2006, there has been a  
22 realized addition to customers' gas costs of \$42.3  
23 million dollars.

24 MR. ERIC HOAKEN: Okay. That was the  
25 figure I had. Thank you.

1                   And then in addition to that sum, the  
2 realized addition, there is a figure that you've quoted  
3 as being an unrealized addition, is that fair, that may  
4 vary? I appreciate it may vary but there is something  
5 else out there that you projected?

6                   MS. LORI STEWART: Yes, I don't believe  
7 we've ever put the -- the unrealized forecast  
8 specifically on the record, however, it is certainly  
9 imbedded in line 12 which is -- is at that point in time  
10 forecasting a \$77 million addition to customers' gas  
11 costs, some portion of which was realized at that point  
12 in time and another portion of -- of that was unrealized  
13 at that time, recognizing, however, that on a daily basis  
14 that value is changing.

15                  MR. ERIC HOAKEN: Okay. Thank you. So  
16 understanding that that sum on line 12 then represents a  
17 forecast, has Centra done any forecasting of what I might  
18 call a worst case scenario of what the hedging losses  
19 might be for this period once the positions are settled  
20 and realized?

21                  MS. LORI STEWART: Yes, we conduct that  
22 type of confidence analysis on a weekly basis.

23                  MR. ERIC HOAKEN: All right. And what is  
24 your present analysis as to what the outside limit of the  
25 hedging losses could be for this year?

1                   MS. LORI STEWART:   Certainly.  We can  
2 undertake to provide the range of potential outcomes  
3 recognizing that, you know, the -- I guess you're  
4 statement implied that there's a certainty that there  
5 will be losses in the year and --

6                   MR. ERIC HOAKEN:   No, and I don't mean to  
7 imply that.  I just mean, do you do any planning that  
8 says, you know, I think I -- I characterized it as  
9 disaster planning, but any planning where you say, In no  
10 scenario that we can foresee is our hedging loss for this  
11 year, if we in fact sustain one, going to be more than  
12 'X'?

13                  MR. BRENT SANDERSON:   It's not possible,  
14 Mr. Hoaken, to be able to say with absolute certainty in  
15 any case that the addition or reduction to gas cost on --  
16 on a forward-looking basis will not be any worse than any  
17 -- any parameter; that's impossible for anyone to say.

18                  We can provide a reasoned determination as  
19 to what one might characterize as a worst case -- a  
20 likely worst-case scenario, but that does not imply that  
21 it cannot be any worse or better than one or the other.

22                  MR. ERIC HOAKEN:   Right.  And so what I  
23 hear you saying, Mr. Sanderson, is that although you can,  
24 and I take it do, engage in this analysis of a likely  
25 worst-case scenario, you wouldn't want anyone seeing that

1 number to say that you were warranting or representing  
2 that the number could not be higher than that.

3 MR. BRENT SANDERSON: Well, there's a --  
4 a field of study -- or for want of a better term --  
5 called value-at-risk analysis and that's the widely  
6 accepted methodology by which to develop scenarios or  
7 outcome scenarios surrounding a hedge portfolio or a  
8 portfolio of financial instruments. And we use those --  
9 we adhere to those practices in our operations and we  
10 prepare value-at-risk and credit value-at-risk scenarios  
11 on a weekly basis based on dealer market survey, which is  
12 objectively acquired data.

13 And so it's -- it mirrors what, for  
14 example, the same methodologies that would be employed by  
15 the derivatives dealers with whom we conduct business.

16 MR. ERIC HOAKEN: And I don't want to ask  
17 for an undertaking for those analyses but could I get an  
18 undertaking for your assessment, Centra's assessment,  
19 based on those analyses, your current assessment of what,  
20 as you put it, Mr. Sanderson, is the likely worst-case  
21 scenario for hedging losses in this year?

22 MR. BRENT SANDERSON: We would be able to  
23 provide you with our most recent figure, keeping in mind  
24 that like everything involved in these matters, that that  
25 changes from week to week. But we can give you our most

1 recent assessment based on objective market data.

2 MR. ERIC HOAKEN: All right. Thank you.  
3 I'll take that undertaking.

4

5 --- UNDERTAKING NO. 10: Centra's to provide Mr.  
6 Hoaken current assessment of  
7 likely worse-case scenario  
8 for hedging losses this year.  
9 (Answered on page 902)

10

11 CONTINUED BY MR. ERIC HOAKEN:

12 MR. ERIC HOAKEN: Do you, by chance,  
13 happen to know off the top of your head what it is or  
14 what the range is?

15 MR. BRENT SANDERSON: Because it is so  
16 variable, I haven't seen this week's number, so, no, I  
17 don't -- can't give you a number.

18 MR. ERIC HOAKEN: All right. Thank you.

19 Now, I'd like to go back -- and I do this  
20 with some trepidation -- to the market research you and I  
21 discussed yesterday, Ms. Stewart.

22 I made a note when you were testifying in  
23 response to Mr. Peters I think, you said -- this is my  
24 note and you can tell me if I've got it right -- you said  
25 something like, as a preface to one of your answers, you

1 said, Recognizing that market research is anything but  
2 definitive.

3 I mean, is that an accurate summary of  
4 what you said or how you characterized market research?

5 MS. LORI STEWART: Fairly accurate. I  
6 think I was attempting to recognize that the field of  
7 market research is not a science.

8 MR. ERIC HOAKEN: Right. And I think you  
9 said, quite fairly, you said that people can always  
10 question what the approach has been or what the specific  
11 question have been, those sorts of things.

12 MS. LORI STEWART: Yes, I've experienced  
13 it.

14 MR. ERIC HOAKEN: Right, yes, and are  
15 about to.

16 And you agree, I take it, that in order to  
17 be of value market research has to be fair and balanced.

18 MS. LORI STEWART: Yes, I do.

19 MR. ERIC HOAKEN: And it -- it has to  
20 involve broad consultation, not just from those who may  
21 have a vested interest in the outcome or the answers but  
22 others.

23 MS. LORI STEWART: Could you repeat your  
24 question, please.

25 MR. ERIC HOAKEN: Sure. That in order to

1 be of value the market research has to reflect just not  
2 the interests of the parties seeking the answers, who may  
3 have a vested interest in the answers, but the interests  
4 of other parties and constituencies?

5 MS. LORI STEWART: In this particular  
6 case, Mr. Hoaken, the Utility is hedging on behalf of  
7 consumers and I -- I would suggest that we don't have a  
8 vested interest in the parameters of the hedging program.

9 What we're attempting to do is to  
10 represent or structure a hedging program that will  
11 deliver a result that is in the interests of our  
12 consumers as expressed by our consumers.

13 MR. ERIC HOAKEN: Now, if I could turn  
14 you to -- we're back on PUB-55 which is the market study,  
15 the Western Opinion, and if I could ask you to turn to  
16 page 57, I think it's found in several places, but this  
17 is -- now, this is the statement, as I understand it --  
18 sorry, have you got it?

19

20 (BRIEF PAUSE)

21

22 MS. LORI STEWART: I've got page 57.

23 MR. ERIC HOAKEN: Okay, and on page 57,  
24 there's a portion in bold that says, "Hedging Program".  
25 And if I understand how this questionnaire was performed,

1 Ms. Stewart, there was a preliminary question which we  
2 can go to if we need to, where people were asked about  
3 their familiarity with the fact that Centra hedges?

4 MS. LORI STEWART: There were a number of  
5 preliminary questions that led up to the description of  
6 the hedging program.

7 MR. ERIC HOAKEN: All right. And as I  
8 understand it, and Ms. Saxberg touched on this in his  
9 cross-examination, only, I believe, 19 percent of  
10 respondents said that they were aware that Centra engaged  
11 in tactics or measures designed to stabilize the rates.

12 Is that a correct understanding?

13 MS. LORI STEWART: Yes, it is.

14 MR. ERIC HOAKEN: And as Mr. Saxberg  
15 pointed out, of that 19 percent, only 7 percent of those  
16 were aware that Centra engaged in hedging activity.

17 MS. LORI STEWART: That's correct.

18 MR. ERIC HOAKEN: And so what I take from  
19 that is that the overwhelming majority of respondents had  
20 no knowledge, at least had no knowledge prior to being  
21 contacted about this questionnaire, of the hedging  
22 program or the way in which it was conducted, is that  
23 fair?

24 MS. LORI STEWART: Yes.

25 MR. ERIC HOAKEN: And so in order to

1 answer subsequent questions that were designed to test or  
2 assess their support for the hedging program, they had to  
3 be provided with some information, right?

4 MS. LORI STEWART: That's correct.

5 MR. ERIC HOAKEN: And the information  
6 that they were provided with is this bold portion on page  
7 57, correct?

8 MS. LORI STEWART: In addition to some  
9 precursor questions that generally relate to the topic.

10

11 (BRIEF PAUSE)

12

13 MR. ERIC HOAKEN: Okay. Could you just  
14 flip back, then tell me which questions you would  
15 consider to be precursor questions which would give a  
16 respondent who is otherwise unaware of hedging or what it  
17 consisted or, would give him or her information upon  
18 which to base subsequent answers?

19 MS. LORI STEWART: I'm not sure that  
20 there are specific questions. I'm just making it clear  
21 that there was a preamble or several precursor questions  
22 to the description of the hedging program.

23 MR. ERIC HOAKEN: Okay. Could you just  
24 show me where that is?

25 MS. LORI STEWART: Well, there are nine

1 (9) questions that precede the description of the hedging  
2 program.

3 MR. ERIC HOAKEN: Right. So you're  
4 looking at pages -- starting on page 55?

5

6 (BRIEF PAUSE)

7

8 MS. LORI STEWART: Yes, that's correct.

9 MR. ERIC HOAKEN: Okay.

10

11 (BRIEF PAUSE)

12

13 MR. ERIC HOAKEN: All right. I'm not  
14 seeing anything in those questions, and maybe I'm just  
15 missing it because I'm reading this quickly, but I'm not  
16 seeing anything that provides any information to the  
17 respondent about the hedging program.

18 Am I missing something?

19 MS. LORI STEWART: I don't think you're  
20 missing anything at all, Mr. Hoaken. I'm simply making  
21 sure that everyone understands that the telephone survey  
22 did not start with a description of the hedging program.  
23 There were a number of preliminary questions about the  
24 general topic of, for example, price fluctuation that led  
25 into the description of the hedging program.

1 MR. ERIC HOAKEN: Right. And I certainly  
2 understand that. And those questions, culminated with  
3 question 9 on page 57 which is the one that we've already  
4 talked about where people were asked -- they were asked  
5 about their awareness of measures designed to deal with  
6 volatility?

7 MS. LORI STEWART: That's correct.

8 MR. ERIC HOAKEN: All right. And the  
9 first place then that hedging -- that shows up in this  
10 questionnaire as a topic of discussion is after  
11 respondents have been asked about their awareness and  
12 have given their answers.

13 MS. LORI STEWART: Yes, that's correct.

14 MR. ERIC HOAKEN: And I'm simply  
15 suggesting to you that then the information that people  
16 who were up to question 9, unaware of hedging, the  
17 information then that they used to answer subsequent  
18 questions about their level of acceptance of hedging was  
19 based exclusively on the portion that's in bold on page  
20 57?

21 MS. LORI STEWART: That's fair enough.

22 MR. ERIC HOAKEN: All right. Thank you.  
23 And I take it you'll agree with me that there's no  
24 reference in this bold portion to the fact that one (1)  
25 alternative that consumers could pursue in order to deal

1 with volatility -- bill -- bill or rate -- well, rate  
2 volatility, I suppose, is to contract with brokers.

3 MS. LORI STEWART: No, there's no  
4 reference to that.

5 MR. ERIC HOAKEN: Right. And you'll  
6 agree with me that if -- and I take it you'll agree with  
7 me that had there been reference in this informational  
8 piece to the fact that there were other measures  
9 available to ratepayers to deal with volatility, the  
10 answers to some of the subsequent questions about their  
11 acceptance of the hedging program may well have been  
12 different?

13

14 (BRIEF PAUSE)

15

16 MS. LORI STEWART: Mr. Hoaken, I don't  
17 think that the broker community would view favourably  
18 Centra surveying customers and then describing broker  
19 programs to customers because no doubt there would be a  
20 disagreement about how that was represented.

21 MR. ERIC HOAKEN: Well --

22 MS. LORI STEWART: So what Centra did in  
23 its market research was to describe the program that it  
24 operates and that it controls to its customers.

25 MR. ERIC HOAKEN: All right. You've

1 answered a question that I didn't ask but I will come  
2 back to that. But let's just stick with my question for  
3 a minute.

4                   You'll agree with me that had there been  
5 reference in this informational piece to other steps that  
6 consumers could take to deal with volatility, their  
7 answers to the subsequent questions about their  
8 acceptance of the hedging program may well have been  
9 different?

10                   MS. LORI STEWART: I -- I don't know  
11 whether that's the case, Mr. Hoaken, and, no, I don't --  
12 won't agree with that statement.

13                   MR. ERIC HOAKEN: So -- so you're --  
14 you're not even acknowledging that there's a possibility  
15 that the answers may have been different?

16                   MS. LORI STEWART: I'm saying I don't  
17 know. I can't know that.

18                   MR. ERIC HOAKEN: You can't know one way  
19 or the other?

20                   MS. LORI STEWART: That's correct.

21                   MR. ERIC HOAKEN: Right. And just back  
22 to your point, I quite agree with you, and that was the  
23 point I was making in my earlier question about  
24 consultation. I take it Centra made no effort to consult  
25 with the broker community in formulating this

1 questionnaire, is that correct?

2 MS. LORI STEWART: I think that the  
3 brokers have a very vested interest in how Centra's  
4 Derivatives Hedging Program is -- is formulated, is  
5 relayed to the marketplace, and I don't think that two  
6 (2) parties collaborating on this particular issue would  
7 make any sense.

8 MR. ERIC HOAKEN: All right. So you  
9 didn't answer my question though. I -- I take it from  
10 your answer you're agreeing with me that there was no  
11 effort made by Centra and you've now just told me the  
12 reason no effort was made, correct?

13 MS. LORI STEWART: That's correct.

14 MR. ERIC HOAKEN: And in this  
15 informational piece there's reference to the hedging  
16 program having the potential to increase gas costs in the  
17 order of 1 to 2 percent, and you've already talked about  
18 that I think with Mr. Saxberg, but I take it you'll agree  
19 with me that if there was reference, if you did the  
20 survey today and made reference to the hedging experience  
21 in the current year, the answer or at least answers to  
22 the subsequent questions again might well be quite  
23 different.

24 MS. LORI STEWART: The long-term costs of  
25 the program wouldn't -- the description of the hedging

1 program and its long-term costs wouldn't change in last  
2 year or this year.

3 MR. ERIC HOAKEN: All right.

4 MS. LORI STEWART: Both periods were --  
5 there was a significant variation in the ultimate outcome  
6 in terms of short-term reductions or additions to  
7 customers' gas costs.

8 MR. ERIC HOAKEN: I'm not even quibbling  
9 with that for the purposes of this question, I'm simply  
10 suggesting to you that if you reference the specific  
11 experience in this year that involves losses that you've  
12 said are at this point in the order of \$42.3 million, you  
13 might well expect that respondents would have the lower  
14 level of support for hedging, is that fair?

15 MS. LORI STEWART: I wouldn't  
16 specifically reference the reduction to customers' gas  
17 cost of \$47 1/2 million last year, nor would I reference  
18 the addition to customers' gas cost experienced today  
19 because that would be very misleading to the consumers.

20 We've discussed how the short-term gains  
21 and losses of a hedging program aren't an accurate  
22 performance -- and accurate measure of performance.

23 MR. ERIC HOAKEN: Now, what you -- you  
24 told me a moment ago, as I understood it, was your reason  
25 for not referencing brokers in that informational piece,

1 was that you didn't -- and I -- I'm paraphrasing and if  
2 you don't agree you can tell me, but -- you didn't think  
3 you could formulate it in a way that they would find  
4 acceptable.

5 Is that more or less it?

6 MS. LORI STEWART: The Corporation was  
7 describing one of its programs to consumers. We didn't  
8 attempt to describe other alternatives in the marketplace  
9 because this survey was focussed on a program operated by  
10 Centra Gas Manitoba.

11 MR. ERIC HOAKEN: Well, if that's the  
12 case, then why does the survey specifically address the  
13 ability of brokers to deal with so-called drastic ups and  
14 downs of prices?

15 MS. LORI STEWART: We wanted to gain a  
16 general understanding of all of our consumers, because at  
17 any given point in time a consumer may be contracted with  
18 a broker for a fixed timeframe. However, that consumer  
19 may migrate back to system supply or may be migrating  
20 away from system supply to brokers.

21 MR. ERIC HOAKEN: Now, you -- you've told  
22 me already that the survey demonstrated that 81 percent  
23 of respondents were unaware of any of the measures that  
24 Centra was taking to deal with volatility, correct?

25 MS. LORI STEWART: That's correct.

1 MR. ERIC HOAKEN: And for that reason, as  
2 we've already looked at, you had to arm them with some  
3 specific information about hedging so that you could then  
4 go on and ask them more specific questions about hedging,  
5 correct?

6 MS. LORI STEWART: That's correct.

7 MR. ERIC HOAKEN: And is it fair to say  
8 that if consumers were unaware of the steps that were  
9 being taken by Centra to deal with volatility they would  
10 similarly be unaware of steps that brokers were taking to  
11 deal with volatility, correct?

12 Is that a reasonable assumption?

13 MS. LORI STEWART: No, I don't think it  
14 is at all. The broker community, I believe, invests a  
15 fair bit in their advertising and marketing campaigns.

16 MR. ERIC HOAKEN: All right. Well, you  
17 had some pretty compelling information in the survey to  
18 suggest that your respondents were quite unaware of what  
19 brokers were doing, isn't that fair?

20 MS. LORI STEWART: We weren't surveying  
21 consumers in that regard; that wasn't the focus of or the  
22 objective of this market research.

23 MR. ERIC HOAKEN: Well, I'll come back to  
24 that, but the question you ask on page 40:

25 "Please tell me how you rate those

1 natural gas providers who are non-  
2 Manitoba Hydro affiliated in terms of  
3 reducing the drastic ups and downs in  
4 natural gas prices for their  
5 consumers."

6 So I put it to you that that was something  
7 you were surveying.

8

9 (BRIEF PAUSE)

10

11 MS. LORI STEWART: Mr. Hoaken, we are in  
12 a position where we can't ignore the fact that we have a  
13 segment of our customer-base that is contracted with a  
14 broker for a fixed-price option -- fixed-price/fixed term  
15 option.

16 And so in a general survey of the  
17 consumers about topics such as rate volatility and bill  
18 volatility we were questioning consumers on their  
19 understanding or their perception of how brokers  
20 offerings were delivering or measuring up as it relates  
21 to bill and rate volatility, so the overriding topic,  
22 bill and rate volatility with a specific focus on the  
23 Derivatives Hedging Program.

24 MR. ERIC HOAKEN: Right.

25 MS. LORI STEWART: We also surveyed

1 customers about the equal payment plan with regard to  
2 this particular survey, again, because there's a  
3 relationship between the equal payment plan and the topic  
4 of bill volatility, just like there is a relationship  
5 between consumers' perceptions about the success of  
6 broker offerings in mitigating volatility to the topic of  
7 bill and rate volatility.

8 MR. ERIC HOAKEN: But one (1) of the  
9 objectives was to compare or purport to compare the level  
10 of satisfaction of consumers with the measures that  
11 Centra was taking with the level of satisfaction they had  
12 with what brokers were doing, correct?

13 MS. LORI STEWART: No, Mr. Hoaken.

14 MR. ERIC HOAKEN: Well, why else would  
15 you ask the question then? I -- I fail to under --

16 MS. LORI STEWART: We were surveying the  
17 general landscape as it relates to the topics of bill and  
18 rate volatility. I just suggested to you that the equal  
19 payment plan was one of -- another program or offering in  
20 the general landscape as it relates to the topic of bill  
21 and rate volatility. Another offering in the general  
22 landscape is brokers' fixed-price/fixed term offerings.

23 MR. ERIC HOAKEN: Right. But you were  
24 asking consumers to tell you their level of satisfaction  
25 with what brokers were offering in terms of dealing with

1 ups and downs in the rates, correct?

2 MS. LORI STEWART: Mr. Hoaken, I can tell  
3 you that the focus of our survey and the outcomes of our  
4 survey were surrounding the description of the hedging  
5 program and those perceptions or preferences as it  
6 relates to more hedge protection, the status quo, or less  
7 hedge protection.

8 So when I received the survey results back  
9 from our -- our market research consultant I looked at  
10 the answer to this question as it relates to brokers and  
11 the equal payment plan and sort of went, Oh well that's  
12 interesting, however, that's not what -- why I conducted  
13 the survey.

14 I conducted the survey more specifically  
15 to gain an understanding of our consumers' preferences  
16 and whether or not the Derivatives Hedging Program  
17 specifically was meeting their general preferences or  
18 needs for price protection.

19 MR. ERIC HOAKEN: Who did the survey  
20 design -- I'm sorry, who did the survey design?

21 MS. LORI STEWART: A number of folks at  
22 Centra Gas Manitoba with -- in consultation with Western  
23 Opinion Research. Western Opinion Research, the experts  
24 at this, helped to drive the -- the form and content of  
25 the survey.

1                   MR. ERIC HOAKEN:    And did you know before  
2 the survey started that this question on page 40 was  
3 going to be asked?

4

5                                   (BRIEF PAUSE)

6

7                   MS. MARLA MURPHY:    I take it you're  
8 asking about not immediately before the survey began but  
9 in the beginning of the process?

10                   MR. ERIC HOAKEN:    That's right.  That's  
11 right.

12                   MS. LORI STEWART:    No.  In our general  
13 discussions with -- with Western Opinion Research they  
14 were asking us prompting questions about, Well what are  
15 the related topics to the Derivatives Hedging Program,  
16 and that's where things like the equal payment plan came  
17 up or the distinction that in Manitoba consumers have the  
18 option to purchase a fixed-price/fixed term contract from  
19 a broker.

20                                   But, however, no, at the beginning of the  
21 process, other than those prompting questions from the --  
22 the research consultant, which is meant to ensure that we  
23 don't -- that we don't, in isolation, miss some other  
24 piece of information that is peripheral to the main  
25 topic.

1 CONTINUED BY MR. ERIC HOAKEN:

2 MR. ERIC HOAKEN: Do I understand you --  
3 sorry, so do I understand you to say, Ms. Stewart, that  
4 before there were telephone calls to residents of  
5 Manitoba who were being asked these questions, you did  
6 not know and Centra did not know that one of the  
7 questions they were going to be asked was the question on  
8 page 40?

9 Is that what you're telling us?

10 MS. LORI STEWART: No, not at all. I  
11 thought Ms. Murphy had clarified that your question was  
12 related to; at the beginning of this process did I know  
13 whether or not this specific question would be asked and  
14 the answer is, no, I did not.

15 MR. ERIC HOAKEN: All right. I may have  
16 misunderstood what -- well. So now we have the answer,  
17 that certainly before the survey had commenced and  
18 respondents were asked questions, you knew that this  
19 question on page 40 was going to be asked?

20 MS. LORI STEWART: Yes, I did.

21 MR. ERIC HOAKEN: All right. And you  
22 would want to ensure -- I mean, you -- you're asking the  
23 question presumably because you think it will yield some  
24 useful information, correct?

25 MS. LORI STEWART: Some useful

1 information about that general landscape of the topic of  
2 the survey, bill and rate volatility.

3 MR. ERIC HOAKEN: Right. And did it  
4 cross your mind that in asking questions in the survey  
5 about consumers' levels of satisfaction with the steps  
6 that Centra was taking to manage volatility and by asking  
7 questions about the satisfaction with steps that the  
8 brokers were taking to deal with volatility, that some  
9 people might read it as a comparison?

10 MS. LORI STEWART: No, I didn't.

11 MR. ERIC HOAKEN: It didn't cross your  
12 mind?

13 MS. LORI STEWART: No.

14 MR. ERIC HOAKEN: And I take it that  
15 quite apart from that, you'd agree with me, that in order  
16 for this information to be of any use to you, that is the  
17 answers to this question on page 40, it would have to be  
18 a fair and balanced question, right?

19 MS. LORI STEWART: Yes.

20 MR. ERIC HOAKEN: And you'd have to be  
21 satisfied that respondents had a sufficient amount of  
22 information to answer the question, correct?

23

24

(BRIEF PAUSE)

25

1 MS. LORI STEWART: I guess respondents  
2 always have the option of saying, I don't have enough  
3 information to ask that question. I know, personally, I  
4 say that often on a customer survey if a question is  
5 posed to me that I don't have sufficient information to  
6 answer, that's exactly what I tell the market research  
7 firm.

8 MR. ERIC HOAKEN: All right. Do you know  
9 what the thinking was in the survey design, because on  
10 page 57, as we've already discussed, there was an effort  
11 made to educate the respondents so that they could answer  
12 the question.

13 Do you understand or, excuse me, do you  
14 know why there was no effort made to educate the  
15 respondents so that they could then answer this question  
16 on page 40?

17 MS. LORI STEWART: It wasn't the focus of  
18 the survey, Mr. Hoaken.

19 MR. ERIC HOAKEN: All right. Now, you  
20 told us, I think yesterday, that the market research --  
21 that you're planning to do more market research in 2008,  
22 is that right?

23 MS. LORI STEWART: Yes, that's correct.

24 MR. ERIC HOAKEN: And -- and is there any  
25 reason that you're waiting until 2008, is there any sort

1 of magic behind this sequence?

2                   You've done it in 1998, you did it again  
3 in 2004 and you're waiting now four (4) more years to  
4 2008; is there any -- I mean, what's the thinking behind  
5 that, I guess is my question?

6                   MS. LORI STEWART: The thinking behind it  
7 is that market research comes with a price tag and that  
8 we should not necessarily be prepared to spend that money  
9 on com -- on so frequent a basis that we weren't getting  
10 value for it. And I indicated previously that one of the  
11 reasons that we did feel the need to go back to the  
12 market in 2004 is that there was a fundamental shift in  
13 the natural gas market between 1998 and, I would suggest,  
14 2001.

15                   And at that point in time, I'm not sure  
16 that anyone in 2001 recognized that, but certainly as  
17 time went on in 2002/2003, we could see that the former  
18 price environment that we were in had -- had shifted or  
19 changed and it seemed to be a permanent trend, so as a  
20 result that was one of the reasons why we did go forward  
21 in 2004.

22                   There hasn't been a material shift in the  
23 market place since 2004. It just seems like a reasonable  
24 time to check back in with consumers.

25                   MR. ERIC HOAKEN: All right, thank you.

1 And just on the price tag point, as I understood Mr.  
2 Warden, there is a plan to do, I took it to be market  
3 research, I think in fairness to you you said research,  
4 on a fixed-price option and what I'd understood you to  
5 say, Mr. Warden, was that that is going to be done some  
6 in 2007; I understood early in 2007.

7 Am I right about that?

8 MR. VINCE WARDEN: Well, I hate to be the  
9 one to give you a yes/no answer, but, yes.

10 MR. ERIC HOAKEN: I'm delighted to get  
11 yes/no answers, Mr. Warden.

12 And so just on the price tag point then,  
13 could either one of you just help us understand why it is  
14 that those two (2) initiatives are going to be done  
15 separately?

16 It seems to me at least that it might be  
17 done logically together as part of the same effort to  
18 test the needs and wants of consumers.

19

20 (BRIEF PAUSE)

21

22 MS. LORI STEWART: There is some -- some  
23 not insignificant level of complexity related to the  
24 topics that we're discussing and as a result at this time  
25 the Corporation does intend to connect those survey

1 initiatives separately and distinctly. We believe that  
2 it may be more difficult to keep this -- the survey --  
3 the focus of this survey discreet if we were attempting  
4 to include again a description of, for example, a hedging  
5 program and general parameters with the concept of a  
6 fixed-price option.

7 MR. ERIC HOAKEN: In -- in forming that  
8 conclusion has Centra received the benefit of advice and  
9 expertise from consultants such as Western Research or  
10 others?

11 MS. LORI STEWART: No, we haven't  
12 contracted with market research consultants for either of  
13 these initiatives at that point. And certainly in the  
14 process of engaging that consultant and commencing  
15 discussions with that firm, if there's some strong  
16 direction from the consultant that these initiatives  
17 should be combined, that's something that we're open to,  
18 however it's not the plan at this point.

19 MR. ERIC HOAKEN: Right. And is that  
20 something that Centra will ask the consultant and  
21 specifically seek advice on the -- seek advice from the  
22 consultant on?

23 MS. LORI STEWART: We will now.

24 MR. ERIC HOAKEN: Thank you. And just  
25 back to you, Mr. Warden, if I may, you had answered the

1 questions earlier about the research that's being done on  
2 the fixed-price option, and could you just help us  
3 understand why, because I'd understood from our  
4 discussions thus far that market research might be Ms.  
5 Stewart's bailiwick, so why is it that you have  
6 involvement in this effort that's being made with respect  
7 to the fixed-price option?

8 MR. VINCE WARDEN: Well, I have certain  
9 executive responsibilities at Manitoba Hydro, one (1) of  
10 which is executive responsibilities for the area to which  
11 Ms. Stewart reports, so the market research -- research  
12 that we are contemplating certainly wouldn't be done  
13 independent of Ms. Stewart and she would be totally  
14 involved in the process.

15 MR. ERIC HOAKEN: All right. Has an RFP  
16 gone out thus far for a consultant to do that?

17 MR. VINCE WARDEN: No, it has not.

18 MR. ERIC HOAKEN: And I take it you'd  
19 agree with what Ms. Stewart said earlier in answer to my  
20 question; she agreed that in order to be of value,  
21 market research has to be fair and balanced?

22 MR. VINCE WARDEN: I would agree with  
23 that.

24 MR. ERIC HOAKEN: And I take it you'd  
25 agree that it's important especially when canvassing an

1 issue like a fixed-price option that the respondents are  
2 given enough information about what Ms. Stewart has  
3 characterized, and I agree, is a fairly complex area.

4 MR. VINCE WARDEN: Mr. Hoaken, I didn't  
5 really indicate that we would be taking a survey to the  
6 marketplace on fixed-price offerings, specifically. I  
7 indicated, I think, that we had done a considerable  
8 amount of internal research on that subject and that we  
9 would -- before we go -- come to a conclusion as to what  
10 direction we would go we would take some -- we would take  
11 a survey of our -- of our customers to determine what  
12 their preferences are. But whether or not that survey  
13 will be structured around a fixed-price offering I -- I  
14 did not say that.

15 MR. ERIC HOAKEN: Okay. Thank you for  
16 that clarification.

17 And you're aware now, Mr. Warden, of the  
18 intention of this Board to hold a generic hearing some  
19 time in 2007 to look at the state of the competitive  
20 market?

21 MR. VINCE WARDEN: Yes, we've been  
22 informed of that.

23 MR. ERIC HOAKEN: And -- and you would  
24 expect that that process will provide an opportunity for  
25 many perspectives on the issue of competition to come out

1 and be aired?

2 MR. VINCE WARDEN: I would expect so,  
3 yes.

4 MR. ERIC HOAKEN: And do you think there  
5 might be some value to waiting until that process occurs  
6 and those perspectives have been aired and the Board has  
7 issued any orders that it may feel are appropriate to  
8 embark on this process of research?

9 MR. VINCE WARDEN: Well, I think, as a  
10 matter of fact, the Chairman indicated earlier there  
11 would be some direction coming to Centra for -- arising  
12 from this Hearing, so I think we'll await that direction  
13 and make a determination at that time.

14 MR. ERIC HOAKEN: All right. Thank you  
15 very much.

16 MR. BRENT SANDERSON: Whenever the  
17 schedule allows, I have a response to Mr. Hoaken's  
18 undertaking which he assigned to me a short while ago.  
19 Whenever it pleases the Board I can share that  
20 information.

21 THE CHAIRPERSON: We'll wait. We've  
22 reserved time for that.

23

24 CONTINUED BY MR. ERIC HOAKEN:

25 MR. ERIC HOAKEN: Now, just back to you,

1 Mr. Stephens. You said in cross-examination yesterday, I  
2 believe it was under cross-examination from Mr. Saxberg,  
3 you said something I just wanted to follow up on, you  
4 said that -- and I've got a note here I'm trying to read,  
5 but -- you said that it's puzzling to you that customers  
6 choose a fixed-price product, and I take it you're  
7 referring to a contract with brokers, puzzling to you  
8 that they choose that in circumstances where their bill  
9 is still going to vary because of the weather.

10 Is that a fair summary of what you said?

11 MR. HOWARD STEPHENS: That's a fairly  
12 accurate --

13 MR. ERIC HOAKEN: Okay.

14 MR. HOWARD STEPHENS: -- description,  
15 sure.

16 MR. ERIC HOAKEN: And I must confessed  
17 that I'm puzzled why you're puzzled, because I take it  
18 you'd agree with me that, and we've talked about this ad  
19 nauseam, there are two (2) types of volatility; we've got  
20 bill volatility and rate volatility, right?

21 MR. HOWARD STEPHENS: Correct.

22 MR. ERIC HOAKEN: And if a customer goes  
23 and contracts with a broker, he or she is basically  
24 covering off -- if I can put it that way -- the rate  
25 volatility, correct?

1 MR. HOWARD STEPHENS: That's correct.

2 MR. ERIC HOAKEN: And your point, I take  
3 it, was that that customer would still be exposed to bill  
4 volatility that was driven by seasonal variations.

5 MR. HOWARD STEPHENS: Especially in this  
6 market, given this wide variations in weather.

7 MR. ERIC HOAKEN: And I've experienced  
8 that over the last four (4) days.

9 But I take it you'd agree with me that if  
10 that consumer found that remaining level of volatility  
11 unacceptable, he or she could simply sign up for the  
12 equal payment plan?

13 MR. HOWARD STEPHENS: And that makes much  
14 more sense to me from a perspective if you're looking for  
15 consistency in your bill on a month-to-month basis so you  
16 can budget for it, that that would make much more sense  
17 than just trying to manage one (1) aspect of the total  
18 bill volatility.

19 MR. ERIC HOAKEN: Right. But if somebody  
20 -- so if a system gas customer signs up for the equal  
21 payment plan, he or she is covering off the bill  
22 volatility but is still exposed to rate volatility,  
23 correct?

24 MR. HOWARD STEPHENS: That's right.

25 MR. ERIC HOAKEN: And so the advantage of

1 that consumer -- the advantage then to that consumer of  
2 signing up with a broker is that that remaining bit of  
3 rate volatility is then taken care of, correct?

4 MR. HOWARD STEPHENS: You're going to  
5 have to give that to me again.

6 MR. ERIC HOAKEN: Sure.

7 MR. HOWARD STEPHENS: I was thinking  
8 about something else, I'm sorry.

9 MR. ERIC HOAKEN: Sure. I think you  
10 agreed with me that the customer who signs up -- the  
11 system gas customer who signs up for the equal payment  
12 plan takes care of or covers off, to use the expression  
13 I've been using, the bill volatility, right?

14 MR. HOWARD STEPHENS: I -- I would  
15 characterize it as covers off the weather component of  
16 the bill volatility.

17 MR. ERIC HOAKEN: All right, fair enough.  
18 And then the remaining -- now, let me make sure I get  
19 this right -- the remaining portion of the bill  
20 volatility would be rate related, is that right?

21 MR. HOWARD STEPHENS: Right. Which is  
22 directly related to price.

23 MR. ERIC HOAKEN: Exactly. And that  
24 remaining volatility, in this scenario I'm giving to you,  
25 is covered off by that same consumer signing up with a

1 broker.

2 MR. HOWARD STEPHENS: That's a possible  
3 scenario, that the broker -- or a customer could sign up  
4 with a broker for a fixed-price offering and then take  
5 advantage of our equal billing plan.

6 MR. ERIC HOAKEN: Right, because the two  
7 (2) are not mutually exclusive.

8 MR. HOWARD STEPHENS: That's right.

9 MR. ERIC HOAKEN: Now, finally a question  
10 I think for you, Mr. Warden and I -- I think it was you  
11 who said this but it may have been Ms. Stewart, I'm not  
12 sure. This was from, I think, yesterday.

13 And one of you said words to the effect  
14 that rate increases can aggravate seasonal variations.  
15 Now, stopping there, does that sound familiar?

16 MR. HOWARD STEPHENS: It doesn't sound  
17 familiar to me. I -- sorry, I would like to make an  
18 additional comment with respect to the prior question and  
19 that is, customers end up in the scenario that we -- that  
20 we painted, where a customer elects to go to a broker  
21 fixed-price and pay a premium for price protection and  
22 then engage -- and applies for the equal payment plan,  
23 that makes much more sense to me than a customer going to  
24 a fixed-price offering, which has a premium embedded in  
25 it, justifiably so because of the risk being shed, but

1 there's an expectation I think on the part of that  
2 customer that they're going to see much less -- less in  
3 terms of volatility on -- on their bill, and I don't know  
4 that that expectation is necessarily met in all cases.

5 MR. ERIC HOAKEN: And you're speaking of  
6 the situation where the consumer has signed up with the  
7 broker but not also for the equal payment plan?

8 MR. HOWARD STEPHENS: That's correct.  
9 Now, to your second question, you'll have to give it me  
10 again.

11 MR. ERIC HOAKEN: Right, and I had  
12 thought, and I don't appear to be ringing any bells, does  
13 that familiar to you, Ms. Stewart?

14 MS. LORI STEWART: Well, the paraphrasing  
15 isn't -- isn't quite correct. If I recall my testimony  
16 correctly I was suggesting that, for example, last  
17 November that consumers would have been in a position in  
18 the absence of the hedging program of having a three (3)  
19 month window, a fairly high consumption three (3) month  
20 window, the months of November, December and January.

21 They would have had the compounding effect  
22 of a potential 33 percent rate increase in the event --  
23 in the absence of the hedging program.

24 MR. ERIC HOAKEN: Okay, and what I had  
25 understood from a comment that I have inaccurately

1 paraphrased, yet again, apparently, was that you were  
2 saying that there's always going to be seasonal  
3 variations that consumers are going to see on their bill.

4 We're speaking, obviously, of consumers  
5 that don't have the equal payment plan, correct?

6 MS. LORI STEWART: Yes, that's correct.

7 MR. ERIC HOAKEN: And that those  
8 variations will be magnified if there are  
9 contemporaneously rate increases?

10

11 (BRIEF PAUSE)

12

13 MS. LORI STEWART: I think a fair  
14 statement would be that the higher the rate increase is -  
15 - sorry, the higher -- just hang on.

16 MR. ERIC HOAKEN: And, but -- sure.

17

18 (BRIEF PAUSE)

19

20 MS. LORI STEWART: Forgive me. I've got  
21 two (2) opinions, sometimes differing, coming into each  
22 ear.

23 The higher the rate, the greater the  
24 impact on the consumer in terms of the bill.

25 MR. ERIC HOAKEN: All right. So, let's

1 just start with the basic proposition is that any rate  
2 increase at all is going to aggravate or magnify the  
3 seasonal variations that consumers are going to have to  
4 deal with and your point is, the greater the rate  
5 increase that's occurring, the greater the potential to  
6 then magnify that impact?

7 And, I'm sorry, you had...

8 MR. BRENT SANDERSON: I can probably --

9 MR. ERIC HOAKEN: Oh, okay.

10 MR. BRENT SANDERSON: -- deal with it,  
11 Mr. Hoaken. It's not an issue of rate increases. You  
12 cannot make the statement that the larger a rate increase  
13 the more variable the customer's bill would be.

14 MR. ERIC HOAKEN: And --

15 MR. BRENT SANDERSON: I would not agree  
16 with that statement. What I can say and what I will  
17 agree with is the larger the -- the higher the rate, all  
18 other things being equal, the larger the magnitude of  
19 seasonal swings in a customer's bill, period. It's not  
20 an issue of rate increases or decreases.

21 MR. ERIC HOAKEN: Okay. And the converse  
22 would obviously then be true as well, that the lower the  
23 rate, the less the impact?

24 MR. BRENT SANDERSON: The lower the rate,  
25 the less the absolute magnitude of seasonal swings in a

1 customer's bill.

2 MR. ERIC HOAKEN: All right, thank you.  
3 I thank the panel for their patience and good humour.  
4 Those are all of my questions.

5 THE CHAIRPERSON: Thank you, Mr. Hoaken.  
6 Do you want to receive Mr. Sanderson's response now?

7 MR. ERIC HOAKEN: Yes, thank you.

8 MR. BRENT SANDERSON: You had requested  
9 what was the worst-case addition to customers' gas costs  
10 during the current fiscal year once we consider settled  
11 hedge results and forward looking unsettled hedge  
12 results, and so I'm able to provide that based on our  
13 most recent analysis prepared as of the market close on  
14 Friday, November 17th.

15 Later this week, we'll be preparing a more  
16 up to date analysis based on last Friday's market close,  
17 but the people who work on that are tied up in this  
18 proceeding right now, so we don't have numbers based on  
19 last week.

20 As of the end of November 2006, our  
21 settled hedge results indicate, in addition to customers  
22 gas costs, of \$42.3 million for the fiscal year to date,  
23 and then if we develop a, for want of a better term, a  
24 worst case likely scenario for the remainder of the  
25 fiscal year, and this is based on expectations for

1 potential volatility in the market as embedded in option  
2 prices, so it's subjective market data.

3                   The worst case, likely further addition to  
4 natural gas costs over the remainder of the fiscal year,  
5 would be \$55.8 million and that's to a 95 percent  
6 confidence level. So what that statement means is that  
7 only in 5 percent of circumstances would it be expected  
8 to be any worse than that.

9                   So our worst case likely addition to  
10 customers' gas costs over the current fiscal period would  
11 be a total of \$98.1 million.

12                   MR. ERIC HOAKEN: All right. Thank you  
13 very much, Mr. Sanderson.

14                   THE CHAIRPERSON: Thanks again. So we'll  
15 move on now to energy savings.

16                   Ms. Ruzycki...?

17

18 CROSS-EXAMINATION BY MS. NOLA RUZYCKI:

19                   MS. NOLA RUZYCKI: Thank you, Mr. Chair,  
20 Board Members, and good morning to the Panel.

21                   I think the lion's share of my questions  
22 are going to be directed to Mr. Stephens.

23                   MR. HOWARD STEPHENS: Somehow Mr.  
24 Stephens had a feeling.

25                   MS. NOLA RUZYCKI: A hunch that that

1 might be the case?

2                   The first few questions are just  
3 clarifications of the process you will be following. And  
4 I'm wondering if you could please clarify the process to  
5 be followed should Centra decide to renew the Nexen  
6 contract.

7                   And what I'm looking for here is an  
8 indication of whether Centra will be bringing the  
9 agreement to the Board prior to the execution of the  
10 agreement or after the agreement has been executed.

11

12                   (BRIEF PAUSE)

13

14                   THE CHAIRPERSON: While they're  
15 conferring I thought I'd just run through our  
16 understanding of the remainder of the day.

17                   After Ms. Ruzycki has completed her cross-  
18 examination, our expectation is we would go around the  
19 room and ask if there's any other questions of the Panel  
20 with respect to undertakings that were outstanding.  
21 After that we would provide Ms. Murphy an opportunity to  
22 re-direct back to her Panel if she so chooses.

23                   After that we would move on to Mr. Saxberg  
24 and his witness with the direct examination or testimony  
25 and then followed by examination of Mr. Pringle.

1                   And on the cross-examination of Mr.  
2 Pringle we would start with Direct, then go to Energy  
3 Savings, then move to Centra and then the Board usually  
4 bats cleanup on the Intervenor witnesses.

5                   And then after that we would allow Mr.  
6 Saxberg an opportunity to re-direct on Mr. Pringle and at  
7 that stage of the game, short of any surprises, we would  
8 adjourn to closing statements on next Wednesday. We'll  
9 give you a chance to think on that.

10                   Ms. Ruzycki, are there other questions you  
11 could pursue that would give them a chance to think on  
12 this --

13                   MS. NOLA RUZYCKI:     Sure.

14                   THE CHAIRPERSON:    -- and they could come  
15 back after they have a chance to --

16                   MS. NOLA RUZYCKI:     Maybe Mr. --

17                   THE CHAIRPERSON:    -- confer during a  
18 break.

19                   MS. MARLA MURPHY:    Sorry, Mr. Chairman,  
20 there's -- Mr. Sanderson answered a portion of the  
21 undertaking that was given a moment ago regarding the  
22 range of the potential outcomes for hedging and noted  
23 after he'd turned off his mic that he'd only answered  
24 half of it so he does have the other half to conclude.  
25 Perhaps he could put that on the record at this point

1 and --

2 THE CHAIRPERSON: Sure, please.

3 MS. MARLA MURPHY: -- we can carry on.

4 MR. BRENT SANDERSON: Mr. -- Mr. Hoaken  
5 asked based on our value at risk analysis what's the  
6 range of worst or best case potential outcomes for the  
7 current fiscal year and I only gave you the worst case  
8 likely scenario.

9 The flipside to that equation to the same  
10 level of confidence, a 95 percent confidence level, would  
11 be a forward-looking reduction to customers' gas costs of  
12 \$29.2 million based on our unsettled instruments so our -  
13 - for want of a better term our best-case likely scenario  
14 for the current fiscal year would be a net -- a net  
15 addition to customers' gas costs of \$13.1 million 95  
16 percent of the time, in 95 percent of potential outcomes.

17 MR. ERIC HOAKEN: I'm sorry, can I just  
18 get that figure again -- twenty-nine (29)...?

19 MR. BRENT SANDERSON: A \$29.2 million  
20 reduction to customers' gas costs for the December '06  
21 through March '07 period.

22 MR. ERIC HOAKEN: Right. Thank you.

23 THE CHAIRPERSON: Thank you. Do you  
24 choose to respond now or would you --

25 MR. HOWARD STEPHENS: I now have a

1 response, sir.

2 Our intention would be, to the extent that  
3 that's the process that we follow and that is -- I mean  
4 by that signing a new agreement with Nexen, it would be  
5 our intention to follow past practice, which would be to  
6 file a signed or an executed copy with the regulator and  
7 request approval in whatever venue for the gas cost  
8 consequences of such a document.

9

10 CONTINUED BY MS. NOLA RUZYCKI:

11 MS. NOLA RUZYCKI: At which point there  
12 would be no allowance for changes to the contract?

13 MR. HOWARD STEPHENS: Once the -- no,  
14 Nola, you know as well as I that once the contract is  
15 signed, the contract is signed.

16 MS. NOLA RUZYCKI: Okay. Thank you for  
17 that.

18 Now, does Nexen's renewal provision allow  
19 for changes to the contract effective November 1st, '07?  
20 And if it does, are there areas that must remain the  
21 same? Are there restrictions to that?

22 MR. HOWARD STEPHENS: Well, the -- the  
23 contract really talks about renewal upon mutual  
24 agreement, which, from my perspective, implies that there  
25 is the potential for terms to change as long as we

1 mutually agree. And that is the way we are proceeding.

2 MS. NOLA RUZYCKI: Terms. But is there  
3 also renegotiation to other areas of the terms and  
4 conditions --

5 MR. HOWARD STEPHENS: Yes.

6 MS. NOLA RUZYCKI: -- allowed?

7 MR. HOWARD STEPHENS: Definitely.

8 MS. NOLA RUZYCKI: Okay. Okay. Now,  
9 with respect to the energy environmental analysis report,  
10 Mr. Stephens, you indicated yesterday that the report  
11 would be filed with the Board in February of '07, and you  
12 also stated that you'd be providing brokers and  
13 interested parties with a copy of the report.

14 I'm just wondering if you anticipate that  
15 all parties would receive the -- the report at roughly  
16 the same time frame?

17 MR. HOWARD STEPHENS: I believe so. I'm  
18 sorry.

19

20 (BRIEF PAUSE)

21

22 MR. HOWARD STEPHENS: I'm advised -- I  
23 was going to give you a commitment that I was going to  
24 get myself into trouble with -- I'm advised that we  
25 typically file that type of report with the Board and

1 they -- they will provide us direction with respect to  
2 that.

3 MS. NOLA RUZYCKI: Thank you. On Tuesday  
4 you may recall that Mr. Peters asked you if you had  
5 checked with the broker community regarding any interest  
6 there might be with respect to paying for load-balancing  
7 services, to which you responded no.

8 And I'm wondering if you could just  
9 explain why Centra has not approached the broker  
10 community to date with any type of proposal for load-  
11 balancing component of the Western Transportation Service  
12 and if you have plans to do so in the future.

13

14 (BRIEF PAUSE)

15

16 MR. HOWARD STEPHENS: I don't recall the  
17 broker community requesting the provision of load-  
18 balancing services. And in that regard though, I mean,  
19 we don't really have the capability to provide load-  
20 balancing services as our system stands right now, and  
21 that's why we have to go through great hoops in terms of  
22 trying to provide different supplies to manage the  
23 overall load within the system.

24 So to the extent that -- I guess there is  
25 a situation where I can -- I could imagine, not having --

1 not having thought it through completely, but we could, I  
2 guess, contract for more swing service to accommodate the  
3 swings associated -- that brokers would otherwise be  
4 forced to manage, but it has a whole host of ripple  
5 effects in terms of how we balance then your annual  
6 volumes if we're using other volumes to manage day-to-day  
7 swings, et cetera. It become a very, very complicated  
8 rat's nest, I would suggest, in terms of how we manage  
9 that.

10 If we had storage it would be a different  
11 matter.

12 MS. NOLA RUZYCKI: Are you -- are you  
13 open to sitting down with the brokers to see if there  
14 could be some sort of service that could be offered?

15

16 (BRIEF PAUSE)

17

18 MR. HOWARD STEPHENS: You're really  
19 catching me off guard, Ms. Ruzycki, with respect to this  
20 because it was not something that was contemplated. As I  
21 understood the brokers' position, was that they wanted the  
22 ability to control the gas themselves at their own MDQs  
23 and then do the nominations in much more -- less  
24 frequently.

25 In order for us to do this on a

1 sustainable basis, again, we would have to have some sort  
2 of load balancing storage to accommodate that type of  
3 swing and I -- I mean, there's a significant cost  
4 associated with that.

5 I mean, we do very well now in terms of  
6 balancing the load into the system. It may be somewhat  
7 painful in terms of the number of re-nominations they  
8 have to make, but we've been able to reduce our balancing  
9 fees to a mere fraction of what they originally were.

10 So I don't know why I would want to  
11 engage, well, I mean, if the brokers want a balancing  
12 service and the only way I can accommodate that is to  
13 provide or acquire storage, additional storage, then  
14 they're going to be paying the lion's share of the cost  
15 of it.

16 MS. NOLA RUZYCKI: Okay, thank you. I  
17 want to come back to part of your response there later in  
18 my questions, but I guess you confirmed that Centra would  
19 be doing a complete review of future options with respect  
20 to storage.

21 Would you be able to look at something  
22 like that within that option? I know we're talking,  
23 like, 2013?

24 MR. HOWARD STEPHENS: Certainly, we will  
25 be looking at all of the options available to us and if

1 local storage that provides us with additional load --  
2 load balancing functionality, then certainly we would be  
3 in a position to try and accommodate the situation with  
4 the brokers in some fashion.

5 MS. NOLA RUZYCKI: Okay. And when might  
6 parties be able to expect an updated report on storage?  
7 I know there's quite a significant lead time with respect  
8 to storage.

9 MR. HOWARD STEPHENS: Well, I've been  
10 accused of over-committing and under-delivering, so I  
11 think I'll do the opposite this time.

12 By the end of 2008, and then if I give it  
13 to you much sooner, then you'll be happy.

14 MS. NOLA RUZYCKI: Thank you. Does  
15 Centra believe it's important to look at the WTS issues  
16 and suggestions raised by parties at the August 16th,  
17 2006 meeting and through subsequent comments prior to  
18 renewal or replacement of the Nexen contract?

19 MR. HOWARD STEPHENS: And certainly we  
20 took all of the feedback that we received and filed it  
21 with or provided it to the consultant and we are dealing  
22 with the issues that were addressed to the extent that we  
23 can.

24 I'm not going to say that we're going to  
25 give you everything you want, because some of the things

1 you want we may not be able to provide. It's as simple  
2 as that.

3 But certainly we will try to accommodate  
4 as many of the requirements of the broker community as we  
5 can. They may not be free, however.

6 MS. NOLA RUZYCKI: One of the suggestions  
7 that was put forward by Energy Savings Manitoba Corp was  
8 a break down of the components of the nominations to  
9 include projection of the current days' consumption; a  
10 volume to settle the previous days' consumption and  
11 volume to mitigate the overall inventory position to  
12 trend the imbalance by the end of the year to zero (0).

13 Would that be something that you may be  
14 open to providing?

15 MR. HOWARD STEPHENS: I -- right off the  
16 top of my head I don't know that that's going to provide  
17 you any value because we look at the load in aggregate.  
18 For us to break out the one (1) component with respect to  
19 the series of contracts that you may have or a certain  
20 component of the -- of the marketplace I think will just  
21 add an additional level of complexity.

22 And, as I've indicated, our ability to  
23 balance the load has become -- we are very good at  
24 balancing the load now.

25 I mean, I think at one point we were at

1 the top of the chart in terms of the fees that we had to  
2 pay. I think we're now at the bottom of the chart. So -  
3 - and we're forecasting the load associated with all of  
4 the brokers supply as well as system supply, if you will.

5 So, from that perspective, I don't know  
6 how you're going to improve upon that because a large  
7 amount of this relies upon experience with -- with the  
8 marketplace and, quite frankly, assessing what the  
9 weather's going to do not only on the basis of weather  
10 forecasts but looking out to see which -- which way the  
11 wind is blowing from and whether the sun is coming out  
12 and, I mean, whether there's going to be a full moon  
13 tonight.

14 MS. NOLA RUZYCKI: Perhaps I can explore a  
15 little further with you about the inventory positions. I  
16 know these -- and maybe I'm paraphrasing this and I don't  
17 know that I have it exact, but you stated on Tuesday that  
18 if errors existed in the nomination forecast, that they  
19 were caused by Centra.

20 MR. HOWARD STEPHENS: Yes. Because we --

21 MS. NOLA RUZYCKI: Do you recall that?

22 MR. HOWARD STEPHENS: -- because we  
23 control the gas, certainly, and we make the nominations,  
24 then the errors are ours to correct.

25 MS. NOLA RUZYCKI: Okay. And could you

1 please confirm that even after implementing changes to  
2 the MDQ during the contract year with the goal to  
3 trending the yearly imbalance to zero (0), that the  
4 inventory positions for the brokers at the end of the  
5 year have remained significantly high.

6

7

(BRIEF PAUSE)

8

9 MR. HOWARD STEPHENS: We've made some  
10 improvements with respect to how we handle MDQ changes  
11 for specific broker customers. So from that perspective  
12 you -- you won't have seen the results of that this year  
13 so much as -- but certainly you will see it over the  
14 course of the coming winter and when we come to settle up  
15 at the end of the gas year.

16 There -- there were some -- I'll refer to  
17 them as glitches within the process that we were using,  
18 that we've identified and have improved. So I -- I  
19 anticipate that the overhang that you see or the  
20 imbalance that you see at the end of the next gas year  
21 should be substantially less.

22 MS. NOLA RUZYCKI: Okay. And I would  
23 suggest that for the last two (2) years the imbalance has  
24 been significantly high and I guess I'm wondering if you  
25 would agree then that Centra had made errors in the

1 nomination process.

2 MR. HOWARD STEPHENS: No. I don't think  
3 it's a matter that we made errors in the nomination  
4 process. It's more that we made errors in the  
5 calculation of the MDQ's.

6 MS. LORI STEWART: Just to add some  
7 context to that because I -- I'm not prepared to accept  
8 the concept that an error was made. The way the system -  
9 - the way the service was being provided, the practice  
10 had been to only adjust MDQ's on an annual basis. So  
11 that previously there were not quarterly changes to the  
12 brokers' MDQ's. The MDQ is set for the year and it rode  
13 through the year.

14 And what happen at the end of that annual  
15 true up process is there's an election that the broker  
16 makes to either roll the financial impacts of the  
17 imbalance or role the volumetric imbalance or to cash it  
18 out.

19 And the timing of the service is such that  
20 we don't actually receive the numbers to start being able  
21 to calculate that annual true up value until about the  
22 middle of November. And usually by the end of December  
23 we have our annual true up results available, except that  
24 we set the MDQ for the forward year on October the 15th  
25 of that time frame.

1                   So at that point in time, even if we're  
2 forecasting volumetric imbalances, we don't know what the  
3 broker is going to elect. Is it going to elect to roll  
4 the volumetric imbalance into the forward year or is it  
5 going to elect to cash out. And as a result we weren't  
6 making a guess in setting the MDQ on October the 15th, as  
7 to what the broker would do.

8                   And in the event that the broker rolled  
9 the volumetric imbalance, I then had a compounding  
10 imbalance in the forward year, which I had -- or which  
11 the practice had been to leave, that is not to adjust the  
12 MDQ mid-year on behalf of the brokers.

13                   So that's the change that Mr. Stephens has  
14 referenced. Whereby last year we also identified -- and,  
15 you know, Energy Savings Manitoba Corporation's Gas  
16 Supply folks talked with us, expressed their concern with  
17 regard to the volumetric imbalance and we saw that one of  
18 the solutions was that we could and did have within the  
19 terms and conditions, even though it hadn't been our  
20 practice, the ability to adjust the MDQ's on a quarterly  
21 basis and thereby reduce any forecast volumetric  
22 imbalance by adjusting that MDQ on the quarter.

23                   So that's a bit more of an extensive  
24 description of the situation that we found ourselves in.  
25 We were perhaps trapped by past practice and then based

1 on the outcome for a couple of the brokers in the past  
2 year or two (2) we realized that we need to break out of  
3 that past practice and simply adjust the MDQ on a  
4 quarterly basis as is permitted by the "T's" and "C's".

5 MS. NOLA RUZYCKI: Thank you. That was  
6 helpful. Do -- do your nominations include any component  
7 for trying to clear that makeup? Like, on a daily basis  
8 is there some component to try and clear the yearly  
9 inventory to trend it to zero (0)?

10 MR. HOWARD STEPHENS: Yes, we -- on a  
11 monthly basis during the -- the balancing period we do  
12 adjust the nominations to try and bring us more closely  
13 back into balance if we have imbalances.

14 MS. NOLA RUZYCKI: Thank you. And my  
15 next -- next question was: Do you think it would be  
16 appropriate to set accountability targets with respect to  
17 the nomination forecast?

18 MR. HOWARD STEPHENS: Yeah. I think that  
19 the best indicator of our performance is the balancing  
20 fees that we incur and if you look at that charts we have  
21 a chart within the material some place but it's certainly  
22 -- I mean I think we were paying a tenth of what we  
23 originally were starting to pay.

24 In terms of putting an absolute limit to  
25 it, I mean given the volatility of the weather in

1 Manitoba I would be very hesitant to go down that road  
2 simply from the perspective that our best efforts could  
3 be producing very good results until the last month of  
4 the year and if we have crazy weather in October which is  
5 very, very possible it could throw the whole thing out  
6 the window.

7                   So from that perspective, I don't think  
8 that it would be appropriate.

9                   MS. NOLA RUZYCKI:   Perhaps I could  
10 suggest that your balancing has been -- you've reduced  
11 your charges on TransCanada and by doing so the broker's  
12 charges have increased because now we end up with large  
13 inventory positions at the end of the year which we're  
14 clearing and in our case we're clearing them within  
15 certain guidelines that we had to clear them immediately  
16 and often the market prices may not be acceptable.

17                   So when we're finding out we have an MDQ  
18 change, we have to clear our balance at that point. So  
19 I'm wondering if you would agree that although your  
20 charges have come down significantly that charges to the  
21 brokers may have increased?

22                   MS. LORI STEWART:   The current terms and  
23 conditions of Western Transportation's service which --  
24 which I believe you're familiar with permit the broker to  
25 make that election as at the end of October or as at the

1 end of the gas year.

2                   And the terms and concerns of service are  
3 actually quite favourable to the broker community because  
4 it permits the broker to look at what October settled  
5 based on the Canadian gas price for quarter and then make  
6 the decision to either cash out the volumes or roll them  
7 on the basis of whether or not they can make money based  
8 on -- on that October CGPR.

9                   So it's actually a provision in the terms  
10 and conditions of service that -- that made sense at the  
11 time the service was developed but have -- has over time  
12 resulted in a situation where the broker community has  
13 quite an advantage in terms of that election and looking  
14 at what the October price settled at and making a  
15 determination relative to the forward price, whether or  
16 not to take the money or roll the volumetric imbalance.

17                   So I -- I guess the -- the -- I -- I think  
18 it's important that the Board understand that -- that the  
19 -- the brokers have that election option and also that as  
20 Mr. Stephens has already put on the record there were  
21 some -- I -- I think you referred to them as "glitches"  
22 in -- in our process that I believe we've adapted and  
23 we'd like to watch that over the next year or so and  
24 determine whether or not we've in essence fixed the  
25 problem or whether there are additional efforts that need

1 to be made in that regard.

2 But I -- I believe that our adjustment of  
3 the MDQs on a quarterly basis will go a long way to  
4 reducing that volumetric imbalance at year end.

5 MS. NOLA RUZYCKI: Okay. Thank you.

6 MR. HOWARD STEPHENS: I -- I would just  
7 like to add to that. I mean we have, when we develop  
8 most of our transportation services, we have tried to  
9 provide as good a level of service as we possibly can in  
10 terms of allowing the brokers to bring their gas to the  
11 market -- to our -- the Manitoba marketplace. I mean, I  
12 talked about a bit about that in terms of the T-service  
13 customers and certainly the same thing applies to the  
14 western transportation service.

15 And we are finding, after some period of  
16 time, that there are areas for improvement and we are  
17 making those areas -- those improvements. And we will  
18 contemplate other alternatives if you're -- I mean, if  
19 they're within our ability to accommodate them, but some  
20 of that, I think, is going to be driven out by the  
21 generic hearing and what the relative positions of the  
22 parties are.

23 So we'll see in the long run, as to  
24 exactly how far we can go with some of this.

25 MS. NOLA RUZYCKI: Okay, thank you. And

1 we will also monitor the progress of the quarterly  
2 adjustments. I agree that those will help and that's  
3 where our concern more, was the quarterly not the  
4 clearing mechanism at the end of the year.

5 So, our management had seen the inventory  
6 building up and no changes were occurring, so I believe,  
7 you know, that the changes that have been put in place  
8 will address the concern.

9 MR. HOWARD STEPHENS: One (1) final  
10 element. If you want to serve in the Manitoba  
11 marketplace, I mean, Mr. Sanderson alluded to the fact  
12 that are the most sensitive load -- weather sensitive  
13 load in North America, so we don't have local storage --  
14 and you've heard the story from me before but I certainly  
15 want to get it on the record again.

16 It's -- it's challenging, to say the  
17 least, to try and balance the load on a day to day basis  
18 so -- and if you want to serve in this marketplace, I  
19 mean, get ready to ride the wild horse.

20 MS. NOLA RUZYCKI: Thank you for that.  
21 Being from Alberta, I have actually rode a number of wild  
22 horses, so.

23 I'd just like to briefly touch now on a  
24 different area, that being the enrollments. And perhaps  
25 I can tie it in to Mr. Peters had -- you had noted to Mr.

1 Peters that you had not received any response back to the  
2 WTS report of 2005 and I just wanted to relay our  
3 comments to you at this point.

4 MS. MARLA MURPHY: I find this a bit  
5 unusual and I'm sorry to interject, but the purpose at  
6 this point is to be cross-examining the Panel, so it's  
7 rather difficult to have Ms. Ruzycki giving evidence in  
8 this format at this point without availing herself or  
9 availing me the opportunity to cross-examine if that were  
10 the case, so I'm a bit concerned about where this might  
11 be going.

12

13 CONTINUED BY MS. NOLA RUZYCKI:

14 MS. NOLA RUZYCKI: Okay, perhaps I can  
15 just get some clarifications on numbers, then, and I can  
16 go down that road.

17 The -- for the 3.3 million and the six  
18 hundred and sixty-four thousand (664,000), I'm assuming  
19 those were yearly figures?

20 MR. HOWARD STEPHENS: Yes, they would  
21 have been.

22 MS. NOLA RUZYCKI: Okay. And I'm just  
23 wondering if Centra had done any calculations themselves  
24 on what those rates would actually work out to for the  
25 Options 1 to -- for customers of direct purchase?

1                   MR. HOWARD STEPHENS:    No, we had not done  
2 any calculations with respect to that.

3                   MS. NOLA RUZYCKI:    Maybe I can just give  
4 you a brief what -- what my numbers worked out to per  
5 customer for Option 1, with the ten (10) cent premium,  
6 was roughly -- and basically what I did here was I just  
7 took the number of customers and assumed an equal pro  
8 rata share; it was two hundred and seventy dollars (\$270)  
9 per customer, per year, for the service, for Option 1.  
10 And that included the eight dollars (\$8) per customer for  
11 the administration fee that possibly could be  
12 contemplated for the service.

13                   And the second one was roughly sixty  
14 dollars (\$60) which we found quite cost prohibitive in  
15 both cases.

16                   So -- so I would -- I would just comment  
17 that we did not provide comments but it was more based on  
18 our disappointment in the numbers and that was just a  
19 comment, so...

20                   MR. HOWARD STEPHENS:    Well, I'll take  
21 your numbers as -- as given. I have some concern with  
22 respect to whether or not you have a clear understanding,  
23 with respect to that, as to how the numbers were going to  
24 be applied.

25                   I don't know that those numbers are

1 necessarily reflective of what we will finally end up  
2 coming forward with, just based upon the fact they're  
3 going -- we may be going to RFP, we may be settling with  
4 Nexen, et cetera.

5                   And from that perspective I think you  
6 should -- I mean, it would have been very helpful for us  
7 to have gotten the feedback in terms of your reaction to  
8 it so -- so that we could have assessed -- I mean, put  
9 that into our overall bag of goodies in terms of the  
10 things that we're looking for in terms of changes to the  
11 contract -- disappointed or not.

12                   MS. NOLA RUZYCKI: Perhaps we can discuss  
13 in the future options going forward under the new --  
14 either renewed contract or new contract.

15                   And, sir, I just want to check here. I  
16 had a couple of questions that had already been asked and  
17 I just want to check and make sure that I have asked all  
18 the questions that I had of the Panel, so if you bear  
19 with me for a second?

20

21                   (BRIEF PAUSE)

22

23                   MS. NOLA RUZYCKI: Sorry, I did have one  
24 (1) other question; if you had an average gigajoule usage  
25 per -- per residential customer that Centra uses?

1 (BRIEF PAUSE)

2

3 MR. HOWARD STEPHENS: We use an annual  
4 consumption of 2,801 -- 2,801 cubic metres per year for  
5 the average residential customer.

6 MS. KELLY DERKSEN: I might just correct  
7 that; it's twenty-eight-o-two (2,802).

8 MR. HOWARD STEPHENS: That was my  
9 conundrum here. I was getting, you know tell -- indicate  
10 decimal points.

11 MS. NOLA RUZYCKI: Well, thank you for  
12 that precision number.

13 And with that, that concludes the  
14 questions I have for the Panel today. Thank you.

15 THE CHAIRPERSON: Thank you. Just before  
16 we have a short break and then Mr. Saxberg can bring  
17 forward his witness, is there any other questions of the  
18 Panel with respect to outstanding undertakings by any of  
19 the parties here?

20 Mr. Peters...?

21 MR. BOB PETERS: Mr. Chairman. Yes, I  
22 have just one (1) undertaking that I want to ask question  
23 on I think to Mr. Sanderson.

24

25 RE-CROSS-EXAMINATION BY MR. BOB PETERS:



1 PB/ CENTRA-42(b) has the same starting point as the  
2 undertaking to which you refer and ends at the same point  
3 in time. So, yes, the time periods are -- are the same.

4 MR. BOB PETERS: And if I understand  
5 what Ms. Stewart said this morning to some of the  
6 questions asked of her, that without the effects of  
7 hedging there would have been a 33 percent rate increase  
8 at one point in time.

9 MR. BRENT SANDERSON: To be clear, the 33  
10 percent that we've been discussing is an annual bill  
11 increase. The actual rate increase would have been  
12 closer to 50 percent.

13 MR. BOB PETERS: And that would have been  
14 for the months of approximately November '05/December '05  
15 which are identified by the high peaks in -- in the  
16 Exhibit 6?

17 MR. BRENT SANDERSON: It -- it would have  
18 been for the period November and December of 2005 and  
19 January of 2006.

20 MR. BOB PETERS: And does the blue --  
21 that is the -- the blue line is the additional line on  
22 this coloured exhibit, is that correct?

23 MR. BRENT SANDERSON: Yes, that's  
24 correct.

25 MR. BOB PETERS: And does that blue

1 line, for the months of November '05/December '05,  
2 reflect the impact of the Board's variation on the rate-  
3 setting methodology for November 1st of '05 and February  
4 1st of '05 -- '06?

5 MR. BRENT SANDERSON: No. The red line  
6 includes the effects of the Board decision to which you  
7 refer, the blue line depicts what would have occurred had  
8 we adhered to our normal rate-setting process without any  
9 intervention in the event that we did not maintain our  
10 hedging program.

11 We make no supposition about what  
12 intervention, if any, may have occurred if our hedging  
13 program had not been in place. And as I discussed  
14 before, it would be my position that the options to  
15 intervene would have been -- or the options available to  
16 all concerned to intervene and provide an additional  
17 level of rate-smoothing would have been much more limited  
18 in the event that we would have had not maintained our  
19 hedging program.

20 As I stated yesterday, in the absence of  
21 our hedging program, given where we actually did set  
22 rates on November 1st of 2005, by April 30th of 2006,  
23 putting ourselves back in time, in November 1 we would  
24 have been looking at \$180 million accumulation of  
25 unrecovered costs in our PGVA; that would have been the

1 most likely outcome at that point in time.

2 MR. BOB PETERS: So what we have is the  
3 red line showing the effects of hedging plus the Board  
4 changing the rate-setting methodology, and the blue line  
5 showing just no hedging but not including the Board's use  
6 of a variation of the rate-setting methodology.

7 MR. BRENT SANDERSON: The red line shows  
8 what our actual billed rates were to customers, and that  
9 includes the effect of the hedging program and all the  
10 other developed elements of our Rate Volatility  
11 Management Program, which we've covered in a fair amount  
12 of depth in this proceeding, as well as the one (1) time  
13 additional rate-smoothing introduced by the Board  
14 November 1st.

15 The blue line shows -- excludes the effect  
16 of the hedging program but still includes all the other  
17 elements of our rate volatility management measures and  
18 makes no suppositions about what type of intervention, if  
19 any, would have occurred had we not had our hedging  
20 program.

21 MS. KELLY DERKSEN: If I --

22 MR. BOB PETERS: Thank you.

23 MS. KELLY DERKSEN: -- if I might add,  
24 Mr. Peters. It might be just a small clarification, but  
25 I -- I don't want to perpetuate the situation.

1                   Centra indeed applied to the Public  
2 Utilities Board last -- for rates last November 1st,  
3 2005, that suggested a move away from the normal rate-  
4 setting mechanism to which the Board ultimately agreed  
5 with some modification. So I just wanted to make that  
6 clarification for the record.

7                   MR. BRENT SANDERSON:    And I'm not making  
8 any effort to attribute the credit for that intervention  
9 to one party or another. I leave it to -- I defer to Ms.  
10 Derksen and her characterization as what -- as to what  
11 led to that.

12                   MR. BOB PETERS:    Thank you. Mr.  
13 Sanderson, the black line that has the jagged peaks and  
14 valleys, that's the twelve (12) month forward price strip  
15 that you've used; correct?

16                   MR. BRENT SANDERSON:    Day by day through  
17 that period, yes.

18                   MR. BOB PETERS:    Just help me understand  
19 that clearly. In November of '05, when we see the spikes  
20 on Centra Exhibit 6, was that the twelve (12) month  
21 forward price a year before November of '05?

22                   MR. BRENT SANDERSON:    No, sir. That was  
23 the forward-looking price as of that date, looking out  
24 into the future, what would the future -- what is the  
25 price for a twelve (12) month average looking out twelve

1 (12) months into the future have shown on that day. That  
2 is what is indicated in his chart. It is not backward  
3 looking.

4 MR. BOB PETERS: All right. And if --  
5 what price would Mr. Stephens have paid for his gas on  
6 that November period? How do we figure that out on this  
7 chart?

8 MR. BRENT SANDERSON: We've discussed at  
9 some length during this proceeding that there's two (2)  
10 ways to look at our rates versus market prices. We've  
11 provided a chart -- and I don't have the exact reference  
12 -- where it's -- what we characterize is a backward-  
13 looking analysis looking at the monthly market or index  
14 price that Centra actually paid versus our rates. So  
15 that's another analysis, sort of the flip side of the  
16 coin relative to what we're looking at here.

17 What we would have paid on any one of  
18 these days for our gas -- it's important to keep in mind  
19 that we not only buy gas at the monthly market price, we  
20 buy approximately one third (1/3) of our supplies at the  
21 daily market price.

22 And I can tell you that periods during  
23 last fall we were paying prices approaching seventeen  
24 dollars (\$17) a gigajoule for our supplies on some of  
25 those days. So on any given day I would have to go back

1 and I would have to specifically look at that.

2 But prices on the day markets in which we  
3 buy as much as a third (1/3) of our supply or maybe more  
4 in a colder year, gyrated around much more significantly  
5 than what's shown in this chart for the twelve (12) month  
6 future's price.

7 MR. BOB PETERS: Wouldn't this chart be  
8 more accurately -- these blue and red lines compared to  
9 what the actual prices Centra would have paid on those  
10 days --

11 MR. BRENT SANDERSON: No, sir --

12 MR. BOB PETERS: -- as opposed to the  
13 forecast?

14 MR. BRENT SANDERSON: The intention of  
15 the analysis is to show what we would have been faced  
16 with or the basis on which we would have had to set  
17 customers' rates at those point in times in the absence  
18 of the hedging program because what we're paying on any  
19 given day or month has no bearing on what we -- on the  
20 basis on which we set rates.

21 Our rates are set on a prospective basis,  
22 so we look out at what the market is trading at into the  
23 future one (1) year out and that is the basis on which we  
24 set our rates.

25 So what we're showing here in the form of

1 the twelve (12) month futures price is the most relevant  
2 comparator looking at the rates versus what the twelve  
3 (12) months strip was showing.

4 But on any given day, that's not -- that  
5 may bear no relationship to what we may have been paying.  
6 We may have been paying a price on any of those days much  
7 higher or much less than that indicated in the twelve  
8 (12) month future strip, but our rates are forward  
9 looking.

10

11 (BRIEF PAUSE)

12

13 MR. BOB PETERS: Thank you for that, Mr.  
14 Sanderson. Mr. Chairman that completes my questions this  
15 panel. I thank them again.

16 THE CHAIRPERSON: Do either of you have  
17 any further questions?

18 MR. ERIC HOAKEN: No, I do not, Mr.  
19 Chairman, thank you.

20 MS. NOLA RUZYCKI: No, I do not.

21 THE CHAIRPERSON: Thank you. Ms. Murphy,  
22 do you have any re-direct of the panel?

23 MS. MARLA MURPHY: I don't know if you're  
24 planning on taking a break shortly, Mr. Chairman, but if  
25 I could have that opportunity just to discuss with my

1 Panel then we could come back and answer that question  
2 definitively.

3 THE CHAIRPERSON: Yes, that would be  
4 fine.

5 MS. MARLA MURPHY: Thank you.

6 THE CHAIRPERSON: So, I'm assuming that  
7 this is the day that we have the -- the early and lengthy  
8 lunch hour.

9 Mr. Saxberg, if -- if Mr. Pringle was  
10 introduced and began his testimony at, say, 11:00, would  
11 he be able to complete it by 11:30 or are we are going to  
12 assume that we're going to be into the afternoon?

13 MR. KRIS SAXBERG: I think if we started  
14 at --

15 THE CHAIRPERSON: Before we get into the  
16 examination.

17 MR. KRIS SAXBERG: If we started at -- in  
18 ten (10) minutes, we'd be able to finish by 11:30.

19 THE CHAIRPERSON: Okay, we'll be back in  
20 ten (10) minutes.

21

22 (CENTRA PANEL STANDS DOWN)

23

24 --- Upon recessing at 10:45 a.m.

25 --- Upon resuming at 10:58 a.m.

1 THE CHAIRPERSON: Okay everyone. I think  
2 we should -- Ms. Murphy, do you have any re-direct?

3 MS. MARLA MURPHY: You can probably tell  
4 by the commotion that we don't, so we're concluded.

5 THE CHAIRPERSON: Very good, thank you.

6 MS. MARLA MURPHY: Thank you.

7 THE CHAIRPERSON: Mr. Saxberg, perhaps  
8 you could begin now by introducing Mr. Pringle, who I  
9 hope brought a coat.

10 MR. KRIS SAXBERG: Thank you, Mr.  
11 Chairman. Perhaps I could begin with some housekeeping.  
12 There have been some documents circulated that we'll be  
13 referring to. The first being Mr. Pringle's resume and  
14 perhaps we could mark that as the next CAC exhibit.

15 THE CHAIRPERSON: Number 4.

16

17 --- EXHIBIT NO. CAC/MSOS-4: Resume of Ashmead Pringle.

18

19 MR. KRIS SAXBERG: The next document is -  
20 - flows from an Information Request of Centra and it  
21 would be the filed copy of Mr. Pringle's evidence from  
22 the 2000 Rate Management hearing and that's the one  
23 that's dated January 24th, 2000, has a cover letter from  
24 D'Arcy & Deacon January 24th, 2000. That should be the  
25 next exhibit, 5, I presume?

1 --- EXHIBIT NO. CAC/MSOS-5: Filed copy of Mr. Pringle's  
2 evidence from the 2000 Rate Management  
3 Hearing.

4  
5 MR. KRIS SAXBERG: And then moving  
6 forward chronologically, the document that indicates a  
7 date March 5th, 2001, written evidence of Ashmead  
8 Pringle, that should be the next exhibit, CAC-6.

9  
10 --- EXHIBIT NO. CAC/MSOS-6: Written evidence of Ashmead  
11 Pringle dated 6th March, 2001.

12  
13 MR. KRIS SAXBERG: Followed by the May  
14 29th, 2002 cover letter document which contains Mr.  
15 Pringle's evidence from May 23rd, 2002. That would be,  
16 then, CAC-7.

17  
18 --- EXHIBIT NO. CAC/MSOS-7: Evidence of Ashmead Pringle  
19 dated 29th May, 2002.

20  
21 MR. KRIS SAXBERG: And there's one (1)  
22 other matter. I have spoken to Ms. Murphy off the record  
23 about a portion of a transcript that I know I'll be  
24 referring to in closing argument and that I had put to  
25 the panel and I'd like to mark that as -- as CAC Exhibit

1 8, since I will be referring to it and --

2 THE CHAIRPERSON: I'm not sure if we have  
3 that one (1).

4 MR. KRIS SAXBERG: It's one that was --  
5 that I circulated --

6 THE CHAIRPERSON: Oh, I recall.

7 MR. KRIS SAXBERG: It's --

8 THE CHAIRPERSON: Thank you.

9 MR. KRIS SAXBERG: -- page 338 to page  
10 345 of the GRA Hearing from 2005.

11 THE CHAIRPERSON: Very good.

12 MR. KRIS SAXBERG: And that would be CAC-  
13 8.

14

15 --- EXHIBIT NO. CAC/MSOS-8: Pages 338 to 345 of the GRA  
16 Hearing from 2005.

17

18 (VOIR DIRE COMMENCED)

19

20 EXAMINATION-IN-CHIEF BY MR. KRIS SAXBERG:

21 MR. KRIS SAXBERG: Thank you, Mr.  
22 Chairman. I have the pleasure to introduce Ashmead  
23 Pringle to those of you that already haven't had the  
24 pleasure of receiving his evidence in a -- in a prior  
25 hearing.

1                   Mr. Pringle, you have prepared written  
2 evidence in this proceeding which we've marked as  
3 CAC/MSOS Exhibit number 2.

4                   Is that correct?

5                   MR. ASHMEAD PRINGLE:     That's right.  
6 That's right.

7                   MR. KRIS SAXBERG:     And you've also  
8 authored some information responses to requests posed by  
9 the Board counsel and Centra.

10                  Do you adopt that evidence as your own?

11                  MR. ASHMEAD PRINGLE:     I do.

12                  MR. BOB PETERS:     Mr. Chairman, just will  
13 interject here and I -- I apologize to Mr. Saxberg for  
14 perhaps putting him on the fast track, but we should take  
15 the formality of putting the witness under oath just so  
16 that --

17                  THE CHAIRPERSON:     Yes, we should, Mr.  
18 Peters.

19                  MR. BOB PETERS:     -- the evidence can be  
20 transcribed under oath, and I think Mr. Saxberg would  
21 agree --

22                  THE CHAIRPERSON:     Mr. Singh, would you  
23 mind?

24                  MR. KRIS SAXBERG:     I'm red-faced.    Sorry  
25 about that.

1                   ASHMEAD PRINGLE, Sworn

2

3                   THE CHAIRPERSON:    Thank you, Mr. Singh.

4

5                   CONTINUED BY MR. KRIS SAXBERG:

6                   MR. KRIS SAXBERG:    Mr. Pringle, you've  
7                   appeared before this Board on two (2) prior occasions.  
8                   Your first appearance was at the Rate Management Hearing  
9                   which occurred in 2000 and the evidence you presented at  
10                  that hearing has been attached to your evidence along  
11                  with evidence you presented at other hearings.

12                  Do you have any corrections to make with  
13                  respect to any of the evidence that's included in CAC  
14                  Exhibit number 2?

15                  MR. ASHMEAD PRINGLE:    Yes, I do.  I have  
16                  a couple.  Just sort of in order of occurrence, let's  
17                  see, on page -- on page 2 of the November 6th letter, I  
18                  think it's line 23 -- line 22, 23, I said:

19                                 "My understanding is that these storage  
20                                 volumes are not hedged in advance by  
21                                 Centra but are purchased ratably or  
22                                 costed into gas rates at market  
23                                 prices."

24                  And that was wrong.  My understand is  
25                  corrected.  I understand now that Centra hedges storage

1 volumes in advance of their purchase by their inclusion  
2 in eligible volumes, but that once those purchases are  
3 made there are no hedges carried against the price risk  
4 from that point forward.

5           So storage gas, once it becomes storage  
6 gas is -- is not hedged, as I understand it, but its --  
7 its placement into storage is hedged. And if that's not  
8 the case I -- I ask for more correction.

9           On page 8, line 9 -- or line 8, the  
10 sentence begins:

11                   "If the market falls less than that  
12                   amount then the collars will show up  
13                   best since they are burdened by a  
14                   premium cost."

15           There should be a "not" in there. It  
16 should read, Since they are not burdened by a premium  
17 cost. I'm talking here about the costless collars,  
18 cashless collars that Centra has done, which are not  
19 burdened by a premium cost.

20           I think that's all I had in -- in the  
21 current one (1).

22           Then on the March 2001, which is -- what  
23 number is that, Kris? March 5th, 2001. Okay. In --  
24 when I had added on a couple of these past offerings of  
25 mine I made a mistake and included a working draft for

1 this particular set of evidence which was slightly  
2 different from the one which was actually filed.

3           The main difference being a -- the  
4 addition of -- of a conclusion. And so that conclusion  
5 was added to it, on page 8. Then the -- then the major  
6 part of his con -- conclusion was in the context of risk  
7 management there was imprudency on the part of Centra;  
8 the reasons were -- occur a little earlier. In the final  
9 draft they occurred on page 5 whereas they'd been at the  
10 end before, which talked about lack of training, lack of  
11 modifying policy, and -- and so forth.

12           I think that's -- that's all the  
13 corrections I have, Mr. Saxberg.

14           MR. KRIS SAXBERG: Thank you, Mr.  
15 Pringle. And with those corrections then do you -- you  
16 adopt this evidence that's being presented as your own?

17           MR. ASHMEAD PRINGLE: I do.

18           MR. KRIS SAXBERG: We have marked your  
19 resume as Exhibit CAC-4. Could you please review your  
20 education and professional qualifications from your  
21 resume as they relate to your expertise in hedging?

22           MR. ASHMEAD PRINGLE: Well, hedging is  
23 sort of an acquired skill but -- but my education was a  
24 BS in mechanical engineering from Duke in 1967, and then  
25 a business degree -- an MBA from Harvard in 1969. I'm

1 sort of going down the list here.

2                   Professionally I'm a futures broker and a  
3 principal of a commodity training firm. And -- and in  
4 the US all that's regulated by the Commodity Futures  
5 Trading Commission or CFTC. It's sort of akin to the SEC  
6 (phonetic) that oversees securities.

7                   And under the CFTC and the NFA self-  
8 regulatory body then anyone involved in -- in the futures  
9 business has to be registered and vetted and pass certain  
10 tests, et cetera; Associated Person, one (1) of those  
11 commodity trading advisors, and other types of  
12 registration. We're also a commodity pool operator at  
13 this point.

14                   The work experience, I'll briefly say I  
15 started this company in 1984 after a few years in -- in  
16 hedging in the grain markets and our -- our business was  
17 primarily in grain hedging -- GSC stands for Grain  
18 Service Cooperation -- and hedging's a longstanding  
19 practice in agricultural markets as I'm sure folks in  
20 Central and Western Canada know.

21                   Energy markets came along in 1983 with a  
22 crude oil futures contract, natural gas coming in 1990,  
23 and so we began doing hedge work in energy, both training  
24 and consulting. And so we still do and some of the  
25 consulting experiences listed here -- we do a -- a good

1 many seminars on hedging in natural gas and now also on  
2 accounting for hedging.

3                   Some of you might be familiar with  
4 Financial Accounting Standard 133 which is a -- a fairly  
5 burdensome rule on US entities which provide some fairly  
6 stiff benchmarks for achieving hedge accounting, a  
7 deferral-based accounting, on derivatives, if you choose.  
8 So we -- we do a good many seminars on -- on that.

9                   The in-house training lists grew a little  
10 bit last year. We -- we did some seminars on hedging  
11 and on hedge accounting for Constellation in Baltimore,  
12 for Tesoro, for One Oak (phonetic), for the Tennessee  
13 Valley Authority. We'll be doing one next week in Los  
14 Angeles for Macquarie which has a natural gas marketing  
15 office in Los Angeles. They -- they purchased what was  
16 Cook Inlet Energy, which was a natural gas marketer on  
17 the west coast. And we did one in April for Nexen,  
18 really two (2) -- two (2) one (1) day seminars; one was  
19 on natural gas hedging and the other was on accounting  
20 for natural gas hedging, under the FAS-133 rules.

21                   MR. KRIS SAXBERG: With that I'd ask that  
22 the Board qualify Mr. Pringle as an expert to provide  
23 opinion evidence in this proceeding on the relevant  
24 topics.

25                   THE CHAIRPERSON: The Board has prior

1 knowledge of Mr. Pringle.

2 Does Centra or either one of the  
3 Intervenors have any questions of Mr. Pringle of  
4 objections to qualifying him as an expert?

5 MS. MARLA MURPHY: We have no objections.  
6 We'll certainly have questions for him after he  
7 testifies, but at this point, no.

8 MR. ERIC HOAKEN: Yeah, same for us, Mr.  
9 Chair. We have no questions and accept Mr. Pringle's  
10 expertise.

11 MS. NOLA RUZYCKI: It will be the same  
12 for us. Thank you.

13 THE CHAIRPERSON: Very good, sir.

14

15 (VOIR DIRE CONCLUDED)

16

17 EXAMINATION-IN-CHIEF BY MR. KRIS SAXBERG:

18 MR. KRIS SAXBERG: Thank you, Mr.  
19 Chairman. Mr. Pringle, then, with that, would you please  
20 present your evidence for the Board in the form of an  
21 overview.

22 THE CHAIRPERSON: BY the way, Mr.  
23 Pringle, just so that you're aware and you don't find  
24 this rude, we have a prior commitment that we're going to  
25 have to adjourn until 2:00 at 11:30.

1 MR. ASHMEAD PRINGLE: Right.

2 THE CHAIRPERSON: So it's pretty -- until  
3 1:30. So when 11:30 comes, we're going to shut down  
4 fairly quickly.

5 MR. ASHMEAD PRINGLE: I understand. So,  
6 if you cut me off in mid-sentence, that's fine. I do  
7 want to thank you, Mr. Chairman, for convening today's  
8 meeting indoors to accommodate me.

9 THE CHAIRPERSON: It's pretty warm for  
10 us, actually. We were thinking of it in the park, but...

11 MR. ASHMEAD PRINGLE: I know and I do --  
12 I did bring a coat. In fact, it's a coat I bought at the  
13 Bay in Calgary, so I know it's adequate.

14 I appreciate the chance to come back to  
15 Canada and to revisit some of these issues. I'm just  
16 going to run through some highlights here from my -- my  
17 letter form testimony of November 6th and -- in which I  
18 said it seems to me that there's some major fundamental  
19 questions here; one is -- is continued hedging by Centra  
20 necessary to provide gas consumers protection?

21 And I think along these -- these years  
22 that I've been involved, concern for the consumer has  
23 certainly been an overriding objective, I think, of the  
24 Board and rightfully so.

25 And second, if -- if hedging is necessary

1 who should do it and what form should it take?

2                   And I -- sort of a springboard for some of  
3 these things, took the -- the Board's white paper in  
4 which it had laid out a number of understandings to  
5 Centra and others and I picked a few, not all of them,  
6 about six (6) here, and talked about them.

7                   We talk about storage as one (1)  
8 mechanism. There's several mechanisms that mitigate  
9 volatility for the rate payers, storage is -- is  
10 certainly one. And as storage is -- is bought forward  
11 under the eligible volumes and primary gas hedging, once  
12 it's bought in price for that April/October period or  
13 May/October, then it's not hedged from that point  
14 forward, so it becomes a stable component of gas cost and  
15 -- and will dampen volatility to the extent that that gas  
16 is used in the winter. And I think it's still about 30  
17 percent of winter gas is going to come from storage  
18 sources.

19                   Also the equal monthly payment plan, which  
20 I've talked of before, is certainly a way to smooth bill  
21 volatility. It has no effect on rates, ultimately, but  
22 it does allow the consumer a way to smooth their cost.

23                   Subject to some true-ups -- granted those  
24 can be -- those can be sharp and I -- we -- I note here  
25 that almost half of the customers have elected that

1 program.

2 Another thing that smooths the rates, and  
3 anything that smooths rates, of course will have some  
4 effect on smoothing the bill, although it's not one for  
5 one because gas is less than 100 percent of the bill. I  
6 understand now it's about 65 percent of the bill is -- is  
7 primary gas.

8 The fact that Centra resets the price  
9 every quarter based on the -- on the forward price and  
10 then transmits accumulated differences through the PGVA  
11 is another fairly strong smoothing mechanism.

12 And, finally, I was made aware that the  
13 winter Heating Costs Control Act may come into play; that  
14 it's been enacted but not -- but not formally activated.

15 What's the word I need there, Kris? It  
16 hasn't been...?

17 MR. KRIS SAXBERG: Received Royal Assent.

18 MR. ASHMEAD PRINGLE: Okay, hasn't  
19 received the final go-ahead. But -- but there it is and  
20 it -- I think it looms over the landscape to -- certainly  
21 to some degree. And that, I've characterised as sort of a  
22 deus ex machinae; you know, it's something that can come  
23 down sort of out of the sky when need be and be a  
24 backstop for the ratepayer.

25 So it seems to me, with all those things

1 the ratepayer is -- is fairly well -- is fairly well  
2 protected.

3 I went on and talked about Centra's  
4 mechanistic approach and sort of the conflicts that are  
5 inherent between the mechanistic approach and -- and a  
6 judgment-driven market view-driven approach.

7 And in the past I have said that I think  
8 that the Utility, and utilities in general, that have no  
9 financial incentive to hedge, are -- are, you know,  
10 placed in something of an awkward position, and that they  
11 become or can become, subject to a second review, not  
12 just review on their purchase of physical gas but on --  
13 on their hedges.

14 In the interest of performance a  
15 mechanistic program, in my view, works better in that  
16 circumstance; more likely to be done when there are rules  
17 to be followed rather than in judgement. I've said it's  
18 not fair, in my opinion, for Centra to be tasked with  
19 outguessing the market.

20 And I figure that Centra's hedging is in  
21 loco parentis and certainly it is, and many of these  
22 things are. The Winter Heating Cost Control Act, there's  
23 certainly an in loco parentis or in loco consumer, if you  
24 will, kind of act, with the objective of providing  
25 protection for those who may not be able to -- to get it

1 themselves; that's a conflict with -- with exercising  
2 judgment. And then to me I think that it's difficult to  
3 expect the Utility to exercise judgment about natural gas  
4 prices. As a matter of fact, I think it's difficult to  
5 expect anybody really to -- to have a consistently  
6 accurate view of natural prices.

7           And Centra said they -- they really, you  
8 know, are reluctant in effect to exercise judgment. I've  
9 said in the past that they were unwilling hedgers; that's  
10 not to characterize any of the individuals involved with  
11 the program but just that there's no real incentive there  
12 for a utility to stick its neck out and -- and take  
13 views.

14           We looked at different mechanisms and  
15 Centra has certainly provided the same sorts of things.  
16 Essentially as a hedger you fix the price forward in some  
17 fashion; that's really the essential dilemma for the user  
18 hedger. For the producer hedger it's -- it's fixing a  
19 sale -- sale price forward.

20           And three (3) basic strategies; you know,  
21 set the forward price, just fix the price, and now it's  
22 done, at least on that gas. Another one is to set a cap  
23 on the price with some kind of call option. And the  
24 third is really a compromise, and that is some kind of a  
25 range product; a collar with a -- a cap and a floor. And

1 while Centra has some -- some discretion on paper, I  
2 think in fact it's -- it's been mechanical almost all the  
3 time.

4           I have expressed in this particular paper  
5 and in prior years the fact that as prices rise a fixed  
6 collar width becomes in effect a smaller and smaller  
7 percentage. And in the nature of options, and not just  
8 natural gas, when you do a costless collar the cap gap  
9 and the floor gap are not equal typically; that is, the  
10 price above the market of the cap and the price below the  
11 market of the put tend not to be equal. Occasionally  
12 they are, but most of the time they're not just because  
13 the market feels that there's more risk of higher prices  
14 than of lower ones in general; in markets prices can't go  
15 to zero.

16           But, in any case, that ratio, in almost  
17 all the markets that we've dealt in, runs around 60/70  
18 percent. So that is when you get done with a costless  
19 collar, whatever the cap gap is you're going to find that  
20 the floor gap that you've got to accept to make it  
21 costless is about 60 percent, give or take, of the cap  
22 gap.

23           So when you have a fifty (50) cent cap gap  
24 you're typically going to have about a thirty (30) cent  
25 floor gap, so you're going to have an eighty (80) cent

1 bandwidth on your collar; that's a fair amount of  
2 flexibility when gas is two fifty (2.50) per Gj, but when  
3 gas is twelve dollars (\$12) per Gj it isn't much.

4           So maintaining a fixed bandwidth at higher  
5 prices means that your collars become more and more like  
6 swaps; they become more and more like fixed-price deals.  
7 A very narrow collar, a zero width collar is in effect a  
8 swap. So I have said before and now that if those  
9 continue to be used, that those ranges should be  
10 percentage driven and not absolute price driven.

11           Noted that -- that the program to-date,  
12 you know, has had generally a flat outcome net/net, cost  
13 of gas to consumer 6 or 7 million, less than about a  
14 third of a percent of gas cost over that time and with  
15 time value of money, might even have been a wash.

16           Centra had looked at what if they had used  
17 caps fifty (50) cents out of the money and they had the  
18 premiums for those because it was part of their collar  
19 trade, as well as -- as swaps and looked at those  
20 outcomes.

21           And I agree with their findings there that  
22 in a rising market fixed-price would have been best but  
23 who -- who knew? Collars provided some offset; the caps  
24 did not in that particular case do enough to offset their  
25 premium cost.

1 I didn't try to derive a strategy that  
2 would have worked optimally during that period because  
3 you can always do that, but there's no guarantee that's  
4 the one that would -- that would work going forward.

5 Looking back at that research of 1998, I  
6 had assumed that that fifty (50) cent upper band had come  
7 from the target of volatility and the annual bill  
8 increase of sixty dollars (\$60). And at that time based  
9 on usage then and prices then that worked out to about  
10 fifty (50) cents per GJ.

11 I think the testimony -- perhaps it was  
12 yesterday that it was Mr. Stephens I think said, Well, it  
13 didn't come directly from that but it was -- it was more  
14 of a -- a broad-brush attempt to -- to set some disaster  
15 insurance or some protection against a good bit higher  
16 market. And in today's context fifty (50) cents  
17 certainly doesn't do that.

18 So I've -- I've suggested then that  
19 collars, if they are -- are maintained and, again, -- and  
20 my conclusion here, of course, is that the consumer is  
21 fairly well protected by this host of mechanisms now  
22 including the Winter Heating Control Act and -- and even  
23 so, in my view, there are better ways for the consumer to  
24 -- to get price protection than sort of an in loco  
25 parentis program which is -- is not too visible to the

1 consumer.

2                   But if that were to continue and collars  
3 were to continue to be a choice, and certainly they're a  
4 -- they're a good one, then I'd expand them and move away  
5 from the fixed -- eighty (80) -- roughly eighty (80) cent  
6 per GJ band.

7                   Should hedging continue? I'll come to  
8 that in just a minute.

9                   While on -- on paper Centra has  
10 discretion, it has -- has rarely exercised it and, in  
11 fact, I think has pledged, in essence, not to. Special  
12 circumstances or -- or a case where they may be able to  
13 do things differently and I -- I agree with some of their  
14 characterizations, that special circumstances or  
15 unforeseen events that affect gas transportation, perhaps  
16 the -- the volumes that you've projected you will need  
17 change but not market views.

18                   I would remove market views from being a -  
19 - a special circumstance but -- and I've reviewed here at  
20 the bottom some -- some of the various LDC approaches  
21 that -- that have been taken at different places. One,  
22 of course, is that the LDC exits the merchant function  
23 and others fill the -- the gap. Brokers, for example,  
24 would compete for the commodity business and the LDC  
25 would remain a supplier -- a transporter but not a

1 supplier -- a supplier of last resort. In some cases  
2 they might be allowed to compete.

3 But in that case, the -- the ratepayer is  
4 given individual choice of price protection or not. I've  
5 also recommended in the past that -- that they have their  
6 volatility seatbelt fastened for them by having the EPP  
7 Program made a default rather than an option.

8 So what I -- I say is this, is in the past  
9 Centra's hedging has -- has been effective to the -- to a  
10 degree in -- in reducing some rate and -- and bill  
11 volatility. On a net/net basis going forward it -- it  
12 seems a -- awash.

13 The -- the effect of having very tight  
14 collars over the past three (3) or four (4) or five (5)  
15 years has resulted in -- in bigger swings in that plus  
16 and minus line. I would agree with the -- the notion  
17 that -- that over time, you know, a -- a mechanical  
18 hedging program is simply going to smooth prices, it's  
19 not going to achieve higher or lower ones. There will be  
20 times when it achieves lower prices; there'll be times  
21 when it achieves higher prices. And I don't think it's  
22 reasonable to task the Utility with trying to decide when  
23 to hedge and when not to hedge, because that's really the  
24 same as when to speculate and when not to speculate.

25 If one grants that index gas is market

1 price gas and that there's no burden on the Utility to  
2 try to beat that - because index gas is a competitively  
3 arrived at number - and the same case the price over  
4 here in the financial markets is just as independently  
5 arrived at and just as -- as competitive. So trying to -  
6 - to nudge the Utility to beat that I think is unfair.

7                   And I don't think that they -- they can.  
8 So, I think you've got to stick with a mechanical program  
9 -- I'm going to get more into that with some of the other  
10 years. All right. So, so far, I think it's been about a  
11 push, saved some money, made some money, it's about awash  
12 going forward with the mechanisms in place, having  
13 weathered pretty much the big price storm. I don't think  
14 we necessarily need hedging to do more hedging if we  
15 assume that the -- the Heating Cost Control Act does come  
16 into play.

17                   If it doesn't come into play, then I think  
18 there could be some additional hedging, again, from a --  
19 from a -- you know, to protect against disasters, if you  
20 will, higher price markets, by using collars with wider  
21 band width.

22                   But I do think these things -- that these  
23 protections can be provided to the ratepayer more  
24 effectively, more transparently, more efficiently by  
25 allowing the ratepayers to -- to be presented with, in a

1 sense, individual choice, whether it be from brokers or  
2 from brokers and Centra or both. And that's really what  
3 I -- I concluded this part with.

4           What -- in this past year though -- and I  
5 would say too, as it was in my -- probably the last one I  
6 think I sent that -- I think I was fairly complementary  
7 of the program, that it was -- that is was being adhered  
8 to pretty religiously, that is, there was a -- a plan to  
9 do a certain amount of hedging and it was done.

10           Those amounts of hedging changed somewhat.  
11 For a while it was a 50 percent minimum that would be  
12 hedged going forward, and then there was 90 percent, and  
13 then there was 100 percent last year with the injection  
14 of some discretion.

15           And I think here's -- here's what troubles  
16 me about the discretion issue. It's sort of a Pandora's  
17 box, you know. How do you open that box? And can you  
18 open it without opening it all the way?

19           The advantage of the mechanical program is  
20 it's likely to get done. Yeah, sometimes it's going to  
21 be good; sometimes it's going to be back. But if we  
22 accept the premise that we really can't outperform the  
23 market, we can simply shift it a bit, then that's a  
24 reasonable approach.

25           As soon as we say, Well, think about it,

1 Maybe you should take some views. Now we're back in a  
2 whole different ball game, one that I think is unfair to  
3 ask the utility to do. And -- and while last year the  
4 Board's sense, intuition or apprehension about the  
5 markets was right, you know, I'm just not sure that  
6 anybody can be right about natural gas very consistently.

7                   So I think when we open that door and say,  
8 Okay, begin to take market views, we have moved away from  
9 what was the core of the program and the core of the  
10 program was a rules-based mechanical approach.

11                   So I've been a bit troubled by that. And  
12 I would echo Mr. Simard's prior testimony, I think, or  
13 other offerings in which he said, Well, you just got to  
14 stick to it, that's the nature of a mechanistic approach.  
15 It can be half judgmental, half mechanistic. It's just  
16 got to be all one way.

17                   So I would -- I would say that I think  
18 that the -- and I think that the Utility has done that,  
19 basically been wanting to stick with that mechanistic  
20 approach.

21                   I see I don't have a whole lot of time  
22 left before we break, so I don't think I'm going to --  
23 well, maybe I'll begin a little bit.

24                   I can probably do --

25                   THE CHAIRPERSON: I think what we'll do

1 now is we'll break now.

2 MR. ASHMEAD PRINGLE: Oh.

3 THE CHAIRPERSON: Because we've got kind  
4 of a hard limit ourselves in this.

5 MR. ASHMEAD PRINGLE: All right.

6 THE CHAIRPERSON: So we'll come back at  
7 1:30 and then you'll have all the time in the world.

8 MR. ASHMEAD PRINGLE: All right.

9 THE CHAIRPERSON: Thank you.

10 MR. KRIS SAXBERG: Thank you.

11

12 --- Upon recessing at 11:30 a.m.

13 --- Upon resuming at 1:37 p.m.

14

15 THE CHAIRPERSON: Welcome back, everyone.  
16 I'm glad Mr. Pringle hasn't fled down south.

17 Okay, Mr. Saxberg.

18

19 CONTINUED BY MR. KRIS SAXBERG:

20 MR. KRIS SAXBERG: Thank you, Mr.

21 Chairman. Mr. Pringle, did you want to continue

22 presenting your evidence.

23 MR. ASHMEAD PRINGLE: Yes, thank you. I  
24 think I'd like to just reiterate the conclusions I had on  
25 page 12 of this year's stuff. I was about to move

1 towards some prior years.

2           And what my conclusions here are that with  
3 the -- with the existing mechanisms, storage, the EPP,  
4 the rate setting mechanism, possibility of the Control  
5 Act coming into play and even of the Board as it did once  
6 last year, restraining rate increases or deferring a rate  
7 increase for a while, the consumers are -- are pretty  
8 well protected.

9           If -- if we assume, though, that we can't  
10 rely on the Control Act, necessarily, or the Board to  
11 step in, then if we continue on the current path of -- of  
12 Centra hedging in loco parentis, then I think it should  
13 use collars of a wider bandwidth.

14           One of the points I was trying to make  
15 before lunch but probably didn't make very well was that  
16 as the prices have moved up and -- and the same collar  
17 bandwidth has been retained and the hedges have become  
18 more and more like fixed price hedges, they have, of  
19 course, acted more like fixed price hedges.

20           They have, as Centra folks said, that  
21 fixed priced hedge is -- gets rid of all the volatility  
22 in that gas. And so this comes close to that. But it  
23 gets close to it at the expense of a potentially larger  
24 adjustment later on when we get to that period and we  
25 compare gas costs and the settlements of that product.

1                   So if we had a wider bandwidth looking  
2 back, what would the difference have been? Well, I think  
3 simply it would have been that there would have been  
4 smaller gains in those years there were gains.

5                   There would be smaller losses in the years  
6 that were losses and there would be a little -- it would  
7 be more volatility in the short run, if you will, and  
8 less in the potential adjustments along the way, in some  
9 of the year over year comparisons.

10                  Ultimately, which -- I'd say there's no  
11 way to get around the price of the gas. It's just --  
12 it's trading one (1) volatility for another. But I think  
13 the broader bandwidth would have had a -- that effect of  
14 diminishing the size of the potential year over year  
15 adjustments and -- and giving a little more leeway to  
16 rate changes within quarters and within years.

17                  So having said that, as I've said before I  
18 think that Centra hedging in loco parentis is not the  
19 best way, in my view, for the ratepayer to have  
20 protection. But if that's the path chosen, then I would  
21 stick with the collars with those wider bandwidths.

22                  I recommend here that -- that Centra not  
23 have to hedge in loco parentis and then the other  
24 possibility is either they can offer potential offerings  
25 or not. If they did, they would hedge those; if they

1 didn't, others would offer them and hedge the resulting  
2 price risk.

3                   Okay. I think that's all I'm going --  
4 wanted to say about the -- the recent stuff. I'd like to  
5 go back and just briefly go through a little bit --  
6 probably more for my own benefit of these other three (3)  
7 documents that -- that you have, I think. That's the  
8 ones that Mr. Saxberg marked earlier as CAC Exhibit 5, 6,  
9 and 7.

10                   Although I want to make -- I -- I want to  
11 take them in the earliest first. So is Number 5 the --  
12 the 2000 or was that Number 7? Is Number 5 the 2000 --  
13 February 2000 -- okay?

14                   That's the one I wanted to take on first  
15 just to sort of have that -- that time line. And -- and  
16 back at this particular time the -- the proposal was  
17 there be a -- a smoothing mechanism where rates would be  
18 adjusted quarterly based on the forward curve, but that  
19 only -- but half of that higher or lower rate would go  
20 through the bill; the other half would be collected in a  
21 -- in a PGVA.

22                   There was storage gas as well and there  
23 was still the -- the levelized billing. And I chatted a  
24 bit about changes in the gas markets at that particular  
25 time and I looked at bill volatility over that period of

1 time -- not so high.

2 I reviewed the budget plan a little bit  
3 but here's the main point I want to make. In that  
4 scenario the derivative use planned by -- by Centra was  
5 not mechanistic and it was not large scale. It was  
6 proposed to be -- when appropriate to be an add-on or  
7 perhaps disaster insurance to -- to complement the other  
8 mechanism -- the new smoothing mechanism which is sort of  
9 a flywheel effect in -- in my mind, storage in the budget  
10 plan.

11 And -- and so we -- we looked at some  
12 additional -- the additional use of derivatives but I  
13 said it should be reviewed for appropriateness of  
14 strategy or cost. Because Centra has no price risk its  
15 use of derivatives is solely paternal.

16 And here -- here's an item that came up in  
17 an IR on page 18 line 9:

18 "Since gas prices are historically  
19 volatile, many gas customers can ill  
20 afford higher prices. It's prudent to  
21 seek additional protection for the  
22 consumer."

23 I was asked about that and I -- I would  
24 say -- I would say it a little bit differently. I would  
25 say it is -- it is prudent for the consumer to seek

1 additional protection. And it talked here about options  
2 and the fact that in terms of derivatives to this point I  
3 wasn't encouraged by the apparent prior experience in  
4 dealing by Centra with derivatives and -- and basically  
5 asked for some more specificity on hedging strategies.

6 I like the idea of hedging more than just  
7 warm winter volumes because in my mind risk is -- risk is  
8 what you don't know. Risk -- offsetting uncertainty by  
9 about cash loads is -- is hedging and our best guess of -  
10 - of future gas needs is really an average winter, not --  
11 not a warm winter.

12 So I argued for the allowance of hedging  
13 up to expected volumes and even in some cases on -- on  
14 cold winters if the right instruments are used.

15 But in any case, at this point Centra's  
16 hedging was going to be supposedly regular and -- and  
17 fairly limited. It will buy collars perhaps quarterly;  
18 leave them in place, a limited activity which doesn't  
19 justify setting up an in-house derivatives operation.

20 And -- and this was formulaic hedging so  
21 at the conclusion of that I -- I recommended that the  
22 smoothing mechanism be approved, that here again I've  
23 been beating this horse for a while, budget plan should  
24 be the default for the small general service customers  
25 and in this particular case that -- that Centra should

1 flesh out how it planned to use derivatives which this  
2 point were really meant to be another layer, sort of a  
3 final layer of protection for the consumer on top of  
4 storage, budget plan, and -- and the rate smoothing  
5 mechanism with the 50 percent flywheeling. So that's  
6 really what happened in that particular year.

7                   And as I move on to the evidence as filed  
8 in March of 2001, and you have that version I think, I'd  
9 really come away from that hearing with the notion that  
10 the ratepayers would gain some protection, with the --  
11 Centra doing some hedging for that sort of fail safe or  
12 disaster insurance stuff. And it did not turn out to be  
13 the case.

14                   So the evidence of 2001 is a good bit of  
15 chapter and verse about, as we went through the --  
16 through the gas year and prices changed, that -- that  
17 things were not done, hedging mechanisms or -- or the  
18 hedging policy was not better defined. I think that a  
19 cap at one point was considered and rejected because of a  
20 high absolute cost or high perceived absolute cost,  
21 rejected by the Executive Committee I think because of a  
22 cost of, if memory serves, \$500,000.

23                   And my point was if the cost of caps and  
24 other hedges too I think need to be considered in terms  
25 of its per-unit cost, not its absolute cost. The five

1 hundred thousand (500,000) in the scheme of things was  
2 not a large number. Hindsight, of course, twenty/twenty  
3 (20/20), that -- that cap would have been a -- a good  
4 deal or it would have turned out well.

5           So I -- I went through a number of -- of  
6 minutes that were provided, looking for some ideas of --  
7 of what decisions were being made or why -- why the  
8 hedging was not taking place. And without wading through  
9 all of that, I just want to point you to one (1)  
10 paragraph.

11           Some hedging was deferred, I -- I remember  
12 as I see this now, because the TransCanada contract had  
13 not been finalized, but I think enough was known about it  
14 so that it could have been. It was going to be likely  
15 tied to Empress or AECO or a mix, and certainly some  
16 hedging could have been done.

17           Page 5, line 21, the summary of Centra's  
18 risk management activities, and this is really where I'm  
19 listing the reasons why I had concluded that they just  
20 were remiss in their hedge duties.

21           The minutes here or summary don't disclose  
22 all the details. And I would say that -- that's been a  
23 general theme and observation, is that -- that the  
24 minutes do not shed much light even today on what -- what  
25 discussions or the thought process that goes into the Gas

1 Supply Committee meetings or the Executives Committee  
2 meetings. They are fairly non-informative.

3 But the training and derivative use that  
4 had been planned didn't take place. The plan to modify  
5 the derivative policy was put off repeatedly. The  
6 Committee did not apparently meet every month, even when  
7 prices were fairly volatile. Fourth, it didn't appear to  
8 have any in-house ability to analyse options to look at  
9 different strategies.

10 Fifth, as the market continued to rise it  
11 changed the rules really, it appeared to me, on how they  
12 measured the bill volatility. Sixth, they decided the  
13 derivatives weren't useful and that the smoothing  
14 mechanism that was enacted the year before would be the  
15 key protection. And finally that the consumer, if he  
16 wanted protection, could just deal with a broker.

17 So those were the reasons why I felt like  
18 things did not happen as -- as they should have. And you  
19 have those conclusions there.

20 Then let's move on to the May 2002, in  
21 which I, again, I summarize some of this prior business,  
22 talk about lowest cost gas being essentially index gas.  
23 And that includes an assumption, an implicit assumption  
24 that the -- the price of gas as -- as disclosed, observed  
25 at AECO and other market hubs, is a competitive,

1 transparent, liquid price and therefore it is the market.

2 I revisited the issue of the monthly bill  
3 volatility. The 50 percent deferral mechanism was  
4 changed in Order 91/'01 so that it was not a 50 percent  
5 deferral anymore, it was a 100 percent, so that there  
6 would now be only two (2) traditional smoothing  
7 mechanisms left, storage gas and levelized billing, and  
8 so protection would have to come from increased reliance  
9 on derivatives and that their current policy reflected an  
10 approach.

11 It was a compromise between a mechanical  
12 rule to base program and a discretionary and I thought  
13 that was understandable given Centra's lack of incentive  
14 to hedge.

15 Again, I said given the history of  
16 Centra's use of derivatives, this refers back to perhaps  
17 the '98/'99 incident, speculative use and then non-use of  
18 the prior year when things -- no derivatives were  
19 basically placed and the lack of hedges, I was not  
20 confident the consumer can rely on Centra in that  
21 particular case.

22 And -- and what I said here, page 38:

23 "The hedge policy was vague in general,  
24 took a long time to get. Meetings were  
25 not apparently frequent or regular.

1                   The minutes of the meetings of the Gas  
2                   Supply Committee and Executive  
3                   Committee were minimal. Derivatives  
4                   training was limited. Reliance on  
5                   Centra staff experience was misplaced."

6                   Talked about a position report showing  
7 possible price outcomes of different kinds of hedging.

8                   And therefore I concluded this particular  
9 evidence or testimony on page 39, starting page 39, line  
10 50:

11                   "My choice would be number 2 in which  
12 Centra would offer pricing alternatives  
13 to its individual customers as  
14 competing brokers do, hedging the  
15 resulting price risk for its own  
16 account.

17                   Would not hedge in loco parentis; no  
18 hedging review would be needed.

19                   Customers who do not -- do not elect a  
20 pricing choice would pay the actual  
21 cost. Index would continue to be  
22 accepted as the lowest cost of gas.

23                   Market signals would come from Centra  
24 and others and the consumer would  
25 better know his exposure."

1 I don't think in this particular one I  
2 said, unless I missed it, make the -- make the extended  
3 payment program a default but it certainly could be.

4 And this last one, you had -- had this  
5 one, too, the '03 or no? Is this one that's --

6 MR. KRIS SAXBERG: It's part of the --  
7 that's part of the CSE Exhibit Number 2 --

8 MR. ASHMEAD PRINGLE: Oh, number 2, okay,  
9 the one of June 2003. I'll do that very briefly.

10 And -- and here I said, well, gee, it --  
11 it's -- I was wrong, it's worked out -- it's worked out  
12 pretty well lately.

13 Centra has hedged on a regular basis and  
14 the current hedges are -- are good as well.

15 So down here at the bottom of page 42:

16 "It's movement toward a mechanical  
17 hedging process and away from a  
18 discretionary one is a natural response  
19 to having no financial incentive.

20 The advantage of mechanical programs  
21 are more likely to result in action  
22 being taken.

23 Their disadvantage is they're  
24 inherently less adaptive to changing  
25 market conditions."

1                   So again mentioned the cap situation with  
2 the -- the caps, the bandwidth, rather the collar  
3 situation, the bandwidth being quite narrow.

4                   I suggested as well, on page 44,  
5                   "Looking at hedges with their effect on  
6 volatility, that is not just putting  
7 all of them together, [but I say]  
8 lumping together caps, collars and  
9 hedges is too simplistic; large  
10 difference in the possible outcomes."

11                  Line 18:

12                  "A mechanical approach makes sense but  
13 such an approach carries the risk of  
14 marking -- marching off a cliff."

15                  And I recommended here that Centra:

16                  "Retain a mechanical approach but its  
17 set of hedging rules be vetted and at  
18 least quarterly thereafter by an  
19 outside party to retain a mechanical  
20 approach but one that could evolve or  
21 change with conditions."

22                  And I concluded here with another  
23 indication that Centra could be allowed to hedge directly  
24 and offer price protection.

25                  But the main -- main thing in this



1 implement a market view is a difficult thing no matter  
2 who does it and I think it's -- I think it's unrealistic  
3 and perhaps unfair to ask Centra to do it.

4

5

(BRIEF PAUSE)

6

7 MR. ASHMEAD PRINGLE: The market -- if we  
8 do grant that the market is the market, then hedging is  
9 only going to shift the timing of -- of the impact; it's  
10 not going to create net gains or losses. And if Centra  
11 or others could predict the marketplace with even a sixty  
12 forty (60:40) degree of accuracy they would certainly be  
13 employed on Wall Street or in New York at NYMEX or  
14 wherever.

15

16

Okay. I think I'm concluded with that  
summary.

17

18

MR. KRIS SAXBERG: Thank you, Mr.  
Pringle.

19

20

THE CHAIRPERSON: Thank you, Mr. Pringle,  
Mr Saxberg.

21

22

So we'll begin now with the cross-  
examination and first up is Direct, Mr. Hoaken.

23

24

CROSS-EXAMINATION BY MR. ERIC HOAKEN:

25

MR. ERIC HOAKEN: Yes, thank you, Mr.

1 Chair. Good afternoon, Mr. Pringle. We met earlier, I'm  
2 Eric Hoaken and I act for Direct Energy.

3 I'm -- I'm going to make exclusive  
4 reference to CAC Exhibit 2 which is your most recent  
5 report which then has appended to it and numbered  
6 sequentially some of the previous reports that you've  
7 made reference to.

8 MR. ASHMEAD PRINGLE: All right.

9 MR. ERIC HOAKEN: Now, if I could start  
10 by asking you to look, Mr. Pringle, at page 2 of your  
11 current report, as I'm going to refer to it, the November  
12 6, 2006, report, there's the heading that says, Hedging  
13 Is But One (1) of Several Mechanisms.

14 MR. ASHMEAD PRINGLE: Right.

15 MR. ERIC HOAKEN: Right. And then as  
16 part of that discussion you go on to discuss this new  
17 piece of legislation that you'd made reference to in your  
18 evidence in-chief, the Winter Heating Control Act,  
19 correct?

20 MR. ASHMEAD PRINGLE: Right.

21 MR. ERIC HOAKEN: And my first question  
22 is whether you would agree with me that the title of that  
23 legislation is to some extent a misnomer in the sense  
24 that the legislation doesn't control the costs in the  
25 sense of bringing them lower, it simply defers the impact

1 of higher costs.

2 MR. ASHMEAD PRINGLE: Yes, as I  
3 understand it the -- any lack of recovery because of rate  
4 freeze would be recovered later.

5 MR. ERIC HOAKEN: Right. And any -- any  
6 difference in an actual increase in the market and the  
7 amount that the Utility is permitted by the legislation  
8 to pass on to the consumer goes, as you understand it,  
9 into a deferral account?

10 MR. ASHMEAD PRINGLE: Right.

11 MR. ERIC HOAKEN: And that deferral  
12 account is not some -- is not some hole where the costs  
13 disappear; the costs have to be recovered later, right?

14 MR. ASHMEAD PRINGLE: Right.

15 MR. ERIC HOAKEN: And they have to be  
16 recovered later through rates that are charged to the  
17 ratepayers.

18 MR. ASHMEAD PRINGLE: Right.

19 MR. ERIC HOAKEN: And I'm going to  
20 suggest to you that in a rising market and particularly  
21 in a rapidly rising market, you might never catch up, you  
22 might keep rolling over deferral to deferral to deferral;  
23 correct?

24 MR. ASHMEAD PRINGLE: It's possible.

25 MR. ERIC HOAKEN: And you've said in your

1 report, at page 4, that this legislation or, more  
2 correctly, the impact of this legislation is that it  
3 could cause a price distortion; correct?

4 MR. ASHMEAD PRINGLE: Right.

5 MR. ERIC HOAKEN: And on page 4, at line  
6 14 you make reference -- and I think this is intended to  
7 be an example, but there's -- there's reference to the  
8 government allowing a maximum increase of 20 percent;  
9 right?

10 MR. ASHMEAD PRINGLE: Right.

11 MR. ERIC HOAKEN: And so, again, even if  
12 that were the effect of governmental intervention, it  
13 would still mean that any amount in excess of 20 percent  
14 that the prices had actually risen would have to be put  
15 into a deferral account and -- and would have to be  
16 recovered some time later; correct?

17 MR. ASHMEAD PRINGLE: Right.

18 MR. ERIC HOAKEN: Now, in the same way  
19 that this intervention by legislation would cause a price  
20 distortion, I take it you'll agree with me that hedging  
21 causes a price distortion; correct?

22 MR. ASHMEAD PRINGLE: Yes. Versus market  
23 price, correct.

24 MR. ERIC HOAKEN: And the -- the  
25 distortion is that it interrupts or distorts the price

1 signals that go to the consumers as a result of what  
2 they're being asked to pay for their current consumption  
3 of natural gas; correct?

4 MR. ASHMEAD PRINGLE: It can, yes.

5 MR. ERIC HOAKEN: And I take it you would  
6 agree with me that price signals are an important  
7 function of an efficiently and effectively functioning  
8 market.

9 MR. ASHMEAD PRINGLE: Yes. I think in  
10 one (1) of the IR's I said, you know, an economist would  
11 certainly say, Yes that's right, prices in a free market  
12 should be transparent.

13 MR. ERIC HOAKEN: And one (1) of the  
14 basic functions of the price signal is to serve as a  
15 rationing device to equate the quantities of the product  
16 available from suppliers with the quantities that are  
17 available to buyers; correct?

18 MR. ASHMEAD PRINGLE: Yes.

19 MR. ERIC HOAKEN: And one (1) risk -- it  
20 follows from that, I'll put it to you, that one (1) risk  
21 associated with the situation in which non-market base  
22 prices are charged is that if the prices are set so that  
23 the two (2) quantities do not meet up, there will either  
24 be a shortage if the price is too low or a surplus if the  
25 price is too high; correct?

1 MR. ASHMEAD PRINGLE: Yes.

2 MR. ERIC HOAKEN: And in an efficiently  
3 functioning market a price increase will immediately --  
4 what's the right word -- it will convey to consumers the  
5 important information that they need to know in order to  
6 make consumption decisions; correct?

7 MR. ASHMEAD PRINGLE: It will, but -- and  
8 I think the reason though that -- that often markets are  
9 interfered with to some degree is because if -- if demand  
10 is -- is quite an elastic in the short run, maybe the  
11 consumer has no real opportunity to respond in the short  
12 run.

13 And so -- and, again, in sort of a loco  
14 parentis way, it's seen as wise policy to shield the  
15 consumer in the short run from that. Really, a -- I  
16 think a policy decision and, you know, the landscape is -  
17 - has got plenty of examples in the US --

18 MR. ERIC HOAKEN: Right.

19 MR. ASHMEAD PRINGLE: -- for sure.

20 MR. ERIC HOAKEN: Right. Just going, if  
21 I may then, to page 5 of your report, you say that  
22 Centra's objective in hedging as you understand it is not  
23 to reduce costs; correct?

24 MR. ASHMEAD PRINGLE: Yes. Not to reduce  
25 costs below market.

1                   MR. ERIC HOAKEN:    Right.  Exactly.  And  
2  as I read this and as I heard your evidence earlier  
3  today, Mr. Pringle, you agree that that should not be the  
4  objective.

5                   MR. ASHMEAD PRINGLE:    Right.

6                   MR. ERIC HOAKEN:    And I took you to say  
7  that even if it was the objective, so if we were to  
8  assume that that was an objective of Centra's hedging  
9  program, there would be no reason to think that they  
10 would be able to accomplish it over the long run;  
11 correct?

12                  MR. ASHMEAD PRINGLE:    That's correct.  
13 And I -- I rely there on -- really on Mr. Simard's  
14 evaluation of the expertise and experience within the  
15 Company that I think he did in 2003 and unless -- unless  
16 his conclusions are changed or other things have changed,  
17 I would say yes, that's still true.

18                  MR. ERIC HOAKEN:    And as I heard you this  
19 morning, you described the hedging results over the last  
20 five (5) years or so as being a wash in the sense that  
21 there have been no real material either increase or  
22 decrease in the gas costs that consumers are being asked  
23 to pay as a result of the hedging program?

24                  MR. ASHMEAD PRINGLE:    I think that's  
25 correct.  Over the, I think those five (5) or six (6)

1 years presented there was a net -- including some still  
2 open transactions to be fair, I think the net result was  
3 a small addition to gas costs of about \$7 million across  
4 that whole period.

5 So, I think I said, well, since the gains  
6 came first and the losses second, maybe the time value of  
7 money made that pretty close to -- to zero, yes.

8 MR. ERIC HOAKEN: Right. And just as far  
9 as your understanding of the current year's -- current  
10 year's position is concerned, we've heard evidence from  
11 Ms. Stewart that as far as the closed positions are  
12 concerned, the losses, if I can characterise it that way,  
13 are in the order of forty three point (43) -- excuse me,  
14 \$42.3 million.

15 Is that your understanding?

16 MR. ASHMEAD PRINGLE: Yes.

17 MR. ERIC HOAKEN: And you've seen the  
18 projection in the materials for the additional positions  
19 that are not yet closed that was in the order of a --  
20 total, including the amount I just told you, in the order  
21 of about \$77 million?

22 MR. ASHMEAD PRINGLE: Seventy-seven (77)  
23 on top of the forty (40)?

24 MR. ERIC HOAKEN: No, no, sorry.

25 MR. ASHMEAD PRINGLE: Oh total --

1 MR. ERIC HOAKEN: Including the forty  
2 (40) --

3 MR. ASHMEAD PRINGLE: -- of seventy-seven  
4 (77)?

5 MR. ERIC HOAKEN: Yes.

6 MR. ASHMEAD PRINGLE: Yeah, I think  
7 another thirty (30) odd and that may have changed a bit.

8 MR. ERIC HOAKEN: All right.

9 MR. ASHMEAD PRINGLE: Lately.

10 MR. ERIC HOAKEN: And just in terms of  
11 your experience in the marketplace and looking in the  
12 activities of utilities, is it common in your experience  
13 for a utility to incur in one (1) year losses of that  
14 magnitude viewed in terms of the total gas purchase  
15 which, in this case, the primary gas purchase I think for  
16 Centra is in the order of \$400 million annually?

17 MR. ASHMEAD PRINGLE: Well, I don't  
18 really have a comprehensive view into other LDC's and  
19 what their hedge gains or losses are; that's certainly a  
20 sizeable percentage, some of it's a moving target --

21 MR. ERIC HOAKEN: Yes.

22 MR. ASHMEAD PRINGLE: -- and could  
23 change. I think it -- it's a -- it's a result, I think,  
24 of not widening the bandwidth of the collars, if I get  
25 back to that -- because as the prices advance, sticking

1 with the -- with the initial bandwidth of eighty (80)  
2 cents resulted in the hedges being almost the same as  
3 fixed price gas over the last several years and fixed  
4 price gas is going to give you the most volatility  
5 reduction in the short run but it's going to come at the  
6 expense of potentially large year over year adjustments  
7 when everything settles out.

8 MR. ERIC HOAKEN: So I hear you saying  
9 you're not in a position to peg this experience in this  
10 year and to compare it to the experience of other LDC's?

11 MR. ASHMEAD PRINGLE: No. But again, I  
12 think it's really a market function. I mean, it's a  
13 certain percentage of the purchase is true, over the --  
14 over the span of the period the fact that it's pretty  
15 much a wash lends some credence to the thought that over  
16 time hedging isn't going to produce net gains or losses  
17 but is simply going to smooth the outcome.

18 MR. ERIC HOAKEN: Right, but if the  
19 hedging losses, assuming that the year ended in a fashion  
20 that is similar to the current projection in the order of  
21 \$77 million of --

22 MR. ASHMEAD PRINGLE: Hmm hmm.

23 MR. ERIC HOAKEN: -- losses, I'm asking  
24 to you to assume that for the purposes of this question--

25 MR. ASHMEAD PRINGLE: Right.

1                   MR. ERIC HOAKEN:    -- that would  
2 represent, by my very rough calculation, hedging losses  
3 of approximately 20 percent of the amount of the overall  
4 primary gas purchase.

5                   Is that -- I think that's roughly correct.

6                   MR. ASHMEAD PRINGLE:    Yeah, I would agree  
7 with that percentage. I think it just happened that way  
8 because nowadays the hedging percentage is up to a 100  
9 most of the time.

10                   It was 50 a while back and -- and using  
11 what, in essence, is almost a fixed price hedge, has  
12 created both bigger gains and bigger losses.

13                   You know, if -- if the collar bandwidth  
14 had been adjusted or, just say that simple thing, it  
15 might have been that -- that year -- that over this five  
16 (5) year period perhaps the gains would have been 50  
17 million and perhaps the losses would be 50 million and  
18 they might have fallen in not quite so dramatic a  
19 fashion.

20                   MR. ERIC HOAKEN:    Right, but you made  
21 reference a moment ago to a comment you made in your  
22 February 2000 report, which is page 44 of CAC Exhibit 2  
23 and it's at line 19 and it's this comment about marching  
24 off the cliff.

25                   MR. ASHMEAD PRINGLE:    Okay.

1                   MR. ERIC HOAKEN:    And does the experience  
2 of the Utility this year experiencing hedging losses in  
3 an order of magnitude, you know, roughly 20 percent  
4 assuming that the experience ends up the same place as  
5 the projection, is that the cliff that you were talking  
6 about?

7                   MR. ASHMEAD PRINGLE:    Yes, that's --  
8 that's what can happen.  Any -- any consistent forward,  
9 you know, purchase programs could have that risk.  And  
10 the risk is increased, the -- the greater the percentage  
11 hedge, the more it's done with fixed price instruments.

12                  MR. ERIC HOAKEN:    Now, could I ask you to  
13 turn back to page 33 of that same exhibit, Mr. Pringle?

14                  MR. ASHMEAD PRINGLE:    All right.

15                  MR. ERIC HOAKEN:    And on this page  
16 starting I think at about line 5 I took you to be saying  
17 here -- and this was the report -- skip the date on it --  
18 this was the one you did in May of 2002 and I took you to  
19 be saying here that because of conditions in the  
20 wholesale natural gas market, long-term supply contracts  
21 were no longer necessary; is that -- first of all is that  
22 an accurate summary of what you were saying in this  
23 portion?

24                  MR. ASHMEAD PRINGLE:    Yes, to ensure  
25 supply security was the goal.

1                   MR. ERIC HOAKEN:    Right.  And is that  
2 still an accurate assessment of the market?  Does that  
3 assessment you made in this report apply to the current  
4 state of the market?

5                   MR. ASHMEAD PRINGLE:    Yes.

6                   MR. ERIC HOAKEN:    And I take it from that  
7 then that Centra could contract for a period -- sorry --  
8 it could contract for its primary gas requirements for a  
9 period of time shorter than four (4) years?

10                  MR. ASHMEAD PRINGLE:    Yes.

11                  MR. ERIC HOAKEN:    And -- and you're aware  
12 that four (4) years is the term of its current primary  
13 gas contract?

14                  MR. ASHMEAD PRINGLE:    Well, I'll take  
15 your word for it.  But I -- I think what I'm saying here  
16 really is that longtime fixed price contracts are really  
17 no longer necessary.

18                  A -- a contract at -- at market price when  
19 it happens may be a commitment that is very useful to  
20 both sides simply because it ensures a supply security,  
21 it ensures the seller there's a market for the gas, so  
22 forth and so on but it isn't necessary to -- to contract  
23 that gas at a -- at a price.

24                  MR. ERIC HOAKEN:    I -- I understand and I  
25 -- I misunderstood that.  So what you're saying is an

1 indexed price or a contract that has an indexed price can  
2 really be of any duration?

3 MR. ASHMEAD PRINGLE: Right.

4 MR. ERIC HOAKEN: Going now back to your  
5 current report if I could ask you to look at page 11, Mr.  
6 Pringle, on page 11 you -- you start -- under the heading  
7 of "Conclusions" you start by itemizing what you describe  
8 as categories of regulation of LDC's, correct?

9 MR. ASHMEAD PRINGLE: Right.

10 MR. ERIC HOAKEN: And I'm -- I'm going to  
11 suggest to you that there could be a fifth category or  
12 model and that would be where the LDC would simply use  
13 the forward monthly price or forward monthly pricing for  
14 its offer.

15 MR. ASHMEAD PRINGLE: In -- in one (1) --  
16 okay, in 1 through 4, what we're saying -- you're saying  
17 is the LDC would strictly be -- it would be in the  
18 merchant function or not?

19 MR. ERIC HOAKEN: Would be in the  
20 merchant function?

21 MR. ASHMEAD PRINGLE: Would be in the  
22 merchant function but it's offering would simply be  
23 market price gas.

24 MR. ERIC HOAKEN: The forward monthly  
25 price?

1 MR. ASHMEAD PRINGLE: Yeah, that's true.

2 MR. ERIC HOAKEN: All right. And that  
3 would be a fifth option that we could --

4 MR. ASHMEAD PRINGLE: Right.

5 MR. ERIC HOAKEN: -- add to this list?

6 MR. ASHMEAD PRINGLE: Right.

7 MR. ERIC HOAKEN: And you're aware that  
8 there's a number of jurisdictions in which that is  
9 happening?

10 MR. ASHMEAD PRINGLE: I'll take your word  
11 for that.

12 MR. ERIC HOAKEN: Well, I'm -- yeah, I'm  
13 certainly not going to ask you to do that. If you're not  
14 aware, that's -- that's fine.

15 And if -- oh, sorry, I'll come at it a  
16 slightly different way. I take it you'd agree with me  
17 that there's one (1) way of consumers managing rate  
18 volatility that is not referenced in your report and that  
19 is the contracting with brokers for their gas supply,  
20 correct?

21 MR. ASHMEAD PRINGLE: Well, I think it's  
22 -- I think it's mentioned here. In -- in Item 1 and Item  
23 2 -- Number 1 and Number 2 there are marketers -- or  
24 there are others who compete for the commodity gas  
25 business, and I think implicit in that is they could

1 offer choice.

2 MR. ERIC HOAKEN: That's fair. But even  
3 if we assume that the utility in this market is not  
4 itself going to offer that choice, that choice is already  
5 there for consumers. Consumers who cannot tolerate the  
6 rate volatility currently, under the current regime, have  
7 an option to contract out and that is to contract with a  
8 broker; correct?

9 MR. ASHMEAD PRINGLE: Yes.

10 MR. ERIC HOAKEN: And as you said a  
11 moment ago, it is prudence -- prudent for consumers to  
12 seek additional protection from volatility and one (1) of  
13 the ways that they're currently able to do that in the  
14 province of Manitoba is to contract with marketers.

15 MR. ASHMEAD PRINGLE: Correct.

16 MR. ERIC HOAKEN: And in some of the  
17 materials that we've looked already, some of the market  
18 research that Centra did, the exercise of hedging was  
19 described as or analogized to an insurance policy.

20 Is that something you've seen in any of  
21 the materials?

22 MR. ASHMEAD PRINGLE: Yes. Hmm hmm.

23 MR. ERIC HOAKEN: All right. And it was  
24 characterized as an insurance policy that would protect  
25 consumers from extreme volatility, upswings, largely, in

1 the price of the gas that they're paying for.

2 Is that something that you've seen in the  
3 materials?

4 MR. ASHMEAD PRINGLE: Yes

5 MR. ERIC HOAKEN: And --

6 MR. ASHMEAD PRINGLE: I think the intent  
7 was to protect from upswings. We assume that consumers  
8 don't mind downswings.

9 MR. ERIC HOAKEN: Yeah, that's exactly  
10 right. But I take it you'd agree with me that if hedging  
11 is an insurance policy, that a fixed-term contract with a  
12 broker that fixes the price is also an insurance policy  
13 in that sense.

14 MR. ASHMEAD PRINGLE: Yes. I would say  
15 it's also a hedge. It's another way for the consumer to  
16 establish a -- a certain or more certain cost of gas.

17 MR. ERIC HOAKEN: Right. And it's a  
18 hedge that the consumer himself or herself decides to  
19 pursue rather than having it pursued on his or her behalf  
20 by the Utility.

21 MR. ASHMEAD PRINGLE: Correct.

22 MR. ERIC HOAKEN: And it's also a more  
23 effective insurance policy in the sense that we've seen  
24 the evidence that hedging can achieve some reduction in  
25 volatility but doesn't eliminate it, but a fixed contract

1 does eliminate it in the sense that the rate is fixed or  
2 certain for the consumer; correct?

3 MR. ASHMEAD PRINGLE: Yes, that's true.  
4 The other difference might be that a consumer might elect  
5 that insurance one (1) year and not another, whereas  
6 under the current program it -- it is in essence placed  
7 every year.

8 MR. ERIC HOAKEN: So the consumer gets to  
9 take the market view in a way that the Utility couldn't  
10 or shouldn't.

11 MR. ASHMEAD PRINGLE: Correct.

12 MR. ERIC HOAKEN: And you're, I take it,  
13 also aware that in this province a consumer who contracts  
14 with a broker can also enrol in the equal payment plan.

15 MR. ASHMEAD PRINGLE: I was uncertain  
16 about that but I'm -- I'm hoping it's true.

17 MR. ERIC HOAKEN: I think it is true, I  
18 think that's what we've heard in the evidence thus far.

19 And I take it you would agree with me that  
20 a consumer who has contracted with a broker and has  
21 signed up for the equal payment plan has in some senses  
22 the best insurance policy that is available because he or  
23 she is protected both from rate volatility and bill  
24 volatility.

25 MR. ASHMEAD PRINGLE: Yes. And an ideal

1 situation would be if -- if the fixed price pertains not  
2 to just a fixed quantity of gas but to all the gas the  
3 consumer might require, then the consumer would certainly  
4 be totally protected from rate volatility and would be  
5 subject only to weather factors as to bill volatility.

6 MR. ERIC HOAKEN: Right. And so in -- in  
7 view of the protection that is available under that  
8 insurance policy that can be purchased from a broker, I  
9 would suggest to you that we could add to your list of  
10 possible options the possibility that the LDC would  
11 continue with all of its non-hedging rate management  
12 measures -- or, excuse me, volatility management measures  
13 and for consumers with no tolerance for rate volatility  
14 to simply contract with brokers.

15 MR. ASHMEAD PRINGLE: Yes.

16 MR. ERIC HOAKEN: And that has certainly  
17 been the approach in a number of jurisdictions of which  
18 you're aware, I take it?

19 MR. ASHMEAD PRINGLE: Well, not first  
20 hand, but I -- I will take your word for that.

21 MR. ERIC HOAKEN: All right. Have you  
22 heard about the Ohio experience for example?

23 MR. ASHMEAD PRINGLE: Not in specific,  
24 no.

25 MR. ERIC HOAKEN: All right. And you've

1 made reference in your report to the experience of  
2 Maryland and I take it from your curriculum vitae that  
3 you're referring to the Baltimore Gas and Electric  
4 Company, is that right?

5 MR. ASHMEAD PRINGLE: Right.

6 MR. ERIC HOAKEN: And that is the LDC in  
7 that jurisdiction?

8 MR. ASHMEAD PRINGLE: Correct.

9 MR. ERIC HOAKEN: And I take it that  
10 you've done work with or for that organization?

11 MR. ASHMEAD PRINGLE: I did do some  
12 projects for them looking at how they would hedge their  
13 fixed price offerings if they did it.

14 MR. ERIC HOAKEN: All right. And as I  
15 read your report, Mr. Pringle, it's your understanding  
16 that that utility or LDC is competing directly with  
17 brokers, is that right?

18 MR. ASHMEAD PRINGLE: At -- at the time,  
19 this was three (3), 4, five (5) years ago, at the time it  
20 was my understanding that they were allowed to compete --

21 MR. ERIC HOAKEN: And so --

22 MR. ASHMEAD PRINGLE: -- with brokers.

23 MR. ERIC HOAKEN: All right. So you  
24 couldn't speak to what the current situation is in  
25 Maryland?

1 MR. ASHMEAD PRINGLE: No.

2 MR. ERIC HOAKEN: Thank you. The trend  
3 in utility regulation in the last, say, ten (10) or  
4 twenty (20) years I take it you'd agree with me has been  
5 one of unbundling and the opening of competitive markets,  
6 is that fair?

7 MR. ASHMEAD PRINGLE: Yes.

8 MR. ERIC HOAKEN: And you're aware that  
9 since 1992 there has been competition in the Manitoba  
10 market for natural gas?

11 MR. ASHMEAD PRINGLE: Well, I -- again I  
12 will take you word for that.

13 MR. ERIC HOAKEN: And I take it you're  
14 aware that some regulators in North America have been  
15 careful to implement measures to ensure that market  
16 entrants -- and I'm referring really to brokers -- do not  
17 have unfair competition from or with the LDC's; is that  
18 something you're aware of?

19 MR. ASHMEAD PRINGLE: Not firsthand but  
20 it -- it certainly is plausible and reasonable.

21 MR. ERIC HOAKEN: Right. Well, in a --  
22 in a general sense are you aware that there's been a  
23 recognition by regulatory bodies in North America that  
24 brokers will be at a disadvantage if they have to compete  
25 directly with the LDC?

1 MR. ASHMEAD PRINGLE: Yes.

2 MR. ERIC HOAKEN: And your category 2 on  
3 page 11, if that was permitted, what you're proposing  
4 there, I take it you'll agree with me that that would  
5 have a negative competitive impact on the retail market,  
6 correct?

7 MR. ASHMEAD PRINGLE: Well, it -- it  
8 depends on how it's implemented. I -- I think that --  
9 that brokers will certainly argue that -- that a -- that  
10 the LDC itself, if it's allowed to compete directly,  
11 enjoys some advantages, the inertia, the name brand,  
12 being perhaps the term, 'the supply of last resort'  
13 anyway that make it difficult for the -- for a broker to  
14 -- to try to acquire market share.

15 MR. ERIC HOAKEN: And -- and just to stop  
16 you there, in your opinion is there some validity to  
17 those arguments?

18 MR. ASHMEAD PRINGLE: Yes. In the -- in  
19 the case of Georgia, the LDC was -- was required to exit  
20 the merchant business but it was allowed to have an  
21 unregulated affiliate which is active and does a lot of  
22 business and -- and that -- that can provide some -- some  
23 advantage too if it's not implemented, you know,  
24 evenhandedly.

25 MR. ERIC HOAKEN: And are you aware, at

1 least in a general sense, that a number of regulators in  
2 North America have declined to permit LDC's to fulfill  
3 the role that you've referenced in Item 2 of your report?

4 MR. ASHMEAD PRINGLE: All right.

5 MR. ERIC HOAKEN: I'm just asking if  
6 you're aware of that.

7 MR. ASHMEAD PRINGLE: No, I -- I'm not  
8 aware of it specifically. It's -- it's not a -- it's not  
9 information that we -- we collect.

10 MR. ERIC HOAKEN: All right. Thank you.  
11 Those are my questions.

12 THE CHAIRPERSON: Thank you, sir. Well,  
13 Ms. Ruzycski's had to leave.

14 Ms. Murphy, Centra...?  
15

16 CROSS-EXAMINATION BY MS. MARLA MURPHY:

17 MS. MARLA MURPHY: Good afternoon.

18 MR. ASHMEAD PRINGLE: Good afternoon.

19 MS. MARLA MURPHY: Mr. Pringle, I wanted  
20 to take you to one of the first premises in your evidence  
21 which I think you took from the Board August 11th letter,  
22 and that is that hedging's one of several mechanisms in  
23 place by which primary gas rate volatility and costs are  
24 managed.

25 MR. ASHMEAD PRINGLE: Okay.

1 MS. MARLA MURPHY: You will recall that  
2 you -- well, you've obviously referred to it already  
3 today -- that you gave evidence on behalf of CAC/MSOS  
4 almost six (6) years ago, at which time you indicated  
5 that the rate setting methodology and the budget plan  
6 were means by which rate volatility could be mitigated.

7 Do you recall that?

8 MR. ASHMEAD PRINGLE: Yes.

9 MS. MARLA MURPHY: And you provided as a  
10 -- a copy today as Exhibit 5 your evidence in that  
11 proceeding from February 16th of 2000?

12 MR. ASHMEAD PRINGLE: I have it.

13 MS. MARLA MURPHY: On page 6 of that  
14 evidence -- I'm referring to the one that was marked as  
15 an exhibit now.

16 MR. ASHMEAD PRINGLE: All right. I have  
17 it.

18 MS. MARLA MURPHY: Lines 7 through 13 you  
19 answered:

20 "The self-imposed question, is  
21 protection necessary?"

22 Do you see that?

23 MR. ASHMEAD PRINGLE: I do.

24 MS. MARLA MURPHY: And you concluded  
25 there that:

1 "Since gas price are historically  
2 volatile and since many gas customers  
3 can ill-afford sharply higher prices,  
4 it is prudent to seek additional  
5 protection for the consumer."

6 Correct?

7 MR. ASHMEAD PRINGLE: Yes.

8 MS. MARLA MURPHY: And based on your  
9 comments, earlier I think, you now would somewhat modify  
10 that and say that it was prudent for the consumer to seek  
11 additional protection.

12 Do I have that right?

13 MR. ASHMEAD PRINGLE: Yes. It would be -  
14 - it would be good for the consumer to have ways to  
15 protect himself or herself.

16 MS. MARLA MURPHY: So since 2000 there's  
17 been a shift in your thinking that that's now the  
18 consumer responsibility, is that fair?

19 MR. ASHMEAD PRINGLE: Well, at this -- at  
20 this particular point, you know, the study was done back  
21 here to -- with the intent of trying to figure out how  
22 much volatility could the consumer withstand.

23 So, you know, this sort of became -- this  
24 was sort of approached from the point of view of the  
25 utility hedging in -- in loco parentis. Yeah, so I -- I

1 basically did not, you know, say, No don't hedge in loco  
2 parentis that year, that's true.

3 MS. MARLA MURPHY: Right. And in fact at  
4 that time you recommended that Centra hedge more volume  
5 than what they -- they were hedging.

6 MR. ASHMEAD PRINGLE: I said that they --  
7 that in my view eligible volumes could include more than  
8 just warmest winter gas. I didn't say they -- they  
9 should do it but I said they should be able to consider  
10 it, because getting back to the definition of risk being  
11 uncertain cash flows that your best guess -- hedging  
12 against your best guess is going to be, you know, your  
13 best -- your best hedge.

14 Hedging against the warmest winter is  
15 going to leave you with a piece of risk that you still  
16 keep.

17

18 (BRIEF PAUSE)

19

20 MR. ASHMEAD PRINGLE: The point -- the  
21 warmest gas is gas that you're pretty certain you're  
22 going to need. Then there's some other gas, from warmest  
23 up to average, that you, you know, you -- you very well  
24 might need but you may hedge it in a form that's less --  
25 less onerous if you don't need it, but it still could be

1 hedged.

2 MS. MARLA MURPHY: And that's why you  
3 said at lines 16 through 18 of page 7 that this argues  
4 against using collars for gas needed in the cold scenario  
5 certainly permits them in covering warm and makes them  
6 reasonable up to the average scenarios?

7 MR. ASHMEAD PRINGLE: Yes, that's right.  
8 I'm saying it -- in my view it would be okay to use  
9 collars, certainly for warm -- warm years volumes. It  
10 would be okay -- no it -- for up to average, makes them  
11 reasonable, although they might expand the bandwidth  
12 because you have -- you have an increased chance that  
13 perhaps you don't need the gas; that's only going to cost  
14 you if the put strike is violated on the floor. But in  
15 the cold winter scenario, where there's maybe only a 5 or  
16 10 percent change you'll need it, I would say, no don't  
17 do collars, stick only with caps.

18 Caps are always the first choice for the  
19 user hedger if you can tolerate the cost. It's -- it  
20 gets rid of upside volatility after a point and you keep  
21 all the downside volatility, which is good, and the  
22 collar becomes attractive as a compromise because caps  
23 are just too expensive in natural gas because of high  
24 volatility and also because you're looking out nine (9)  
25 to twelve (12) months.

1 (BRIEF PAUSE)

2

3 MS. MARLA MURPHY: Would you agree with  
4 the evidence that Centra's put on the record that  
5 notwithstanding the premium and -- and the affordability  
6 issues that you've raised, that the long-term cost of any  
7 strategy, caps or collars, the expected outcome will be  
8 zero?

9 MR. ASHMEAD PRINGLE: Well, let me think  
10 about that.

11 MS. MARLA MURPHY: I should qualify that  
12 by saying absent the embedded dealer margin, but other  
13 than that it would be zero?

14 MR. ASHMEAD PRINGLE: Oh, dealer margins  
15 are good. No -- well, an originally applied fixed price  
16 program, yes, I -- I think you're going to find that it -  
17 - it's going to work out pretty close to zero.

18 Collars because, you know, you have this  
19 unequal bandwidth in costless collars where you have  
20 typically, you know, fifty (50) cents on the upside and  
21 thirty (30) cents on the downside may not necessarily  
22 work out to zero.

23 And in terms of buying options I'm not so  
24 sure. I think if you're buying options you -- you  
25 ultimately end up paying some net premium just as you do

1 when you buy some insurance that there will be a net cost  
2 just in the purchase of options over time.

3 MS. MARLA MURPHY: That would be the --  
4 the dealer premium --

5 MR. ASHMEAD PRINGLE: Purchasing -- no,  
6 well, it's the premium, it's not the dealer margin. It's  
7 -- it's simply the risk premium.

8 MS. MARLA MURPHY: Back in 2001 you  
9 testified before the Public Utilities Board at the Cost  
10 of Gas Hearing of March 16th in 2001, and at that time  
11 you talked about the same thing about whether or not caps  
12 or collars were appropriate.

13 And the evidence that I have, and I'll  
14 provide you the transcript if you need it, at page 515,  
15 is that to reach any distance at all, three (3) months or  
16 six (6) months you've got to use collars; there's --  
17 there's just -- there's no other affordable alternative  
18 if you're trying to reach a distance in a highly volatile  
19 market.

20 Do you still agree with that?

21 MR. ASHMEAD PRINGLE: Yes.

22 MS. MARLA MURPHY: Your evidence in this  
23 proceeding raises the suggestion that Centra ought to  
24 forego hedging, is that right?

25 MR. ASHMEAD PRINGLE: Yes.

1 MS. MARLA MURPHY: And --

2 MR. ASHMEAD PRINGLE: Well, let me -- let  
3 me amplify that; that ideally it -- it would not hedge in  
4 -- in mass for the ratepayer but would be hedging for --  
5 for those that -- that took certain programs that it  
6 might offer and if it didn't offer them or wasn't taken  
7 then they would not do any hedging, no. If they -- if  
8 they continued to be in loco parentis then, yes, they  
9 will continue hedging.

10 MS. MARLA MURPHY: I think one (1) of the  
11 reasons that you made your recommendation or your  
12 suggestion was that you thought that with the Winter  
13 Heating Cost Control Act consumers were well-shielded  
14 from gas rate and gas bill volatility, is that fair?

15 MR. ASHMEAD PRINGLE: That's fair, yes.

16 MS. MARLA MURPHY: And you conclude that  
17 with only storage the equal payment plan and the rate-  
18 setting methodology there is still some chance that a  
19 sharp price rise would result in a unacceptable rise in  
20 consumers' gas bills. I have that at lines 12 to 14 of  
21 your evidence.

22 Do I have it right?

23 MR. ASHMEAD PRINGLE: Yes.

24 MS. MARLA MURPHY: And that in your view  
25 a legislative maximum increase would have to be enacted

1 in order to eliminate the need for additional measures  
2 including hedging, correct?

3 MR. ASHMEAD PRINGLE: Could be or -- or  
4 if the Board could choose to -- to defer rates -- rate  
5 increases as it has in the past at times.

6 MS. MARLA MURPHY: But --

7 MR. ASHMEAD PRINGLE: Those things are  
8 not necessarily going to happen for sure.

9 MS. MARLA MURPHY: Right. Absent Board  
10 intervention or legislative intervention we still need to  
11 take on some additional measures?

12 MR. ASHMEAD PRINGLE: Yes, as long as you  
13 are charged with hedging in loco parentis.

14 MS. MARLA MURPHY: And I think from the -  
15 - the evidence before us you're aware that there's  
16 portions of the Winter Heating Cost Control Act relating  
17 to limiting increases in customers' natural gas bills  
18 during the winter months is specific to the 2006 and 2007  
19 year, correct?

20 MR. ASHMEAD PRINGLE: Yes.

21 MS. MARLA MURPHY: And for -- there's no  
22 direction in that Act beyond the years 2006/'07?

23 MR. ASHMEAD PRINGLE: Not to my  
24 knowledge, no.

25 MS. MARLA MURPHY: And I think you're

1 probably also aware that sections of the Act which  
2 addressed those limitations have not yet been proclaimed?

3 MR. ASHMEAD PRINGLE: That's right.

4 MS. MARLA MURPHY: And I think you agreed  
5 with Mr. Hoaken a few minutes ago that measures such as  
6 the Winter Heating Cost Control Act, and I think you  
7 could probably put the Board intervention into the same  
8 pool, don't provide any price protection to ratepayers  
9 against price spikes but actually only defer the ultimate  
10 payment of the costs?

11 MR. ASHMEAD PRINGLE: That's right.

12 MS. MARLA MURPHY: And would you agree  
13 with me that measures such as that, such as the Winter  
14 Heating Cost Control Act could actually contribute to  
15 rate volatility?

16 MR. ASHMEAD PRINGLE: Well, no, don't  
17 think that it would. I mean, it -- if it dampens rates  
18 at one (1) period -- if it represses them in one (1)  
19 period it's certainly going to raise them at another, but  
20 the net affect I think would be something of a smoothing;  
21 that's certainly its intent.

22 MS. MARLA MURPHY: That would depend on  
23 how the costs were recovered?

24 MR. ASHMEAD PRINGLE: Yes, but I -- I  
25 believe they'd be recovered gradually, and even that's

1 not clear to me from the Act at how quickly they -- they  
2 would be recovered.

3                   It may be a function of how much needs to  
4 be recovered; that's why I was -- I'm uncertain as to how  
5 much dampening or price distortion or what you might want  
6 to call it could occur. It would depend on the severity  
7 of a spike and it's length as to how much was deferred.

8                   MS. MARLA MURPHY:    And in a rising market  
9 when you recovering any other balance you are in fact  
10 increasing the volatility, correct?

11                   MR. ASHMEAD PRINGLE:    That's -- well  
12 you're it -- yes, I -- I would guess.  Although, you  
13 know, if you're recovering it in the summer perhaps the  
14 affect is not so great.

15                   MS. MARLA MURPHY:    You made the  
16 suggestion that perhaps the band of Centra's collar  
17 should be widened.

18                   Would you agree with me that for some  
19 consumers adding additional volatility in a circumstance  
20 where you already have perhaps higher prices or absolute  
21 cost of gas rising will in fact increase their  
22 volatility; that they may not actually have tolerance for  
23 that?

24                   MR. ASHMEAD PRINGLE:    Well, you know, the  
25 question of how much tolerance the consumer has is

1 certainly an important and -- and I don't know the exact  
2 answer.

3                   Going back to the study of five (5) or six  
4 (6) years ago it -- it was said that, oh, sixty dollars  
5 (\$60) a year is -- is going to be tolerable and it would  
6 take a certain amount of -- at that time, a certain  
7 amount of -- of an increase to bridge -- to breach that.  
8 Maybe about twenty (20) -- twenty (20) but it happened to  
9 be about fifty (50) cents per Gj, that may have been a  
10 coincidence.

11                   It's only my personal sense that the  
12 consumers thinks the volatility is a percentage thing and  
13 not as an absolute price issue, and that a collar  
14 bandwidth of eighty (80) cents a Gj if prices are at --  
15 at twelve dollars (\$12) may be only what, 5 or 6 percent  
16 or so, and is essentially a fixed-price deal, that the  
17 ratepayer could -- would probably tolerate something  
18 larger. I -- I was hypothesizing perhaps 15 percent in  
19 some of the -- later on in this particular evidence.

20                   MS. MARLA MURPHY: You'd agree with me  
21 though that if the price of gas is twelve dollars (\$12)  
22 it's quite possible that consumers may not be able to  
23 tolerate a larger percentage increase.

24                   MR. ASHMEAD PRINGLE: Well, yes, that --  
25 that's possible, and again, you know, sort of get into

1 some policy issues. But again, it's sort of a year over  
2 year issue. You know, obviously bills are an awful lot  
3 higher than they were four (4) or five (5) years ago.

4           It -- it's just a tradeoff. If -- if  
5 we're going to fixed-price hedging and that -- that's  
6 really my point about of the collars bandwidth being the  
7 same is that the higher prices go, the more we're going  
8 to end up with essentially fixed-price hedges.

9           They will get rid of more volatility than  
10 say a wider collar that protects for -- for that period,  
11 but that's at the expense of some greater volatility  
12 perhaps later on; that is the greater volatility of  
13 accumulated gains or accumulated losses that are to be  
14 recovered.

15           So the consumer's going to get hit with it  
16 one way or the other.

17           MS. MARLA MURPHY: And it's probably  
18 appropriate then for us to obtain the customers views  
19 through market research before we make any kind of move  
20 or change in that direction, would you agree?

21           MR. ASHMEAD PRINGLE: Well, it certainly  
22 sounds reasonable. I think that, you know, consumers --  
23 we know that consumers like lower prices and they like  
24 stable prices and -- and those sorts of things and I  
25 think you can -- you can do those studies and -- and use

1 that as an input, but I -- I don't know personally  
2 whether they're going to -- whether they'll tell us  
3 anything new.

4 MS. MARLA MURPHY: Could I ask you to  
5 have your counsel provide you with the response to  
6 information request CENTRA/CAC/MSOS-5, please?

7

8 (BRIEF PAUSE)

9

10 MR. KRIS SAXBERG: I don't think I have a  
11 copy of it with me. Do you have an extra copy?

12 MS. MARLA MURPHY: This is the IR's that  
13 CAC responded to.

14 MR. KRIS SAXBERG: Oh, CENTRA/CAC. I  
15 thought you said CAC/CENTRA.

16 MS. MARLA MURPHY: Nope, CENTRA/CAC  
17 Number 5.

18 MR. KRIS SAXBERG: Sorry, I have that.

19

20 (BRIEF PAUSE)

21

22 MR. KRIS SAXBERG: We have it.

23

24 CONTINUED BY MS. MARLA MURPHY:

25 MS. MARLA MURPHY: Mr. Pringle, are you

1 the drafter of this response? Did you prepare this one  
2 (1)?

3 MR. ASHMEAD PRINGLE: This particular one  
4 (1), no. I prepared the answers and -- and then they  
5 were put into this particular format.

6 MS. MARLA MURPHY: Did you provide --  
7 what I want to know is did you provide the information?

8 MR. ASHMEAD PRINGLE: I did. Well, as  
9 far as the information about CAC, no, I didn't answer  
10 those questions.

11 MS. MARLA MURPHY: So which ones did you  
12 answer?

13 MR. ASHMEAD PRINGLE: I answered the ones  
14 that didn't relate to CAC's members and what was going --  
15 well, let's just take from page 5 -- let's see, from 'B',  
16 line 12 on down, then all of the next page, page 6, and  
17 all of page 7, and -- this is something different, the  
18 next page of consumer protection -- okay. Then starting  
19 on page 8, that's me.

20 MS. MARLA MURPHY: Okay. So for the  
21 information request that labelled CENTRA/CAC-5, you  
22 answered Part A and then the rest was answered by someone  
23 else?

24 MR. ASHMEAD PRINGLE: That's right.

25 MS. MARLA MURPHY: Do you know who

1 answered the rest of it?

2 MR. KRIS SAXBERG: Well, this is -- these  
3 are all information requests answered by CAC and to the  
4 extent that the questions related to our consultant's  
5 evidence, then CAC was answering with his input.

6 With respect to the questions that were  
7 asked about the organization, our clients were providing  
8 information and CAC was answering to that extent.

9 MS. MARLA MURPHY: I understood when Mr.  
10 Pringle adopted this evidence that it was also his  
11 evidence.

12 MR. KRIS SAXBERG: Well, to the -- you're  
13 making a good qualification. I should have made that  
14 distinction.

15 MS. MARLA MURPHY: Fair enough.

16 MR. ASHMEAD PRINGLE: Yeah. When I  
17 received the information request I answered the questions  
18 that -- that I thought were relevant to -- to me. And  
19 the ones that I thought were -- were ones that needed to  
20 be answered by someone else, about CAC members, I left  
21 those blank.

22

23 CONTINUED BY MS. MARLA MURPHY:

24 MS. MARLA MURPHY: Maybe I could just ask  
25 you to undertake to provide us with a breakdown of which

1 of the questions are actually answered by Mr. Pringle and  
2 which have been answered by someone else and, if it's by  
3 someone else, who that might be.

4 MR. KRIS SAXBERG: I think he's just done  
5 that -- it's only that -- I think that's the only  
6 question, as far as the --

7 MR. ASHMEAD PRINGLE: I can --

8 MR. KRIS SAXBERG: There might have been  
9 some others.

10 MR. ASHMEAD PRINGLE: I can do that  
11 pretty quickly.

12 MR. KRIS SAXBERG: There might have been  
13 some others, including which evidence was filed in which  
14 proceedings. So I will undertake to do that.

15 MS. MARLA MURPHY: Thank you.

16

17 --- UNDERTAKING NO. 11: CAC/MSOS to provide details  
18 regarding who answered which  
19 questions with respect to IR  
20 CENTRA/CAC/MSOS-5.

21

22 CONTINUED BY MS. MARLA MURPHY:

23 MS. MARLA MURPHY: Mr. Pringle, did you  
24 review the response to Parts B through -- B, C and D --

25 MR. ASHMEAD PRINGLE: Oh, I just took a

1 quick glance.

2 MS. MARLA MURPHY: So you -- you haven't  
3 made any assessment of the accuracy or made any attempt  
4 to verify any of the information that's in there?

5 MR. ASHMEAD PRINGLE: No.

6

7 (BRIEF PAUSE)

8

9 MS. MARLA MURPHY: And I take it you  
10 haven't personally undertaken any surveys or sent any  
11 questionnaires to Centra's customers respecting hedging?

12 MR. ASHMEAD PRINGLE: That's correct.

13 MS. MARLA MURPHY: If I could ask you to  
14 turn up PUB/CAC-7.

15

16 (BRIEF PAUSE)

17

18 MR. ASHMEAD PRINGLE: All right.

19 MS. MARLA MURPHY: You were asked in that  
20 question whether it's still your opinion that the equal  
21 payment plan should be the default and your response was:

22 "If mitigating bill volatility is an  
23 important goal for the PUB, then you  
24 see no reason not to make it a default.  
25 It would be another act in loco

1                   parentis as has been the hedging  
2                   mandate."

3                   Do I have that right?

4                   MR. ASHMEAD PRINGLE:     Yes.

5                   MS. MARLA MURPHY:     I'm interested to know  
6 why you wouldn't allow customers the choice they  
7 presently enjoy of enrolling in the EPP if they wished to  
8 use the mechanism, but not having it imposed on them.

9                   MR. ASHMEAD PRINGLE:     Well, they'd still  
10 have the choice.  If they wanted to unbuckle their  
11 seatbelt, they could.  It's -- I don't see -- there's a  
12 choice to be made either way.  But beginning from a  
13 default position which is the safest for them, again it's  
14 an in loco parentis issue.

15                   We're not here trying to give them all  
16 this choice.  If we were, we would just let them choose  
17 whatever individual programs they wanted.

18                   So, you know, if we're going to look out  
19 for them, we might as well look out for them -- look out  
20 for them as much as we can.

21                   MS. MARLA MURPHY:     Could I ask you to  
22 turn to page 10 of your evidence?

23                   MR. ASHMEAD PRINGLE:     All right.

24                   MS. MARLA MURPHY:     At line 13 of that  
25 evidence, you indicate:

1                   "CAC/MSOS is opposed to a continuation  
2                   of the current situation in which  
3                   Centra hedges on behalf of all of its  
4                   customers."

5                   MR. ASHMEAD PRINGLE:     Okay.

6                   MS. MARLA MURPHY:     And there's a number  
7                   of reasons given there.  Are those your reasons?  Or is  
8                   that information that comes from someone at CAC?

9                   MR. ASHMEAD PRINGLE:     Those are my  
10                  reasons.  Well, they're my reasons why I believe they're  
11                  opposed to a continuation of hedging.  And my -- my view  
12                  is that the hedging is not necessary to protect the  
13                  ratepayer anymore if we have these other things in place

14                  The -- the statements that they're opposed  
15                  to hedging is one of the views that was cited in the --  
16                  in the Board's white paper.  It's not -- it wasn't my  
17                  characterization.  It was just one (1) of -- one (1) of  
18                  the 6 or so I took to -- to expand upon.

19                  MS. MARLA MURPHY:     And did you discuss  
20                  that with principals of CAC or MSOS?

21                  MR. ASHMEAD PRINGLE:     Yes.

22                  MS. MARLA MURPHY:     So who informed you of  
23                  those matters?  Who -- who were you discussing that  
24                  with?

25                  MR. ASHMEAD PRINGLE:     Mr. Saxberg.

1 MS. MARLA MURPHY: Nobody else?

2 MR. ASHMEAD PRINGLE: Right.

3 MS. MARLA MURPHY: So you weren't  
4 provided with any surveys or questionnaires or reports?

5 MR. ASHMEAD PRINGLE: Well I -- I have a  
6 copy of the survey of 2004.

7 MS. MARLA MURPHY: Centra's Western  
8 Viewpoints?

9 MR. ASHMEAD PRINGLE: Yes.

10 MS. MARLA MURPHY: Western Opinion  
11 Research?

12 MR. ASHMEAD PRINGLE: Right.

13 MS. MARLA MURPHY: Nothing else? At page  
14 12 of your evidence, you reached two (2) conclusions.  
15 First that Centra should be released of any obligation to  
16 hedge on behalf of customers.

17 And second, that directly or through an  
18 unregulated affiliate, Centra should be allowed to offer  
19 gas and related price protection programs in competition  
20 with brokers, correct?

21 MR. ASHMEAD PRINGLE: Yes.

22 MS. MARLA MURPHY: And by gas and related  
23 price protection programs competing with brokers, do I  
24 understand you to be specifically referring to fixed-  
25 price offerings?

1 MR. ASHMEAD PRINGLE: Yes.

2 MS. MARLA MURPHY: I'd like to understand  
3 whether those two (2) recommendations are co-dependent.  
4 That is do you view that you can't do one without the  
5 other or -- or is it possible you could -- you'd have to  
6 implement them together or that you could implement them  
7 separately?

8 MR. ASHMEAD PRINGLE: Oh no, they could  
9 be separate as Mr. Hoaken has, I think, underlined in his  
10 questioning that if -- Centra could certainly be released  
11 from an obligation to hedge on behalf of its customers,  
12 and if it were restricted to offering only market price  
13 gas, then it would not, in the second bullet point, it  
14 would not be allowed to be offering related price  
15 protection programs in competition with brokers.

16 It would strictly be selling gas at -- at  
17 a market price. It would compete in a sense and it would  
18 be offering gas but it -- it's offering would be  
19 restricted to just market price gas.

20 It couldn't compete for price protection  
21 programs. I think that was Mr. Hoaken's point. No, but  
22 they're not mutually exclusive. It's a policy issue I  
23 think.

24 You know, how the consumer gets more  
25 direct access to -- to individual choice on price risk

1 management is really a policy issue. But -- but I do  
2 think that that's the way that -- that it should happen.  
3 That the consumer should have that choice and therefore  
4 that Centra would not be hedging en masse.

5                   If it did any hedging it would simply be  
6 for the risk it acquires if it were allowed to compete  
7 for fixed-price or other price alternative offerings.

8                   MS. MARLA MURPHY: Are you aware that  
9 Centra is currently restricted to offering a single  
10 regulated gas supply option and price?

11                   MR. ASHMEAD PRINGLE: Yes.

12                   MS. MARLA MURPHY: And if Centra were to  
13 stop placing hedges and allow the existing ones to settle  
14 as they mature, that would mean that our customers would  
15 then be exposed to more volatility in their natural gas  
16 rates, correct?

17                   MR. ASHMEAD PRINGLE: Well more than --  
18 you mean going forward would they? Yes.

19                   MS. MARLA MURPHY: Yes.

20                   MR. ASHMEAD PRINGLE: I mean going  
21 forward for the unhedged months they would have -- they  
22 would be now open to volatility. Presumably they would  
23 have, though, a place where they could address that  
24 either through brokers or Centra or however the policy is  
25 -- is driven.

1 MS. MARLA MURPHY: And assuming for the  
2 moment that Centra stayed with one (1) offering,  
3 customers would then have a choice of either an unhedged  
4 product or a fixed-price product offered from a broker,  
5 correct?

6 MR. ASHMEAD PRINGLE: Yes.

7 MS. MARLA MURPHY: And I'm interested to  
8 know why you view that as preferable to our current  
9 circumstance?

10 MR. ASHMEAD PRINGLE: Well, in the  
11 current circumstance the -- the individual customer  
12 really has a choice; it can go to the broker -- in fact  
13 it appears that almost half of them aren't aware they've  
14 made the choice. It seems that in one (1) of the  
15 studies, maybe it's the Western, they said 40 percent or  
16 so of -- of the subscribers to broker gas thought they  
17 were getting gas -- they were still on Hydro basically.

18 So individually, you know, if they go with  
19 broker gas then certainly they -- they have some  
20 transparency and they see what they're getting. If  
21 they're on system gas, I think it's a tougher thing.

22 They don't really know what -- what is the  
23 price they're going to pay ultimately. They don't know  
24 what the hedges are and not that they need to know, but I  
25 think it's -- it's -- I -- I think they don't know

1 exactly what they're going to get. They're getting  
2 something. It -- it's -- it may be fixed-price gas, it  
3 may be market, it -- who knows exactly?

4 MS. MARLA MURPHY: Customers don't know  
5 what they're going to get if they have an unhedged  
6 product either, do they? They won't know the price.

7 MR. ASHMEAD PRINGLE: No. No, they  
8 won't, but at least they know it's the market, so to  
9 speak. In other words, if they just get gas at market,  
10 you know, they'll know they're open to the vagaries of  
11 the market. What they get now is a price -- you know,  
12 they'll see -- you know, down the road they'll find out  
13 what that -- what that price is -- is going to be.

14 MS. MARLA MURPHY: Are you aware of the  
15 evidence that Centra gave this morning that absent its  
16 hedging program residential customers would have  
17 experienced an annual bill increase in the increase of 33  
18 percent in November of 2005?

19 MR. ASHMEAD PRINGLE: I -- I was not  
20 present this morning and didn't hear much over the --  
21 over the intercom.

22 MS. MARLA MURPHY: How would you expect  
23 that customers would react to such a rate increase?

24 MR. ASHMEAD PRINGLE: And the rate  
25 increase will -- will take place when?

1 MS. MARLA MURPHY: It would have taken  
2 place in November of 2005.

3 MR. ASHMEAD PRINGLE: I see. Okay.  
4 Well, the customers are not going to like rate increases;  
5 that's for sure, but the -- you know, with the hedging  
6 program it's not always -- those things may be more  
7 visible to them than the rate decreases or the rate  
8 increase repression that they've experienced earlier.  
9 There -- there's -- it's difficult for them to see that.

10 I think that's -- that may be a -- a  
11 problem right now in the landscape for Centra is that as  
12 the -- as the current losses come through, the 77 million  
13 or whatever it turns out to be, and folks want to make  
14 hay out of the fact that that's 20 percent above the  
15 market or whatever, it's -- it's not going to comfort the  
16 consumer so much to know that, well, back here three (3)  
17 or four (4) years ago, and you didn't really know it, but  
18 you were saving 20 percent.

19 So I grant that's -- it's difficult to  
20 inform the consumer about what he's really -- he or she  
21 is really getting.

22 MS. MARLA MURPHY: In June of 2003, you  
23 wrote a letter to counsel for CAC/MSOS with respect to  
24 our 2003/'04 General Rate Application and that's attached  
25 to your Exhibit 2 evidence at page 41 and following?

1 MR. ASHMEAD PRINGLE: Yeah.

2 MS. MARLA MURPHY: That letter says:

3 "In my letter to you of about a year  
4 ago regarding a similar application I  
5 said that the current approach has not  
6 worked well for any stakeholder and  
7 it's not likely to do so in the future.  
8 Fortunately for the ratepayer, Centra  
9 has proved me wrong."

10 Do you see that?

11 MR. ASHMEAD PRINGLE: I -- I do.

12 MS. MARLA MURPHY: And you went on to say  
13 that:

14 "During the last year, Centra has in  
15 fact hedged on a regular basis and to  
16 excellent affect at this point."

17 Correct?

18 MR. ASHMEAD PRINGLE: That is correct.

19 MS. MARLA MURPHY: You conclude that  
20 paragraph by saying:

21 "More importantly, Centra's customers  
22 are well protected from prices going  
23 even higher for much of the coming  
24 winter."

25 Do you see that at lines 30 and 31?

1 MR. ASHMEAD PRINGLE: I do.

2 MS. MARLA MURPHY: And in your current  
3 evidence of November 6th, 2003, you conclude on page 12  
4 by indicating that our past hedging has been effective  
5 overall in reducing rate and bill volatility for the  
6 ratepayer and at basically zero cost after considering  
7 the time value for money.

8 MR. ASHMEAD PRINGLE: Yes.

9 MS. MARLA MURPHY: And you also conclude  
10 that reducing gas cost through hedging or beating the  
11 market is not a realistic goal for the Utility and  
12 shouldn't be expected of Centra, right?

13 MR. ASHMEAD PRINGLE: That's correct.  
14 Let me -- well, since you went to my June 3rd letter of  
15 2003, let me go a little further in it. On -- on page  
16 44, line 18, I said:

17 "I grant a mechanical approach makes  
18 sense but such an approach carries the  
19 risk of marching of a cliff. To lessen  
20 this risk I recommend Centra retain a  
21 mechanical approach but instead of  
22 hedging those be vetted by an outside  
23 party so it can retain the advantage of  
24 a mechanical approach [and so forth]."

25 So this is where I would have hoped that,

1 you know, rules might have become more flexible, be they  
2 wider collars or -- or some other recommendation. But  
3 the tight shoe has materialized and -- and while the  
4 overall effect has been about even and volatility has  
5 been smoothed, you know, the net effect is what -- what  
6 one has classically expected.

7 I mean, Centra has put forth that there's  
8 not going to be a net hedging gain or loss, we're just  
9 going to -- we're going to dampen some things, but at  
10 the expense, when we use fixed-price hedges, of -- of  
11 creating big year-to-year swings.

12 So, again, I think my position has -- has  
13 been consistent for most of these years and that is: the  
14 consumers should have choice, the more visible that  
15 choice is to them the better, that Centra hedging en  
16 masse in loco parentis is -- is a bit awkward. I grant  
17 it that in the 2003 letter the results were certainly --  
18 were positive and continued to be for a while, but then,  
19 you know, we marched off the cliff.

20 So if Centra will -- must continue to  
21 hedge in loco parentis, I say fine, keep it purely  
22 mechanical, let the rules incorporate flexibility if they  
23 need be, avoid incorporating market views, don't go down  
24 that slippery slope.

25 MS. MARLA MURPHY: I think what you just

1 told me is a little bit different than the conclusion  
2 that's at page 12 of your evidence, and maybe I'm wrong,  
3 you can correct me, but your recommendation at page 12,  
4 lines 9 through 11, was that even though our past hedging  
5 had been effective overall in reducing rate and bill  
6 volatility at basically zero cost, that you concluded  
7 that we should be released from any obligation to hedge  
8 on behalf of our customers.

9 MR. ASHMEAD PRINGLE: Right.

10 MS. MARLA MURPHY: Is that still your  
11 view?

12 MR. ASHMEAD PRINGLE: Well, yeah, it is.  
13 I'm saying that, you know, maybe we've come to a tidy  
14 stopping point. You know, hedging 100 percent fixed-  
15 price gas forward is -- is aggressive stuff and -- and  
16 it's going to smooth things in the short run and give you  
17 big -- could give you big year-over-year adjustments that  
18 can be competitively a problem. I mean, if I was a  
19 broker today I'd be leading with that story. Centra's  
20 rates are going up and -- and that's part of the problem.

21 Yeah, I continue to think that the ideal  
22 way for the consumer to get protection is straight ahead,  
23 you know, one on one, and not sort of en masse.

24 MS. MARLA MURPHY: And in terms of -- of  
25 Centra being released from its obligation to hedge on

1 behalf of customers, do you view that as a matter that's  
2 left in Centra's discretion?

3 MR. ASHMEAD PRINGLE: A matter that's at  
4 Centra's discretion?

5 MS. MARLA MURPHY: Yes. Whether or not  
6 the hedging --

7 MR. ASHMEAD PRINGLE: Oh, no, I think  
8 it's the PUB's oversight. No, I don't think it's a  
9 choice that Centra has.

10 MS. MARLA MURPHY: So your suggestion is  
11 that the Board should order Centra to decess from  
12 hedging?

13 MR. ASHMEAD PRINGLE: Well, they should  
14 do that if -- if and only if they provide -- when they  
15 provide other -- other mechanisms, you know, for -- well,  
16 for the ratepayer.

17 I think that there should be more ability  
18 for the ratepayer to roll their own so to speak in terms  
19 of price protection and, therefore, let -- whether or not  
20 Centra is allowed to participate in the provision of  
21 those things, again I think is a policy issue. If they  
22 were, then I think they should hedge their required risk  
23 and they wouldn't be subject to review. They would just  
24 hedge whatever gas they sell. Again, that -- that's a  
25 policy issue.

1                   But hand in hand with -- with doing that  
2 is -- is -- is obviously providing that either Centra  
3 offers just market price gas or it offers market price  
4 gas and is allowed to compete with alternatives with the  
5 brokers.

6                   MS. MARLA MURPHY:   Looking for a minute  
7 at fixed-price offerings, are you aware of the price  
8 premium embedded in a fixed-price offering?

9                   MR. ASHMEAD PRINGLE:   An offering by the  
10 brokers?

11                  MS. MARLA MURPHY:   Sure.

12                  MR. ASHMEAD PRINGLE:   Well, there's  
13 usually a profit somewhere but I'm not sure what -- what  
14 you're driving at.

15                  MS. MARLA MURPHY:   Well, if you looked at  
16 a four (4) or a five (5) year fixed-price offering, are  
17 you able to characterise or give some suggestion of what  
18 the premium embedded in that might be?

19 OBJ             MR. KRIS SAXBERG:   I'm going to have to  
20 object to the question since it was Manitoba Hydro and  
21 Ms. Murphy on behalf of Manitoba Hydro that wrote to this  
22 Board and requested that these very issues not be  
23 discussed in this Hearing.

24                             And, for the fairness of all parties, and  
25 in particular Direct Energy, I don't think that it's

1 proper for Mr. Pringle to be addressing those kind of  
2 questions and I find it interesting that they're coming  
3 from Hydro.

4 MR. ERIC HOAKEN: Well, I would just add,  
5 I was just reaching for my microphone when Mr. Saxberg  
6 jumped in to make precisely the same point. And I think  
7 you noticed, I was extremely careful in my cross-  
8 examination to avoid getting into the details of fixed-  
9 price offerings.

10 THE CHAIRPERSON: You did touch it, Mr.  
11 Hoaken.

12 MS. MARLA MURPHY: Exact -- that was my  
13 comment --

14 THE CHAIRPERSON: Ms. Murphy, do you want  
15 to --

16 MS. MARLA MURPHY: -- first is that --

17 THE CHAIRPERSON: -- reconsider the  
18 direction in this case because we are going to look at  
19 this separately?

20 MS. MARLA MURPHY: I understand and I  
21 really don't. I think it's been -- it's been raised here  
22 and it was one (1) question by way of preamble to a  
23 second question that's coming, so if we have an answer we  
24 can move on.

25 THE CHAIRPERSON: To be fair, I was

1 hearing your question more in light tied to the hedging  
2 issue but, anyway, please continue.

3 MR. ASHMEAD PRINGLE: Well, to answer  
4 your question, I wouldn't consider there are any premium  
5 in a fixed-price offering in the sense that there's a  
6 premium related to an option to a cap or a floor.

7 Certainly there may be the bid ask spread  
8 which relates to a dealer mark up, and if you go out and  
9 get quotes from a host of counterparties, and I think you  
10 have six (6) or seven (7) that are approved, and ask them  
11 for -- at what price would they sell you gas for the next  
12 five (5) years and what price would they -- could you buy  
13 gas from them or, excuse me, could you sell them gas for  
14 the next five (5) years, you're going to get two (2)  
15 different numbers and that's the bid offer spread. And  
16 that's the dealer's margin, if you will --

17 THE CHAIRPERSON: Okay, I think --

18 MR. ASHMEAD PRINGLE: -- for a five (5)  
19 year deal, it may be a couple of cents a Gj.

20

21 CONTINUE BY MS. MARLA MURPHY:

22 MS. MARLA MURPHY: You told me a few  
23 minutes ago that there was, in a fixed-price swap, if  
24 Centra would enter into a swap that there was a premium  
25 associated with that, is that right?

1 MR. ASHMEAD PRINGLE: I did? No, I  
2 didn't mean to.

3 MS. MARLA MURPHY: That there was some  
4 cost over and above the dealer margin because you were  
5 shedding that risk fixing the price?

6 MR. ASHMEAD PRINGLE: No, I didn't mean  
7 to say that. If I did, I misspoke.

8 There's typically -- there's no additional  
9 transaction cost in doing a fixed-price swap as there is  
10 an option where you pay a premium. There may be some  
11 transaction costs that are embedded in the deal which  
12 aren't very visible because it's not an agency market  
13 like NYMEX.

14 Your -- the Kiodex Study speaks to that  
15 and -- and it's the bid offer spread that is really the  
16 main cost in getting in and out of a fixed-priced  
17 position.

18 THE CHAIRPERSON: Ms. Murphy, I don't  
19 want to interfere with your cross-examination but if  
20 you're going to be any longer than about five (5)  
21 minutes, I think we'll take a short break.

22 MS. MARLA MURPHY: I can probably wrap  
23 up, I believe.

24 THE CHAIRPERSON: Okay, carry on, and  
25 then we'll have the break and then return with Mr.

1 Peters.

2

3

(BRIEF PAUSE)

4

5 MS. MARLA MURPHY: Mr. Chairman, that in  
6 fact concludes my questions. I'd like to thank Mr.  
7 Pringle for his time.

8

THE CHAIRPERSON: Thank you. Okay, we'll  
9 have a break. We'll come back in ten (10) minutes.

10

11 --- Upon recessing at 3:05 p.m.

12 --- Upon resuming at 3:20 p.m.

13

14 THE CHAIRPERSON: While we're waiting for  
15 Mr. Pringle, you have a response for an undertaking?

16

MS. MARLA MURPHY: Yes, we do, although I  
17 don't have a benefit of a copy, but it has been  
18 circulated to the Board. And it believe it would be  
19 Centra Exhibit Number 7.

20

THE CHAIRPERSON: Yes, it's Undertaking  
21 provided by Mr. Warden, Undertaking No. 9. It has to do  
22 with bad debts. So we'll put that in as --

23

MS. MARLA MURPHY: Yes, thank you.

24

THE CHAIRPERSON: -- Number, you said  
25 Number 9?

1 MS. MARLA MURPHY: Exhibit No. 7, yes.

2 THE CHAIRPERSON: 7, right.

3

4 --- EXHIBIT NO. CENTRA-7: Response to Undertaking 9.

5

6 THE CHAIRPERSON: Whenever you're ready  
7 to begin, Mr. Peters.

8

9 CROSS-EXAMINATION BY MR. BOB PETERS:

10 MR. BOB PETERS: Thank you. Good  
11 afternoon, Mr. Pringle. It's your job and mine  
12 collectively to make sure that we make it out of here at  
13 the usual closing time.

14 MR. ASHMEAD PRINGLE: That's right.

15 MR. BOB PETERS: Mr. Pringle, why do you  
16 believe Centra hedges some of its primary gas volumes?

17 MR. ASHMEAD PRINGLE: To mitigate the  
18 volatility, rate volatility, and subsequently bill  
19 volatility as well for the -- for the ratepayer.

20 MR. BOB PETERS: Why are they doing that?

21 MR. ASHMEAD PRINGLE: In my mind, they're  
22 doing it to -- to satisfy the Board, the regulatory  
23 authority.

24 MR. BOB PETERS: In a similar question  
25 that I asked of Centra, they gave me a bit of a different

1 answer I recall and it was to suggest that their  
2 consumers want them to do that. And those are my  
3 paraphrasing of their words, but -- would you accept or  
4 you don't -- you don't accept that they're -- they're  
5 hedging because their consumers want them to?

6 MR. ASHMEAD PRINGLE: Well, you know, why  
7 they started hedging and -- and why they are continuing  
8 may be two (2) different things. I -- I think that the -  
9 - the 2004 study there were question -- there was a  
10 question posed to consumers along the lines of; Centra  
11 operates a hedging program to reduce bill volatility and  
12 it costs a little bit should -- would you like them to  
13 continue. And -- and I think a majority, 60 percent said  
14 yes, continue, and some said do more, some said no.

15 You know, I take that question with a  
16 little bit of a grain of salt because it's -- it sounds  
17 pretty good; you know, mitigate my bill volatility and it  
18 costs just a little bit, sure, I'd like that and maybe do  
19 a little more.

20 But back -- going back to, you know, 2000  
21 and those periods when for example, in the year that I  
22 first discussed with some of the evidence I submitted and  
23 I think it was 2000, where hedging didn't happen and --  
24 and prices moved higher. I think the consumers would  
25 have wanted some protection then had they been able to

1 express a view.

2                   And under the study that had been done up  
3 to that point, they -- they had said, yes, we could --  
4 we'll take a little volatility but not too much, sixty  
5 (60) bucks would be okay but we'd like to do the rest.

6                   So it -- it may well be that that's the  
7 view of Centra now, I can't speak to it. But my  
8 impression overall is that the process started really  
9 with the nudging of the Board.

10                   MR. BOB PETERS:    And assuming if that's  
11 how it started, their continuing it is at the behest of  
12 some of their customers as they interpret it.

13                   Would you accept that's their -- their  
14 view?

15                   MR. ASHMEAD PRINGLE:   Well, I -- I can't  
16 really comment on -- on their motives for doing it or not  
17 doing it at this point.

18                   MR. BOB PETERS:    Is it --

19                   MR. ASHMEAD PRINGLE:    My -- I guess my  
20 assumption would be that it's -- I have said as much that  
21 I think they probably prefer not to do it, just to have a  
22 simpler life. But, you know, maybe I'm wrong, maybe they  
23 would rather do the hedging.

24                   MR. BOB PETERS:    All right. Am I correct  
25 to suggest that you certainly haven't done any surveying

1 of Manitoba gas consumers to find out what their  
2 preference is or needs or wants would be?

3 MR. ASHMEAD PRINGLE: That's correct.

4 MR. BOB PETERS: And to your knowledge,  
5 nor has CAC/MSOS done that kind of customer survey market  
6 gap --

7 MR. ASHMEAD PRINGLE: Well I -- I haven't  
8 really asked them the question; that you'd have -- have  
9 to check with them.

10 MR. BOB PETERS: All right. I won't ask  
11 -- I won't -- well Mr. Saxberg seldom takes the stand  
12 under oath so I can't really go there, but would it be  
13 fair to say they haven't told you of any evidence or any  
14 market surveys that they have conducted --

15 MR. ASHMEAD PRINGLE: That's the --

16 MR. BOB PETERS: -- dealing with consumer  
17 preferences for hedging in Manitoba?

18 MR. ASHMEAD PRINGLE: That's correct.  
19 And I -- just ask you, Mr. Peters, if there's too much  
20 sun in your face I'm feeling that --

21 MR. BOB PETERS: No, my wife's a  
22 photographer, I'm used to flashes and --

23 MR. ASHMEAD PRINGLE: You're used to the  
24 spotlight, okay. All right.

25 MR. BOB PETERS: I'm okay. It's the only

1 warmth we're going to see for the next four (4) months so  
2 I want to enjoy it.

3 MR. ASHMEAD PRINGLE: I know.

4 MR. BOB PETERS: Are you aware, Mr.  
5 Pringle of any consumer evidence that would be considered  
6 empirical and applicable to Manitoba that could come here  
7 from other jurisdictions?

8 MR. ASHMEAD PRINGLE: No.

9

10 (BRIEF PAUSE)

11

12 MR. BOB PETERS: Why do you believe that  
13 CAC/MSOS does not want Centra to hedge gas volumes?

14 MR. ASHMEAD PRINGLE: I believe because  
15 they believe over the long pull that -- that hedging will  
16 not produce any net gain or loss, that it will have some  
17 cost -- transaction cost, perhaps administrative costs as  
18 well -- and that in the -- its -- in its current form it  
19 has -- has resulted in some -- some large accumulations  
20 which are problematic I guess is the way to see it, and  
21 also that there are other mechanisms in place.

22 MR. BOB PETERS: If the consumer market  
23 surveys are interpreted by the Utility to be -- to mean  
24 that volatility control is wanted, do you think the  
25 Utility has an obligation to try to provide that?

1 MR. ASHMEAD PRINGLE: Well, I think  
2 that's really a policy issue, Mr. Peters. I -- I think  
3 it's -- it's a worthwhile endeavour to -- to see that  
4 they get it but I think it's really a policy issue and a  
5 provincial matter as to how they get it. Giving it to  
6 them via Centra hedging for the customer class is one (1)  
7 way and -- and one (1) way I've suggested is, in my view,  
8 not -- not the ideal way.

9 MR. BOB PETERS: Is your -- maybe Mr.  
10 Saxberg could provide you with a copy of Exhibit Centra 6  
11 which was a coloured chart.

12

13 (BRIEF PAUSE)

14

15 MR. BOB PETERS: Would you have had a  
16 chance to review that prior to just now, Mr. Pringle?

17 MR. ASHMEAD PRINGLE: I have -- I have  
18 looked at it and is this -- the one that you have has red  
19 and blue lines on it as well?

20 MR. BOB PETERS: Yes, it is.

21 MR. ASHMEAD PRINGLE: Okay. All right.  
22 Yeah.

23 MR. BOB PETERS: And you understand that  
24 the red lines are the actual residential primary gas  
25 billed rates to Manitoba over a span of, I guess, from

1 April of '02 through to September of '06?

2 MR. ASHMEAD PRINGLE: Yes.

3 MR. BOB PETERS: And you understand the  
4 blue lines represent the pro forma primary gas billed  
5 rates; what they would have been had there been no  
6 hedging, but the other components of Centra's volatility  
7 management program in place?

8 MR. ASHMEAD PRINGLE: Right.

9 MR. BOB PETERS: And when you look at it  
10 on this Exhibit 6, Mr. Pringle, does that suggest to you  
11 that the hedging program has provided benefit to the  
12 consumers?

13 MR. ASHMEAD PRINGLE: Yes, it -- it did  
14 and in -- in many of those months it was a positive  
15 benefit. I'll come to this big month in a second.

16 And -- and I'm not -- you know, in terms  
17 of what the effect was on the -- on the bill, if we look  
18 at that -- I'm not sure which exhibit I'm thinking of but  
19 there -- there may have been -- I'm trying to think if  
20 there was one that showed the effect of -- of what  
21 happened to the bill over time. But anyway this is the  
22 rate, is that correct, and not the bill? This is the  
23 rate?

24 MR. BOB PETERS: This is -- this is the  
25 rate, yes.

1                   MR. ASHMEAD PRINGLE:    Yeah.  I would say  
2   yes, and -- and that's consistent with the -- with the  
3   data provided elsewhere that says that, you know, in the  
4   past the program had generated some -- some large  
5   reductions in gas cost, and to the right of this graph  
6   there may be coming in part or in whole some significant  
7   additions to gas cost.

8                   One (1) -- one (1) of the questions I had  
9   in looking at this though was in terms of the -- the red  
10  line.  And -- and I -- I did -- I did hear part of this  
11  testimony this morning that when we get to this big --  
12  this big increase, you know, sort of the second half of  
13  the spike, you know, it looks like that in the first half  
14  of that spike we got right to the end of a quarter in  
15  price.  The forward price just had not taken off yet so  
16  just by a matter of maybe a week or two (2) the -- the  
17  forward price was not set very high and then -- then it  
18  was.

19                   But the red line, does that include the  
20  effect of some additional dampening that the Board put in  
21  at that point?  It -- didn't it elect to restrain half of  
22  the increase at that time?

23                   MR. BOB PETERS:    I believe you're correct  
24  in that and I also believe the evidence from this morning  
25  from Mr. Sanderson was that the red line does include the

1 other volatility management aspects utilised not only by  
2 the utility, such as the quarterly price-setting  
3 mechanism, but also what the Board had ordered on that  
4 November 1st increase.

5 MR. ASHMEAD PRINGLE: Okay. Well, I  
6 guess my -- my thinking was -- and it's not a huge  
7 difference -- was that the -- the jump in that red line  
8 might have been twice as large without the restraint;  
9 still, obviously, would have provided a bit benefit.

10 MR. BOB PETERS: What --

11 MR. ASHMEAD PRINGLE: But, in any case, I  
12 -- I grant that during this period there were significant  
13 net savings to the consumer, some much better than other.

14 MR. BOB PETERS: In your answer you were  
15 indicating you didn't have at your fingertips the impact  
16 on the consumer's bill. I do have a copy at hand of the  
17 latest Board Order 144 of '06, which is a primary gas  
18 quarterly rate setting for November 1st. And in the  
19 Board Order there is generally a table showing the annual  
20 -- or, sorry, showing the percentage change in the total  
21 annual bill.

22 Was there some comment you wanted to  
23 correlate between that and Exhibit 6?

24 MR. ASHMEAD PRINGLE: Just -- my question  
25 -- just what sort of, you know, difference in the bills

1 had -- had been present due to these -- these rate  
2 savings, but, no -- no major point.

3 MR. BOB PETERS: Well, I think it was  
4 also this morning and it may have been Ms. Stewart who  
5 had indicated that on that November spike that you've  
6 just drawn attention to, the primary gas rate would have  
7 increased by approximately 50 percent but the bill impact  
8 would have only been 33 percent, recognizing the relative  
9 proportion of primary gas on a consumer's bill.

10 MR. ASHMEAD PRINGLE: Hmm hmm.

11 MR. BOB PETERS: Does that answer your  
12 concern or your question?

13 MR. ASHMEAD PRINGLE: Yeah, I think so.

14 MR. BOB PETERS: When you look at Exhibit  
15 6 and if the Board is looking to measure whether or not  
16 volatility has been controlled, what should those blue  
17 and red lines be compared to?

18 What should be the comparison for  
19 determining volatility control?

20 MR. ASHMEAD PRINGLE: Well, the way  
21 volatility was framed in the early going was for the  
22 consumer in terms of a year-over-year bill change and I  
23 think that -- that really isn't going to be apparent from  
24 this. But I think that's one of the measure of  
25 volatility that was suggested and -- and may still

1 govern; how much -- how much the consumer, who I think is  
2 going to look at his bill pretty much year over year,  
3 particularly after the winter months, when usage is high,  
4 and compare that to the prior year.

5 I would like to say this too though, that  
6 I'm a fan of hedging, obviously. I like hedging.  
7 Hedging is good. I wish more people hedged. And I'm  
8 glad that there's discussion about it because, you know,  
9 people don't understand what, you know, I do. If I say,  
10 Well I'm -- I'm a hedger. Okay, well, yard work must be  
11 pretty -- pretty good.

12 But I'm not suggesting that the consumer  
13 in Manitoba be exposed totally to -- to this very  
14 volatile marketplace. I'm just saying that I think he's  
15 better served by having more direct access to risk  
16 management tools than via a, in essence, a pool, a  
17 hedging pool run by -- by Centra.

18 MR. BOB PETERS: I don't know that you've  
19 been specific as to what that direct access should be to,  
20 in terms of what are the tools that the consumer should  
21 have direct access to but presently doesn't.

22 MR. ASHMEAD PRINGLE: Well, he does have  
23 access to -- to fixed-price gas through brokers. He does  
24 have access to -- which is -- can be a rate volatility  
25 constraint. He's got access to the extended payment

1 program under those things. As well, what he doesn't  
2 have access to at the moment, and that's really a policy  
3 issue, is he doesn't have access to fixed-price offerings  
4 individually, you know, from Centra.

5 MR. BOB PETERS: You may have occasion to  
6 come back to Manitoba in 2007 to talk about that, and it  
7 probably won't be quite as cold as it is today.

8 MR. ASHMEAD PRINGLE: You know, that's  
9 great.

10 MR. BOB PETERS: But --

11 MR. ASHMEAD PRINGLE: That's my purpose.  
12 Plant the seeds of another trip.

13 MR. BOB PETERS: Yes, but -- but other  
14 than the fixed-price offering by the LDC, all of the  
15 other tools are available and, in fact, are being  
16 utilized by consumers in Manitoba; would you agree with  
17 that?

18 MR. ASHMEAD PRINGLE: Yes. I think --  
19 I'm not sure the percentage. It may be 40 percent on  
20 broker gas, I'm not sure. I'm not sure how -- of those  
21 how much are on fixed-price deals. I think over 40  
22 percent are on -- are on the extended payment program,  
23 that's true. I'd like to see a 100 percent on that -- on  
24 that -- on that program.

25 MR. BOB PETERS: Are you aware of what

1 specific broker offerings there are in Manitoba in terms  
2 of the terms that are offered by the brokers here?

3 MR. ASHMEAD PRINGLE: I'm not. My sense  
4 is that it's fixed-price gas for up to multi-year  
5 periods.

6 MR. BOB PETERS: You're not aware of how  
7 long of contracts are --

8 MR. ASHMEAD PRINGLE: I've heard --

9 MR. BOB PETERS: -- are available?

10 MR. ASHMEAD PRINGLE: -- of up to five  
11 (5) years.

12 MR. BOB PETERS: Are you aware of any  
13 ones that are of shorter duration in Manitoba?

14 MR. ASHMEAD PRINGLE: Well, I assume that  
15 there are some, yes; that they're probably at least a  
16 season long, maybe more.

17 MR. BOB PETERS: But you're not aware of  
18 that?

19 MR. ASHMEAD PRINGLE: Well, I haven't  
20 seen particular offerings or -- or descriptions of the  
21 plans.

22 MR. BOB PETERS: If -- if in Manitoba  
23 there was only available long term and let's say, three  
24 (3) or five (5) year contracts from brokers, would that  
25 in anyway change your evidence that you're giving the

1 Board?

2 MR. ASHMEAD PRINGLE: Perhaps. I mean, I  
3 would like to see the customer have more than just a long  
4 term choice, but to be able to choose single year or --  
5 or more. But that's really a competitive -- to me -- it  
6 seems to me a competitive issue unless -- unless it's  
7 prohibited and I don't know that it is.

8 MR. BOB PETERS: If it's not prohibited  
9 and it's not being offered, what does that tell you about  
10 the Manitoba marketplace?

11 MR. ASHMEAD PRINGLE: Well, that it could  
12 -- it could have more offerings. I'm not sure why they  
13 wouldn't be offering shorter term contracts.

14

15 (BRIEF PAUSE)

16

17 MR. ASHMEAD PRINGLE: And where -- where  
18 you may be going, I mean -- I mean, perhaps it indicates  
19 that more competition would be useful.

20 If no one's offering less than three (3)  
21 years and then there's a demand for two (2) years, it  
22 seems like a -- a market or broker could -- could add  
23 some market share by offering something no one else is.

24 MR. BOB PETERS: But if a broker's not  
25 offering that currently in Manitoba what -- what does

1 that say, if anything, about the Manitoba marketplace?

2 MR. ASHMEAD PRINGLE: Well, it could say  
3 a number of things and I'm -- this is sort of  
4 assumptions. I've trusted it doesn't say they're  
5 prohibited from doing it and, if they're not, they're  
6 either -- have decided not to or -- or they find that  
7 there's no demand for it, or that in terms of making it  
8 profitable enough to offer fixed-price contracts, because  
9 the broker has to make some money, that they need multi-  
10 year contracts to -- to make it worth their while and to  
11 recover marketing costs; customer attention issue  
12 perhaps.

13 MR. BOB PETERS: In your direct evidence  
14 to Mr. Saxberg, you looked at the Board's -- you called  
15 it a white paper and interpreted it to mean that the  
16 Board had a concern for the consumer welfare in Manitoba.

17 MR. ASHMEAD PRINGLE: Yes. Although I  
18 think I assumed that the Board had that concern, you  
19 know, from its origination most likely.

20 MR. BOB PETERS: But they you also talk  
21 about this loco parentis offerings in the Manitoba --  
22 what's presently offered or done by the Corporation, and  
23 is it your suggestion that all of those other volatility  
24 management techniques should be left only to the choice  
25 of the consumer?

1 MR. ASHMEAD PRINGLE: Yes. In -- in  
2 giving -- and I would make the extent -- the EPP program  
3 a default for the consumer and then I think the  
4 consumer's fairly well protected from a lot of  
5 volatility, and that with some customer choice, I think,  
6 is sufficient.

7 In that case that the in loco parentis  
8 hedging would no longer be needed.

9 MR. BOB PETERS: And that assumes that  
10 there is a -- an active competitive market where there  
11 could be fixed-price offerings of -- of durations such as  
12 one (1) year, two (2) year, three (3) year and five (5)  
13 year.

14 MR. ASHMEAD PRINGLE: Yes.

15 MR. BOB PETERS: And if there weren't  
16 offerings of one (1) year, two (2) year or three (3)  
17 year, but only five (5) year offerings, would that change  
18 your answer?

19 MR. ASHMEAD PRINGLE: Well, I -- yes, I  
20 would -- to the extent that -- that the consumer cannot  
21 obtain a reasonable amount of customer choice from the  
22 brokers, then I would say, Well that's a good argument  
23 for allowing Centra or an unregulated affiliate to offer  
24 programs under the assumption that it would offer more  
25 than just a five (5) year program.

1 MR. BOB PETERS: Let's just discuss  
2 Centra's continued use of mechanistic hedging, which I  
3 understood you to say that if Centra has to hedge then it  
4 should stick to mechanistic hedging.

5 MR. ASHMEAD PRINGLE: Correct.

6 MR. BOB PETERS: And you had a few tweaks  
7 to that in my -- in my suggestion, one of those tweaks  
8 would be the -- the collar size.

9 MR. ASHMEAD PRINGLE: Hmm hmm.

10 MR. BOB PETERS: But in terms of --

11 MR. ASHMEAD PRINGLE: Yes.

12 MR. BOB PETERS: -- the mechanistic  
13 hedging you don't think they should be permitted under  
14 the -- under rules to be established to deviate from  
15 mechanistic hedging when they take a market view.

16 MR. ASHMEAD PRINGLE: Yes. What I'm  
17 saying is I don't think that -- that a market view should  
18 -- should come into it. Based on Mr. Simard's analysis  
19 and -- and so forth, I'm not sure that -- that they're  
20 going to be successful at that or that other people will  
21 either.

22 It's a very difficult market to -- to try  
23 to forecast price wise. And I believe that the risk goes  
24 up for the ratepayer when market views come into play.

25 MR. BOB PETERS: And you're aware that in

1 the years under review that are before the Board in this  
2 Hearing, the occasions where Centra took a market view,  
3 one of them at least had to do with the -- the market  
4 prices post-hurricane season and specifically post-  
5 Katrina and Rita.

6 MR. ASHMEAD PRINGLE: Yes.

7 MR. BOB PETERS: And in that particular  
8 case when -- when the executive of Centra took a market  
9 view you're suggesting that it was inappropriate of them  
10 to do so even if permitted by the policy.

11 MR. ASHMEAD PRINGLE: Yes. I think that  
12 it was and I think they should not do it. I don't  
13 consider market view one of the special circumstances  
14 that were -- were discussed earlier in terms of  
15 presenting a need to alter the program.

16 I would say that, you know, there's more  
17 than one set of rules that's possible. And in my -- my  
18 testimony a few years ago when I was talking about  
19 marching off the cliff and all that good stuff, I said,  
20 Let Centra have those rules reviewed and possibly revised  
21 and changed and -- rules can incorporate some flexibility  
22 as well.

23 A mechanistic program doesn't mean that  
24 you have to have a single rule and stick with it forever.  
25 It simply means you stick with the rules but you can

1 certainly change them. So the rules could have been  
2 changed, including the -- including the widening of the  
3 collar or a provision for hedging lower percentages in  
4 summer months or hedging lower percentages if -- if  
5 prices were, you know, X above history, and so forth.

6           But I'm a believer in the mechanistic  
7 approach being appropriate here and -- for the interest  
8 of -- of making sure things do get done. The risk of  
9 course with market view is highlighted in the 2000 or  
10 2001, whenever it was, when it -- you know, after the  
11 hearing of the year before I felt like the understanding  
12 was, you know, there was the 50 percent mechanism, there  
13 was EPP and rate-smoothing and -- and there would be some  
14 hedging to guard against higher prices, and it never got  
15 done.

16           And every month there was a meeting and  
17 the market views were discussed and things were too  
18 expensive, and nothing ever happened. That's the risk  
19 with -- with market views.

20           MR. BOB PETERS: Did I understand your  
21 evidence through Mr. Saxberg to be that the only special  
22 circumstances that should get the attention of Centra's  
23 executive would be when there are transportation and  
24 supply concerns, and then they may want to do something  
25 other than mechanistic hedging?

1 MR. ASHMEAD PRINGLE: Well, yes, things  
2 that -- that -- are -- are not related to the market or -  
3 - or the price of gas, certainly things that would have  
4 to do with projected volumes. I think one (1) of  
5 Centra's examples is if -- if there was a big change in -  
6 - in projected volume because of a migration to broker  
7 gas or if there were changes in supply structure or  
8 pipeline interruption or some such then, yes, those are  
9 special circumstances.

10 MR. BOB PETERS: And to that end then  
11 back to Centra Exhibit 6, Centra customers in Manitoba  
12 should have followed the blue line for the months of  
13 November and December of '05, and just fought through  
14 that price increase, whatever it would have been?

15 MR. ASHMEAD PRINGLE: Well, I'm not  
16 saying go back in history and -- and undo it. You know,  
17 hindsight is twenty/twenty (20/20). It -- it was nice to  
18 have that protection. My point is is that, you know,  
19 hedging in essence in this fashion is -- and I think  
20 Centra said this, not likely to produce a net gain over  
21 time or loss so it's just a matter of -- of some  
22 smoothing.

23 MR. BOB PETERS: But Centra didn't have--

24 MR. ASHMEAD PRINGLE: With --

25 MR. BOB PETERS: I'm sorry to interrupt.

1                   MR. ASHMEAD PRINGLE:    With the tools that  
2 are available, I mean, one could take the approach and be  
3 quite strict with the ratepayer and say, Ratepayer, you  
4 do have the tools you need. You have broker gas. You  
5 have the EPP and if you don't do it, well, then it's too  
6 bad. But that's politically maybe not very attractive.

7                   But I don't suggest that -- that the  
8 ratepayer would have been well served by being exposed  
9 here, but we're talking in a going forward approach.

10                  MR. BOB PETERS:    But before the monthly  
11 prices, Mr. Pringle, were put in effect for the  
12 November/December period Centra was relying on future  
13 prices. They weren't looking in a rearview mirror when  
14 they did that, were they?

15                  MR. ASHMEAD PRINGLE:    No, I believe they  
16 -- they set the forward price based on the curve at the  
17 time; that's true. And in fact if they'd been using the  
18 wider collars that I've discussed they would have had a  
19 little less positive results; that's just out of the  
20 tradeoff that you make with those. But -- and again in -  
21 - in the later situation since they would have had less  
22 loss to dispose of.

23                  MR. BOB PETERS:    Let me just switch to  
24 that wider collar that you've suggested be one (1) of the  
25 -- one (1) of the tweaks to the mechanistic hedging

1 program.

2                   Your point in the wider collar is  
3 essentially the fifty (50) cent out of the money, whether  
4 that was Mr. Stephens' brainchild or the consumers back  
5 in the day. Whatever it was, it represented  
6 approximately 20 percent of the then -- of the then  
7 market price and therefore that same percentage should be  
8 applied to the market price today?

9                   MR. ASHMEAD PRINGLE: I -- I think it's a  
10 good place to start, yes. I -- I don't know that the 20  
11 percent is a magic number. It -- it came from the fact  
12 that back then, given the proportion of primary gas to  
13 the gas bill and the then current prices, a fifty (50)  
14 cent move would -- would be about sixty dollars (\$60) in  
15 annual cost with the -- I think the annual usage was  
16 something around 1,200 Gj's and it may be a little lower  
17 now.

18                   So that -- that's the 20 percent notion,  
19 right.

20                   MR. BOB PETERS: And -- and the 20  
21 percent notion today, whatever that would increase, there  
22 would also be a 60 percent of that 20 percent as you've  
23 explained or, say, 12 percent reduction for the floor  
24 price expected?

25                   MR. ASHMEAD PRINGLE: I think typically

1 that's what you'd find. If -- if you look at the  
2 executions of Centra they're fifty (50) cents above and  
3 then on the downside they're not -- they're not all  
4 thirty (30) cents obviously but they tend to cluster  
5 around that number.

6 So it -- it's -- I think it tends to hold  
7 true. So if they were two dollars (\$2) higher, they  
8 would be a dollar twenty (\$1.20) lower.

9 MR. BOB PETERS: You also said in your  
10 evidence this afternoon, Mr. Pringle, that the hedging  
11 program should be more flexible in its rules and I was  
12 wondering, in terms of volumes can it be any more  
13 flexible than it currently is?

14 MR. ASHMEAD PRINGLE: Well, it -- it's  
15 flexible on paper but I don't think it's flexible in  
16 practice. In other words the -- the policy says  
17 essentially that they will hedge up to 100 percent of  
18 primary volumes for that fourth quarter out and subject -  
19 - subject to Executive Committee override and so forth.  
20 And I think whether it's part of that statement or some  
21 other, then I think it says, as a matter of course,  
22 though, here's what we're going to do.

23 We're going to rarely exercise this  
24 discretion. We're going to do it infrequently. What  
25 we're going to do instead, though, as a matter of course

1 is, we will -- we'll hedge 100 percent and we'll do it  
2 with costless collars and we'll do it with collars that  
3 have a fifty cent (50) topside gap.

4                   So that's -- that of course is what was  
5 done consistently for -- for quite some period. So I --  
6 to me in practice it was -- it was a strictly mechanical  
7 program.

8                   Now the business and I think it was just  
9 last year, I -- I may be mistaken, but recently the  
10 percentage I think changed from 90 percent to 100  
11 percent.

12                   And that subject to special circumstances  
13 a escape clause was -- was inserted. I think that may  
14 have been last year. But prior to that I think it was  
15 just -- it was really a very mechanical mechanistic  
16 program and I think Centra, you know, said a number of  
17 times, this is what we're going to do. We're going to  
18 just -- we're going to do it like clockwork in essence,  
19 by golly.

20                   And -- and that's the troubling thing is  
21 that it didn't happen a couple of times last year for  
22 whatever reason. I think it -- market views started to -  
23 - to come back in.

24                   MR. BOB PETERS: Is the flexibility in  
25 volumes hedged that you think should be written into the

1 rules tied to summer variation and winter variation?

2 MR. ASHMEAD PRINGLE: Well, it could be.  
3 I -- I'm not presuming to say I have a set of rules that  
4 are better. What I'm saying is that the -- the current  
5 rule that had been followed fairly religiously does  
6 really has no flexibility.

7 And that rather than have market views  
8 which are a very, sort of, ad hoc type of thing and I  
9 think hard to -- hard for me to be comfortable with  
10 anyway. It's possible to write rules that have some --  
11 some flexibility.

12 One of those might be that hedge  
13 percentages, minimum and maximums could be set. It could  
14 be different for different times of the year. It could  
15 be -- could be increased as periods get closer, you know,  
16 we have clients who do that.

17 One year out they may hedge 10 to 30  
18 percent. Nine (9) months out that percentage may go up.  
19 And it may vary depending on the time of year and a  
20 seasonal fuel market.

21 MR. BOB PETERS: Does the same general  
22 answer apply to the flexibility that you think the  
23 corporation should use for the type of instruments used?

24 MR. ASHMEAD PRINGLE: Well, it -- it's so  
25 -- you know, it depends on what their -- what the purpose

1 of the instrument is. The -- originally, you know, they  
2 began with the collar, well actually with the caps.

3 And -- and the hedging was going to be  
4 sort of a disaster insurance program and caps are great  
5 for that. If they're not too expensive, you're just  
6 going to limit the upside and -- and keep the downside.

7 Collars came along as the compromise and  
8 again, initially that was going to be perhaps a  
9 discretionary amount. Whatever it was going to be needed  
10 to protect against this -- this runaway market.

11 Because we had some -- we had a little  
12 more smoothing then. We had the 50 percent flywheel  
13 affect. And -- and then we got away from that and went  
14 to 100 percent passthrough and -- and the quarterly rate  
15 setting and more reliance on derivatives.

16 So it went up to -- what 90 percent. And  
17 the collar was selected -- I -- I don't really have any  
18 problem with the collar. Fixed price could be used as --  
19 as well to some degree. That -- that's really a choice.

20 Collars are attractive to folks because  
21 they -- costless collars are because they have no up  
22 front cost, they have an opportunity cost.

23 Again, I -- I don't -- it's easy to go  
24 back and say, well here's rules that would have been the  
25 maximum best thing you could have done in the past. And

1 I'm not suggesting that's useful.

2 I'm only suggesting that the rule that was  
3 being followed had a risk of running into losses and that  
4 Centra should look at its hedging rules and have some  
5 outside source like risk advisory give them a periodic  
6 recommendation on making any changes.

7 MR. BOB PETERS: Thank you for that. I  
8 want to turn with you to -- in the book of documents that  
9 Mr. Saxberg has -- those would be the, sorry, -- the  
10 selected hearing documents that were prepared on behalf  
11 of the Board, not Mr. Saxberg's treatise.

12 At Tab 22 there's a listing of the seven  
13 (7) counter parties with whom Centra is permitted to  
14 interact.

15 MR. ASHMEAD PRINGLE: All right.

16 MR. BOB PETERS: Are you aware of any or  
17 all of those?

18 MR. ASHMEAD PRINGLE: Yes. I've heard of  
19 them.

20 MR. BOB PETERS: Can you tell the Board  
21 what are your views on the nature of the reward  
22 expectations of AECO based trading as set out by these  
23 counter parties?

24 MR. ASHMEAD PRINGLE: Well, I can't tell  
25 you what -- what the kind of profit margins they shoot

1 for, et cetera, but certainly they shoot for some in  
2 terms of their trading.

3                   How much risk their individual trading  
4 desks take as a possible income source is another issue.  
5 I can't tell you about that and that may influence the  
6 extent to which one (1) of them has a stronger offer one  
7 (1) day or another.

8                   What I think I can say with confidence is  
9 that in the marketplace, as you survey these counter  
10 parties, and it's certainly a rich set, and you look for  
11 price, say, swap prices, I think you'll find them fairly  
12 close together and there will be a bit offer spread  
13 between the two (2).

14                   Each of these desks will be willing to buy  
15 at one price and sell at another. And that may be a  
16 little different from one to the other, depending on  
17 their book, their position, whether they're long or short  
18 and their market view, perhaps.

19                   They may well take a market view.  
20 Characterize that? I don't know. AECO's a pretty tight  
21 market.

22                   I'd say most of the time for something  
23 within a year, maybe that bit offer spread is -- is a  
24 penny a GJ, maybe two (2). It's going to depend on the  
25 volatility.

1                   MR. BOB PETERS:    When you say this is a  
2 rich set of counter parties, what do you mean by that?

3                   MR. ASHMEAD PRINGLE:    Well, I mean seven  
4 is a nice number and these are all major strong financial  
5 institutions that -- that should be financially worthy  
6 counter parties.

7                   MR. BOB PETERS:    You'd expect these  
8 counter parties to have a high level of sophistication in  
9 dealing with derivatives trading of natural gas?

10                  MR. ASHMEAD PRINGLE:    I would.

11                  MR. BOB PETERS:    And has -- have you come  
12 across anything in the filing in this case to suggest  
13 that Centra is not well suited in transacting with these  
14 counter parties?

15                  MR. ASHMEAD PRINGLE:    No.  No, I -- I  
16 think they've -- their transaction process as described  
17 seems -- seems reasonable.

18                  As I understand it, they go out for bids  
19 and not always to all of these counter parties, but at  
20 least two (2) or more, I presume, maybe three (3) or more  
21 and look for the -- the best numbers.

22                  MR. BOB PETERS:    There's no suggestion by  
23 you that Centra's bringing a knife to a gunfight here  
24 with these people?

25                  MR. ASHMEAD PRINGLE:    No, I don't think

1 so. As long as they are getting competitive bids, no, I  
2 think that takes care of itself.

3 MR. BOB PETERS: And if Centra estimates  
4 the dealer margin to be approximately three-quarters  
5 (3/4) of one (1) cent per GJ, you'd find that reasonable?

6 MR. ASHMEAD PRINGLE: Well, I saw that in  
7 the Kiorex study and I don't know, I would just go back  
8 to the bid offer spread in -- in the market place and my  
9 guess is, it's probably a bit wider than that but -- and  
10 it will change, depending on what's happening in the  
11 natural gas market.

12 There are going to be times when it may be  
13 a nickle, just depending on how -- how much volatility is  
14 going on at that particular time.

15 So, I would say probably, you know, if you  
16 want to split it down the middle and say it's two (2)  
17 cents and then, you know, in mid market maybe it's a  
18 penny, yeah, I think it's small. Three-quarter (3/4) of  
19 a cent, maybe. That's a good, tight market.

20 MR. BOB PETERS: Does that suggest that  
21 there's a high liquidity in the market?

22 MR. ASHMEAD PRINGLE: Yes. No, I think  
23 that AECO is a very liquid market.

24 And, you know, I -- in fact, yeah, I'd  
25 argue that -- that AECO -- the price of gas is already

1 fairly competitive and the price at AECO is a -- it's a  
2 highly liquid point, transparent, lot of counter parties  
3 and I think one can look at that price, generally, with  
4 confidence that it is arrived at through a competitive  
5 process; that it is -- it is the price, it is the market  
6 price, and -- and, you know, nobody has a magic wand to  
7 make it lower or make it higher.

8 MR. BOB PETERS: Just to conclude, in the  
9 evidence you had through questions from Ms. Murphy, I  
10 think you indicated that ideally your recommendation to  
11 this Board would be to order Centra to stop hedging once  
12 the ratepayers can, and I think I wrote down -- roll  
13 their own.

14 Were those your words?

15 MR. ASHMEAD PRINGLE: That's a folksy  
16 expression.

17 MR. BOB PETERS: Maybe from the tobacco  
18 industry, I don't know.

19 MR. ASHMEAD PRINGLE: That's right. That  
20 is correct.

21 MR. BOB PETERS: I think it has a  
22 different meaning to some, but, having said that, what  
23 you meant by that was if the Board is satisfied that  
24 Manitoba consumers have a wide spectrum of options in  
25 terms of fixing the price that they want through a broker

1 as well as these other opportunities such as the equal  
2 payment plan, that might be the time that Manitoba should  
3 consider letting Centra discontinue hedging if that's  
4 their -- if that's their --

5 MR. ASHMEAD PRINGLE: Yes. I'm -- yeah.  
6 I'm not suggesting that the -- that the customer be -- be  
7 abandoned, that the consumer be abandoned, but that --  
8 that these -- these choices of managing their risks can  
9 be delivered, you know, more efficiently and  
10 individually.

11 MR. BOB PETERS: And included in that, I  
12 think you've told me already, is your expectation that  
13 that fully competitive marketplace would include one  
14 season out fixed-price offerings, maybe two (2) seasons  
15 out, maybe three (3), as well as five (5).

16 MR. ASHMEAD PRINGLE: I think so. I  
17 mean, in a -- you know, I'm not sure who wants the five  
18 (5), I mean, of course maybe my time line is getting  
19 short but in -- in Georgia we have these choices and --  
20 and I'm not so interested in a -- in a five (5) year  
21 program.

22 And if I were offering one (1) I would be  
23 -- I would be concerned about how do I enforce it,  
24 because it's not very -- it's not easy to chase  
25 individual consumers down if they default. It's hardly

1 worth the trouble. A good bit of risk in five (5) year  
2 programs.

3 As the Board I would be -- I would be  
4 interested in making sure that those who offer five (5)  
5 year programs at fixed-prices and who thereby take on a  
6 lot of risk, are able to hedge it so that the ratepayer  
7 doesn't find himself in a year, out of luck.

8 I think that's -- that's one (1) argument  
9 that folks might advance for saying, Gee, let Centra do  
10 it too before of their financial strength. But, again,  
11 that's a separate issue.

12 MR. BOB PETERS: It may be a separate  
13 issue for the next year. So, Mr. Pringle, I want to  
14 thank you for your answers to my questions.

15 And, Mr. Chairman, Board Members, those  
16 conclude my questions.

17 THE CHAIRPERSON: Thank you, Mr. Peters.  
18 Mr. Saxberg, do you have any re-direct for  
19 your witness?

20 MR. KRIS SAXBERG: No, I don't, sir.

21 THE CHAIRPERSON: Thank you then. Thank  
22 you, Mr. Pringle.

23 MR. ASHMEAD PRINGLE: Well, you're  
24 welcome. And I understand you'll be convening outdoors  
25 tomorrow again, as you're accustomed, right?

1 THE CHAIRPERSON: Some of us will.

2

3 (WITNESS STANDS DOWN)

4

5 THE CHAIRPERSON: This brings this  
6 segment of our proceedings to a close. We greatly  
7 appreciate the cooperation of the parties to arrive at a  
8 reasonable scope for the proceedings and the evident  
9 effort to stay constrained to the process that was agreed  
10 upon.

11 We understand Centra will be filing a GRA  
12 in the new year and we've also spoken about yet another  
13 proceeding to consider the wider landscape. So we expect  
14 to come together to seek the public interest on other  
15 occasions.

16 Likely, at a future occasion the process  
17 will be joined by at least RCM/TREE who sat out this  
18 process as a result of certain understandings.

19 We want to at this time express our thanks  
20 to all those who have directly or indirectly participated  
21 in this process to this point, particularly thanks to  
22 those who came from afar, including Mr. Pringle and the  
23 counsel for Direct and Energy Savings.

24 And particular thanks to Centra's counsel  
25 and witnesses. In the absence of their cooperation and

1 forthrightness, this hearing process would be very  
2 difficult to say the least.

3           We're going to stand adjourned now to  
4 closing arguments on the 5th, which I believe is on  
5 Wednesday. At that point in time -- it's the 6th, is it  
6 not? I think it's the 6th. On that date we're going to  
7 accept written closing arguments if some would like to go  
8 on that proceedings and they'll be put into the record.

9           Centra will be provided an opportunity to  
10 reflect on the closing statements made by the others  
11 before they provide those. Hopefully you'll be able to  
12 do it the same day but, if not, we'll figure out  
13 something at that point in time.

14           Mr. Peters, can you think of anything I've  
15 missed?

16           MR. BOB PETERS: I think you've covered  
17 it. I can only indicate that there has been a discussion  
18 amongst counsel to -- to meet next Wednesday as the date  
19 for closing submissions.

20           It was anticipated that I would start the  
21 day off, followed by the Intervenors in alphabetical  
22 order, which means Mr. Saxberg will follow me. My  
23 Friends from Direct Energy, including Mr. Hoaken and Ms.  
24 Gibbs will consider either coming back if the  
25 temperatures moderate or providing their -- their

1 comments in written form and they will use their best  
2 efforts to get them to us the day before and 4:00 p.m.  
3 Toronto time is only a loose understanding we have and if  
4 that can be met that would hopefully satisfy Centra's  
5 concern.

6                   The same -- the same time line with --  
7 with Ms. Ruzycski from Energy Savings Manitoba Corporation  
8 that should she not be coming back to Winnipeg for  
9 closing argument she would provide them in writing and  
10 I'll just remind her of those time lines and it's hoped  
11 that we would have an opportunity to review those prior  
12 to the -- the morning; that would facilitate matters for  
13 Centra as well.

14                   And then it'll be for Ms. Murphy to  
15 indicate whether she's prepared to provide her closing  
16 submissions that same day which presently I think is our  
17 expectations but we'll see how it rolls out.

18                   THE CHAIRPERSON: Thank you, Mr. Peters,  
19 and thanks again to yourself and our other Advisors and  
20 our staff that assisted us in our process to this point.  
21 We stand adjourned.

22

23 --- Upon adjourning at 4:08 p.m.

24

25

1

2

3 Certified Correct

4

5

6

7

8

---

9

Wendy Warnock

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25