

1
2 MANITOBA PUBLIC UTILITIES BOARD
3
4
5

6 Re: CENTRA GAS
7 COST OF GAS APPLICATION
8
9

10 Before Board Panel:

11 Graham Lane - Board Chairman
12 Monica Girouard - Board Member
13 Mario Santos - Board Member
14
15
16

17 HELD AT:

18 Public Utilities Board
19 400, 330 Portage Avenue
20 Winnipeg, Manitoba
21 September 15th, 2004
22 Volume IV
23 Pages 662 to 871
24
25

1 APPEARANCES
2

3 R.F. Peters)Board Counsel
4
5 Marla Murphy)Centra
6
7
8 Kris Saxberg)Canadian Association of
9 Consumers, Manitoba Society
10 of Seniors (CAC/MSOS)
11
12 Bill Carroll)MacDon Industries Ltd.
13
14 David Brown)Municipal Gas/Direct
15 Karen Melnychuk Energy
16
17
18 Carol Wilkinson)Court Reporter
19
20
21
22
23
24
25

1 TABLE OF CONTENTS
2

3 Page No.

4	List of Undertakings	665
5		
6	KELLY DERKSEN, Sworn	
7	GREG BARNLAND, Sworn	
8		
9	CENTRA PANEL, Resumed	
10	Examination In-Chief By Ms. Marla Murphy	668
11	Cross-Examination By Mr. Bob Peters	682
12	Cross-Examination By Mr. Bill Carroll	834
13		
14	Certificate of Transcript	871
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

		LIST OF UNDERTAKINGS	
	Undertaking No.	Description	Page No.
1	2	9	Re-do PUB/CENTRA 100(b) with a 17 percent load factor.
3	4	10	Re-calculate PUB/CENTRA 100(b) for interruptible customers.
5	6	11	Ms. Derksen to prepare and submit further revised Schedule 8.1.0.
7	8	12	Ms. Derksen to file analysis customers of actual and average peak day billing.
9			
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1 --- Upon commencing at 8:03 a.m.
2

3 THE CHAIRPERSON: Good morning everyone. I
4 hope everyone enjoyed the hockey game last night.

5 The -- today we have another busy day. To
6 begin with we'll be introducing Centra's Witness Panel Number
7 2. Ms. Murphy, do you want to introduce them and then I'll
8 have Mr. Singh provide the oath, or the affirmation.

9 MS. MARLA MURPHY: Certainly. Good morning,
10 Mr. Chairman, members of the Board, ladies and gentlemen. A
11 couple of the faces have changed on our panel, Mr. Stevens
12 and Ms. Stewart having been excused.

13 We now have joining our panel, Ms. Kelly
14 Derksen, who is the Senior Analyst of gas rates and Mr. Greg
15 Barnland, who is the Senior Consultant, gas rates and policy.
16 Just running down the roster from start to end, Mr. Warden is
17 on my immediate right, Vice President, Finance and
18 Administration and Chief Financial Officer.

19 And on Mr. Barnlund's right is Greg Sanderson
20 -- sorry, Brent Sanderson, Senior Gas Cost and Hedging
21 Analyst. And Mr. Dan Rainkie, who is the Manager of Gas
22 Rates Regulatory Services.

23 The Panel has, for the most part, been sworn
24 other than Ms. Derksen and Mr. Barnlund. Our intention on
25 the Board's process, was to have Ms. Derksen give her direct

1 evidence this morning, which relates to cost allocation
2 matters and rate design, the 'H' -- the 'F' issues.

3 Mr. Barnlund and Ms. Derksen, will give direct
4 evidence tomorrow, as it relates to the unaccounted for gas
5 issues.

6 And if I might, I just have one (1) more
7 housekeeping matter. You would have found on your chair this
8 morning, an attachment PUB/CENTRA 8(a), Attachment 4, this is
9 the most recent minutes of the gas supply risk management
10 committee, which were approved and would form an attachment
11 to the response to IR-PUB/CENTRA 8(a).

12 That IR has been given an Exhibit number PUB-
13 5-8 and I might suggest that this simply be attached to that
14 IR and form part of that exhibit.

15 THE CHAIRPERSON: That's fine. Thank you.
16 Mr. Singh?

17
18 KELLY DERKSEN, Sworn;
19 GREG BARNLAND, Sworn;

20
21 THE CHAIRPERSON: Thank you and welcome. Ms.
22 Murphy...?

23
24 EXAMINATION IN-CHIEF BY MS. MARLA MURPHY:
25 MS. MARLA MURPHY: Thank you. Ms. Derksen,

1 would you please outline your areas of responsibility with
2 respect to this Application?

3 MS. KELLY DERKSEN: Good morning, Mr.
4 Chairman, Members of the Public Utilities Board, ladies and
5 gentlemen. In my testimony, I will be providing evidence
6 related to the 2004/'05 Cost Allocation Study and the
7 allocation of the non-primary PGVA and gas cost deferral
8 account balances as at March the 31st of 2004.

9 I will also be providing evidence with respect
10 to the allocation of unaccounted for gas and the billing of
11 high volume firm demand charges and the proposed changes to
12 the terms and conditions of service.

13 MS. MARLA MURPHY: Ms. Derksen, could you
14 please outline for the Board the rate impacts of Centra's
15 Application on customers?

16 MS. KELLY DERKSEN: The billed rates that are
17 proposed for November 1st, 2004 result in a typical
18 residential customer's bill decreasing by approximately 3.9
19 percent or fifty-two dollars (\$52) per year.

20 The annual bill impacts for the LGS class
21 range from decrease of 2.8 percent to 3.4 percent. The high
22 volume firm class impacts, which were revised on September
23 the 2nd, now range from a decrease of 7.2 percent to 8.5
24 percent.

25 The main line customer class will experience a

1 decrease of 4.2 to 6.3 percent. And the interruptible class
2 will experience an increase of 1.2 to 1.4 percent. The
3 special contract customer will experience a rate decrease of
4 19.3 percent and the power stations will experience an
5 increase of 13.2 percent. The annual bill comparisons are
6 relative to the approved August 1st, 2004 billed rates.

7 MS. MARLA MURPHY: Ms. Derksen, could you
8 please describe the purpose and process of a cost allocation
9 study?

10 MS. KELLY DERKSEN: A cost allocation study is
11 designed to estimate the cost to provide a specific service
12 to a particular customer or class of customers. The cost
13 allocation process is a three (3) step sequential process
14 consisting of functionalizing the costs into broad -- broadly
15 defined groups, which describe the purpose or the function of
16 those costs, classifying the costs on the basis of their
17 variability and finally allocating the costs to the various
18 customer classes.

19 The cost allocation study also provides
20 information on the nature of the costs, whether those costs
21 are fixed or variable and the factors that affect the
22 variability of costs.

23 This information is beneficial in terms of
24 determining an appropriate rate design, again assuming that
25 rates reflect the costs incurred.

1 As such, the cost allocation study provides
2 the basic data upon which rates are based.

3 MS. MARLA MURPHY: Ms. Derksen, is the cost
4 allocation methodology used in connection with this Rate
5 Application consistent with that used in previous
6 Applications?

7 MS. KELLY DERKSEN: Yes. Centra is not
8 proposing any substantial changes in its approach to cost
9 allocation in this Application. Centra has completed a
10 review of unaccounted-for gas which will impact its
11 allocation in the Cost Allocation Study.

12 MS. MARLA MURPHY: And would you please
13 outline the rate riders that Centra's proposing in this
14 Application?

15 MS. KELLY DERKSEN: Centra proposes to refund
16 approximately \$16.5 million in rate riders to customers in
17 this Application. Schedule 8.4.0 updated, summarizes the
18 allocation of the non-primary PGVA and gas cost deferral
19 accounts as at March the 31st of 2004, with carrying costs to
20 October 31st of 2004 to the various customer classes.

21 As a result of the timing of this gas cost
22 proceeding, Centra anticipates new rates be approved for
23 November the 1st, 2004.

24 Centra is therefore proposing to refund the
25 approximate \$16.5 million over a nine (9) month period,

1 ending July the 31st of 2005. This allows the expiry of the
2 proposed rate riders to coin -- to coincide with the
3 customary implementation of annual non-primary gas rate
4 changes on August the 1st of 2005.

5 MS. MARLA MURPHY: Ms. Derksen, can you
6 please explain Centra's proposal for the refund of the
7 supplemental gas PGVA?

8 MS. KELLY DERKSEN: Centra is proposing to
9 refund the supplemental PGVA balance through the distribution
10 to customer charge for all customer classes except the
11 mainline class.

12 Centra is proposing a separate line item on
13 the bill for the four (4) mainline customers who receive
14 supplemental gas from Centra, because refunding the
15 supplemental PGVA in their distribution to customer charge
16 results in a negative billed rate.

17 Centra has proposed this change to deal with
18 the volatility in the supplemental gas rate that results from
19 the large refund that has accumulated in the supplemental gas
20 PGVA.

21 Centra's concerns with respect to the
22 volatility in the supplemental gas rate were discussed in the
23 update to the Application filed with the PUB on August the
24 9th.

25 Refunding the supplemental PGVA in the

1 distribution to customer charge allows for a more correct
2 price signal to customers on the cost of supplemental supply,
3 while ensuring that the refund is provided to the appropriate
4 customers. As well, the supplemental PGVA will be refunded
5 over total sales volumes in the distribution to customer
6 charge, thus allowing for a smoother refund of the
7 supplemental PGVA.

8 MS. MARLA MURPHY: Ms. Derksen, what is
9 Centra seeking with respect to amendments to the terms and
10 conditions of service?

11 MS. KELLY DERKSEN: Centra is proposing
12 amendments to the terms and conditions of service as outlined
13 in Tab 9 of the Application. A number of these changes are
14 made to ensure consistency of the Board Orders and the
15 letters with the actual terms and conditions of service,
16 including amendment to the service territory, WTS and ABC
17 terms and conditions, standard pressure and temperature and
18 removal of references to the buy/cell service.

19 In addition, Centra is proposing amendments
20 with respect to the company labour rate, such that the terms
21 and conditions of service would specify cost based rates,
22 depending on the nature of the work performed, rather than
23 specifying a rate with -- which is no longer representative
24 of the services rendered.

25 This will bring Centra's labour rates in line

1 with those charged by Manitoba Hydro and reflect the
2 integrated cost allocation -- cost accounting methodology
3 incorporating the labour activity rates which included --
4 includes wages, benefits, vehicles and tools.

5 The customer will be advised of the cost
6 through an estimate that is provided to them prior to the
7 commencement of any work performed.

8 Centra is also seeking amendments with respect
9 to the temporary disconnection charge which is currently
10 stated as two hundred and twenty dollars (\$220) in the
11 miscellaneous charges for service.

12 Because the cost to temporarily disconnect and
13 then subsequently re-establish service can vary depending on
14 the size of equipment -- equipment reinstalled, Centra
15 proposes to amend the two hundred and twenty dollar (\$220)
16 rate to be a cost based fee for re-establishing the natural
17 gas service.

18 This fee is expected to range from a hundred
19 and twenty-five (125) to three hundred dollars (\$300) for
20 typical residential customer. Centra has also seeking to
21 amend the miscellaneous charges for service to clarify that
22 there are a number of situations in which customers request
23 both relocations and alterations of the meters, regulators
24 and service lines.

25 Centra is adding alterations to this part of

1 the terms and conditions of service. This change ensure that
2 terms and conditions of service are consistent with Centra's
3 practices and allows Centra the ability the charge customers
4 for the cost of requested work, such that other ratepayers
5 are not absorbing the cost of these changes.

6 Finally, Centra is seeking to amend the
7 miscellaneous charge for service, which relate to service
8 reinstallation policy. When a service re -- when a service
9 abandonment request is received, Centra will remove the
10 meter, regulator and in some cases, the service line.

11 Centra wishes to charge the customer for the
12 full cost of installation of the new service line meter and
13 regulator, should the same customer request re-installation
14 within five (5) years.

15 The proposed amendments includes reference to
16 the service line which has not been included in the past.
17 And as noted in the response to PUB/Centra 35, Centra's no
18 longer proposing to amend the cost of labour for the SGS non-
19 residential customers related to safety services.

20 MS. MARLA MURPHY: Ms. Derksen, what is Centra
21 proposing in this Application with respect to the high volume
22 firm billing demand?

23 MS. KELLY DERKSEN: What Centra is proposing
24 in this Application with respect to the high volume firm
25 demand is that Centra is requesting PUB approval to bill high

1 volume firm demand charges on the basis of actual peak day,
2 commencing on November the 1st of 2004.

3 And we have incorporated actual peak day
4 billing units as part of the dem -- the demand rates
5 determination.

6 MS. MARLA MURPHY: Ms. Derksen, can you please
7 explain how the demand ratchet is determined?

8 MS. KELLY DERKSEN: Demand for the purposes of
9 set -- of billing is set only during the winter months of
10 November to March. No demand is set during the summer months
11 of April to October.

12 Demand is billed to customers based on the
13 highest daily consumption between November and March, except
14 for the high volume firm class who is currently billed on the
15 average of the daily consumptions of the peak months.

16 Once demand is set a customer will be billed
17 demand on this consumption level for the next eleven (11)
18 months unless a customers daily consumption is exceeded
19 during a winter period.

20 If demand is not exceeded during the next
21 eleven (11) months, Centra will re-establish demand for a
22 customer on the basis of the prior highest daily consumption
23 of the past eleven (11) months, so long as it is a winter
24 month.

25 MS. MARLA MURPHY: Can you explain Centra's

1 proposal for the implementation of billing demand for the
2 high volume firm class on November 1st, 2004?

3 MS. KELLY DERKSEN: Yes. Centra's proposing a
4 slightly different implementation of billing demand compared
5 to how a ratchet -- a demand ratchet is typically set and as
6 how I previously described.

7 If Centra's proposal is accepted, rather than
8 setting demand on the basis of the 2003/'04 peak that was set
9 last year, Centra will continue billing each customer based
10 on the average of the peak month for this class, until the
11 customer exceeds the average peak.

12 Last year 60 percent of customers in the high
13 volume class exceeded their peak in November. This
14 implementation proposal allows high volume firm customers to
15 make changes to their load profile if they wish to avoid
16 being billed on their actual 2003/'04 peak.

17 Centra has proposed this implementation solely
18 to ease the transition for the high volume firm of customers.

19 MS. MARLA MURPHY: Ms. Derksen, why does
20 Centra believe that billing demand on the basis of actual
21 peak day is an appropriate billing methodology?

22 MS. KELLY DERKSEN: The cost that Centra
23 incurs to provide service to customers are classified into
24 three (3) broad categories; customer related, capacity
25 related and commodity related.

1 The capacity related costs include the costs
2 of providing upstream transportation and downstream
3 transmission and distribution capacity to serve the peak
4 load. These costs are fixed in nature as they are a function
5 of the size of the peak load that must be served and do not
6 vary with the changes in the total volume of natural gas
7 consumed by a customer.

8 Capacity related costs are recovered largely
9 through the monthly demand charges. It is appropriate to
10 bill and recover the capacity costs that have been allocated
11 to the high volume from class from each of the individual
12 customers in that class on the basis of actual peak day for
13 the following reasons.

14 The first is to encourage high load factory
15 usage of Centra's system. Number two (2) is to reflect the
16 nature of costs incurred to provide service to customers, to
17 have actual peaks that are observable and directly
18 controllable by the customer and to have demand that is
19 consistently charged for all customers with three (3) part
20 rates.

21 The use of actual peak day to bill and recover
22 capacity costs is superior to the use of average demand as it
23 more accurately measures the maximum draw of the customer on
24 the system which is consistent with how those capacity costs
25 are incurred.

1 Average demand is a function of the total
2 usage during the month, rather than peak usage on the system.
3 This is the reason that actual peak is used as the basis of
4 billing of demand costs in the other high volume -- high
5 volume customer classes and is the reason that it should be
6 used for the high volume firm class as well.

7 Centra wishes to remedy this situation by
8 moving to billing the high volume firm demand costs on the
9 basis of actual demand on November 1st of 2004.

10 MS. MARLA MURPHY: Ms. Derksen, what is
11 Centra's proposal to deal with the billing difference that
12 arose from August 1st, 2003 to February 29th, 2004?

13 MS. KELLY DERKSEN: The PUB indicated in
14 Order 16/04 that the implementation of actual demand billing
15 methodology and associated demand rate should be delayed
16 until after the winter demand seasons of 2003/'04 that ended
17 on March the 31st of 2004.

18 Therefore, implementation of actual demand
19 billing and the associated rate was to occur on or after
20 April the 1st of 2004.

21 The demand rate that was put on play -- in
22 place last August of 2003 was in effect for seven (7) months
23 until the end of February of 2004. Under Centra's
24 implementation proposal, the revised demand rate will be in
25 effect until October the 31st of 2004 and as such, the

1 revised demand rate will be in effect for seven (7) months
2 after April the 1st of 2004.

3 It is Centra's position that the demand rate
4 differential from August the 1st of 2003 until February the
5 29th of 2004 for the most part is offset by the further delay
6 in the implementation of actual demand billing and the associ
7 -- the associated rate to November 1st of 2004 and as such,
8 there is no need to revise the high volume firm demand
9 billings for the earlier period.

10 This would mitigate against the potentially
11 severe negative customer response resulting from issuing a
12 retroactive bill to more than forty (40) customers in the
13 high volume firm class for the period of August the 1st of
14 2003 until February the 29th of 2004.

15 MS. MARLA MURPHY: Thank you, Ms. Derksen.
16 Mr. Chairman, that concludes the direct evidence of this
17 Panel, apart from the UFG evidence that will be heard later.

18 THE CHAIRPERSON: Thank you, Ms. Murphy.
19 Rather than going on now to Board Counsel to begin the cross-
20 examination, we're scheduled to receive a presentation from
21 Mr. MacDonald of MacDon Industries. Is Mr. MacDonald ready?

22 MR. BILL CARROLL: Yes.

23 THE CHAIRPERSON: Welcome and please proceed.

24 MR. ALLAN MACDONALD: Thank you sir. I would
25 like to thank the PUB for the opportunity to attend here

1 today. You have previously received our comments and
2 questions in the form of a letter.

3 I must say that this has been a very
4 frustrating experience for our small company, it started out
5 by simply questioning the timing of a proposed change to the
6 status quo last fall. In the intervening months it grew into
7 a much larger topic. The questions beget more questions and
8 in particular as to the process.

9 There is no way that we could have stayed the
10 course and still be here today without help. That assistance
11 came in the form of a consultant, as you are aware, Mr. Bill
12 Carroll, on my right. I know that he will have his own
13 comments and questions later today.

14 I cannot believe that some of the information
15 and data that eventually is used to make rulings can be
16 suspect. Surely there should be no debate as to how a set of
17 numbers was calculated. One might not agree with the
18 conclusion, but the process should be clear and concise and
19 correct.

20 Our frustration is compounded, when the
21 general impression in the public domain is fuzzy, like a
22 bear. The notice in regards to this set of Public Hearings,
23 suggests to the casual reader, that we are looking at a
24 reduction. We know from a recent set of proceedings, that
25 the PUB very well may decide to increase the request from

1 Centra.

2 We could once again be blind sided by an even
3 larger increase than that which we believe we are already
4 facing at this time. To us, the lines between the Utility
5 providers and the PUB are blurred.

6 Our faith in the system is shaken, and I
7 cannot tell my brothers and/or employees, that all is well on
8 this topic.

9 We are already in an industry that is reeling
10 from the BSC or Mad Cow Disease. We now have a late wet
11 harvest on the prairies, we employed several additional
12 people this spring, and have some exciting new products
13 coming out of engineering.

14 Whether we build the increased volumes and the
15 jobs that they will bring here in Winnipeg, or somewhere
16 else, is now suspect. We will need to review our options as
17 to any future plant expansions as to location.

18 When we added on to our production facilities
19 in the year 2000, we felt that with the cost of energy in
20 Manitoba, we made a good choice. We spent approximately \$20
21 million on that expansion, to increase our capacity and
22 introduce newer and friendlier technology.

23 We recently added another facility to help
24 bring potential customers to Winnipeg. We are proud to be
25 Winnipeg and Manitoba based, and wish to remain so. This

1 process that we're going through makes it harder to do so.
2 Thank you for your time.

3 THE CHAIRPERSON: Thank you, Mr. MacDonald.
4 Now, following our normal process we'll return to Mr. Peters.
5 MR. BOB PETERS: Yes, thank you. Good
6 morning, Mr. Chairman and Board Members.

7 I'd also like to thank Mr. Carroll and his
8 client, Mr. MacDonald, for coming forward with their
9 presentation.

10 As the Board is aware on August the 31st, Mr.
11 Carroll submitted a written presentation on behalf of his
12 client, and that has been copied to registered Intervenors
13 and the Board has -- has a copy as well.

14 My suggestion, Mr. Chairman, similar to what
15 we did in previous presentations in this Hearing, is that we
16 ask our court reporting service to embed that presentation in
17 the transcript of proceedings today, so that we have the
18 presentation in the transcript.

19 THE CHAIRPERSON: That's fine.

20 MR. BOB PETERS: All right, thank you. With
21 that, Mr. Chairman, I'll turn to the Panel this morning.

22
23 CROSS-EXAMINATION BY MR. BOB PETERS:

24 MR. BOB PETERS: And perhaps, Ms. Derksen,
25 I'll begin with you. Good morning and welcome.

1 As I understood what you told your lawyer this
2 morning, the principle goal of rate setting is to establish
3 rates that are -- you consider fair and equitable and not
4 unduly discriminatory?

5 MS. KELLY DERKSEN: That's true.

6 MR. BOB PETERS: And that's why you use a
7 cost allocation study is to further that goal?

8 MS. KELLY DERKSEN: Yes.

9 MR. BOB PETERS: Would a -- would the Board
10 be correct in understanding that Centra considers the rates
11 to be fair when they reflect the costs that are incurred to
12 provide the service?

13 MS. KELLY DERKSEN: Yes, I would agree that
14 that's been established as the -- the defined definition of
15 fair.

16 MR. BOB PETERS: So, if rates reflect the
17 costs incurred to provide the service, that in general terms
18 is considered to be fair in regulatory parlance?

19 MS. KELLY DERKSEN: Yes. Certainly in -- as
20 part of Centra Manitoba and in this jurisdiction.

21 MR. BOB PETERS: And you agree with me that
22 rates can be different if there is a reasonable and rational
23 basis for those differences?

24 MS. KELLY DERKSEN: Yes, I agree with that.

25 MR. BOB PETERS: And -- and one (1) of the

1 reasons rates could be different would be the nature of the
2 service provided?

3 MS. KELLY DERKSEN: Yes, sir.

4 MR. BOB PETERS: And additionally, there
5 could be a difference in rates if the costs in providing that
6 similar service is also different between customer classes?

7 MS. KELLY DERKSEN: Yes, that's true.

8 MR. BOB PETERS: Now the cost allocation
9 study that you perform, is it correct that that is to
10 estimate the cost to provide specific service to specific
11 customer classes?

12 MS. KELLY DERKSEN: Yes, that's what we do.

13 MR. BOB PETERS: And from your answers to Ms.
14 Murphy earlier this morning, I take it that the significant
15 change in your Cost Allocation Study over previous years is
16 that you have a proposal related to unaccounted for gas and
17 that's a matter that will be addressed tomorrow?

18 MS. KELLY DERKSEN: Yes, that's the major
19 change this -- this go round.

20 MR. BOB PETERS: All right. And when you say
21 the "major change", you're telling the Board that there
22 aren't any other significant changes in the methodology or
23 process; is that correct?

24 MS. KELLY DERKSEN: Yes, that's true.

25 MR. BOB PETERS: But of course the -- the

1 numbers change from year to year, correct?

2 MS. KELLY DERKSEN: Yes, sir.

3 MR. BOB PETERS: And in the updating filing
4 that the Board received on August the 9th, I believe Mr.
5 Sanderson told the Board that the non-primary gas costs were
6 approximately \$83.4 million. Is that where you started from
7 in your cost allocation?

8 MS. KELLY DERKSEN: I don't -- \$83.4 million
9 is the amount that we are discussing as part of this
10 Application. That's not necessarily where I start from. I
11 look at all of the costs that make up that \$83.4 million and
12 ultimately I need to allocate costs to each of the customer
13 classes that total \$83.4 million.

14 MR. BOB PETERS: Ms. Derksen, in this
15 Application you are not allocating any primary gas costs, are
16 you?

17 MS. KELLY DERKSEN: We are not, Mr. Peters.

18 MR. BOB PETERS: And you are also not
19 allocating what has been called non-gas costs?

20 MS. KELLY DERKSEN: That's true as well.

21 MR. BOB PETERS: And those non-gas costs are
22 generally the matters that are subject of a General Rate
23 Application. Would you agree with that?

24 MS. KELLY DERKSEN: Yes.

25 MR. BOB PETERS: In the update that you

1 provided, Ms. Derksen, there was an update to your cost
2 allocation and I take it that update was really just a
3 correction or revision of some of the errors or mistakes that
4 may have been seen from the first filing. Would you agree
5 with that?

6 MS. KELLY DERKSEN: The information that we
7 filed with the PUB on September 2nd; I would agree with that.
8 The information that we filed on August the 9th was simply an
9 update with respect to gas costs.

10 And so that's what the cost allocation
11 incorporated as well.

12 MR. BOB PETERS: All right, thank you for
13 that. And one of the revisions that was made was a volume
14 adjustment for the special contract class; is that correct?

15 MS. KELLY DERKSEN: For the August the 9th
16 updated filing, yes, I would agree.

17 MR. BOB PETERS: That August the 9th update
18 to the special contract class does not impact the method of
19 allocation, does it?

20 MS. KELLY DERKSEN: It does not affect what
21 we have allocated in terms of a percentage of UFG to each of
22 the customer classes; that's correct.

23 MR. BOB PETERS: And so while it doesn't
24 impact the methodology that you used, for the particular
25 class for which the volume was updated, that would impact on

1 the numbers, in that class, correct?

2 MS. KELLY DERKSEN: Yes, sir.

3 MR. BOB PETERS: And what I understand then to
4 be that revision, is that the volumes in essence, increased
5 and therefore the unit rates would have decreased?

6 MS. KELLY DERKSEN: Yes.

7 MR. BOB PETERS: And that's only for
8 unaccounted for gas for the special contract class?

9 MS. KELLY DERKSEN: That the unit rate
10 decreased as a result of unaccounted for gas costs, yes.

11 MR. BOB PETERS: Now, when the Board reviews
12 the cost allocation, Ms. Derksen, the end result is that you
13 provide the Board with a base rate and that's what you've
14 included in these filings; is that correct?

15 MS. KELLY DERKSEN: Yes, that's true.

16 MR. BOB PETERS: And from your evidence the
17 base rate that you have forecast, is to go into effect on
18 November 1st of 2004, and it is to recover non-primary gas
19 costs for a twelve (12) month period?

20 MS. KELLY DERKSEN: Yes, that's correct, with
21 respect to the base rates.

22 MR. BOB PETERS: And when we say, base rates,
23 Ms. Derksen, you're telling the Board that those are the base
24 rates for supplemental gas, as well as, the transportation to
25 Centra rate and the distribution to customer rate that will

1 be set November the 1st?

2 MS. KELLY DERKSEN: Yes.

3 MR. BOB PETERS: And collectively, Ms.
4 Derksen, the base rates that you are setting are
5 approximately \$3.4 million less or lower, on an annual basis,
6 than the existing base rates; is that also correct?

7 MS. KELLY DERKSEN: Mr. Peters, I believe the
8 number was \$3.2 million less, but, we're very close.

9 MR. BOB PETERS: If I didn't say 3.2 million,
10 Ms. Derksen, I apologize. I mis-spoke. In my notes here, I
11 have \$3.2 million as the -- as the amount of the -- the base
12 rates are lower on an annual basis?

13 MS. KELLY DERKSEN: Yes, 3.2 million.

14 MR. BOB PETERS: In addition to the base rates
15 being lower by \$3.2 million on an annual basis, Ms. Derksen,
16 you've also now told the Board that you have purchase gas and
17 variance account balances and deferral account balances of
18 approximately \$16.5 million to refund to customers; is that
19 correct?

20 MS. KELLY DERKSEN: Yes, sir.

21 MR. BOB PETERS: And that \$16.5 million refund
22 relates to non-primary gas costs?

23 MS. KELLY DERKSEN: Yes, that's true.

24 MR. BOB PETERS: There's no inclusion in that
25 \$16.5 million of any monies on account of the primary gas?

1 MS. KELLY DERKSEN: That's correct.

2 MR. BOB PETERS: Would it be correct to say
3 then that the \$16.5 million that you are proposing to refund,
4 is in essence an over collection of monies relative to the
5 costs that were forecast and built into the rates from last
6 year?

7 MS. KELLY DERKSEN: Yes, sir.

8 MR. BOB PETERS: Ms. Derksen, when it comes
9 times to refund the \$16.5 million, is it your goal to refund
10 it to the customer classes that created the surplus of \$16.5
11 million?

12 MS. KELLY DERKSEN: Yes, that's my goal.

13 MR. BOB PETERS: And can you tell the Board
14 how you do that?

15 MS. KELLY DERKSEN: I've provided information
16 on all of the deferral account balances as -- as at a certain
17 date. In this case, it's March the 31st of 2004. And I then
18 take that information and I reallocate that PGVA -- those
19 PGVA balances to each of the customer classes, similar to how
20 I allocate the base rate component.

21 So, I would start at functionalizing each of
22 the costs that make up the PGVA. I would then classify those
23 costs consistent with how I would classify the base
24 component. And then I allocate it to each of the customer
25 classes.

1 So, the PGVA balances are really treated very
2 consistently with how the rates are established for the base
3 components.

4 MR. BOB PETERS: I take from that answer, Ms.
5 Derksen, that you use the same methodology to create the base
6 rate as you do to refund the PGVA balances?

7 MS. KELLY DERKSEN: That's what I attempted
8 to say, yes.

9 MR. BOB PETERS: Can the Board then take some
10 comfort in that the customer class that created a certain
11 dollar amount of that over collection of money will receive a
12 refund of that amount that they've over collected?

13 MS. KELLY DERKSEN: That's what I attend to
14 do, yes, Mr. Peters.

15 MR. BOB PETERS: All right. So, if the
16 residential class ends up overpaying on account of some of
17 the purchased gas variance accounts that are created, and
18 there is cert -- a positive balance reflecting moneys owing
19 to consumers, you then will refund that in the same
20 proportion that the class created it back to the class?

21 MS. KELLY DERKSEN: That's true.

22 MR. BOB PETERS: Would you agree with me, Ms.
23 Derksen, that there is a certain level of imprecision in that
24 methodology, in the sense that there may be customers that
25 helped create the PGVA, but they are no longer on the system?

1 MS. KELLY DERKSEN: Yes, sir, and what I
2 think you're referring to is what I would typically call
3 inter-generational issues, where certain -- certain sets of
4 customers caused for those balances to be incurred, or to be
5 accumulated on their behalf, but it's not necessarily those
6 same customers that benefit or have to pay back for those
7 balances.

8 MR. BOB PETERS: Would you agree though, that
9 it also works from the perspective of -- it works from both
10 directions. That is if the balance ends up being one that
11 has to be recovered from consumers, it works just in the --
12 in the same -- in the same methodology?

13 MS. KELLY DERKSEN: Yes, if we owe monies to
14 customers, we have the same problem, although I wouldn't -- I
15 don't know if I'd call it a problem. It sounds like we have
16 this huge issue on our hands; we -- we really don't.

17 But for sake of argument, we would have the
18 same problem if we owed monies to customers or if customers
19 owed us money.

20 MR. BOB PETERS: The net cause of that, what
21 we've talked about is a -- a problem or a concern then, Ms.
22 Derksen, is that you have on a regular basis, customers
23 attaching to the system as well as customers leaving the
24 system?

25 MS. KELLY DERKSEN: That's true, Mr. Peters.

1 MR. BOB PETERS: And if customers leave the
2 system there's no attempt made to find them or follow them or
3 track them, for the purposes of either refunding them money
4 or collecting money from them?

5 MS. KELLY DERKSEN: That's correct.

6 MR. BOB PETERS: And you only refund or
7 collect from customers attached to your system, as of the
8 time that the refunds or collections go into affect?

9 MS. KELLY DERKSEN: That's correct.

10 MR. BOB PETERS: Ms. Derksen, when we talk
11 about base rates, it is not always the case that consumers
12 will see on their monthly bills the base rates that the
13 Utility is charging, would that be correct?

14 MS. KELLY DERKSEN: That is correct. What
15 the consumer sees on the bills is a combination of the base
16 rate, which sets -- is based on the forecasted, in this case,
17 the cost of gas for the upcoming '04/'05 year, and added to
18 that would be the rider component.

19 So, at the end of the day what the customer
20 sees is a billed rate rather than just the base component.

21 MR. BOB PETERS: All right. From that answer
22 you're telling the Board then that the billed rate is made up
23 of generally two (2) parts; that is the billed rate is made
24 up of the base rate, plus the rate riders that are attached
25 to it.

1 MS. KELLY DERKSEN: Yes, sir.

2 MR. BOB PETERS: And those rate riders can be
3 either recovering moneys from consumers or refunding moneys
4 to consumers; is that also correct?

5 MS. KELLY DERKSEN: Yes.

6 MR. BOB PETERS: And I think Mr. Rainkie told
7 us that in -- in his short experience or maybe long
8 experience, we are currently under a situation where the
9 rates in Manitoba to gas consumers, that is where the billed
10 rate is actually equal to the -- to the base rate, because
11 there's no rate rider attached currently?

12 MS. KELLY DERKSEN: Effective August 1st,
13 2004, Mr. Peters, we removed all of the rate riders off of
14 the -- of all of the rate components, and so the answer to
15 the question is yes.

16 MR. BOB PETERS: And you're now telling the
17 Board you want to put another rate rider on and include it in
18 the billed rates and that is to refund the \$16.5 million that
19 you have in surplus position on the PGVAs?

20 MS. KELLY DERKSEN: Yes, I would. I would
21 call them rate riders, because there are a number of them,
22 but yes.

23 MR. BOB PETERS: The distinction you just
24 made, Ms. Derksen, is you're telling the Board that there's
25 not just one (1) rate rider, but there will be multiple rate

1 riders for the various components of the non-primary gas
2 costs?

3 MS. KELLY DERKSEN: Yes, sir.

4 MR. BOB PETERS: Ms. Derksen, I heard you to
5 tell Ms. Murphy that you wanted these rate riders refunding
6 the \$16.5 million to refund that money by July 31st of 2005.

7 MS. KELLY DERKSEN: Yes, Mr. Peters, that's
8 correct and I just wanted to make a clarification of my last
9 answer. Recognizing that there are some PGVA accounts as
10 part of this Application that we have due -- owe --owing to
11 customers, some of them though, are amounts owed to the
12 company, so on the net amount -- the net accumulation of all
13 of the PGVAs is \$16.5 recognizing that there are some pluses
14 and minuses within that balance.

15 MR. BOB PETERS: And -- and the detail of
16 that was provided, I think you told us, on Schedule 8.4.0
17 updated.

18 MS. KELLY DERKSEN: I think it's both on
19 8.4.0 and 8.5.0, Mr. Peters.

20 MR. BOB PETERS: All right, thank you. We
21 have that, Ms. Derksen. But I just want to take you -- and
22 explain to the Board, what's going to happen on August the
23 1st of next year, because under your proposal and let's
24 assume that all things are being equal, Ms. Derksen, would
25 the Board then -- well, explain to the Board what would

1 happen on July 1st from your perspective.

2 MS. KELLY DERKSEN: What would happen on --

3 MR. BOB PETERS: Sorry, August 1st, 2005.

4 MS. KELLY DERKSEN: What would happen on
5 August the 1st of 2005, all things being equal, would be
6 similar to what happened this year on August the 1st of 2004
7 and that is all of the riders would be -- would be removed
8 off of -- out of the base -- or out of the billed rate and we
9 would be just billing the base component as of -- as at that
10 date.

11 Presumably, though, there would be some kind
12 of gas cost application or filing that we would be undergoing
13 at -- at that point that may include put -- putting new
14 riders on for the -- for the next upcoming year.

15 MR. BOB PETERS: And you told me all things
16 are equal, then you changed it. You -- you didn't keep all
17 things equal for me, Ms. Derksen. But, let's just cover your
18 last point first, that you -- you told Ms. Murphy that you
19 expect for next August the 1st that you will have had an
20 Application before this Board and you will be asking this
21 Board to put new August 1st rates in effect for non-primary
22 gas costs?

23 MS. KELLY DERKSEN: I can't guarantee it, but
24 that's likely what's -- what's been happening over the course
25 of the last number of years, so, yes.

1 MR. BOB PETERS: All right. Now back to my
2 scenario where all things are, in fact, equal. You've told
3 the Board that you would remove the rate riders and you would
4 be left then with only base rates on August the 1st of '05.
5 Would that be correct?

6 MS. KELLY DERKSEN: Yes.

7 MR. BOB PETERS: And if the consumer is
8 sitting in their home and getting your -- your bills monthly,
9 the consumer would not have in their billed rates any more
10 rate riders that are refunding them money, so in essence to
11 the consumer, it would appear as though the billed rate would
12 increase. Would that be correct?

13 MS. KELLY DERKSEN: That would be the
14 perception, again, keeping in mind that there would be some
15 negative riders to come off and some positive riders to come
16 off. On balance, the overall impact would be an increase to
17 the customer at that time.

18 MR. BOB PETERS: On an annualized basis, Ms.
19 Derksen, that increase to your consumers would equate to a
20 net basis of \$16.5 million; is that correct?

21 MS. KELLY DERKSEN: All -- all things being
22 equal, yes.

23 MR. BOB PETERS: And -- and again, with all
24 things being equal, which means no more gas applications
25 along the way, that \$16.5 million increase equates to

1 approximately a 3 percent increase to a consumer's bill --
2 MS. KELLY DERKSEN: Yeah --
3 MR. BOB PETERS: -- in rough numbers?
4 MS. KELLY DERKSEN: Yes, assuming next year
5 on August the 1st of 2005, all of the riders that would come
6 off the bill there would be a 3.2 percent increase, roughly
7 speaking, to a typical residential customer on August the 1st
8 of next year.

9 MR. BOB PETERS: And while you've called it an
10 increase, Ms. Derksen, just so the record is clear, it would
11 simply be reverting to the base rates that you're asking this
12 Board to approve today; is that correct?

13 MS. KELLY DERKSEN: Yes, but, we're talking
14 from the perception of the customer, what the customer would
15 see.

16

17 (BRIEF PAUSE)

18

19 MR. BOB PETERS: Ms. Derksen, I'd like to take
20 you to a book of documents that I circulated last week in
21 your absence, but, I hope your colleagues were considerate
22 enough to provide you with a copy.

23 And if they haven't maybe Ms. Murphy, can
24 bring to your attention Tab 14 in the Book of Documents. And
25 Tab 14 in the Book of Documents that was prepared for my

1 questions of the Centra panel has in it, Schedule 7.1.0,
2 updated on August the 9th, of 2004. That's a document that
3 you're familiar with, Ms. Derksen?

4 MS. KELLY DERKSEN: Yes, sir, I am.

5 MR. BOB PETERS: And if I go down to line 14
6 on Schedule 7.1.0, I note that in the far right-hand column,
7 the costs for non-primary gas matters are \$83.357 million,
8 correct?

9 MS. KELLY DERKSEN: Yes, sir.

10 MR. BOB PETERS: And if I follow along the
11 line 14, Ms. Derksen, through the various columns, is it your
12 evidence to the Board that based on your cost allocation, you
13 have allocated that \$83.4 million to the customer classes as
14 shown on line 14?

15 MS. KELLY DERKSEN: Yes, sir.

16 MR. BOB PETERS: In the same Tab 14, Ms.
17 Derksen, there's a second page which was taken from Tab 1 of
18 your August 9th update, page 10 of 21, and the Centra column
19 called pre-update, the pre-hearing update, really is the
20 class by class, listing of the dollars that you have
21 determined through cost allocation as to what each class is
22 responsible for in this case -- in this Application before
23 the Board?

24 MS. KELLY DERKSEN: Yes, that's true.

25 MR. BOB PETERS: And when the Board looks at

1 these classes, Ms. Derksen, they're going to be familiar with
2 -- with many of the ones that you've listed on Tab 1 page 10
3 of 21, but, when we come down to supplemental firm and
4 supplemental interruptible, can you explain what those are to
5 the Board?

6 MS. KELLY DERKSEN: As part of the
7 implementation of unbundled rates that occurred in 1999, we
8 essentially created three (3) new customer classes. And
9 they're really -- they're really not customer classes per se,
10 but for purposes of dealing with the Cost Allocation Study,
11 we have included them as customer classes. Those three (3)
12 classes would be the primary gas class, which is not part of
13 this Application, in terms of costs.

14 And then the other two (2) are supplemental
15 firm and supplemental interruptible. The supplemental firm
16 and the supplemental interruptible that you see on this page
17 are the supplemental gas costs that appear on the bill for
18 each customer who takes that particular service.

19

20 (BRIEF PAUSE)

21

22 MR. BOB PETERS: Can you explain, Ms. Derksen,
23 how those costs get allocated to the specific customer
24 classes?

25 MS. KELLY DERKSEN: Mr. Peters, there are only

1 two (2) classes, so if you're a firm customer you would pay
2 the supplemental firm rate. And most of our -- other than
3 the interruptible class, you're a firm customer.

4 The interruptible class would pay the
5 supplemental interruptible rate and the split between the
6 firm customers and the interruptible customers are based on
7 the daily load curves that Mr. Sanderson prepares. And he is
8 able to tell me, on a daily basis, how we anticipate to meet
9 our firm requirements, in terms of supplemental gas, and how
10 we're able to meet our interruptibles requirements, in terms
11 of supplemental gas.

12 And based on those daily load curves then, I
13 -- I simply assigned those costs that he provides me to the
14 -- the firm customer class and the interruptible customer
15 class. And the unitized rate that's developed out of that,
16 is simply taking the total dollar amount that -- that is in
17 that account and dividing by the total volumes that you
18 expect to supply to a firm or an interruptible customer class
19 for the forecast year.

20 MR. BOB PETERS: Can the Board take from your
21 last answer, Ms. Derksen, that every firm customer on your
22 system pays the same unit rate for the supplemental gas?

23 MS. KELLY DERKSEN: Yes, sir.

24 MR. BOB PETERS: And likewise, every
25 interruptible customer pays the same unit rate for their

1 interruptible supplemental supply.

2 MS. KELLY DERKSEN: Yes.

3

4 (BRIEF PAUSE)

5

6 MR. BOB PETERS: Ms. Derksen, once you have
7 decided as you did on Schedule 7.1.0, as to the cost to be
8 allocated to the customer class, you now have to determine
9 through a rate design mechanism how you're going to recover
10 that amount of money; have I got that correct?

11 MS. KELLY DERKSEN: Yes, sir, you do.

12 MR. BOB PETERS: And so the net result of
13 your cost allocation is to provide a revenue amount that you
14 now want to recover from each of the customer classes?

15 MS. KELLY DERKSEN: Yes.

16 MR. BOB PETERS: Ms. Derksen, is it correct
17 that back in approximately 1997, the revenue to cost ratio
18 was set at one point zero (1.0) for the various classes?

19 MS. KELLY DERKSEN: Yes, sir. As part of our
20 cost allocation rate design review that occurred in -- before
21 this Board, certainly in October of 1996, it was approved
22 that all customer classes would be moved to unity, which
23 means that whatever the -- the revenues are for the costs
24 that we allocate to that class, would be exactly what we
25 recover.

1 MR. BOB PETERS: You're referring to unity as
2 being a ratio of one point zero (1.0)?

3 MS. KELLY DERKSEN: Yes, sir.

4 MR. BOB PETERS: And when you hit a ratio of
5 one point zero (1.0), you're telling the Board that the --
6 that the revenue you recover through your rates, equals the
7 costs that the Board has approved, and therefore, your books
8 balance?

9 MS. KELLY DERKSEN: Yes.

10 MR. BOB PETERS: There's no deliberate effort
11 made by the Utility for cross-subsidization between classes
12 is there?

13 MS. KELLY DERKSEN: There is not, no.

14 MR. BOB PETERS: In terms of rate design
15 changes -- I noted two (2) rate design changes, Ms. Derksen,
16 and you can perhaps correct me if I'm incorrect, but one (1)
17 of them dealt with the high volume firm demand rate
18 determination; that was one (1) of them was it not?

19 MS. KELLY DERKSEN: Yes, sir.

20 MR. BOB PETERS: And the other was how you
21 deal with the supplementary gas PGVA rate rider?

22 MS. KELLY DERKSEN: Yes.

23 MR. BOB PETERS: I'm not sure, do you see
24 that as a rate design issue as well?

25 MS. KELLY DERKSEN: I think you could call it

1 that, yes.

2 MR. BOB PETERS: All right. In looking at
3 the customer classes that you have, and I'll come to those
4 two (2) rate design changes, Ms. Derksen, but in looking at
5 your customer classes and designing the rates, the material
6 demonstrates that you have what you call two (2) part rates
7 for your SGS and your LGS class; is that correct?

8 MS. KELLY DERKSEN: Yes, that is.

9 MR. BOB PETERS: And when we say two (2) part
10 rates, the first part is a basic monthly charge, and the
11 second is a volumetric charge; is that correct?

12 MS. KELLY DERKSEN: Yes.

13 MR. BOB PETERS: You told Ms. Murphy, in your
14 answers to her this morning, that the Corporation can
15 determine the costs by class to meet the demand or the
16 capacity requirements, and you measure that for the SGS class
17 and the LGS class, do you not?

18 MS. KELLY DERKSEN: We allocate demand costs
19 to the SGS and LGS classes, however we do not have an
20 explicit demand rate as part of their rate structure.

21 MR. BOB PETERS: Can -- and can you explain
22 to the Board why you don't have a specific demand rate for --
23 for those two (2) classes?

24 MS. KELLY DERKSEN: There's actually a couple
25 of reasons why, at this point, that we do not have a demand

1 rate for the SGS and LGS class.

2 First, I think, and foremost, is the
3 understandability that come -- or lack thereof, that comes
4 with implementing a demand rate. It's a fairly complex issue
5 to understand, particularly for residential customers.

6 So, it would be -- it's -- we've had a very
7 difficult time with the basic monthly charge and
8 understanding the concept of it. Demand charge would be that
9 complicated and more, and so from that perspective, from a
10 customer understandability and acceptability perspective, we
11 do not employ a demand rate for that -- for those classes.

12 In addition, in order to implement demand
13 rates for those customer classes, we would also need to have
14 some kind of demand meter on their property or some kind of
15 metering device that would allow us to read customers'
16 consumption on a daily basis, and the cost to implement or
17 install that kind of equipment on two hundred and fifty
18 thousand (250,000), let's say, customers, would be fairly --
19 a fairly onerous cost.

20 MR. BOB PETERS: Recognizing those two (2)
21 reasons -- in terms of the measurability reason, Ms. Derksen,
22 is it Centra's assumption that the SGS customers have similar
23 load characteristics and therefore they're treated the same?

24 MS. KELLY DERKSEN: I think generally
25 speaking, they do have similar load characteristics, yes.

1 MR. BOB PETERS: But Centra does acknowledge
2 that, within the SGS class, there can be and there will be
3 different load usages by different customers that you have?

4 MS. KELLY DERKSEN: Sure, that's true.

5 MR. BOB PETERS: And the way you've told the
6 Board that you recover your demand charges for the LGS and
7 the SGS customers, is that you embed that in the volumetric
8 charge. Would that be correct?

9 MS. KELLY DERKSEN: That's correct.

10 MR. BOB PETERS: And that assumes that those
11 customers who use more volume will pay more of the what
12 otherwise would be known as the demand costs?

13 MS. KELLY DERKSEN: That's true.

14 MR. BOB PETERS: All right. Turning on your
15 -- and I'm just looking at Schedule 7.1.0 as an example, you
16 have a list of your rates. That's at Tab 14, and also in
17 Schedule 8 in the materials; Schedule 8.2.0 which I didn't
18 put in the Book of Documents.

19 But in the customer class known as the special
20 contract customer class, there is only one (1) customer in
21 that class, correct?

22 MS. KELLY DERKSEN: Yes, sir.

23 MR. BOB PETERS: And would it be correct to
24 tell the Board that this is a rather unique rate structure
25 for this particular customer class?

1 MS. KELLY DERKSEN: Yes, that's true.

2 MR. BOB PETERS: And whereas the SGS customer
3 or the SGC customer pays a ten dollar (\$10) a month, monthly
4 charge, the special contract customer pays about ninety-three
5 thousand dollars (\$93,000) a month as a basic monthly charge;
6 is that correct?

7 MS. KELLY DERKSEN: Yes.

8 MR. BOB PETERS: Can you explain to the Board
9 why it's structured in that fashion?

10 MS. KELLY DERKSEN: A number of years ago,
11 probably in the early 1990's, the special contract customer
12 was given the option of the type of rate design that it
13 preferred and in discussions and negotiations of their
14 special contract, it was agreed upon that not only would we
15 recover all of the customer related costs that you typically
16 recover in a basic monthly charge.

17 Those costs generally are on-site costs, are
18 costs that are specific to a customer, like a meter and a
19 service line and a reg -- and a regulator.

20 So, in addition to recovering the customer
21 related costs in the basic monthly charge, it was decided
22 that they would also -- we would also embed in the basic
23 monthly charge the fixed capacity related costs or costs
24 associated with providing transmission type service to those
25 -- to that particular customer. So, both of those types of

1 costs are included in the basic monthly charge.

2 And even at that, the full amount of customer
3 related costs are not recovered from a residential customer.
4 On average, it's about -- represents about twenty-three
5 dollars (\$23) a month that it would work out to be for a
6 basic monthly charge for a residential customer.

7 The difference between what we bill today at
8 ten dollars (\$10) and the twenty-three dollars (\$23) that in
9 actuality it is, that -- that thirteen dollar (\$13)
10 difference is also embedded in their volumetric charge.

11 MR. BOB PETERS: From that answer, Ms.
12 Derksen, do I take it that there was a negotiation with a
13 special contract customer as to a rate structure and that
14 rate structure has remained in effect since then?

15 MS. KELLY DERKSEN: Yes, sir.

16 MR. BOB PETERS: And have been no requests to
17 change the rate structure?

18 MS. KELLY DERKSEN: No.

19 MR. BOB PETERS: And I note on your rate
20 schedules, there is a small volumetric charge to the special
21 contract customer; can you explain what that -- what that's
22 for?

23 MS. KELLY DERKSEN: The small volumetric
24 charge that appears on the special contracts bill, is the
25 variable downstream cost that they would be responsible for.

1 In this particular case, it's primarily unaccounted for gas,
2 for that particular class.

3 MR. BOB PETERS: The Board will hear more
4 about that tomorrow, according to the schedule, correct?

5 MS. KELLY DERKSEN: Yes.

6 MR. BOB PETERS: All right. A relatively new
7 customer class in your classes, Ms. Derksen, is the power
8 station class, correct?

9 MS. KELLY DERKSEN: Yes.

10 MR. BOB PETERS: And this is for the power
11 stations of your parent company in Selkirk, Manitoba and one
12 in Brandon, Manitoba?

13 MS. KELLY DERKSEN: Yes, sir.

14 MR. BOB PETERS: This was also a matter that
15 was raised by way of a contract and -- and brought to the
16 Board by way of a contract last year?

17 MS. KELLY DERKSEN: Yes.

18 MR. BOB PETERS: Can you explain why the basic
19 monthly charge for this customer class is approximately
20 twelve thousand dollars (\$12,000) a month?

21 MS. KELLY DERKSEN: This -- this customer, as
22 well, was given through the negotiations that we went
23 through, in terms of determining a contract for these two (2)
24 customers, it was decided that they preferred a more -- a
25 three (3) part rate that we would see, typically in our

1 larger volume customers.

2 So, that the only cost that we recover through
3 their basic multi-charge, are -- is what is reflective or
4 what is known as the customer or on-site costs of -- of the
5 two (2) properties, one (1) in Brandon and the other in
6 Selkirk.

7 MR. BOB PETERS: The power station class then
8 has a three (3) part rate because they pay a demand charge,
9 as well as a volumetric charge, on top of the basic monthly
10 charge?

11 MS. KELLY DERKSEN: Yes.

12

13 (BRIEF PAUSE)

14

15 MR. BOB PETERS: Can you explain to the Board,
16 why this is a more advantageous rate structure than -- than
17 perhaps one (1) that was used -- by the special contract
18 customer?

19

20 (BRIEF PAUSE)

21

22 MS. KELLY DERKSEN: Trying to recall some of
23 this information from last year and I believe, it has to do
24 with the variable -- the variable nature of the use of the
25 two (2) plants. It's anticipated that the use of those

1 system -- those two (2) systems will be -- will fluctuate to
2 -- to a significant degree and hence they have both a very
3 poor load factor.

4 And those are a couple of the reasons why they
5 preferred a three (3) part rate because particularly for the
6 demand component of the bill, the demand gets set in -- in
7 any given winter. And once it's set, you pay that same
8 amount for twelve (12) years -- sorry for twelve (12) months.

9 And once that's -- once that's set, they would
10 be able to establish what they would pay for -- for the
11 upcoming year, certainly in terms of demand costs.
12

13 (BRIEF PAUSE)
14

15 MR. BOB PETERS: Ms. Derksen, in terms of your
16 power station class, that matter -- the provision of service
17 to the customer at the two (2) power stations was done
18 following a feasibility test; is that your understanding?

19 MS. KELLY DERKSEN: Yes.

20 MR. BOB PETERS: And is it also your
21 understanding that the gas supplied by this -- to this
22 customer class is not system supplied gas?

23 MS. KELLY DERKSEN: That's correct.

24 MR. BOB PETERS: And do you have an
25 understanding as to why that is the case?

(BRIEF PAUSE)

3 THE CHAIRPERSON: Mr. Peters, we'll have a
4 break at some point. You can pick it when you wish.

5 MS. KELLY DERKSEN: Perhaps I could back to
6 you on -- on the implications of the fact that the -- both
7 the power stations are supplied gas by -- by a third party.

8 MR. BOB PETERS: Mr. Chairman, this might be
9 an appropriate time, and I'll move to a new area after the
10 break.

11 THE CHAIRPERSON: Okay, we'll be back at
12 10:25.

14 --- Upon recessing at 10:10 a.m.

15 --- Upon resuming at 10:30 a.m.

17 THE CHAIRPERSON: Mr. Peters, you can resume.

18 MR. BOB PETERS: Thank you, yes.

20 CONTINUED BY MR. BOB PETERS:

21 MR. BOB PETERS: Ms. Derksen, I recall your
22 evidence of before the break, indicating that in terms of the
23 basic monthly charge, the SGS class and the LGS class don't
24 have a 100 percent of their customer related costs included
25 in that; have I got that correct?

1 MS. KELLY DERKSEN: Yes, you do.

2 MR. BOB PETERS: And by contrast, the high
3 volume firm, the mainline customer and the interruptible
4 customer class; there you do embed a 100 percent of the
5 customer related costs in the basic monthly charge?

6 MS. KELLY DERKSEN: Yes.

7 MR. BOB PETERS: If we turn, Ms. Derksen, and
8 the Board, to Tab 15 of the Book of Documents that I've
9 circulated, I want to check with you, Ms. Derksen, and
10 understand the structure.

11 Tab 15 of the Book of Documents, Ms. Derksen,
12 has a copy of PUB/Centra-100(a), attachment included as the
13 first page. Have you that page, ma'am?

14 MS. KELLY DERKSEN: Yes.

15 MR. BOB PETERS: And looking at that page on
16 line 5 for the SGS class, for a consumer who's using twenty-
17 eight hundred (2,800) cubic metres a year, the basic monthly
18 charge you show is a hundred and twenty dollars (\$120) a
19 year, correct?

20 MS. KELLY DERKSEN: Yes.

21 MR. BOB PETERS: Would it also -- and then
22 you -- based on the volumetric charge to that same consumer,
23 they'd pay approximately a thousand and thirty-one dollars
24 (\$1,031) for a total annual bill of about eleven hundred and
25 fifty-one dollars (\$1,151)?

1 MS. KELLY DERKSEN: Yes.

2 MR. BOB PETERS: And in this Interrogatory,
3 you were asked to then revise that methodology and assume
4 that you recovered all customer related costs in the basic
5 monthly charge, and that's what you've attempted to do under
6 lines 14 to 21 under Part A of the answer, correct?

7 MS. KELLY DERKSEN: Yes, sir.

8 MR. BOB PETERS: And would it also be
9 correct, Ms. Derksen, that the customer who is shown at
10 twenty-eight hundred (2,800) cubic metres on line 5 would be
11 the same customer as shown on line 17 of PUB/Centra-100(a)?

12 MS. KELLY DERKSEN: Yes.

13 MR. BOB PETERS: And that would also be the
14 same customer who then will be shown on line 28 of this same
15 attachment?

16 MS. KELLY DERKSEN: Yes, sir.

17 MR. BOB PETERS: And when -- when the -- when
18 the Board looks to see the total bill, the total bill varies
19 somewhat. Can you explain why that total bill would vary or
20 is it -- is it supposed to be, in a perfect world, the same
21 number? Can you explain that to the Board?

22 MS. KELLY DERKSEN: It does vary and there's
23 -- there's reason that it does vary and it has to do with the
24 recovering of the -- the fixed costs through the volumetric
25 charge.

1 In the first situation, where we're recovering
2 ten dollars (\$10) per month or a hundred and twenty dollars
3 (\$120) per year, in the basic monthly charge, we also have a
4 volumetric cost of -- just a little over a thousand dollars
5 (\$1,000).

6 What happens is because the total cost in
7 providing customer related services to the -- to a
8 residential customer is more than ten dollars (\$10) a month,
9 we recover the difference between the ten dollars (\$10) that
10 they pay and the twenty-three dollars (\$23) that it actually
11 costs.

12 That thirteen dollar (\$13) difference is then
13 recovered through a volumetric charge and the more
14 consumption that a customer uses, the more that they're going
15 to pay toward those fixed costs.

16 And as you start re-shaping that rate
17 structure, as you'll see in Part A and -- or the -- the
18 second set of rows and then the third section as well, you'll
19 see that as we start including more of the fixed costs and
20 recovering them in a fixed way, the volumetric charge is
21 going to be reduced but that's really re-shaping who is
22 paying for the fixed costs and who is contributing to the
23 variable costs.

24 Those customers typically who consume less
25 than average for a typical -- for a residential customer

1 which, on average is thirty-two hundred (3,200) cubic metres
2 of year -- a year, those customers who consume less than that
3 amount will generally pay less than their fair share on an
4 annual basis, as a result of the current rate structure.

5 MR. BOB PETERS: And so the typical
6 residential consumer consuming three thousand two hundred
7 (3,200) cubic metres, the total bill for that customer is, in
8 essence, the same amount under -- under any of these
9 scenarios?

10 MS. KELLY DERKSEN: Right. It's virtually
11 unchanged.

12 MR. BOB PETERS: All right. And so what
13 we've shown -- what you're showing the Board, then, in -- at
14 the top of the page is that a hundred and twenty dollars
15 (\$120) a month is your ten dollar (\$10) a month basic monthly
16 charge, with the balance recovered through the volumetric
17 charge, correct?

18 MS. KELLY DERKSEN: Yes, sir.

19 MR. BOB PETERS: And you -- on line 17 or --
20 and eighteen (18), for example, the basic monthly charge of
21 two hundred and seventy-six dollars (\$276) is the twenty-
22 three dollar (\$23) a month number that you've put on the
23 record, both before and after the break?

24 MS. KELLY DERKSEN: Yes, sir.

25 MR. BOB PETERS: And what you're telling the

1 Board there is if the basic monthly charge was increased, the
2 volumetric unit cost would be adjusted downward and the total
3 volumetric cost would be lower, but for the typical
4 residential consumer, it would amount to the same amount on
5 an annual basis?

6 MS. KELLY DERKSEN: The total bill would be
7 unchanged, yes.

8

9 (BRIEF PAUSE)

10

11 MR. BOB PETERS: And if we look at the
12 highest consumption that you show on lines 7, on lines 19 and
13 on lines 30 for the residential customer, that's using the
14 highest consumption of eleven thousand three hundred (11,300)
15 cubic metres -- I suppose that's heating the pool as well --
16 that customer would expect their annual bill to decrease
17 because those costs, the fixed costs and the -- sorry, the
18 customer related costs and the capacity related costs in your
19 examples are recovered through the basic monthly charge?

20 MS. KELLY DERKSEN: Yes, sir, that's true.

21 MR. BOB PETERS: Okay. And then in terms of
22 the difference between the customer on line 17 and the
23 customer on line 28, what you've attempted to do there is
24 include on line 28, not only the customer related costs, but,
25 the demand related costs that you can identify, is that

1 correct?

2 MS. KELLY DERKSEN: Yes, sir.

3 MR. BOB PETERS: Would you agree with me, Ms.
4 Derksen, that because you're only charging a hundred and
5 twenty dollars (\$120) a year or ten dollars (\$10) a month for
6 a basic monthly charge, there are customers in the class that
7 are subsidizing other customers within the class, with
8 respect to those customer and demand related costs?

9 MS. KELLY DERKSEN: Yes, that's exactly what
10 this particular schedule shows.

11 MR. BOB PETERS: And what it does show, is
12 that the large volume customers are typically subsidizing the
13 low volume customers within this class?

14 MS. KELLY DERKSEN: Yes, that's true.

15

16 (BRIEF PAUSE)

17

18 MR. BOB PETERS: In terms of the amount of
19 money that you recover from the SGS class, Ms. Derksen, does
20 it change under any of your scenarios?

21 MS. KELLY DERKSEN: Can you clarify what
22 you're asking, please?

23 MR. BOB PETERS: You've agreed with me, Ms.
24 Derksen, that within the class, the high volume consumers
25 currently cross subsidize to some extent, some low volume

1 consumers, correct?

2 MS. KELLY DERKSEN: Yes.

3 MR. BOB PETERS: Would you -- is there any
4 cross subsidization between the SGS class and the LGS class,
5 in your example?

6

7 (BRIEF PAUSE)

8

9 MS. KELLY DERKSEN: For the class, Mr. Peters,
10 we're looking at just restructuring who pays it. So, the
11 class, in essence, should be recovering the same amount of
12 revenue requirement regardless of who that you're collecting
13 those revenues from. So, the answer to your question, is no.

14 MR. BOB PETERS: So, there's no cross
15 subsidization between classes in your rate structure, but,
16 there may be cross subsidization within a particular customer
17 class?

18 MS. KELLY DERKSEN: Yes.

19 MR. BOB PETERS: Ms. Derksen...?

20

21 (BRIEF PAUSE)

22

23 MR. BOB PETERS: Before I leave Tab 15 and
24 PUB/CENTRA 100(a), Ms. Derksen, I look at the LGS customers
25 and you've given two (2) examples in your --in your answer.

1 The LGS customer is shown here, there's a greater amount of
2 cross subsidization that appears relative to these two (2)
3 customers in the class. Would that -- would you agree with
4 me?

5 MS. KELLY DERKSEN: Yes.

6 MR. BOB PETERS: And so when the Board looks
7 at line 9, for example, and sees the LGS customer having an
8 annual bill of two hundred and nineteen thousand dollars
9 (\$219,000), and then at the line 32, the same consumption
10 level for this customer, the bill would go down to one
11 hundred and eighty-two thousand dollars (\$182,000) if all
12 customer and capacity related costs were embedded into a
13 basic monthly charge?

14 MS. KELLY DERKSEN: Yes, sir.

15 MR. BOB PETERS: Has the Utility thought about
16 whether or not, because of that cross subsidization issue,
17 the LGS customer class should go from a two (2) part rate to
18 a three (3) part rate?

19 MS. KELLY DERKSEN: We have certainly
20 discussed it internally. We're not prepared, of course, at
21 this point to make any proposal but we would -- I would
22 expect that as part of the next general rate application that
23 we may be wanting to make a proposal with respect to three
24 (3) part rates for the LGS class.

25 MR. BOB PETERS: Can you tell the Board, at

1 the next general rate application, which Mr. Warden said is,
2 I believe, forecast for possibly this fall depending on the
3 -- on the Hydro Board's decision, would you be looking at
4 changing the basic monthly charge within the LGS and the SGS
5 class?

6 MS. KELLY DERKSEN: Certainly not for the SGS
7 class. As I discussed before, there's a fair amount of
8 customer acceptability and understandability issues that
9 revolve around the issue of the basic monthly charge for
10 residential customers.

11 So, I'm not sure that we would be prepared to
12 move off the ten dollars (\$10) that we currently charge those
13 types of customers.

14 For the LGS class, it would be something that
15 we would want to look at. I would -- I would hazard a guess
16 though, that we would probably look toward more of upping the
17 basic monthly charge to be reflective of the -- the cost
18 related -- the customer related costs that we incur, rather
19 than incorporating both the demand and the customer related
20 costs, in the basic monthly charge, because I don't believe
21 that there is a correlation to the way that demand costs are
22 incurred and recovering them by the number of customers.

23 MR. BOB PETERS: Sticking with the SGS class,
24 and that includes the -- the residential consumers, correct?

25 MS. KELLY DERKSEN: Mr. Peters, it actually

1 includes both the residential and some small commercial.

2 MR. BOB PETERS: In the SGS class, you
3 indicate that the company has. Do you know for how many
4 years you've had the ten dollar (\$10) basic monthly charge
5 for that class?

6 MS. KELLY DERKSEN: Probably since the late
7 1980s, I'm guessing.

8 MR. BOB PETERS: And you indicated that the
9 Corporation is reluctant to change that, because the
10 Corporation understands that there may be understandability
11 issues with customers in that class?

12 MS. KELLY DERKSEN: Yes.

13 MR. BOB PETERS: What you're telling the
14 Board is that customers don't understand why they pay ten
15 dollars (\$10) a month, even if no molecules of gas flow down
16 the line?

17 MS. KELLY DERKSEN: Yeah, I think it's
18 particularly a concern in the summertime when customers
19 aren't consuming necessarily any consumption, and yet they're
20 still receiving a fixed monthly bill from -- from the
21 Corporation. The customer probably does not understand, you
22 know, that there are fixed ongoing costs that the company
23 incurs in providing that service, and that they need to pay
24 for. They don't see those links, so, yes, I would agree with
25 your statement.

1 MR. BOB PETERS: And the concern then that
2 I'm reading into your answer, and you can correct me if I'm
3 wrong, Ms. Derksen, is that you would have a lot of upset
4 customers if you tinkered with that, in my words, tinkered
5 with that basic monthly charge?

6 MS. KELLY DERKSEN: I would hazard a guess,
7 yes.

8 MR. BOB PETERS: And why is it when you
9 adjust or consider adjusting the basic monthly charge to
10 other customer classes, you don't feel you have the same
11 concerns, or the same customer issues?

12 MS. KELLY DERKSEN: I think some of the
13 larger volume customers have perhaps a better awareness of
14 the types of costs, certainly for businesses -- businesses
15 can understand the types of costs that they would incur, and
16 so that they could liken that or at least acknowledge that
17 Centra, as a utility, would incur similar types of -- of
18 costs in providing service to its customer.

19 So, I think there's just a better awareness of
20 the types of costs that companies incur in providing service
21 to customers.

22 MR. BOB PETERS: The long and the short of it
23 is, Ms. Derksen, Centra recovers a 100 percent of its costs
24 from the SGS class, under its existing rate design, and you
25 see no reason at this point in time to alter that?

1 MS. KELLY DERKSEN: The long and the short of
2 it is that this is not a revenue requirement issue, it's a
3 rate design issue. And, yes, for the SGS class, I think that
4 we probably will leave that unchanged for the foreseeable
5 future.

6 MR. BOB PETERS: All right. I want to turn
7 with you, Ms. Derksen, to demand related costs. And this
8 might be just a precursor to some questions that I'll have
9 later for you today on the high volume firm issue,
10 specifically.

11 But back at Tab 14 of the Book of Documents,
12 which is -- includes a copy of Schedule 7.1.0, dated August
13 the 9th of 2004, I go down to line 24 -- sorry, Ms. Derksen,
14 I'll give you a minute to catch up to me.

15 Have you Schedule 7.1.0, either in your
16 Application or in Tab 14 of the Book of Documents that I've
17 circulated, Ms. Derksen?

18 MS. KELLY DERKSEN: I do.

19 MR. BOB PETERS: Looking at line 24 on that
20 Schedule 7.1.0, I note under the SGS and LGS columns, there
21 is no percent of demand recovered in a demand cost, is that
22 what that's showing?

23 MS. KELLY DERKSEN: Yes, that's true.

24 MR. BOB PETERS: And you've told the Board
25 that those kind of costs are included mostly in the

1 volumetric charge for those customer classes?

2 MS. KELLY DERKSEN: Yes, sir.

3 MR. BOB PETERS: When we go to the co-op
4 class, the mainline class, the special contract class and the
5 power station class, 100 percent of the demand costs are
6 recovered in the demand component of the three (3) part
7 rates. Is that also correct?

8 MS. KELLY DERKSEN: Yes, sir.

9 MR. BOB PETERS: And when I look to the high
10 volume firm, and the interruptible customer classes, only 65
11 percent of demand costs are recovered in the demand component
12 of rates; is that also correct?

13 MS. KELLY DERKSEN: Yes.

14 MR. BOB PETERS: Can you tell the Board where
15 is the other 35 percent of the demand costs recovered?

16 MS. KELLY DERKSEN: Similar to the rate
17 structure for the SGS and LGS class where we don't recover
18 all of the fixed customer costs in the basic monthly charge,
19 the remaining amount is recovered through the volumetric
20 charge.

21 The same as for these two (2) particular
22 customer classes, the high volume firm and interruptible
23 customers have demand rates, but we recover only 65 percent
24 of the fixed capacity costs in that demand rate. The
25 remaining 35 percent is recovered through their variable

1 transportation and distribution charge.

2 MR. BOB PETERS: Would it be correct again,
3 Ms. Derksen, that there would be no cross-subsidization
4 between the classes on account of demand charge, but there
5 may be cross-subsidization within the class?

6 MS. KELLY DERKSEN: Yes, sir.

7 MR. BOB PETERS: Ms. Derksen, Tab 15 of the
8 Book of Documents that was circulated has a copy of
9 PUB/Centra-100(b) attachment dated June 18th, 2004; have you
10 that, at hand?

11 MS. KELLY DERKSEN: Yes, I do.

12 MR. BOB PETERS: And just for the benefit of
13 the Board and to refresh our memories, Ms. Derksen, the
14 demand component in rates for the three (3) part customer
15 classes is not uniform as you've told us and, in fact, for
16 the high volume firm customer and the interruptible customer,
17 it was at one point only 50 percent of demand costs being
18 recovered in demand rates; is that also right?

19 MS. KELLY DERKSEN: That's true, Mr. Peters.

20 MR. BOB PETERS: And when did the Board
21 approve an increase from 50 percent demand related costs
22 being recovered to 65 percent recovery in the demand rate?

23 MS. KELLY DERKSEN: It was approved through
24 Centra -- Centra's 2003/'04 General Rate Application and the
25 Board Order was 118/03.

1 MR. BOB PETERS: And this has a history to
2 it, as well, Ms. Derksen, in that you can may be explain to
3 the Board why only 50 percent of demand related costs were
4 even in the demand component of rates back in 2003.

5 MS. KELLY DERKSEN: This issue does have
6 history tagged along with it. It results or it stems from
7 our 1996 cost allocation and rate design study and review and
8 we had, at that time, implemented three (3) part rates for
9 our larger volume customers or were proposing to do so.

10 At that time, the larger volume customers had
11 a -- a two (2) part rate and we were -- we were wanting to
12 move to having a basic monthly charge, a volumetric charge
13 and a demand charge.

14 Because of the impacts that moving to the
15 three (3) part rates were --- was going to have on some of
16 the customers, particularly in the high volume firm and the
17 interruptible customer classes, we introduced a concept that
18 I will refer to as gradualism and that is we wanted to only
19 implement part of the charge in demand costs in the demand
20 rate to the high volume firm customer and also the
21 interruptible customer because of the significant impacts
22 that there were going -- that there was going to be on
23 several of the customers within those classes.

24 MR. BOB PETERS: And that gradualism resulted
25 in your starting at 50 percent?

1 MS. KELLY DERKSEN: Yes, Mr. Peters.

2 MR. BOB PETERS: And between fifty (50) and
3 the move to 65 percent last year, has there been any other
4 incremental move?

5 MS. KELLY DERKSEN: Not in the proportion of
6 demand costs that we recover in the demand rate, no.

7 MR. BOB PETERS: Let's just have a look,
8 then, at PUB/Centra-100(b), Ms. Derksen, and I have that in
9 Tab 15 of the Book of Documents that hopefully you have in
10 front of you.

11 Looking at the -- Line 1, under existing rate
12 structure, you're showing a 65 percent recovery of demand
13 costs through the demand rate, correct?

14 MS. KELLY DERKSEN: Yes, sir.

15 MR. BOB PETERS: And at line 20, the recovery
16 of 50 percent of demand related costs, that's the way it used
17 to be as late as the General Rate Application last year in
18 2003?

19 MS. KELLY DERKSEN: Yes.

20 MR. BOB PETERS: And at line 40, you're
21 showing what would be the impact if 100 percent of the demand
22 related costs were recovered in the demand component of the
23 three (3) part rates?

24 MS. KELLY DERKSEN: Yes, sir.

25 MR. BOB PETERS: And the 100 percent recovery

1 of the demand related costs is the current situation for the
2 mainline customers and the interruptible customers, correct?
3 I'm sorry, for the -- the mainline customers?

4 MS. KELLY DERKSEN: Yes, for the mainline
5 customers, the power station and the co-op class, yes.

6 MR. BOB PETERS: All right. In looking at the
7 information you've presented here, and let's pick a customer
8 -- maybe you can explain to the Board, what you mean by load
9 factor, which is one (1) of your columns in your chart?

10 MS. KELLY DERKSEN: Load factor is essentially
11 how efficiently that a customer uses Centra's system. It's
12 basically calculated by taking a total annual consumption of
13 a customer divided by three hundred and sixty-five (364) days
14 which tells you what a customer uses on average, per day.
15 And you would then divide by a customer's peak requirements,
16 or that consumption in the year in which a customer uses the
17 most amount of consumption.

18 So, that tells you how efficiently the
19 customer uses gas on Centra's system.

20 MR. BOB PETERS: You recognize in that answer,
21 Ms. Derksen, that it -- it doesn't necessarily mean the
22 customer has an inefficient business or process, it's just
23 that the difference between their peak and their average use
24 results in them having some unutilized ability on the system?

25 MS. KELLY DERKSEN: Yes, I don't mean to be

1 offensive to any -- any particular business, I'm just talking
2 from a strictly a cost allocation and a Centra system point
3 of view, only.

4 MR. BOB PETERS: Would it be correct to say,
5 for a 40 percent load factor customer, Ms. Derksen, that on
6 average, they're only utilizing 40 percent of the
7 infrastructure that you have in place for that customer
8 class, or -- or for that customer?

9 MS. KELLY DERKSEN: Yeah, I think you could
10 look at it that way.

11 MR. BOB PETERS: But, you still have to have
12 100 percent of the infrastructure in place, for the peak day?

13 MS. KELLY DERKSEN: Yes.

14 MR. BOB PETERS: All right. Can you tell the
15 Board, whether there are any, in fact, customers that you
16 have in the high volume firm class, who have load factors
17 outside of the range that is shown on PUB/CENTRA 100(b)?

18

19 (BRIEF PAUSE)

20

21 MS. KELLY DERKSEN: I don't believe we have
22 any customer class in the high volume firm class,
23 particularly that would have a load factor in excess of 75
24 percent. I'm not sure about the interruptible class,
25 however.

1 MR. BOB PETERS: Just to re-phrase that
2 answer, Ms. Derksen, to the best of your knowledge as you're
3 here, all of your high volume firm customers, have load
4 factors somewhere between 40 percent and 75 percent?

5 MS. KELLY DERKSEN: Sorry, I should have been
6 clearer with that. There are no customers in the high volume
7 firm class whose load factor exceeds 75 percent, but, we have
8 a number of customers in the high volume -- high volume firm
9 class, whose load factor is less than the 40 percent.

10 MR. BOB PETERS: Do you know how low of a load
11 factor you have for customers in that high volume firm class?

13 (BRIEF PAUSE)

15 MS. KELLY DERKSEN: Mr. Peters, based on the
16 information I have that is based on data from August 1st, of
17 2003, until approximately July the 31st, of 2004, I have one
18 (1) customer who has a load factor of 17 percent in that
19 class.

20 MR. BOB PETERS: And not to get too specific
21 here, Ms. Derksen, but, is that the only customer below 40
22 percent load factor?

23 MS. KELLY DERKSEN: No, we have a number of
24 customers lower than 40 percent.

25 MR. BOB PETERS: All right. And that's the

1 lowest one at 17 percent?

2 MS. KELLY DERKSEN: Yes, sir.

3 MR. BOB PETERS: All right, thank you. When
4 we look at the specifics of this PUB/Centra-100(b), Ms.
5 Derksen, as I understand it, for a customer on line 4, the
6 high volume firm customer at a 40 percent load factor, with a
7 consumption of eight hundred and fifty (850) ten (10) cubed,
8 M cubed, they would have an annual bill of approximately two
9 hundred and ninety-one thousand dollars (\$291,000)?

10 MS. KELLY DERKSEN: Yes.

11 MR. BOB PETERS: And included in that bill
12 would be a demand cost of forty-seven thousand dollars
13 (\$47,000)?

14 MS. KELLY DERKSEN: Yes, sir.

15 MR. BOB PETERS: And what you're showing the
16 Board is that the former situation for that customer, down on
17 line 24, when only 50 percent of the demand costs were
18 recovered, that the total bill was two hundred and eighty-
19 nine thousand dollars (\$289,000) and of that approximately
20 thirty-nine thousand (39,000) was the demand costs?

21 MS. KELLY DERKSEN: Yes.

22 MR. BOB PETERS: All right, and just to
23 complete that, if -- does the Utility have any plans to move
24 from a 65 percent recovery of demand costs through the demand
25 rate to a 100 percent recovery of demand costs through the

1 demand rate?

2 MS. KELLY DERKSEN: Something again that of
3 course we've talked about internally, but we haven't
4 concluded on. We have a bit of a concern with the customers
5 in the interruptible class, not so much with the customers in
6 the high volume firm class, as I sit here today.

7 But with the interruptible customers, we have
8 a number of customers who are very seasonal; they only
9 consume gas between the months of April and generally
10 October. It could be an asphalt plant or a similar customer
11 to that. And because they only consume gas during those
12 periods, if we move to recovering a 100 percent of the demand
13 costs in the demand rate, because the demand ratchet is not
14 set in the summer months, they would not incur any demand
15 related or capacity related costs on Centra's system.

16 So, we have to really look at that issue
17 versus which is really a non-cost causal issue, versus you
18 know, a cost responsibility in that class.

19 MR. BOB PETERS: Do you have a similar
20 concern for the high volume firm customers that you have, in
21 terms of the seasonality of their business?

22 MS. KELLY DERKSEN: We don't see nearly that
23 type of customer in that class, so that's not an issue that
24 would be affected by the customers in the high volume firm
25 class, no.

1 MR. BOB PETERS: But that -- but you'd
2 acknowledge, and I don't want to get too far ahead of
3 ourselves here today, but customers in the high volume firm
4 class could set their peak, their annual peak, in the summer
5 months, as opposed to the winter months?

6 MS. KELLY DERKSEN: You could set -- you
7 could set a peak, but you would not be billed on that peak,
8 no matter what customer class that you're in. You would be
9 billed demand costs only, based on the peak that you
10 establish between the months of November and March of any
11 given year.

12 MR. BOB PETERS: And can you explain to the
13 Board why you pick the winter months to determine the -- the
14 peak for billing -- determine it?

15 MS. KELLY DERKSEN: Most gas utilities
16 operate -- it's basically because of the winter coincident
17 peak nature of our business, that we establish demand
18 ratchets during the winter months only.

19 MR. BOB PETERS: But what you're saying then,
20 Ms. Derksen, is that it's in those winter months that you
21 have to put all the infrastructure in place so that you can
22 meet the peak day in the winter, which is generally higher --
23 a higher peak than what you would occur -- that would occur
24 in the summer months?

25 MS. KELLY DERKSEN: Generally speaking that's

1 true, yes.

2

3 (BRIEF PAUSE)

4

5 MR. BOB PETERS: Ms. Derksen, in looking at
6 PUB/Centra-100(b), is it again correct that the -- the amount
7 of demand costs not being recovered through the demand charge
8 end up in the volumetric cost?

9 MS. KELLY DERKSEN: Yes, sir.

10 MR. BOB PETERS: And therefore, you would
11 agree that within the high volume firm customer class, there
12 would be cross-subsidization between customers, based on the
13 fact that the demand cost is not 100 percent recoverable for
14 each customer?

15 MS. KELLY DERKSEN: Yes, Mr. Peters. We
16 encounter this exact same issue with respect to demand costs
17 and the demand rate for the high volume firm and
18 interruptible customers as -- it's the same issue as the one
19 that we talked about with respect to the basic monthly charge
20 being recovered, partly through the basic monthly charge and
21 partly through the -- the volumetric charge for the SGS and
22 LGS customers. It's the same issue.

23 MR. BOB PETERS: And would it be correct that
24 the higher the load factor customer you are in the high
25 volume firm class, the more you are cross-subsidizing the

1 lower load factor when a 100 percent of the demand costs are
2 not recovered in the demand rates?

3 MS. KELLY DERKSEN: I think that's a fair
4 statement, Mr. Peters.

5
6 (BRIEF PAUSE)

7
8 MR. BOB PETERS: Ms. Derksen, just take me
9 back to first principles on your cost allocation of -- of
10 demand related costs. Can you -- can you tell me some
11 examples what kind of costs would be demand related costs?

12 MS. KELLY DERKSEN: We have a couple of
13 demand -- types of demand related costs. We have demand
14 costs that we incur upstream of Centra's system, or basically
15 costs that we incur in providing in transporting natural gas
16 from the Alberta border to man -- to the Manitoba border.

17 So those would be costs that we incur
18 essentially -- sorry, fixed capacity related costs that we
19 incur from Trans Canada Pipelines. So, that would be one (1)
20 type of demand cost that we incur.

21 The second -- and not all customers take that
22 particular service, so not -- not everyone would have to pay
23 that particular rate.

24 The downstream demand type costs that we incur
25 would include things like the cost of our transmission pipe

1 and the revenue requirement associated with it -- the cost of
2 our distribution mains. And those are the types of demand or
3 capacity related costs that we incur on Centra's system.

4 MR. BOB PETERS: Are those costs that you've
5 just talked about of the nature that you can directly assign
6 them to certain customer classes?

7 MS. KELLY DERKSEN: No, Mr. Peters. Those
8 are very much shared costs. We have -- you know, two hundred
9 and fifty thousand (250,000) customers on Centra's system.
10 Each of those customers take access or use Centra's
11 transmission system, for example. So, it's definitely not a
12 cost that we can directly assign. It's a shared cost that
13 needs to be allocated on -- on some reasonable basis.

14 MR. BOB PETERS: So a 100 percent of those
15 costs are then allocated as opposed to assigned?

16

17 (BRIEF PAUSE)

18

19 MS. KELLY DERKSEN: I think the response
20 generally is yes, recognizing that we have some customers on
21 our system who only use our transmission system as opposed to
22 our transmission and distribution system.

23 And so to that extent we have several
24 customers who would not be assigned or allocated any of our
25 distribution main costs.

(BRIEF PAUSE)

MR. BOB PETERS: Ms. Derksen, when we talk about cost allocation of these demand related costs, would you agree with me that in that area of -- of your work, it is the allocation of such costs that perhaps leads to the greatest controversy?

Peters, yes. MS. KELLY DERKSEN: I would agree, Mr.

MR. BOB PETERS: And whereas other costs that you incur are more readily shareable on a -- on a basis, this is one (1) in which you have to use certain principles and make certain judgments?

MS. KELLY DERKSEN: Yes, sir.

MR. BOB PETERS: Ms. Derksen, when you showed us on PUB/Centra-100(b) found in Attachment 15 that there were -- there's a customer -- at least one (1) customer that may have a load factor as low as 17 percent, are you able to re-do PUB/CENTRA 100(b) and include information for a 17 percent load factor customer; have you that readily available?

MS. KELLY DERKSEN: I've not calculated that myself, but, it's not something that's difficult to calculate. So, it could be done.

MR. BOB PETERS: Could I then ask for that as

1 an undertaking from you, through your counsel to provide that
2 to the Board, when it's completed?

3 MS. KELLY DERKSEN: Yes, sir.

4
5 --- UNDERTAKING NO. 9: Re-de PUB/CENTRA 100(b) with a 17
6 percent load factor.
7

8 CONTINUED BY MR. BOB PETERS:

9 MR. BOB PETERS: All right. Thank you. When
10 we talk about the interruptible customer class on these same
11 schedules, Ms. Derksen, does the load factor range, you said
12 you weren't sure if it's -- if it's all within forty (40) to
13 75 percent; there maybe customers outside of it?

14 MS. KELLY DERKSEN: Mr. Peters, I don't know
15 offhand, I'd have to check on that.

16

17 (BRIEF PAUSE)

18

19 MR. BOB PETERS: Ms. Derksen, if you find when
20 you're checking that there are interruptible customers who
21 have a load factor significantly less than 40 percent, or
22 significantly above 75 percent, could you also re-calculate
23 PUB/CENTRA 100(b) attachment to reflect those examples?

24 MS. KELLY DERKSEN: I could do that, yes.

25 MR. BOB PETERS: All right, we'll take that as

1 an undertaking, as well. Thank you.

2
3 --- UNDERTAKING NO. 10: Re-calculate PUB/CENTRA 100 (b)
4 for interruptible customers.

5
6 CONTINUED BY MR. BOB PETERS:

7 MR. BOB PETERS: Ms. Derksen, you were telling
8 me a few minutes ago that the -- the areas of controversy and
9 cost allocation often arise related to the allocation of the
10 capacity or demand related costs, correct?

11 MS. KELLY DERKSEN: Yes, I think so, that's
12 true.

13 MR. BOB PETERS: And in terms of your cost
14 allocation and rate design methodology, when is the last time
15 that the overall methodology was reviewed by this Board?

16 MS. KELLY DERKSEN: As part of the cost
17 allocation and rate design study that occurred in 1996.

18 MR. BOB PETERS: And when that was reviewed in
19 1996, did Centra bring in an expert or a consultant to assist
20 with the development of the cost allocation methodology?

21 MS. KELLY DERKSEN: Yes, sir, we did.

22 MR. BOB PETERS: Do you recall who that was?

23 MS. KELLY DERKSEN: It was Resource Management
24 Inc., RMI.

25 MR. BOB PETERS: Since 1996, would you agree

1 with me that any changes to your cost allocation methodology
2 have been relatively minor in nature?

3

4 (BRIEF PAUSE)

5

6 MS. KELLY DERKSEN: Mr. Peters, I think
7 outside of the unbundling of rates that would be true and the
8 unbundling rates was a significant endeavour by the
9 Corporation.

10 MR. BOB PETERS: Have you had any consultant
11 review your cost allocation methodology since 1996, Ms.
12 Derksen?

13

14 (BRIEF PAUSE)

15

16 MS. KELLY DERKSEN: Mr. Peters, Centra Gas
17 hired Navigant Consulting, as part of its 2003/'04 general
18 rate application and through that particular review,
19 Navigant, of course, had a look at the study and helped the
20 Corporation deal with the changes that were occurring as a
21 result of the costing structures between Manitoba Hydro and
22 Centra Gas. So, that was the last time it has been reviewed.

23 MR. BOB PETERS: Refresh my memory, Ms.
24 Derksen, was that a review that was filed with the Public
25 Utilities Board as part of that hearing?

1 MS. KELLY DERKSEN: To the extent that we file
2 the actual cost allocation model and all of the output
3 information, yes, it was filed.

4 MR. BOB PETERS: And was the principle of
5 Navigant, was that the same principle of the RMI organization
6 that you utilized in 1996?

7 MR. DERRY MILLAR: Yes, sir.

8 MR. BOB PETERS: And perhaps you can remind me
9 of his name?

10 MS. KELLY DERKSEN: John Little.
11

12 (BRIEF PAUSE)
13

14 MR. BOB PETERS: Other than filing the cost
15 allocation methodology and the results at the 2004/'04 GRA,
16 Ms. Derksen, was there a specific report prepared by Mr.
17 Little of Navigant or when he was with a different company,
18 relative to your Cost Allocation Study, post 1996?

19 MS. KELLY DERKSEN: No, sir.

20 MR. BOB PETERS: Is that something that the
21 Corporation doesn't consider it needs review on, on a regular
22 basis, Ms. Derksen? Is that something that -- at this point
23 in time there's no plan to review it?
24

25 (BRIEF PAUSE)

1 MS. KELLY DERKSEN: There's nothing in that
2 Cost Allocation Study that causes us significant concern that
3 would lead for us to have a formal review of the cost
4 allocation and rate design methodologies and principles, no.

5 MR. BOB PETERS: Are you able to estimate for
6 the Board, Ms. Derksen, an approximate cost to have a
7 consultant go through your cost allocation process, and
8 provide a -- a report?

9

10 (BRIEF PAUSE)

11

12 MS. KELLY DERKSEN: Mr. Peters, it really
13 depends upon the scope of -- of the review, so it will be
14 highly variable, dependent on that.

15 MR. BOB PETERS: That's a polite way of
16 telling me you -- you can't put a ballpark around that; is
17 that what you're saying?

18 MS. KELLY DERKSEN: Yes, sir.

19 MR. BOB PETERS: Okay. Just so I don't lose
20 focus on this, Ms. Derksen, you can help me, that the Cost
21 Allocation Study, and you've shown the Board on Tab 14 of the
22 Book of Documents, that's the end result of it in terms of
23 how the costs are allocated by class, correct?

24 MS. KELLY DERKSEN: I'm going to answer, yes,
25 that is the ultimate result of the Cost Allocation Study,

1 just keeping in mind that the way that I allocate costs as
2 part of a gas cost hearing is done using the same principles
3 and methodologies of course, as what we would undergo through
4 a full general rate application, but we have a much smaller
5 model that we use to drive this information. It essentially
6 does not include any of the non-gas cost portions of the
7 rates.

8 MR. BOB PETERS: All right, I -- I accept
9 that qualification, Ms. Derksen, but would we then talk about
10 in terms of how do you recover by customer class, the amounts
11 for the non-gas costs, that enters into the realm that you've
12 told the Board is under a rate design?

13 MS. KELLY DERKSEN: Yes.

14 MR. BOB PETERS: It's a separate area of --
15 of study and art, perhaps?

16 MS. KELLY DERKSEN: Perhaps, yes.

17 MR. BOB PETERS: All right. And in terms of
18 rate design, is that essentially done internally by Centra
19 and its parent company, or is there any outside consultants
20 used on the rate design side of things?

21 MS. KELLY DERKSEN: Typically in our gas cost
22 proceedings, we don't have a consultant review the rate
23 design portion of our Cost Allocation Study.

24 Of course as part of the '03/'04 General Rate
25 Application, in which Navigant did some work for us, they too

1 have reviewed and looked at the rate design portion of our
2 study.

3 MR. BOB PETERS: Was it the recommendation
4 back in 1996 by RMI, that the Utility move to three (3) part
5 rates, Ms. Derksen?

6

7 (BRIEF PAUSE)

8

9 MS. KELLY DERKSEN: Subject to check, Mr.
10 Peters, I believe that's true.

11 MR. BOB PETERS: I'm just trying to find out,
12 or get a recollection from the Board as to whether that was
13 the -- the Utility's idea, or was it that was a
14 recommendation from the consultant?

15

16 (BRIEF PAUSE)

17

18 MS. KELLY DERKSEN: Subject to check, Mr.
19 Peters, I think it was RMI's proposal that Centra ultimately
20 adopted.

21

22 (BRIEF PAUSE)

23

24 MR. BOB PETERS: I want to turn with you, Ms.
25 Derksen, to the customer impacts, and you've given some

1 evidence through Ms. Murphy on that already, but if you could
2 turn in Tab 15 of the Book of Documents to the third page
3 that I have in there -- the fourth page.

4 The third page I have is Tab 1 of August 9,
5 2004, page 14 of 21. Do you have that?

6 MS. KELLY DERKSEN: Yes, I do.
7

8 (BRIEF PAUSE)
9

10 MR. BOB PETERS: When I look at the -- Tab 1,
11 page 14 of 21 that we have in the filing, Ms. Derksen, this
12 one has not been updated for the -- for the September 2nd
13 revisions made by the Corporation, has it?

14 MS. KELLY DERKSEN: It has not, no.

15 MR. BOB PETERS: And if I heard your
16 testimony through Ms. Murphy, the only revision that's needed
17 on this yellow Tab 1, page 14 of 21 is under the high volume
18 firm customer and that is that the change was a decrease in
19 annual bills, somewhere between 7.2 percent and 8.5 percent.
20

21 (BRIEF PAUSE)
22

23 MS. KELLY DERKSEN: Yes.
24 MR. BOB PETERS: All other customer class
25 impacts would stay the same?

1 MS. KELLY DERKSEN: Yes, sir.

2
3 (BRIEF PAUSE)

4
5 MR. BOB PETERS: Specifically, Ms. Derksen,
6 if we turn to Schedule 8.1.0, that's in Tab 15; it's the last
7 page in Tab 15 of the Book of Documents. That's a -- that's
8 a Schedule 8.1.0 from the August 9th update, correct?

9 MS. KELLY DERKSEN: Yes.

10 MR. BOB PETERS: And since then, you have
11 filed on -- on green paper a revised -- further revised
12 Schedule 8.1.0; is that also correct?

13 MS. KELLY DERKSEN: Yes.

14 MR. BOB PETERS: And again the -- the
15 revision that has been made on September the 2nd affects only
16 the high volume firm customer class and the proposed -- the
17 proposed billed rates for the demand as well as the bill
18 impacts. Would that be correct?

19 MS. KELLY DERKSEN: Yes, sir.

20 MR. BOB PETERS: And, Ms. Derksen, when I
21 look at Schedule 8.1.0 and it doesn't matter which colour at
22 this point, when I look to the high volume firm customer
23 class, what this schedule doesn't show is that there are some
24 customers who have a lower load --load factor that are not
25 depicted on this schedule.

1 MS. KELLY DERKSEN: That's true, Mr. Peters.

2 MR. BOB PETERS: And subject to your
3 checking, there may even be interruptible customers that do
4 not fit within the load factor profile of 40 percent to 75
5 percent depicted on this schedule?

6 MS. KELLY DERKSEN: Yes, sir.

7 MR. BOB PETERS: When you file and -- file
8 the answers to the undertakings that you've given me a few
9 minutes ago, Ms. Derksen, would it be possible to get a
10 further revised Schedule 8.1.0 to reflect the ends of the
11 spectrum for the high volume firm as well as the
12 interruptible customer class?

13 MS. KELLY DERKSEN: Yes, we could prepare
14 that.

15 MR. BOB PETERS: Thank you.

16
17 --- UNDERTAKING NO. 11: Ms. Derksen to prepare and submit
18 further revised Schedule 8.1.0.

19
20 CONTINUED BY MR. BOB PETERS:

21 MR. BOB PETERS: A point I just want to make
22 sure is clear on the record, Ms. Derksen, is that what you
23 are attempting to show the Board in Schedule 8.1.0 as well as
24 on Tab 1, page 14 of 21, is you are trying to show the Board
25 the comparison between twelve (12) months at the rates this

1 Board approve on August the 1st as well as -- compared to
2 twelve (12) months under the rates that you propose go in
3 effect on November the 1st of '04.

4 MS. KELLY DERKSEN: Yes. Schedule 8.1.0 is a
5 prospective look, assuming the current rates are in place for
6 the next twelve (12) months, versus the proposed rates that
7 would be in place for the next twelve (12) months.

8

9 (BRIEF PAUSE)

10

11 MR. BOB PETERS: I wish you wouldn't have
12 said that, but, in terms of the next twelve (12) months, we
13 do know that in nine (9) months' time, there will be an
14 adjustment made.

15 Do you -- do you agree with that, Ms. Derksen?

16 MS. KELLY DERKSEN: I thought about the same
17 thing seeing as that came out of my mouth so, yes,
18 recognizing of course that the rider component of the rates
19 would only be in effect for nine (9) months. So, there's a
20 couple of things happening here.

21

22 (BRIEF PAUSE)

23

24 MR. BOB PETERS: I don't want to repeat that
25 discussion we've had, Ms. Derksen, but, that's just bringing

1 to mind that in approximately nine (9) months time from when
2 you propose these rates go in effect, the rate rider would be
3 removed by the Utility and you would revert back to billed
4 rates unless there was some reason not to by that time?

5 MS. KELLY DERKSEN: That --

6 MR. BOB PETERS: Sorry, I believe, I mis-
7 spoke. You would revert to the base rates because the rate
8 riders would be removed?

9 MS. KELLY DERKSEN: Yes, that's true and
10 recognizing that these calculations on this page, are
11 annualized calculations.

12

13 (BRIEF PAUSE)

14

15 MR. BOB PETERS: You've shown us now, the rate
16 impacts that you're proposing as a result of your cost
17 allocation and rate design, Ms. Derksen, but I want to go
18 back on one area that we were talking about and that was the
19 demand charges again.

20 You've I think told me that they are really
21 100 percent allocated through your cost allocation model,
22 because they're not capable of being directly assigned to
23 specific customers or customer classes; have I that correct?

24 MS. KELLY DERKSEN: Yes.

25 MR. BOB PETERS: And because of their shared

1 nature of those costs, are those costs relatively constant
2 year over year, or do they fluctuate considerably?

3

4 (BRIEF PAUSE)

5

6 MS. KELLY DERKSEN: I've had to think about
7 this a little bit further, we -- like I had advised before,
8 we incur different types of demand costs, we have upstream
9 demand costs, or those costs that we will incur from Trans-
10 Canada pipeline.

11 Generally, speaking they don't tend to
12 fluctuate a significant amount from year to year. Generally
13 speaking, I think it probably demands on your point of view,
14 as well and I think there's a number of considerations, like
15 US exchange, and so forth. And Mr. Sanderson may want to add
16 something -- may want to comment on that.

17 In addition, on Centra's system we don't have
18 a whole lot of change on our transmission related system. We
19 have a fair degree, I guess you could say, of movement on our
20 distribution system, as it relates to customers adding.

21 There's a significant amount of housing starts
22 in our province and in our service territory. So, of course,
23 that would cause you to have to upgrade your system and so
24 forth. So, I guess generally speaking, you could say there's
25 not a whole lot of movement.

1 MR. BRENT SANDERSON: If -- if I might just
2 take this opportunity to give some perspective as to the
3 variability of the upstream demand costs.

4 The upstream demand costs related to our
5 storage assets in Michigan and -- would be subject to the
6 \$14.7 million annual revenue cap that Mr. Stevens discussed
7 last week.

8 So, in US dollars, those upstream demand costs
9 aren't subject to any variation, at all. They would,
10 however, be subject to variation related with changes in the
11 Canada/US exchange rate applied to those US dollar tolls.

12 Normally, we don't -- we haven't seen a lot of
13 variation, but in a situation like the past two (2) years
14 where we've seen a thirty cent (.30) plus move in the US
15 Canadian exchange rate, to that extent you would see a
16 similar fluctuation in those upstream demand related costs.

17 In terms of the TCPL costs, they would only be
18 subject to variation related to the toll applications that
19 TCPL would file and seek subsequent approval for from the NEB
20 from year to year.

21 They've filed some applications over the past
22 number of years, seeking from a historical perspective,
23 relatively large increases, but to give you an idea of what
24 that means in terms of variability in those upstream demand
25 tolls relative to the market price for natural gas, for

1 instance, they're an order of magnitude lower, as compared to
2 what we'd see in terms of variability of the market price for
3 the commodity itself.

4 MR. BOB PETERS: Thank you for that, Mr.
5 Sanderson, and Ms. Derksen.

6 If I take from those answers that the -- the
7 demand charges are relatively constant year over year, you
8 then have to allocate those to the various customer classes,
9 correct, Ms. Derksen?

10 MS. KELLY DERKSEN: Yes.

11 MR. BOB PETERS: And when you allocate those
12 to the various customer classes, do you find on an annual
13 basis, there is great variability or is it again relatively
14 constant?

15 MS. KELLY DERKSEN: Mr. Peters, between 1998
16 and 2003/'04, we didn't have any change in our -- in our
17 allocation of demand costs, because we never went through a
18 general rate application, so between 1998 and our Application
19 in 2003/'04, we did see a little bit more movement than I
20 think we would see on a year over year basis, because it's
21 such a length of time in between our applications, from year
22 to year on -- with respect to our Gas Cost Applications,
23 which are just upstream demand component would be subject to
24 like other than what Mr. Brent -- Mr. Sanderson has
25 indicated, there's not a whole lot of movement on the

1 upstream demand component.

2 MR. BOB PETERS: Would a similar answer apply
3 to the downstream costs, Ms. Derksen?

4 MS. KELLY DERKSEN: I would agree if we were
5 talking year over year, yes.

6 MR. BOB PETERS: And in terms of how those
7 costs then get allocated, specifically in the customer class,
8 can you explain for the Board, for example, looking at your
9 Schedule 7.1.0, you show on line 4, the upstream demand costs
10 of about \$26.5 million, and then on line 9 you have
11 downstream demand costs of about I guess seventy-eight
12 thousand dollars (\$78,000)?

13 MS. KELLY DERKSEN: I -- I can clarify that
14 for you, Mr. Peters. It looks a bit odd at first glance.

15 The -- the seventy-eight thousand dollars
16 (\$78,000) that you see on line -- I'm not sure what line it
17 is, I don't have numbers on my mine line -- on line 9, is
18 only with respect to Monell (phonetic) Pipelines, because
19 don't forget that this particular Application only deals with
20 the gas cost portion of our rates. It's not a compilation of
21 all of our costs that Centra incurs in providing demand
22 related services to its customers.

23 The upstream component, the \$26 million that
24 we were speaking of, is allocated to customer classes on the
25 basis of our peak and average methodology, which assigns a

1 weighting to each customer class, based on that class'
2 contribution to both peak day and contribution based on total
3 volumes, compared to total volumes of total system.

4

5 (BRIEF PAUSE)

6

7 MR. BOB PETERS: From that answer, Ms.
8 Derksen, would it be correct to say that based on the number
9 of customers and the volumes and the other factors that you
10 utilize, the dollar amounts allocated by classes relative to
11 each other, will vary year over year?

12 MS. KELLY DERKSEN: They will vary year over
13 year, yes.

14 MR. BOB PETERS: All right. And that
15 variance was based on -- on what factors?

16 MS. KELLY DERKSEN: To the extent that
17 customer numbers change, customer volumes change, peak day
18 information changes; all of those factors contribute to the
19 allocation of demand costs and that's what would cause it to
20 fluctuate from year to year.

21

22 (BRIEF PAUSE)

23

24 MR. BOB PETERS: Ms. Derksen, has the
25 Corporation ever reviewed how much the demand costs fluctuate

1 year over year, attributable to new customers that are added
2 on to the system?

3

4 (BRIEF PAUSE)

5

6 MS. KELLY DERKSEN: Mr. Peters, not since
7 I've been here, no.

8

9 (BRIEF PAUSE)

10

11 MS. KELLY DERKSEN: Which I would say is,
12 probably in the last five (5) years we have not done such a
13 study.

14 MR. BOB PETERS: You assume, though, that to
15 add new residential customers, the -- the demand costs for
16 those residential customers that you add to the system will
17 be comparable to the demand costs of those customers already
18 on the system?

19 MS. KELLY DERKSEN: Can you repeat your
20 question to me, please?

21 MR. BOB PETERS: Would it be a reasonable
22 assumption that, when you add new residential customers to
23 the system, that the demand related customers are equated to
24 what the demand related costs are for those customers already
25 on the system?

1

2 (BRIEF PAUSE)

3

4 MS. KELLY DERKSEN: If you look at it from a
5 very pure point of view and that is you need to add pipe
6 every -- in the ground as it relates to, say, distribution
7 mains every time that you add a customer, I would not agree
8 with your -- your premise because what we include in terms of
9 demand costs or distribution main costs is a historical cost
10 and when you bring in an updated current value of -- of
11 demand related costs into your study, of course that's going
12 to be vastly different than what your books are showing at
13 historical value.

14

15 (BRIEF PAUSE)

16

17 MR. BOB PETERS: Ms. Derksen, how does the
18 company deal with the -- with plant closures or expansions
19 that occur, in terms of allocating demand costs?

20

21 (BRIEF PAUSE)

22

23 MS. KELLY DERKSEN: We don't look at those
24 things in isolation. It's a -- a compilation of customers on
25 our system and all costs that Centra incurs in providing that

1 service. So, it's -- it's not viewed as a discrete
2 allocation, it's a compilation of all of your customers and
3 all of your costs.

4

5 (BRIEF PAUSE)

6

7 MR. BOB PETERS: To provide these numbers
8 that you have for the Board, you've -- you've forecast them
9 forward for the '04/'05 fiscal year. Would that be correct?

10 MS. KELLY DERKSEN: Yes, sir.

11 MR. BOB PETERS: And in that situation, if
12 you become aware of a plant closure in one of the customer
13 classes, do you remove from that customer class the costs
14 that were associated with that customer that's closing, or do
15 those costs remain?

16 MS. KELLY DERKSEN: There is some plant that
17 would obviously be removed if a customer closed. The on-site
18 plant, for example, would be likely removed; not in all
19 circumstances, but in many circumstances.

20 The actual pipe in the ground, the -- the pipe
21 that connects the customer from the distribution main to --
22 to the meter, that may or may not be removed, of course
23 dependant on the -- the sit -- the circumstance.

24 The distribution pipe that serves that
25 customer would not be removed. It would -- it would remain

1 constant and remain on -- on Centra's books.

2 MR. BOB PETERS: So, the remaining customers
3 in the class would be expected to pay a portion of that cost?

4 MS. KELLY DERKSEN: Right. That's true.

5

6 (BRIEF PAUSE)

7

8 MR. BOB PETERS: Ms. Derksen, I want to turn
9 with you to the supplemental gas issue and looking back in
10 the materials, the supplemental gas portion of the --of your
11 filing was quantified and I -- I have it in my notes here as
12 \$19.7 million but I wonder if you can just verify that.

13

14 (BRIEF PAUSE)

15

16 MS. KELLY DERKSEN: That's not the correct
17 amount. I -- I could find the correct amount for you though.

18

19 (BRIEF PAUSE)

20

21 MR. BOB PETERS: Ms. Derksen, maybe we can do
22 it this way. If I turn to tab 10 of the Book of Documents
23 and your Schedule 6.2.4, updated to August the 9th. I took a
24 number of \$19.7 million ...

25

(BRIEF PAUSE)

MS. KELLY DERKSEN: Mr. Peters, perhaps you were correct. I come up with a number of perhaps 19.67 million or 19.7 million.

MR. BOB PETERS: All right --

MS. KELLY DERKSEN: And we're talking about the forecast of the '04/'05 year?

9 MR. BOB PETERS: That is correct in my
10 question, so we'll -- we can -- we can use 19.7 as the
11 approximate number, Ms. Derksen?

MS. KELLY DERKSEN: Yes, sir.

13 MR. BOB PETERS: All right. And the Board has
14 heard that that represents the forecast costs for storage and
15 the costs related to the US supply, correct?

16 MS. KELLY DERKSEN: Storage as it relates to
17 supplemental gas. We also have storage -- primary gas that's
18 put into storage, so that would not be included in that
19 component.

20 MR. BOB PETERS: And you provide the
21 supplemental gas for all of your sales customers, as well as
22 the WTS customers?

MS. KELLY DERKSEN: Yes, we do.

24 MR. BOB PETERS: And I think we understood
25 from the first panel that the quantity of supplemental gas

1 that's needed will vary, largely dependant on the weather?

2 MS. KELLY DERKSEN: Yes, sir, that's true.

3 MR. BOB PETERS: And I think you told me this
4 morning, that the supplemental gas rates that you charge
5 through to your customers, are the same for all firm
6 customers; they all pay the same supplemental gas rate?

7 MS. KELLY DERKSEN: Yes, true.

8 MR. BOB PETERS: And they -- that supplemental
9 gas rate for firm customers, is different from the
10 supplemental gas rate paid by interruptible customers?

11 MS. KELLY DERKSEN: Yes, sir.

12 MR. BOB PETERS: Speaking of interruptible
13 customers, Ms. Derksen, were there actual interruptions of
14 those customers in 2003/'04?

15 MS. KELLY DERKSEN: Yes, sir, there were.

16 MR. BOB PETERS: And what were the you -- the
17 primary reasons for interruption?

18

19 (BRIEF PAUSE)

20

21 MR. BRENT SANDERSON: The curtailments that
22 took place during 2003/2004 were all for upstream supply
23 related reasons and all of those customers were offered
24 supply under an alternate service arrangement. So, no
25 customers who wanted gas were denied system gas.

1 MR. BOB PETERS: It may be that they just had
2 to pay a greater amount for it, if they wanted it?

3 MR. BRENT SANDERSON: It was on the prevailing
4 market price that we could acquire the supply on the given
5 day.

6 MR. BOB PETERS: In terms of the supplemental
7 gas that was supplied, the firm customers were served first
8 with the primary and supplemental gas and then what was left
9 over would end up flowing to the interruptible customers?

10 MR. BRENT SANDERSON: Yes, that's correct.

11 MR. BOB PETERS: Do you recall the billing
12 percentages, Mr. Sanderson, or Ms. Derksen, as to what firm
13 customers were supplied with, in terms of, supplemental gas?

14 MS. KELLY DERKSEN: Yes, there were a number
15 of changes through the year. We started at 96 percent and 4
16 percent supplied to firm customers and that was on November
17 1st of 2003.

18 On February 1st of 2004, we moved to billing
19 at 100 percent and zero for the firm customers and, and --
20 and that billing percentage still exists for the firm
21 customers. It's anticipated that it will change effective
22 November 1st of this upcoming year.

23 MR. BOB PETERS: Did the billing percentage
24 for interruptible customers change as well?

25 MS. KELLY DERKSEN: Yes, sir, it changed also

1 a number of times.

2 MR. BOB PETERS: And do you have those
3 numbers at hand?

4 MS. KELLY DERKSEN: On November 1st of 2003,
5 the interruptibles were billed at 92 percent and 8 percent
6 primary, versus supplemental, that changed to ninety-eight
7 (98) and 2 percent on February 1st of 2004, and we changed it
8 to sixty-three (63) and 38 percent on August 1st of 2004.
9 Sorry, sixty-two (62) and 38 percent, do the math, it needs
10 to add to a hundred (100).

11 MR. BOB PETERS: Can you explain to the Board
12 in dealing with your firm customers, why the billing
13 percentage between primary gas and supplemental gas changed?

14 MR. BRENT SANDERSON: Load requirements for
15 the firm customers during the winter were such that we were
16 able to supply their load requirements during the peaking
17 season with a higher percentage of primary gas than was
18 forecast. And as a result, in order to balance overall
19 billings with underlying purchases by the end of the gas year
20 on October 31st, 2004, the shift in their billing percentage
21 to 100 percent primary and zero percent supplemental was
22 required at February 1st.

23

24 (BRIEF PAUSE)

25

1 MR. BOB PETERS: Mr. Sanderson, from that
2 last answer are you telling the Board that in a -- in a
3 particular year, if you're able to meet all of your load
4 requirements with primary gas, the percentage of supplemental
5 gas will be zero?

6 MR. BRENT SANDERSON: We haven't encountered
7 such a year, but, yes, that would be the case. The -- the
8 shift in the billing percentages for the firm customers to a
9 100 percent primary and zero percent supplemental at February
10 1st, shouldn't be taken to indicate that we were able to
11 supply a 100 percent of the load during the entire year with
12 primary gas.

13 It's just that that was the adjustment and the
14 percentages required to balance over the course of the entire
15 gas year to the underlying split of purchases between primary
16 and supplemental.

17 If you'll remember during the November 2003 to
18 January 2004 period, they were being billed at 96 percent
19 primary and 4 percent supplemental, so they will -- the
20 average -- we'll average it out. And I don't have the number
21 in front of me, but there will be a portion of their load
22 during the course of the year that was supplied with
23 supplemental gas.

24 MR. BOB PETERS: Is it correct that in that
25 answer, Mr. Sanderson, that you by July -- sorry, by October

1 31, you want to have your -- your load balanced out in terms
2 of what you require from primary gas suppliers as well as
3 supplemental gas suppliers?

4 MR. BRENT SANDERSON: What we're trying to
5 achieve is a balance between how we've billed customers for
6 primary and supplemental gas. We would like those overall
7 percentage splits in the billings to balance to the
8 underlying percentage split in the purchase requirement that
9 we incurred in order to serve those customers.

10 MR. BOB PETERS: In Ms. Derksen's answer to
11 me on similar questions for the interruptible customer class,
12 Mr. Sanderson, she indicated that relatively recently you
13 have moved to a significant percentage of supplemental gas,
14 as opposed to primary gas.

15 And if I did the math and heard the numbers,
16 it was 62 percent primary gas, 38 percent supplemental gas
17 for the interruptibles?

18 MR. BRENT SANDERSON: Yes, for the period
19 from August 1st, 2004 to October 31st, 2004.

20 MR. BOB PETERS: Can you explain why this --
21 this large adjustment was needed?

22 MR. BRENT SANDERSON: Well, in order to -- to
23 illustrate why we needed to make the change of that magnitude
24 we need to go back to the adjustment on February 1st, 2004.

25 We -- we want to, if at all possible, we want

1 to restrict our adjustments in the billing percentages to the
2 beginning of each gas quarter, in order to minimize customer
3 confusion on the bills and so forth.

4 So, in order to determine whether we needed to
5 make a billing percentage adjustment on February 1st, at that
6 point, we had actual results up to -- the end of December
7 2004, pardon me, December 2003.

8 Combining those actual results with forecast
9 results for the remainder of the year indicated the required
10 adjustments to the billing percentages in terms of increasing
11 the interruptibles primary gas. Percentage and decreasing
12 the supplemental percentage because, to that point in the
13 winter, we had been able to supply interruptible customers'
14 requirements with the greater percentage primary gas than was
15 indicated in the original forecast due to the nature of their
16 actual loads.

17 Weather being what it will, we had no sooner
18 low -- increased their primary gas percentage and lowered
19 their supplemental percentage, we were faced with an
20 extremely cold January and such that there is a much greater
21 supplemental requirement for the -- in order to serve the
22 interruptibles than was forecast.

23 So it's throwing our results the opposite way
24 to what we were looking at, at the end of December.

25 So, incorporating those actual results and

1 looking ahead to the next commencement of the next gas
2 quarter beginning May 1st, 2004, we combined our actual
3 results to the end of April 2004 with forecast results to the
4 end of the gas year, to October 31st. And a reduction in the
5 interruptible customers' primary gas percentage was indicated
6 along with an increase in their supplemental gas percentage,
7 but not nearly to the magnitude of what we were looking at as
8 of August 1st, if we were to delay the adjustment.

9 There is special consideration this year in
10 that the interruptible customer supplemental billed rate was
11 significantly higher than their base rate due to a collection
12 rate rider that was in place to recover past under-collected
13 costs related to supplemental gas in prior period.

14 So, in order to increase their supplemental
15 billing percentage at May 1st, in order to balance their
16 billings and their underlying purchases, we felt that it
17 would have placed a -- an onerous burden on the interruptible
18 customers due to the fact that their supplemental gas billed
19 rate was on the order of twice what their primary gas billed
20 rate was at the time.

21 So we looked at what the adjustment and the
22 percentages would be if we delayed or deferred the adjustment
23 and the billing percentages to October 1st and balanced over
24 a three (3) month period, as opposed to the six (6) month
25 period beginning May 1st. Because the commencement of the

1 gas quarter beginning August 1st, 2004, our expectation was
2 that these -- this collection rate rider on their
3 supplemental rate was going to drop off July 31st as per the
4 Board's Order last year.

5 The -- these collection rate riders were to
6 expire July 31st, resulting in a -- roughly a neutral bill
7 impact for the interruptible customers because at that point,
8 commencing August 1st, the primary gas billed rate and the
9 supplemental billed rate would be roughly equal.

10 So it was a -- a judgment between undertaking
11 a smaller magnitude of a billing percentage adjustment on May
12 1st which would translate into a material financial impact
13 for the interruptible customers. Or we had the option of
14 delaying that adjustment to August 1st which would give the
15 appearance of a -- a much larger adjustment because we were
16 adjusting, or balancing, over a smaller three (3) month
17 period and a very low load period, I might add as well.

18 This is mostly summer months we're balancing
19 over and the loads are very low. So, the magnitude of the
20 adjustment would be correspondingly larger. But we felt that
21 was the superior course of action because minimizing the
22 financial impact on the interruptible customers.

23 MR. BOB PETERS: Do I take from that answer,
24 Mr. Sanderson, that over the course of the gas year, the
25 annual percentage split that you've used, will equal the

1 purchase percentage of each of those two (2) categories of
2 gas?

3 MR. BRENT SANDERSON: Based on actual results
4 we have to date, yes, we're on track to balance purchases and
5 billing splits by the end of the gas year, yes.

6 MR. BOB PETERS: And even though you will
7 balance on the annual basis, the supplemental gas PGVA has
8 accumulated approximately \$11 million owing to customers?

9 MR. BRENT SANDERSON: Yes, that's correct.
10 That is partially affected due to the fact that our PGVA
11 accounts are managed on a fiscal year basis on the period
12 running from April 1st of one (1) year until March 31st of
13 the following year. Yet we're forced for operational
14 requirements to manage billing percentages on the gas year
15 basis, that being November 1st to October 31st, so there's
16 some disconnect between the way in which we're forced to
17 manage deferral accounts for internal purposes and the way we
18 manage our billing percentages for operational purposes.

19 MR. BOB PETERS: But if it's cyclical like
20 that, Mr. Sanderson, why wouldn't you be able to correct that
21 over the course of a -- over a cycle?

22 MR. BRENT SANDERSON: I'm not sure I
23 understand the question.

24 MR. BOB PETERS: Well, let me -- maybe I
25 didn't understand your answer to me before. But the -- are

1 you saying that the reason that the PGVA for the supplemental
2 gas becomes as large as it does, is because of the time
3 period in which you have to calculate the balance?

4 MR. BRENT SANDERSON: No, I wouldn't say that.
5 I would say that the reason for the lion's share of the
6 balance is in the supplemental PGVA account, has to do with
7 the fact that we incur the vast majority of our supplemental
8 gas costs, during the winter period, yet we collect those
9 costs from customers over the entire annual period.

10 So, to the extent that we don't incur the
11 expected level of supplemental gas costs during a winter
12 period due to loads being lower than normal, due to warmer
13 weather and the like, we've collected a lot of those costs
14 already in the year leading up to that point.

15 And so very quickly, a large deferral balance
16 can be generated if weather is dramatically warmer than
17 normal or colder than normal, with a corresponding change in
18 customers requirements.

19 MR. BOB PETERS: When we talk about the
20 impact it has on customers, Ms. Derksen and Mr. Sanderson,
21 I've heard from your answers that there is a considerable
22 disparity between what would be the base rate and the billed
23 rate, as we move forward?

24 MS. KELLY DERKSEN: In our Application today,
25 yes, there is.

1 MR. BOB PETERS: And the billed rate has in it
2 the volatility issues that Mr. Sanderson just told the Board
3 about, that arise dependant significantly on -- on weather?

4 MS. KELLY DERKSEN: There's two (2) components
5 to the rate Mr. -- Mr. Peters, as I'm sure that you know.
6 There's the base component and then the rider component.

7 The portion of the rate that Mr. Sanderson was
8 referring to, with respect to the extreme volatility had to
9 do with the base component. The rider has already been
10 established and is known with a fair amount of accuracy at
11 the time it was set.

12 So, there's also influences on it but,
13 specifically related to Mr. Sanderson's discussions with you,
14 it had to do with the base component.

15

16 (BRIEF PAUSE)

17

18 MR. BOB PETERS: But the price signals you're
19 sending to -- to the customer, in terms of the volatility of
20 the rates itself, is due to the rate rider and not the base
21 rate, would you agree with that, Ms. Derksen?

22 MS. KELLY DERKSEN: Yes, I think it's the much
23 greater contributor to the -- the issue.

24 MR. BOB PETERS: And in terms of that -- the
25 volatility, I took weather as being a significant factor that

1 would lead to a large balance in the PGVA, either positive or
2 negative, you'd agree with that?

3 MS. KELLY DERKSEN: Yes, sir.

4 MR. BOB PETERS: And to a limited extent, Mr.
5 Sanderson has told the Board last week, that he's forecasting
6 what it's going to cost him for supplementary supply out of
7 Oklahoma and Louisiana, but there will be some price
8 fluctuation in his forecast as well, that will lead to
9 volatility?

10 MS. KELLY DERKSEN: I think that the much
11 greater contributor to the problem is -- is whether price
12 volatility certain is a -- is a consideration, but again, I
13 think weather is the much bigger factor.

14 MR. BOB PETERS: Is there any contribution to
15 this volatility on account of your changing the billing
16 percentages?

17 MS. KELLY DERKSEN: The changes in the billing
18 percentages affect the recovery or the refund of the rate
19 rider that's attached to the base component of the
20 supplemental gas rate.

21 And so to the extent that we change our
22 billing percentages, say on February 1st, to 100 percent
23 primary and zero percent supplemental, of -- of course,
24 that's going to contribute to the fact that we don't
25 completely recover a refund, the PGVA or the rate rider

1 that's currently attached to the base rate.

2
3 (BRIEF PAUSE)

4
5 MR. DARREN RAINKIE: Mr. Peters, I would add,
6 that's what's superior about our new proposal, is recovering
7 those PGVA amounts over total volumes, will help to, with
8 certainty, to refund or recover, or with more certainty
9 refund or recover those amounts. That's one (1) of the
10 inherent benefits in our proposal.

11 MR. BOB PETERS: Thank you for that, Mr.
12 Rainkie, for that -- for that sales pitch.

13 What you're saying though, Mr. Rainkie, is
14 that to the extent that it's not fully recovered from Mr.
15 Sanderson's answer, it would flow into a PGVA account or a
16 deferral account for it to be -- to be recovered or refunded
17 at a later date. And you're saying you have a way to perhaps
18 be more accurate in your PGVA refund or recovery mechanism?

19 MR. DARREN RAINKIE: It's more -- I think
20 it's we have more certainty over what our distribution
21 volumes will be than the supplemental volumes, because of the
22 weather fluctuations. So, in my view, it's a superior
23 methodology to refund or recover that money.

24 MR. BOB PETERS: All right, well let's turn
25 to the specific problem in the few minutes we have before

1 lunch then. And the specific problem, and it's maybe not a
2 bad problem is that you have \$11.1 million that you want to
3 refund on account of supplemental gas rates that were charged
4 to consumers last year, is that correct?

5 MS. KELLY DERKSEN: The answer is, yes, Mr.
6 Peters. I don't want to get hung up on the \$11.2 million or
7 the \$11 million that we're speaking of, only from the
8 perspective of what that I do with all of the deferral
9 balances is that I reallocate the costs that we incur, in
10 terms of the deferral balances.

11 And so to the extent that we have some
12 unrecovered prior period supplemental residuals, that's going
13 to reduce the \$11 million to somewhere in the order of
14 magnitude of \$9.2 million, and that's the amount that we
15 propose to refund to the distribution to customer charge.

16 MR. BOB PETERS: Can you turn to Tab 8 of the
17 book of documents, Ms. Derksen, and just show me where you
18 have the -- the supplemental gas PGVA balance from previous
19 years that you want to offset against the \$11.1 million that
20 we talked about?

21 MS. KELLY DERKSEN: You don't see a specific
22 amount related to supplemental gas on this particular
23 schedule. But what I have -- I have information that divvies
24 up the prior period residuals into its -- its component,
25 supplemental gas being one (1) of them.

And if I take you then to Schedule...

(BRIEF PAUSE)

MS. KELLY DERKSEN: To Schedule 8.4.0.

(BRIEF PAUSE)

9 MS. KELLY DERKSEN: On line 39 of that
10 schedule, you can see the -- the net recovery in the
11 supplemental PGVA for both firm and interruptible customers.
12 For firm customers in this case it's \$9.2 million. And that
13 is composed of the 2003/04 PGVA -- supplemental PGVA balance
14 as at March the 31st of 2004, plus carrying costs, plus any
15 unrecovered or unrecovered amounts from prior years, as it
16 relates only to supplemental gas.

17 MR. BOB PETERS: So the amounts shown on the
18 Schedule 5.1.0 in terms of deferral account balances from
19 prior periods, that's a net number, and -- and you've just
20 now taken out the supplemental gas portion and offset it
21 against the surplus that exists in the PGVA?

MS. KELLY DERKSEN: Yes, sir. Yes.

23 MR. BOB PETERS: And has the -- has the
24 adjustment that's been made on Schedule 5.1.0, is that now
25 reflecting the refund of the PGVA of about \$9.2 million on

1 account of supplemental gas?

2
3 (BRIEF PAUSE)

4
5 MR. BRENT SANDERSON: I'm hoping that I
6 understand your question correctly, Mr. Peters. If we look
7 at line 5 of updated Schedule 5.1.0, we see the \$11.1 million
8 credit balance or amount owing to customers, as a result of
9 amounts owing to customers, relating to supplemental gas for
10 the 2003/2004 fiscal year.

11 If you'll move up to line 2 above that and
12 there's a \$1.7 million credit balance there. Inherent in
13 that balance is a debit amount of -- on the ballpark and Ms.
14 Derksen could correct me, but in the neighbourhood of \$2
15 million related to unrecovered supplemental gas deferral
16 balances from periods before 2003/2004, which are being
17 carried forward.

18 So, the net of those two (2) will be the \$9
19 million and change, Ms. Derksen referred to on her schedule
20 and -- and she can reiterate the number of that schedule she
21 referred to.

22 MR. BOB PETERS: I think we have it here. So
23 with that answer, Mr. Chairman and Board Members and
24 recognizing the hour, I would suggest this would be an
25 appropriate time for the lunch break.

1 THE CHAIRPERSON: Thank you Mr. Peters. Thank
2 you to the Panel. We'll see you all back at 1:30. Thank
3 you.

4
5 --- Upon recessing at 12:04 p.m.
6 --- Upon resuming at 1:34 p.m.
7

8 THE CHAIRPERSON: Mr. Peters...?
9 MR. BOB PETERS: Thank you, good afternoon.
10 Before lunch, Mr. Chairman, and, Board Members, we left off
11 with the enviable issue of how to refund \$9.2 million and I
12 think we decided it wasn't going to all come to me, so we
13 were going to look at some alternate method for doing that.
14

15 CONTINUED BY MR. BOB PETERS:

16 MR. BOB PETERS: And to that end, this \$9.2
17 million, Ms. Derksen, arose out of the supplemental gas PGVA
18 account, correct?

19 MS. KELLY DERKSEN: From different years,
20 yes.

21 MR. BOB PETERS: And when you say different
22 years, you have netted against it all outstanding PGVA
23 balances that are attributed to supplemental gas and you're
24 left with \$9.2 million approximately?

25 MS. KELLY DERKSEN: Yes.

1 MR. BOB PETERS: And you are now asking this
2 Board to allow you to prepare a rate rider that will refund
3 monies to the different customer classes, and included in
4 their volumetric charges for all customers, except -- except
5 for the mainline customer?

6 MS. KELLY DERKSEN: In the volumetric
7 distribution to customer charge, yes, except for the mainline
8 class.

9 MR. BOB PETERS: All right, you've jumped
10 ahead of me. Whereas normally you would come to this Board
11 and say it was a supplemental gas charge, we've over
12 collected, we would like a supplemental gas rate rider to
13 refund it, that would be the normal fare that this Board has
14 seen in past years?

15 MS. KELLY DERKSEN: Yes.

16 MR. BOB PETERS: And you're coming to them
17 this year saying it is a supplemental gas surplus that we
18 have, we want to refund it, but not in the supplemental gas
19 rate, we want to do it through the distribution to customers'
20 volumetric charge?

21 MS. KELLY DERKSEN: Yes, that's our proposal.

22 MR. BOB PETERS: And that is the proposal,
23 except for the few customers in the mainline class to -- to
24 which -- to whom are -- who are entitled to a refund of some
25 supplemental gas charges?

1 MS. KELLY DERKSEN: Yes.

2 MR. BOB PETERS: Is this a one (1) time only
3 proposal, or will this be an ongoing request of the Board,
4 Ms. Derksen?

5

6 (BRIEF PAUSE)

7

8 MR. DARREN RAINKIE: Mr. Peters, maybe I can
9 give Ms. Derksen a rest here, she's been talking quite a long
10 time and my load factor's pretty low in the last few days.

11 So, I think we think it's a good solution, and
12 it may indeed be a robust solution that will last for a while
13 to come. I don't think we'll -- we'll stop looking at other
14 possible solutions, but I think let's try it this year and
15 see how it pans out, I think it's got a -- as I mentioned
16 before, some good merits to it. And if we come across
17 something else that's better, we might end up proposing that
18 in the future.

19 MR. BOB PETERS: At this time it's a -- it's
20 a one (1) year Application then, Mr. Rainkie, and if it's
21 going to continue, or it's going to change, the Board would
22 be made aware of that in any future applications?

23 MR. DARREN RAINKIE: That's right, it
24 directly affects the calculation of rates, so of course the
25 Board would have to approve it, before we implemented

1 anything different.

2 MR. BOB PETERS: Why, Mr. Rainkie, has the
3 Corporation focused on refunding this supplemental gas
4 surplus as a rate rider through a distribution rate?

5 MR. DARREN RAINKIE: There's primarily two
6 (2) reasons I think, as we stated in the material.

7 Number one (1), it allows the supplemental
8 base rate to be a pure rate unaffected by a rate rider. And
9 that will -- that should ensure that the supplemental rate
10 isn't that much different than the primary gas rate. And so
11 it's from a market responsiveness point of view, it provides
12 a good signal to the customer.

13 If you've looked at some of the material from
14 the past couple of years, that supplemental billed rate has
15 gone all the way from about ten (10) cents to over forty (40)
16 cents. Whereas the underlying cost has been maybe twenty-
17 four (24) to twenty-six (26) cents, which isn't that much
18 different than the primary gas rate. So it provides for a
19 more market responsive supplemental gas base rate.

20 As well, it can -- it's a better methodology
21 to refund or recover any supplemental gas PGVA, because we
22 have a greater certainty over the distribution volumes that
23 we're going to have in any one (1) particular year, than the
24 supplemental volumes, which we've heard are subject to
25 weather variances.

1 MR. BOB PETERS: Do you agree with me, Mr.
2 Rainkie, that it -- it does to some extent distort the
3 distribution costs?

4 MS. KELLY DERKSEN: I would agree that you're
5 adding a cost that is accumulated in a different way into a
6 distribution rate, but I think that the bigger of the issue
7 is that it really distorts the base rate for supplemental.

8 And so I guess you have to outweigh one (1)
9 versus the other, and in our opinions, putting that
10 supplemental rate rider into the distribution rate is the
11 preferable alternative at this point.

12 MR. BOB PETERS: If I carry that answer
13 further, Ms. Derksen, would it not then make sense to put the
14 primary gas PGVA into the distribution rate as well?

15 MS. KELLY DERKSEN: The trouble with the
16 primary gas PGVA, of course, is that that is a rate that is
17 subject to competition by -- by brokers and we would open up
18 a whole can of worms by proposing to include the -- the
19 primary gas PGVA into the distribution rate.

20 You have one (1) set of customers who pay for
21 the primary gas PGVA and you would distort the -- the
22 customers who are responsible for that, by adding it to the
23 distribution account.

24 MR. BRENT SANDERSON: I'd also like to add
25 that the primary gas billed rate isn't subject to the same

1 degree of distortion as a result of the rate rider as the
2 supplemental rate would.

3 Our primary gas purchase volumes are subject
4 to very much less variability in response to weather
5 variances, as compared to the supplemental purchases.

6 So where we can see a supplemental rider
7 resulting in a supplemental billed rate that is double the
8 underlying base rate or resulting in a negative billed rate,
9 we never see anywhere near to that -- that degree of
10 distortion, for want of a better term, in terms of the
11 primary gas billed rate.

12 It -- the primary gas rate rider represents a
13 much smaller portion of the overall billed rate.

14 MR. BOB PETERS: All right. Thank you for
15 that. When -- when you acknowledged, Ms. Derksen, that, to
16 some extent, it does distort the distribution costs, it would
17 be to the same extent then -- it would -- it would mask the
18 impact of the supplemental gas rate rider. You wouldn't see
19 it at all under your proposal?

20 MS. KELLY DERKSEN: That's true, there is --
21 there would be no transparency in terms of that particular
22 component on the bill. Although I guess it -- one could
23 argue that a customer doesn't see that particular component
24 on the bill to begin with, so...

25 MR. BOB PETERS: In terms of other options

1 that might be considered, you considered that for the
2 mainline customer, you would like to show a specific line
3 item on the bill which would be their supplemental gas refund
4 rider in this case?

5 MS. KELLY DERKSEN: Yes, sir.

6 MR. BOB PETERS: And how many customers was
7 that again?

8 MS. KELLY DERKSEN: I believe there's only
9 four (4) customers that would be entitled to that refund.

10 MR. BOB PETERS: If you can put a separate
11 line item on the -- on the bills for the mainline customer,
12 could you do the same for the other customer classes as well
13 and treat it as a separate line item?

14 MS. KELLY DERKSEN: Certainly one (1) of the
15 options that we considered when we were looking into this
16 issue further this past year, one (1) of the big drawbacks in
17 doing that is -- you know, we've subjected our residential
18 type customers and other customers on our system to a whole
19 lot of changes in the last five (5) years in terms of what
20 the bill looks like. And trying to educate customers as to
21 the different changes that have transpired in this province
22 since then.

23 And I think one (1) of the big -- the
24 drawbacks in adding that separate line item on the bill for
25 two hundred and fifty thousand (250,000) customers is trying

1 to explain to customers and help them understand what that
2 might be related to.

3 And -- and I think that's probably -- maybe
4 more than what customers can -- can handle at this point.

5 MR. DARREN RAINKIE: I would add, Mr. Peters,
6 that -- let's put some context around this. Out of a 500
7 million plus revenue requirement, supplemental gas forecast
8 costs might be -- range between fifteen (15) and 18 million.
9 So to have another line item for a very small slice of the
10 bill with the issues that Ms. Derksen has just described, I
11 don't think is -- I think it's just adding more to the
12 aggravation.

13 The whole reason for this proposal in the
14 first place is -- is because we've had some negative feedback
15 from customers that -- you know, with billing percentages
16 changes -- changing that they're not understanding why
17 supplemental gas is priced so differently than primary gas.

18 So, I think if we went that route of adding
19 another line, we're simply adding to our customer relation
20 issues for a slice of the rates that's 16 million out of, you
21 know, 520 million.

22 So I think it's important to have some context
23 in that discussion.

24 MR. BOB PETERS: I've got your answer, Mr.
25 Rainkie, and Ms. Derksen. I'll come back and talk to you

1 about the -- the bill format when I talk about terms and
2 conditions, but I take it that your answer was you just
3 didn't want to add an additional line item to what's already
4 expected to be on your consumer bills for your customers?

5 MR. DARREN RAINKIE: That -- that's right.
6 The reason we're proposing a little -- a slightly different
7 from the mainline customer is it's very easy to do. We have
8 a -- a separate system that bills the -- the larger volume
9 customers, so it's much easier to do that than to program our
10 larger billing system for two hundred and fifty thousand
11 (250,000) customers.

12 MR. BOB PETERS: Is it only Centra's
13 transportation service customers that don't take supplemental
14 gas from the Utility?

15 MS. KELLY DERKSEN: Yes, that's true.

16 MR. BOB PETERS: Can you confirm to the
17 Board, Ms. Derksen, that in terms of the net effect, there
18 will be no difference for each and every customer, whether
19 you had this included as a supplemental gas rate rider, or
20 whether you put it through the distribution rate?

21 MS. KELLY DERKSEN: There is no impact -- any
22 additional or incremental impact associated with this
23 treatment, this is simply a rate design or a bill
24 presentation matter.

25 MR. BOB PETERS: So, there's no difference

1 between customer classes as to how you're proposing to treat
2 this, that is that the customer classes will have the same
3 amount of money to be refunded. And then when you get down
4 to rate design, each customer themselves will receive, at
5 least theoretically, the same refund under either method?

6 MS. KELLY DERKSEN: Yes, there is -- there is
7 -- it's actually just taking one (1) amount and one (1) rate
8 and transferring it to another, it's that simple.

9 MR. BOB PETERS: Does this -- does this
10 proposal that you put forward before the Board have any
11 impact on the broker's ability to market against Centra's
12 gas?

13 MS. KELLY DERKSEN: No, sir, the supplemental
14 supply is -- is a gas supply that Centra provides to all
15 sales and WTS customers. The only customer type of course
16 that doesn't take supplemental, would be transportation
17 customers. So, it does not impact a broker's ability to
18 compete with Centra's primary gas component.

19 MR. BOB PETERS: And I'm just going to follow
20 up on something Mr. Rainkie said, but will this change that
21 you're proposing, impact the billing percentage changes that
22 you are now required to make throughout the year?

23 MS. KELLY DERKSEN: It's not going to impact
24 them in terms of -- I mean, really the billing percentages
25 are an operational issue where we have to balance out our

1 supply requirements.

2 What it will do is change -- when we make a
3 billing percent change of course, because your supplemental
4 rate and your primary gas rate are closer to one (1) another,
5 in terms of a price, the billing percent change will have
6 less of an impact to the customer at the time the billing
7 percent change is made.

8 MR. BOB PETERS: Just to conclude in this
9 area on the main line customers. By incorporating the
10 supplemental gas rate rider onto their bill, if you put it
11 into their -- into their supplemental gas rate, did I
12 understand your evidence that you would have in some cases a
13 negative billed rate?

14 MS. KELLY DERKSEN: If we put the
15 supplemental refund rider in the distribution rate for the
16 main line customers, because their distribution rate is so
17 small, their base and their rate rider together is even
18 smaller than the negative rider from the supplemental gas
19 component. It does result in a negative rate.

20 So you're either going to have a negative
21 distribution rate for those customers or add a line item
22 called, you know, your supplemental refund, is really going
23 to amount to the same thing.

24

25 (BRIEF PAUSE)

1 MR. BOB PETERS: Ms. Derksen, I want to turn
2 with you please to your proposal before this Board dealing
3 with the high volume firm customer class in specific, and as
4 I read the Application, you're asking this Board to change
5 the method of determining the demand levels for purposes of
6 billing the high volume firm customers?

7 MS. KELLY DERKSEN: Yes, that's true.

8 MR. BOB PETERS: And to understand what
9 you're asking for, I want to make sure I understand what you
10 presently are doing. And would it be correct that presently
11 the demand that you use with respect to high volume firm
12 customers, is determined based on their average monthly
13 demand in the peak month?

14 MS. KELLY DERKSEN: That's true, in terms of
15 billing demand for the high volume firm class, we take -- we
16 find the customer's peak month, generally speaking it's the
17 month of January for most customers. We add up all the daily
18 consumptions of that month, and we divide by the number of
19 days, in that case it would be thirty-one (31) days.

20 And that would tell us, on average for that
21 month, what they would consume and we would multiply that
22 volume, that average amount, by the demand rate on the bill
23 and that would tell a customer what their responsibility is
24 for that month for the demand component.

25 MR. BOB PETERS: And the demand rate that is

1 set in the peak month, it has to be a winter peak month not a
2 summer peak month. Is that correct?

3 MS. KELLY DERKSEN: That's true.

4

5 (BRIEF PAUSE)

6

7 MR. BOB PETERS: The time period in which the
8 demand is -- has been determined that is used presently by
9 the Corporation is from the winter of 2003/04. Is that
10 correct?

11 MS. KELLY DERKSEN: Yes, sir.

12 MR. BOB PETERS: And so that average monthly
13 demand that you charge the high volume firm customers would
14 have been set somewhere between November of 2003 and March of
15 2004?

16 MS. KELLY DERKSEN: Yes.

17 MR. BOB PETERS: In terms of what you are now
18 asking the Board to change, Ms. Derksen, is that you want new
19 rates effective November 1st of 2004 and that would include a
20 new demand rate for this customer class, correct?

21 MS. KELLY DERKSEN: Yes.

22 MR. BOB PETERS: And the new rate that you
23 are proposing to this Board for November 1st of 2004 has been
24 forecast by the Corporation to be the actual peak for the
25 winter of '04 and '05. Am I correct?

1 MS. KELLY DERKSEN: Yes. Perhaps maybe I --
2 I should explain what we're proposing. This issue is not
3 about revenue requirement. We -- we have set what the
4 revenue requirement amount for demand should be as part of
5 the 03/04 General Rate Application with the exception of --
6 of the gas costs that are proposed in this Application.

7 So that amount is -- is being forecast or is
8 known and it's -- it's a matter of taking that revenue
9 requirement that's ultimately approved through this
10 Application and dividing by billing determinants.

11 Now, we're proposing that those billing
12 determinants that you divide by, would be the actual -- the
13 billing determinants that are forecast on an actual peak day
14 basis for the 04/05 year. Because that would then allow us
15 to bill demand on the basis of a customer's actual peak day
16 for the 04/05 year, beginning on November the 1st of 2004.

17 MR. BOB PETERS: And while that helps the
18 Board understand where the -- where the rate has been -- how
19 the rate has been determined, the determinants that you're
20 going to use on November the 1st will remain the -- the old
21 billing determinants, if I can use that. That is, the
22 average monthly demand.

23 MS. KELLY DERKSEN: No, sir, that's not
24 correct. We are proposing as part -- two (2) things have to
25 happen -- two (2) things have to happen for this issue to

1 take effect.

2 The first thing that has to happen is that a
3 customer's actual -- average demand needs to change to their
4 actual demand. So, instead of billing based on an average of
5 the peak month, we need to start billing customers on an
6 actual peak day.

7 The second thing that needs to happen is that
8 your rate needs to change in order for that to reflect that
9 change, because if I have a hundred dollars (\$100) that I
10 need to collect from that customer class, and under an
11 average peak day methodology I had fifty (50) units, I would
12 be charging a two dollar (\$2) rate.

13 If I am billing on an actual peak day basis, I
14 take that same hundred dollars (\$100), because it's not a
15 revenue requirement issue, it's a -- it's a rate design
16 issue. I would then divide by the number of actual billing
17 determinants, which might be a hundred (100) units for
18 example. And I'm now going to be collecting a lesser rate, a
19 dollar (\$1).

20 So, what has to happen or what our proposal is
21 on November 1st is that customers have already been billed
22 for the 03/04 year, on the basis of average peak -- average
23 of the peak month.

24 We are today billing on the basis of average
25 of the peak month. On November 1st, because my rate that I -

1 - we have incorporated in this Application reflects actual
2 billing determinants, we need to then begin billing on an
3 actual peak day, November 1st. And those actual billing
4 determinants that I've included in this -- in this
5 Application are what we have forecasted the high volume firm
6 demand class to use on an actual peak day basis, for the
7 '04/'05 year.

8 MR. BOB PETERS: How do you forecast what
9 that actual peak is going to be, Ms. Derksen?

10 MS. KELLY DERKSEN: I know the name is -- is
11 a bit -- is a bit silly, because we're forecasting an actual
12 billing determinant. But basically what our load forecasting
13 people do, as what I understand, is they look historically to
14 see what every customer in the high volume firm class uses in
15 terms -- or sets in terms of an actual peak day.

16 And we will use that information to forecast
17 for the '04/'05 year, and make any changes as we are aware,
18 from individual customers, as a result of process changes or
19 anticipated changes to their -- their business operations.

20 MR. BOB PETERS: Do I take from that answer
21 that while you may forecast what their peak actual will be,
22 you may be wrong?

23 MS. KELLY DERKSEN: Correct, it's a forecast
24 of what we expect them to use on an actual peak day basis.

25 MR. BOB PETERS: And when it comes time to

1 determining what the actual peak is based on actual results,
2 will that result in your changing the billing determinants at
3 that time?

4 MS. KELLY DERKSEN: No, Mr. Peters, this is
5 no different than forecasting the volumes to be used as a
6 billing determinant. When you determine the distribution to
7 customer charge, Centra accepts the fact that we may be out
8 in terms of our forecasting. And so forecasting demand units
9 is no different than any of those -- the other forecasting of
10 loads that -- that we incur or that we provide at the
11 Utility.

12 MR. BOB PETERS: And what happens to the --
13 if you're incorrect in your forecast, which I suppose you
14 expect you will be, but you just don't know which way, what
15 will happen to the resulting impacts that customers will pay,
16 that will be either greater or less than what their -- what
17 their forecast peak will be?

18 MS. KELLY DERKSEN: What occurs as a result
19 of a not a perfect forecast is that the company will either
20 over collect in terms of that particular cost component on
21 the bill, or under collect, depending on, you know, if -- if
22 we've over or under forecasted.

23 But this is again, no different than
24 forecasting volumes in -- in the SGS class, to the extent
25 that we've over or under collected, we accept that risk, and

1 -- and that's how it's dealt with.

2 MR. BOB PETERS: When you say we accept that
3 risk, does that risk translate financially into the PGVA?

4 MS. KELLY DERKSEN: There's two (2) different
5 cost components that we're talking about here, one (1) is an
6 upstream demand component, and one (1) is a downstream demand
7 rate.

8 The upstream demand component is base -- is
9 basically the demand costs that we incur on TCPL and ANR and
10 so forth, and all of those costs do get tracked in a PGVA.
11 So the company and the customer is held harmless to the
12 extent that we have not forecasted load or demand exactly as
13 what happens.

14 On the downstream side of the business, or the
15 downstream demand component of the bill, those are -- most of
16 those costs, with the exception of Monell Pipeline, which is
17 considered a gas cost, those are not subject to a PGVA. So,
18 to the extent that we over or under forecast that, will
19 directly hit our bottom line.

20 MR. BOB PETERS: In terms of --

21 MS. KELLY DERKSEN: I'm sorry, I just wanted
22 to add a comment that -- I mean, that's no different than
23 what we have under the method that we use for billing today
24 for the high volume firm class, which is on the basis of an
25 average of the peak month.

(BRIEF PAUSE)

3 MR. BOB PETERS: In dealing with those
4 upstream demand costs that would flow into the PGVA, Ms.
5 Derksen, and capture any differences before forecast and
6 actual, that would keep the class whole, would it not, as
7 opposed to individual customers within the class?

(BRIEF PAUSE)

11 MS. KELLY DERKSEN: Yes, that's true.

(BRIEF PAUSE)

15 MR. BOB PETERS: Ms. Derksen, just want to
16 make sure that I'm clear on the concept of your forecasting
17 the peak for a customer in the high volume firm class.
18 You've acknowledged that your forecast may result in an error
19 when it comes time to determine what is the actual peak,
20 correct?

MS. KELLY DERKSEN: Yes, that's true.

22 MR. BOB PETERS: And did I hear you say
23 through answers to Ms. Murphy this morning that you will
24 allow customers an opportunity to re-shape their loads and
25 determine what their peak will ultimately be this coming

1 winter?

2 MS. KELLY DERKSEN: I think what we had
3 intended to say, and maybe we didn't say very clearly is that
4 if the Board accepts our proposal to implement actual peak
5 day billings for the high volume firm class on November the
6 1st of 2004, we will look prospectively at each customer in
7 that class.

8 And we will begin billing them on actual peak
9 day only when their actual peak day exceeds their average
10 peak day that was established in the 03/04 winter period.
11 Recognizing that 60 percent of customers will exceed -- their
12 actual peak will exceed the peak that was determined in the
13 oh -- the average peak that was determined in the 03/04 year.

14 So to the extent that the customer does not
15 want to be billed on an actual peak day basis, based on what
16 they occurred -- incurred last year, they will be able to
17 avoid that and perhaps control what they use for the 04/05
18 year in terms of setting a peak demand.

19 MR. BOB PETERS: So you're only going to
20 change when the actual peak exceeds the average from the past
21 year?

22 MS. KELLY DERKSEN: Correct. If I have a
23 customer, for example, in that class who's average peak is
24 fifty (50) -- is fifty (50) units established in 03/04, and
25 that customer then -- his actual peak in November of 2004 is

1 a hundred (100), he will then be billed at a hundred (100)
2 units in November.

3 If that -- if his peak is twenty-five (25) in
4 the month of November, on an actual basis, he will not get
5 billed on that actual peak demand. He will continue to be
6 billed on the fifty (50) that he established on an average
7 peak demand from the 03/04 winter period.

8 MR. BOB PETERS: That'll end up being
9 re-initialized the following year, if you -- if you continue
10 on this methodology, and it's approved by the Board?

11 MS. KELLY DERKSEN: Once eleven (11) months
12 is passed for each individual customer, we need to
13 re-establish their peak in any regard. So at some point
14 during the 04/05 winter season, a customer will begin being
15 billed on an actual peak day basis.

16 From -- based on the results of last year,
17 over ninety (90) -- over 90 percent of our customers were
18 billed on an -- on an actual peak day basis by the month of
19 December.

20
21 (BRIEF PAUSE)

22
23 MR. BOB PETERS: In the examples you've given
24 me, Ms. Derksen, a customer would not be based on an actual
25 peak for the next eleven (11) months, so long as their actual

1 peak is below the average peak. Have I -- do you agree with
2 that?

3 MS. KELLY DERKSEN: That's precisely what I'm
4 saying, yes.

5 MR. BOB PETERS: All right. And what happens,
6 then, in a situation where -- in the -- in one (1) month, the
7 customer exceeds the average peak and establishes a new
8 actual peak. You would, at that point in time, revert to the
9 methodology you're proposing before this Board?

10 MS. KELLY DERKSEN: Yes.

11 MR. BOB PETERS: What would happen if in two
12 (2) months time that customer then established a -- a new
13 peak again that in the second month was higher than the peak
14 in the first month, and the peak in the first month was
15 higher than the average peak set last year?

16 MS. KELLY DERKSEN: That's the same thing as
17 what happens generally today, is if a customer in the second
18 month exceeds their peak of the first month, they would be
19 billed on the higher peak of the second month.

20 MR. BOB PETERS: When you've said to me, and
21 I will say on more than one (1) occasion, that it's not a
22 revenue requirement issue, what you're telling the Board is
23 that the demand costs do not change because of the method
24 that you are using to bill the demand cots, is that correct?

25 MS. KELLY DERKSEN: That's what I'm saying,

1 that's correct.

2 MR. BOB PETERS: And the allocation of demand
3 costs to customer classes does not change with the proposed
4 change in the billing determinants either?

5 MS. KELLY DERKSEN: That's correct.

6 MR. BOB PETERS: So this isn't a cost
7 allocation issue, it would be considered a rate design issue,
8 would you agree with that?

9 MR. BOB PETERS: Yes, I would.

10 MS. KELLY DERKSEN: And this morning I
11 believe, we looked at Tab 14 of the book of documents, and
12 just so we can focus in on the high volume firm class, maybe
13 you could turn to Tab 14 of the book of documents that was
14 prepared for Board Counsel, Schedule 7.1.0. And we see on
15 line 4, I believe, the upstream demand costs for high volume
16 firm customers is approximately \$3.59 million, correct?

17 MS. KELLY DERKSEN: Yes.

18 MR. BOB PETERS: And then if we go down to
19 the downstream costs on line 9, there's an additional
20 thirteen thousand six hundred dollars (\$13,600) correct?

21 MS. KELLY DERKSEN: Yes.

22 MR. BOB PETERS: When you told the Board
23 before that the upstream costs would flow through the PGVA
24 and the customer class would be kept whole, you were
25 referring to the \$3.6 million number found on line 4 of

1 Schedule 7.1.0, is that correct?

2 MS. KELLY DERKSEN: It's partly correct. The
3 thirteen thousand six hundred dollars (\$13,600) that is a
4 result of an allocation of Monell Pipeline costs, that too is
5 subject to a PGVA, and no different than the \$3.5 million on
6 the first line.

7 MR. BOB PETERS: Which amount of money then
8 is at risk, as you put it?

9 MS. KELLY DERKSEN: Don't forget that this --
10 what we're showing on this particular Schedule 7.1.0, is an
11 allocation of only gas related costs. To the extent that we
12 have non-gas costs which are not identified on this schedule,
13 those are the costs that would -- would be at risk for a load
14 forecast that deviates from actual.

15 MR. BOB PETERS: And I won't see those until
16 Mr. Warden brings his General Rate Application before the
17 Board later this fall, is that correct?

18 MS. KELLY DERKSEN: You won't see those on
19 this schedule, you'll certainly see them in the rate Schedule
20 8.2.0, because of course the rates encompass all of the
21 costs, both non-gas costs and gas costs.

22 MR. BOB PETERS: While we're on Schedule
23 7.1.0, Ms. Derksen, can you explain under line 16, when we
24 look under the high volume firm class, what the allocator is
25 that results in the -- the monthly determinant of ten

1 thousand and fifty-eight (10,058) 10-3-M 3 day?

2 MS. KELLY DERKSEN: Mr. Peters, those are the
3 billing determinants that we use to divide the total revenue
4 requirement or the total demand costs by. So, as I indicated
5 to you previously, what we do in terms of a forecast, is that
6 we look at each individual customer in that class and we
7 forecast what we anticipate they will set in terms of a peak
8 for the '04/'05 year.

9 The ten thousand oh fifty-eight (10,058) and
10 then the eleven thousand five forty-one (11,541), that you'll
11 see a couple lines below, those -- those are our forecast of
12 what we expect the peak -- actual peak day consumptions to
13 be, compiled all together for each customer in that class.

14 MR. BOB PETERS: So that's the forecast peak
15 for -- for high volume firm?

16 MS. KELLY DERKSEN: Yes.

17 MR. BOB PETERS: And is it also the forecast
18 peak for say the interruptible class, or the mainline class?

19 MS. KELLY DERKSEN: Yes.

20 MR. BOB PETERS: Don't want to dwell on it,
21 but when I get to the special contract customer, and I know
22 I'm diverting a little bit from the high volume firm here,
23 but I -- I note that the downstream resulting unit charge,
24 how is that equated through to the demand costs for this --
25 for this customer class?

1 MS. KELLY DERKSEN: The only cost that's
2 subject to that particular customer, as a result of this type
3 of application is with respect to Monell Pipelines, as it
4 relates to -- to demand costs. And so the twenty-nine
5 thousand three hundred dollars (\$29,300) that you'll see in
6 the downstream demand line is the special contracts
7 allocation of Monell pipeline costs.

8 We would then divide by what we expect that
9 they would use in terms of an actual peak. And we come up
10 with a number, because their rate treatment is slightly
11 different than the other customer classes, we actually just
12 take the twenty-nine thousand three (3) -- three oh four
13 (29,304) and we divide by twelve (12) because they pay it in
14 equal instalments through their basic monthly charge.

15 MR. BOB PETERS: All right. Thank you for
16 that explanation. Turning back to the high volume firm
17 class, I want to run through some historical information and
18 find out if the Corporation agrees with -- with my research.

19 But you've already told the Board that back in
20 1996 the Board held a hearing into the Cost of Service study
21 and the cost allocation methodologies of Centra, correct?

22 MS. KELLY DERKSEN: Yes.

23 MR. BOB PETERS: And that led to Board Order
24 107/96?

25 MS. KELLY DERKSEN: Yes, sir.

1 MR. BOB PETERS: And it's -- is it your
2 recollection that through that Order, two (2) new customer
3 classes were developed including -- which were the high
4 volume firm and the main line customer?

5 MS. KELLY DERKSEN: Yes, sir.

6 MR. BOB PETERS: And you've told the Board
7 that the three (3) part rate structure arose from that
8 Hearing and, again, that was based on your recollection that
9 it was recommended by the consultant and ultimately accepted
10 by the Board?

11 MS. KELLY DERKSEN: I believe that's what
12 happened, yes.

13 MR. BOB PETERS: And before the three (3)
14 part rate structure was in place, all of those demand costs
15 would have been recovered in the volumetric charges to those
16 customers?

17 MS. KELLY DERKSEN: To my knowledge, yes.

18 MR. BOB PETERS: You've told the Board
19 earlier today that you don't have three (3) part rates for
20 the LGS and the SGS classes, because they're relatively
21 homogeneous, is -- is my word, but relatively similar demand
22 and load patterns.

23 Would you agree with that?

24 MS. KELLY DERKSEN: I think that's one (1) of
25 the reasons. I think the customer acceptability and

1 understandability issues is another of the reasons. And
2 then, of course, the cost of implementing or installing
3 demand meters or some kind of metering device that allows us
4 to read on an -- on a daily basis.

5 The cost related to installing that on two
6 hundred and fifty thousand (250,000) customers would be
7 prohibitive. So I think that's another reason.

8 MR. BOB PETERS: Do I gather that in the high
9 volume firm class, the Corporation has determined that the
10 demand levels are -- are not similar for all customers within
11 the class and therefore you've decided that the three (3)
12 part rate is -- is the more appropriate way to deal with that
13 discrepancy?

14

15 (BRIEF PAUSE)

16

17 MS. KELLY DERKSEN: I think that's the intent
18 behind the three (3) part rate, yes, is to re-shape your
19 revenue requirement so you're -- you're recovering that
20 revenue requirement from those customers who cause the costs
21 in that class to be incurred.

22 MR. BOB PETERS: And when we talk about how
23 customers cause the costs to be incurred, you could have a
24 situation where a customer has a constant load, three hundred
25 and sixty-five (365) days a year, and that load would be

1 different than a customer who uses three (3) times as much
2 gas on the peak day, as that customer would on their average
3 day and those would be different load patterns?

4 MS. KELLY DERKSEN: Yes, sir.

5 MR. BOB PETERS: And under a two (2) part
6 rate structure, the customer that uses the most gas, or
7 consumes the most volume, would pay more in volumetric
8 charges which would have embedded in them a demand cost under
9 a two (2) part rate structure.

10 MS. KELLY DERKSEN: Yes.

11 MR. BOB PETERS: So the inequity would be
12 that a customer may not cause most or any of the demand
13 charges, but would end up paying through the volumetric
14 charge, whatever demand charges were embedded in the volume?

15 MS. KELLY DERKSEN: Certainly they would
16 cause some of the demand costs, but probably not the extent
17 to which that they would be paying for through a two (2) part
18 rate.

19 MR. BOB PETERS: And under a three (3) part
20 rate structure, the high load factor customer can end up
21 paying less of the demand costs compared to the low load
22 factor customer?

23

24 (BRIEF PAUSE)

25

1 MS. KELLY DERKSEN: It's the total -- it's
2 the unit cost that would be reduced for the high load factor
3 customer. I mean, if a customer uses -- you know, a hundred
4 (100) cubic metres of gas in comparison to another customer
5 who only uses ten (10), their annual bill will be more,
6 because they use more of the system. But their unit rate
7 will be less than what the customer who pays -- who uses ten
8 (10) cubic metres of gas in a year.

9 MR. BOB PETERS: Okay. Back to Order 107 of
10 '96: That's a time when once you recommended and the Board
11 accepted that there be a three (3) part rate structure, you
12 had the concern as to how to implement that in the rates to
13 consumers; was that correct?

14 MS. KELLY DERKSEN: Certainly we had the
15 concern of how to implement that for the high volume firm
16 class, recognizing that we did not have the appropriate
17 demand metering in place to be able to read their consumption
18 on a daily basis.

19 MR. BOB PETERS: And back in 1997, these
20 demand meters that you're talking about, were being
21 installed, and it was the Corporation's plan to install them
22 for all high volume firm customers?

23 MS. KELLY DERKSEN: Yes.

24 MR. BOB PETERS: And was that a cost paid for
25 by the customer, or was that a cost paid for by the Utility

1 and then embedded in the rates?

2 MS. KELLY DERKSEN: It would have been a cost
3 paid by the Utility, which ultimately would be embedded in
4 the rates.

5 MR. BOB PETERS: And when the Board saw this
6 matter back in 1997, the Corporation wanted to wait until it
7 had the meters in place, but there was also a concern as to
8 the actual quantum of demand costs that were going to be
9 charged through to consumers; is that your recollection?

10

11 (BRIEF PAUSE)

12

13 MR. GREG BARNLUND: Perhaps, Mr. Peters, I
14 may just fill in the blanks on that particular question,
15 because I was involved in that aspect of it, and I think
16 there's really two (2) issues that were dealt with, in terms
17 of implementing the three (3) part rates. The first one (1)
18 was the issue of getting the proper metering in place, and
19 that we have just talked about.

20 The second issue in terms of implementation,
21 was I believe our original proposal, contemplated a demand
22 charge that recovered 100 percent of the capacity costs. And
23 we acknowledge that there was going to be some rate impacts
24 to certain customers as a result of that, so we had modified
25 our proposal to include 50 percent of the demand and the

1 capacity costs, and 50 percent to be recovered in the
2 commodity charge.

3 MR. BOB PETERS: Thank you for that, Mr.
4 Barnlund. It's perhaps the grey hair that -- that Ms.
5 Derksen doesn't have, that allows you to refresh our memories
6 on that.

7 But in terms of how that developed, Mr.
8 Barnlund, the Board agreed that a three (3) part rate for
9 high volume firm would be appropriate, but pending the
10 installation of the appropriate telemetry, a proxy was going
11 to be used, and that was going to be the daily average demand
12 of the peak month; is that correct?

13 MS. KELLY DERKSEN: Yes, I would agree.

14 MR. BOB PETERS: All right. And -- and that
15 -- that dealt with one (1) of the two (2) issues that Mr.
16 Barnlund raised, and that was how do you measure what is the
17 actual demand, pending the actual meters being installed?

18 MS. KELLY DERKSEN: Right.

19

20 (BRIEF PAUSE)

21

22 MR. BOB PETERS: When it came time for the
23 telemetry -- when I -- when I say telemetry, you might have
24 to help me, because I'm not sure I've ever seen one (1) of
25 these, but this is a type of a meter that the company can

1 access remotely?

2 MR. GREG BARNLUND: That's correct. The
3 meter itself has got a -- essentially it's a computer on top
4 of it that takes the information from the meter itself, and
5 it has got the processing capability to be able to correct
6 the meter reading for the appropriate pressure and
7 temperature compensation. And then it stores that data, and
8 it also is connected through the telephone system to our
9 SCADA system, and we're able to remotely interrogate that
10 meter for data, at least once a day.

11 MR. BOB PETERS: And other than maybe
12 painting my house and wondering whether or not I can paint my
13 gas meter, would I notice any difference between the -- the
14 residential meter and these types of meters, Mr. Barnlund?
15 Are -- are -- they're -- they're significantly different?

16 MR. GREG BARNLUND: I'd say they are
17 significantly different. The residential meter is -- is very
18 simple in comparison to the equipment that we were required
19 to install for our large volume customers to be able to meet
20 these requirements.

21 MR. BOB PETERS: Can you give me the relative
22 -- your guesstimate as to the cost of a residential gas meter
23 compared to one (1) that you would use for a high volume firm
24 customer?

25 MR. GREG BARNLUND: I'd say that potentially

1 a residential gas meter could be potentially about seventy-
2 five dollars (\$75) Canadian to purchase. An industrial --
3 the meter itself and the flow computer could be anywhere
4 upwards of ten thousand (10,000) to twenty thousand dollars
5 (\$20,000).

6 MR. BOB PETERS: When I asked earlier how the
7 costs of those meters were dealt with, were those costs
8 allocated specifically to the customer class?

9 MS. KELLY DERKSEN: Yes, sir.

10 MR. GREG BARNLUND: So, the high volume firm
11 customers and I've forgotten the number already, but seventy-
12 nine (79), eighty (80), eighty-one (81), eighty-two (82),
13 somewhere in that range, all of the cost of those meters
14 would be borne by the customers in that class?

15 MS. KELLY DERKSEN: Yes.

16 MR. BOB PETERS: And likewise, the -- the
17 mainline customers, they would pay their costs on an
18 allocated basis for whatever the class requires for -- for
19 meters?

20 MS. KELLY DERKSEN: Yeah, we have a -- we
21 have a pretty good idea of what customers have what meters
22 and the cost of those meters. So, to the extent that we can
23 directly assign those costs, we do.

24 MR. BOB PETERS: Just, maybe I'm getting
25 confused on that answer, Ms. Derksen, but when you say

1 directly assign it, you mean directly assign it to the class?

2 MS. KELLY DERKSEN: Yeah, I should have
3 clarified that. We know with a fair amount of certainty,
4 what meters belong to what class, and the costs of those
5 meters would be directly assigned to the class that causes
6 the costs of those meters.

7 MR. BOB PETERS: Okay. And so if a brand new
8 high volume firm customer showed up at your doorstep
9 tomorrow, for which you had to install a new ten (10) to
10 twenty thousand dollar (\$20,000) meter, would that customer
11 be expected to pay that cost, or would that be a cost that
12 would flow to the entire class?

13 MS. KELLY DERKSEN: They may be subject to a
14 feasibility study, depending on the circumstance. So, to the
15 extent that there -- the rates today are insufficient to
16 reflect the total costs to install service to that new
17 customer, they may be required to pay a contribution.

18 But ultimately the cost of that meter would
19 flow to the high volume firm class, for example.

20 MR. BOB PETERS: And when Mr. Barnlund
21 separated the two (2) issues that are -- that are somehow
22 interrelated in this matter, back in 1999 at your Cost of Gas
23 Hearing, Centra filed a report on where it was with respect
24 to billing demand determinants for the high volume firm
25 class?

1 MR. DARREN RAINKIE: Mr. Peters, maybe I can
2 help here, I think it was the 2001/'02 Cost of Gas that we
3 filed that report. I think it was at the 1999 Cost of Gas
4 Hearing that the Board directed us to file that report.

5 MR. BOB PETERS: And, Mr. Rainkie, since your
6 memory is so good, back in 2001 and 2002, at your Cost of Gas
7 Application you had all of your telemetry and your meters in
8 place for the high volume firm class, correct?

9 MS. KELLY DERKSEN: I think other than maybe
10 one (1) or two (2) customers that I would agree with your
11 statement.

12 MR. BOB PETERS: All right, and even though
13 you had the meters virtually all in place, Ms. Derksen, you
14 didn't start using actual peak measurements back in 2001 and
15 2002, because you didn't make an application to the Board
16 until the following year, which was the '03/'04 year?

17 MS. KELLY DERKSEN: Yes, this is really an
18 issue that's subject to a general rate application, so we
19 propose -- we proposed to postpone the -- the change in how
20 we billed demand for the high volume firm class, until we had
21 a general rate application.

22 MR. BOB PETERS: And when you had that
23 general rate application, at least a couple of the Board
24 Members may recall that you had two (2) changes before the
25 Board, or two (2) different, separate requests that Mr.

1 Barnlund perhaps gave me a heads up on, and one (1) of them
2 was to change the recovery from 50 percent of demand costs to
3 65 percent, in whatever was billed as a demand rate?

4 MS. KELLY DERKSEN: Yes.

5 MR. BOB PETERS: And we went through this
6 morning, some schedules that in Tab 15 of the Book of
7 Documents, that showed what would be the impacts of the 50
8 percent, the sixty-five (65) and the 100 percent inclusion of
9 demand costs for various customers?

10 MS. KELLY DERKSEN: Yes.

11 MR. BOB PETERS: All right. And the second
12 change that you asked the Board to implement back in the
13 2003/'04 General Rate Application, was to change the billing
14 determinant of the demand costs to be based on actual demand,
15 as opposed to the average demand methodology that had been
16 used in the many years prior to last year?

17 MS. KELLY DERKSEN: Yes, that's true.

18 MR. BOB PETERS: And the primary reason for
19 making that request of the Board, Ms. Derksen, is you were in
20 a position to tell the Board that you had the necessary
21 meters installed, and you could now measure with some
22 accuracy what the demand costs were by each of the customers
23 in the high volume firm?

24 MS. KELLY DERKSEN: We could certainly
25 measure their -- their peak day requirements, which would

1 then allow us to bill appropriately, the demand charge.

2 MR. BOB PETERS: Once you knew the peak day
3 levels of each of your customers, you could then decide who
4 bore what -- what amount of the costs that that class had to
5 pay?

6 MS. KELLY DERKSEN: This is not an issue of
7 cost allocation, so I'm not sure if that's what your question
8 was implying, but it's not an issue of allocating the costs
9 -- the demand costs to the -- to the customer classes, but
10 certainly determines which customers will pay for the hundred
11 dollars (\$100) of revenue requirement that you need to
12 collect on account of demand costs from that class.

13

14 (BRIEF PAUSE)

15

16 MR. BOB PETERS: And in terms of the recent
17 history, PUB Order 118/03 that you referenced earlier, Ms.
18 Derksen, it did in fact change the percent of demand costs
19 recovered in the demand rate from fifty (50) to 65 percent,
20 correct?

21 MS. KELLY DERKSEN: Correct.

22 MR. BOB PETERS: And I've actually forgotten
23 your answer, I thought you may have addressed this, this
24 morning, but is it the Corporation's intention to move from
25 65 percent to a higher percentage or maybe ultimately to a

1 100 percent?

2 MS. KELLY DERKSEN: I don't think we've
3 concluded on that yet. I mean we certainly need to look at
4 the -- at the issue and make those determinations and if we
5 have -- if we determine that 65 percent is not the
6 appropriate amount, then we would bring forward a proposal to
7 the Public Utilities Board at some subsequent general rate
8 application.

9 MR. BOB PETERS: Is it because there will be
10 cross-subsidization between customers in the class, that
11 leads you to have concerns about whether the amount of demand
12 costs recovered can be 65 percent or some other number, Ms.
13 Derksen?

14

15 (BRIEF PAUSE)

16

17 MS. KELLY DERKSEN: I think one (1) of the --
18 the primary issues for -- for the Corporation with respect to
19 moving off the 65 percent recovery of demand costs in -- in
20 the demand rate is with respect to the interruptible class,
21 we have a number of customers in that class who are seasonal,
22 and would not bear any responsibility for demand costs. So
23 we'd certainly have to look into that issue.

24 We'd have to also concern ourselves with the
25 high volume firm class, and if it's appropriate to move off

1 to -- off the 65 percent customer acceptability and
2 understandability, obviously being an issue for us,
3 particularly in -- in light of, you know, what's occurred in
4 the last year.

5 MR. BOB PETERS: Do you -- does the
6 Corporation, Ms. Derksen, feel they have to treat the high
7 volume firm and the interruptible customer class in lock
8 step, or could you treat them as different issues?

9 MS. KELLY DERKSEN: I certainly see them as
10 different issues, but -- and they would be looked at, at the
11 same time, so we would be making a proposal of how to deal
12 with both of the matters, likely at the same time.

13 MR. BOB PETERS: All right. And just so
14 we're clear and we don't have to debate this on the record,
15 Ms. Derksen, but in the -- in the Board's Order 118 of '03,
16 there was approval for some change in methodology for
17 calculating the -- the billing determinants for the demand
18 component of the rates. And there was some issue as to the
19 timing as to when that change in methodology was to be
20 implemented. Do you agree with that?

21 MS. KELLY DERKSEN: I think we received
22 approval for a couple of things, that being one (1) of them
23 is the approval to -- to bill, based on actual peak day.

24 The second approval that of course that we
25 received is approval of the rate that needs to exactly

1 coincide with the type of methodology that you're employing.
2 So, we saw that we received a couple of approvals on account
3 of this issue.

4 MR. BOB PETERS: All right. And I'm not
5 debating with you as I promised I wouldn't. Ultimately there
6 was a -- an Order 16 of '04 issued, perhaps by this Panel, if
7 I recall and Centra was then to delay the implementation of
8 the methodology change and that was going to be addressed at
9 this proceeding that we're at today?

10 MS. KELLY DERKSEN: I would say that we were
11 to discontinue billing on a basis of action peak day in light
12 of the confusion and perhaps misunderstanding surrounding
13 this issue and the implem -- the re-implementation of this
14 issue would occur once that we discussed it in this forum, at
15 some later period.

16 MR. BOB PETERS: All right. And when that
17 occurred, Centra revised its rates and was asked to
18 recalculate the impacts and to bring those things forward for
19 this Hearing?

20 MS. KELLY DERKSEN: Yes.

21 MR. BOB PETERS: In that Order 45 of '04,
22 which actually approved the new rates, Ms. Derksen, I believe
23 there was a request from the Board that your customers in the
24 high volume firm class be notified of this being an issue
25 that would be coming forward in this cost of gas hearing. Do

1 you recall that, as well?

2 MS. KELLY DERKSEN: Yes, sir, I do.

3 MR. BOB PETERS: Can you tell the Board what
4 you did to notify your customers that this issue was coming
5 forward, that is those customers in the high volume firm
6 class?

7 MS. KELLY DERKSEN: There were a number of
8 pieces of communication that we have had with the customers
9 in the high volume firm class since that -- the issuing of
10 that order. First, we sent out a newsletter, I believe in
11 April of 2004 advising of the move back to average peak day.

12 Subsequent to that time, we and I personally
13 have met with several high volume firm customers to discuss
14 this issue. We also sent out a letter to each individual
15 customer, I think that was sent out at the beginning of
16 August of 2004, that stated what the issue was and what the
17 impact of this issue would be on their particular business.

18 So, there's been a number of sources of
19 communication about this issue since that time.

20 MR. DARREN RAINKIE: I would add, Mr. Peters,
21 that this was in the initial public notice for this
22 Application. And I think it was -- it was published in the
23 newspaper in March of 2004 and in the reminder notice that
24 was published in August of 2004.

25 And in connection with the Board's

1 instructions, when we sent out the -- the customer
2 communication on the initial Application also a notice and a
3 timetable was attached to that communication, as well.

4 That of course is also supplemented by our
5 marketing reps being out there and discussing any issues that
6 our customers have on an ongoing basis.

7 MR. BOB PETERS: Were your marketing
8 representatives instructed to speak to each of the
9 approximate eighty-one (81) customers Mr. Rainkie, on this
10 specific issue?

11 MR. DARREN RAINKIE: I'm not sure that they
12 went and addressed that issue specifically. But, they would
13 be out there with the customers after these various
14 communications had -- had been sent out.

15 And of course, they'd be willing to engage in
16 any issue that the customer wanted to chat about.

17 MR. BOB PETERS: In terms of the reasons you
18 give your customers for wanting to make this change, is the
19 minimization of the cross subsidization the largest issue, or
20 the largest reason?

21
22 (BRIEF PAUSE)

23
24 MS. KELLY DERKSEN: I think that's one of the
25 issues. I think the -- there are several issues as to why

1 this is more appropriate -- a more appropriate billing
2 methodology, which we would cite to the customer.

3 In addition, there would be, you know, the
4 fact that we want to bill consistent with how the costs that
5 we incur. We want to bill them in the same fashion and of
6 course, that would tend to minimize the cross subsid -- cross
7 subsidization. And so I think there's a couple of issues
8 that are important when we move to this type of -- of billing
9 methodology.

10 MR. BOB PETERS: Well, for a specific customer
11 -- that is -- I mean one of your reasons for wanting to go to
12 this new billing methodology would be to give customers a
13 better signal as to how to manage their -- their load factor
14 perhaps; would you agree with that?

15 MS. KELLY DERKSEN: Yes, I would agree.

16 MR. BOB PETERS: Do you also accept that there
17 may be customers on your system that are, for various
18 business reasons, unable to change their load pattern?

19 MS. KELLY DERKSEN: I agree with that. I
20 don't mean to sound insensitive. You know, obviously there's
21 going to be individual circumstances that would prohibit a
22 particular customer from doing that.

23 But, one of the benefits from -- from our
24 perspective is that there at least is that possibility
25 because it gives you a signal as to what types of costs that

1 you're -- that you're causing on this system, so it gives you
2 a better indication of that type of information.

3 MR. BOB PETERS: Mr. Rainkie, do you know if
4 your marketing representatives go to these eighty-one (81)
5 customers and ask them -- meet with them and specifically
6 give them ideas as to how they could maximize their -- their
7 load factor?

8 MR. DARREN RAINKIE: I would say yes, and I
9 would note, I think in the letter that we sent out in August,
10 I think it -- it ended by saying, if you would like to
11 discuss those types of opportunities, give us a -- here's a
12 number that you can call.

13 I don't know -- I can't remember if it was the
14 marketings reps individual number or a general number, but
15 the number was there, irregardless.

16 MR. BOB PETERS: In turning to the financial
17 impacts of this proposal that you have before the Board, it
18 is correct for the Board to conclude that this is revenue
19 neutral in respect of Centra Gas Manitoba Inc.; s that
20 correct?

21 MS. KELLY DERKSEN: With respect to the
22 implementation of -- of moving from average peak day billing
23 to actual peak day billing, it is revenue neutral for Centra,
24 yes.

25

(BRIEF PAUSE)

3 MR. BOB PETERS: And would you also agree
4 that it is revenue neutral with respect to the high volume
5 firm class itself? That is, you're not recovering any more
6 or any less than you would otherwise, it's just a different
7 way to recover it?

8 MS. KELLY DERKSEN: Yes. I made the
9 statement that I specifically did because it's a different
10 situation once you start considering what I've called the
11 back billing piece of it, so that's why I specifically made
12 the response that I did.

13 MR. BOB PETERS: We'll come to that and give
14 you another chance at that, Ms. Derksen, but before we do,
15 I'd like you to turn to Tab 17 of the Book of Documents that
16 I circulated and, in Tab 17 there is a photocopy of a
17 document entitled "Tab 7, Attachment 3, June 23 of '04".

18 That would be a document that you're familiar
19 with, Ms. Derksen?

20 MS. KELLY DERKSEN: Oh yes.

21 MR. BOB PETERS: And this document is to show
22 the Board the impact on eighty-one (81) unidentified
23 customers of the two (2) different billing methodologies,
24 correct?

25 MS. KELLY DERKSEN: Correct.

1 MR. BOB PETERS: And I scanned it, before I
2 turned the microphone on, and I thought Customer Number 3 and
3 Customer Number 18 represented the -- the book ends, if you
4 would, as to which ones had the -- the greatest impact,
5 either positive or negative. Have I missed one?

6

7 (BRIEF PAUSE)

8

9 MR. DARREN RAINKIE: Mr. -- Mr. Peters, are
10 you operating your calculator on dollars or percentage?

11 MR. BOB PETERS: Lawyers always use dollars,
12 Mr. Rainkie. Accountants may use a different number. But
13 you're telling me that there's a different percentage impact
14 and that's possible as a result of specific customer
15 information?

16 MR. DARREN RAINKIE: Everything's relative to
17 your total bill I guess, yes.

18

19 (BRIEF PAUSE)

20

21 MR. BOB PETERS: Is it your preference, Mr.
22 Rainkie, that we -- that we look at the absolute percentage
23 amount, maybe down to Customer Number 67 as a -- a better
24 proxy for the one that would have the highest increase as a
25 result of the change in methodology.

1 MR. DARREN RAINKIE: I think generally, yes,
2 we're looking at percentage changes because if you don't
3 divide that by your total bill I think you can -- you can
4 make some misleading interpretations if you just look at the
5 raw -- raw dollars. That's only my perspective.

6 MR. BOB PETERS: All right. So, what -- what
7 this schedule, then, is showing the Board is that if the --
8 if the decision to go to actual peak is made and moving off
9 of actual peak for at least the customers who are impacted on
10 a percentage basis as shown in the last column on Tab 7,
11 Attachment 3.

12 MS. KELLY DERKSEN: I think the -- the
13 response to the question is yes, recognizing that this
14 isolates just the impact of this change. So, to the extent
15 that we have made other proposals in this Application on
16 account of changes in gas costs, that would be incremental to
17 the amount shown on these particular -- on this particular --
18 this particular schedule.

19 MR. BOB PETERS: Okay, I just need to
20 understand your last answer to me, Ms. Derksen. If I look at
21 your Schedule 8.1.0 revised, and I included a copy of that
22 schedule under Tab 15 of my Book of Documents, although I
23 don't have, admittedly, the most current one (1), I want to
24 turn to the high volume firm impacts.

25 And, Ms. Derksen, looking at the far right

1 hand column under the high volume firm customer class, the
2 numbers that are on the yellow sheet are now outdated and
3 incorrect?

4 MS. KELLY DERKSEN: True.

5 MR. BOB PETERS: And you've updated those
6 with your green sheet, but the range of impacts on your green
7 sheets for the high volume firm customer is still between a
8 -- a reduced annual bill between the range of 7.2 percent and
9 8.5 percent?

10 MS. KELLY DERKSEN: That's the range, yes.

11 MR. BOB PETERS: Now, does that reduction on
12 the Schedule 8.1.0 take into account and embed in it, the
13 results that you've shown the Board on Tab 7, Attachment 3,
14 found in Tab 17 of the Book of Documents?

15 MS. KELLY DERKSEN: I'll have to explain a
16 couple of things here, it recognized that Attachment 3 of Tab
17 7 that you have in your Book of Documents as Tab 17, that's a
18 very individualized customer calculation, as a result of only
19 the change in moving from average peak day to actual peak
20 day.

21 The Schedule 8.1.0 is a representation of what
22 we expect the class to be impacted by, as a result of all of
23 the changes that are proposed in this Application.

24 What this Schedule does, 8.1.0, is it takes
25 into consideration the rate change, but because average to

1 actual is a very individual change, it does not contemplate
2 the change in the demand units for a particular customer
3 class, and really you need both of those things to recognize
4 the total impact to an individual customer within that class.

5 MR. BOB PETERS: Would it be correct then to
6 simply find the customer at the various load factor and
7 volumes used in Schedule 8.1.0, and then look at the
8 percentage change that would result from the change in
9 methodology on Tab 7, Attachment 3, and -- and just do the
10 math?

11 MS. KELLY DERKSEN: It's not that simple, Mr.
12 Peters. First of all, there is -- there -- we use different
13 information to calculate the average versus actual demand
14 calculations on Attachment 3. We used information of the
15 customer's actual peak and average peak consumption that was
16 established between August the 1st of 2003 and July the 31st
17 of 2004, as the basis of the calculations on Attachment 3.

18 What we would incorporate in Schedule 8.1.0,
19 would be a forecast of what we expect each customer in that
20 class to use on an actual peak day basis.

21 So, it's -- it's not going to be as simple as
22 what you suggest.

23 MR. BOB PETERS: And would I also be correct,
24 Ms. Derksen, that you haven't run, for the eighty-one (81)
25 customers, a -- a calculation of what would be the bill

1 impact as a result of your Application, if it was approved as
2 filed, including the methodology change in determining the
3 high volume firm demand rates?

4 MS. KELLY DERKSEN: Not an individualized
5 calculation, no.

6 MR. BOB PETERS: In turning to the specific
7 individual customer impacts -- and turning in Tab 17, Ms.
8 Derksen, to the second document that's there, and that's a
9 copy of your Tab 7, Attachment 4; is that correct?

10 MS. KELLY DERKSEN: Yes.

11 MR. BOB PETERS: And can you explain to the
12 Board what you're trying to demonstrate on this Attachment?

13 MS. KELLY DERKSEN: Centra implemented actual
14 peak day billing for all customers in the high volume firm
15 class in November of 2003. Subsequent to that the Board
16 issued an order to say stop billing on the basis of actual
17 peak day, until we can iron out some of these issues.

18 And so what this demonstrates here is, had we
19 not billed based on actual peak day billing effective
20 November 1st of 2003 until February the 29th of 2004. This
21 is what the customers would have actually paid different than
22 what they got billed.

23 MR. BOB PETERS: Can you explain to the Board
24 why, on a net basis, it doesn't zero out?

25 MS. KELLY DERKSEN: There's a couple of things

1 happening on this schedule that -- that make things that make
2 things a little bit complicated.

3 On August the 1st of 2003, our proposal to the
4 Board was that we were going to implement actual peak day
5 billing on November 1st of 2003. The rates that we created
6 on August the 1st, 2003 that were ultimately approved by the
7 Board incorporate both average demand billing and actual
8 demand billing units.

9 So, it's what I call a blended rate. It
10 incorporated some average units and some actual units.
11 Average units to recognize the period when we would continue
12 billing on an average peak day basis between August the 1st
13 of 2003 and November the 1st of 2003 and actual peak day
14 units to reflect the fact that we would then move to bill on
15 an actual peak day basis on November the 1st.

16 Remember -- remembering always that two (2)
17 things need to happen for this change to work properly; first
18 your rate needs to change to reflect what you're billing and
19 the second thing that has to happen is that your customers
20 will need to be billed on either an average of the peak month
21 or an actual peak day basis.

22 So, the rate that we struck on August the 1st
23 of 2003 was a blending of those two concepts because we were
24 implementing it not until November the 1st of 2003. In
25 addition, because we had a blended -- a blended rate we --

1 there would have been a difference between -- the other --
2 the reason why the eighty five thousand dollars (\$85,000)
3 occurs is primarily because we had a blended rate in place
4 that wasn't a pure rate that wasn't purely average or purely
5 actual and also on the account of weather.

6 Weather will cause you to deviate. Your rate
7 will be different or how you create your rate will be
8 different than what your billing customers on the basis of,
9 on account of weather.

10 MR. BOB PETERS: Thank you for that
11 explanation. So, just so the Board then understands this Tab
12 7, Attachment 7, found at Tab 17 in the Book of Documents
13 that have been prepared for Board Counsel, had the
14 Corporation not changed its billing methodology last August
15 1st, the customer would have been either better off or paid
16 more as shown in your schedule?

17 MS. KELLY DERKSEN: Yes.

18 MR. BOB PETERS: So, just to take Customer
19 Number 1 as an example, by changing the billing methodology
20 last August 1st, compared to leaving it where it would have
21 been, this customer has paid five hundred and sixty dollars
22 and sixty cents (\$560.60) more under the -- under the new
23 methodology that you used then under the previous existing
24 methodology.

25

(BRIEF PAUSE)

MS. KELLY DERKSEN: Yes, that's correct.

(BRIEF PAUSE)

7 MR. BOB PETERS: I might have to think with my
8 accounting hat on here, Mr. Rainkie. The five hundred and
9 sixty dollars (\$560) from Customer Number 1 would be an
10 amount that would have to be owed to the Utility as a result
11 of the change in methodology; would you agree with that, Ms.
12 Derksen?

MS. KELLY DERKSEN: Yes, that's if we were to back bill the customer to say between August the 1st of 2003 and February the 29th of 2004, because Centra employed a different methodology in terms of billing peak day than what the Board had in mind, this is how much the -- this particular customer, Customer Number 1, would receive in a bill from Centra if we were to implement this piece of the issue.

21 MR. BOB PETERS: And just the converse of
22 that, then, is that those customers who have a number that's
23 shown in brackets, that would be amount that would have to be
24 refunded by the Utility to put them back in the same position
25 as before the change was made on August 1st of '03?

1 MS. KELLY DERKSEN: Correct.

2 MR. BOB PETERS: And I heard you tell your
3 Counsel, Ms. Murphy, this morning that you are asking the
4 Board to not order a back billing or a back refund
5 methodology; have I got that right?

6 MS. KELLY DERKSEN: That is Centra's
7 position, yes.

8 MR. BOB PETERS: And as I understood your
9 position, and in my notes, your suggestion is that there was
10 seven (7) months in which the -- the billing irregular --
11 irregularity, if I may, occurred, and there have now been
12 another seven (7) months or eight (8) months in which it's
13 been reversed and by way of, perhaps, a high level analysis,
14 the two (2) would wash out or equate and there would be no
15 need to either go back to customers with a request for
16 additional payment or a request -- with a cheque for a
17 refund?

18

19 (BRIEF PAUSE)

20

21 MS. KELLY DERKSEN: I think that's true, Mr.
22 Peters. I think that our position, at least in my mind as
23 well, is that on August the 1st of 2003, Centra received a
24 Board Order that said we agree with the methodology of moving
25 to actual peak day billing for this class and we also agree

1 with the rate and therefore we -- in our minds, we received
2 approval to implement the change.

3 Subsequent to November 1st of 2004, we
4 received direction from the Board that said, hold on a
5 minute. There's some confusion surrounding this issue.
6 Before we go any further with respect to this issue, let's
7 revert back to average peak day billing. Bill -- and until
8 we sort out these matters, let's continue billing on that
9 basis until we can further review it at the upcoming gas cost
10 application.

11 So, from those two (2) perspectives, we think
12 that it's our position that the back billing piece do not
13 occur.

14 MR. BOB PETERS: In my words, Ms. Derksen,
15 the -- the high level balancing that you're proposing to the
16 Board -- have you done any underlying analysis by a specific
17 customer to see if that is roughly correct in terms of
18 balancing out?

19 MS. KELLY DERKSEN: Yes, I have.

20 MR. BOB PETERS: For all of the customers
21 within the class?

22 MS. KELLY DERKSEN: Yes, sir, I have.

23 MR. BOB PETERS: Would you be prepared to
24 file that analysis so the Board could -- could just see what
25 underpins your recommendation, as an undertaking?

1 --- UNDERTAKING NO. 12: Ms. Derksen to file analysis
2 customers of actual and average
3 peak day billing.

4
5 CONTINUED BY MR. BOB PETERS:

6 MS. KELLY DERKSEN: The information is
7 compiled. I'd just have to look at -- look at it further
8 before it could be submitted so it could be submitted to the
9 -- as an undertaking. However, it may be a couple of days
10 before that -- that information would be filed.

11 MR. BOB PETERS: That would be fine, Ms.
12 Derksen.

13 Last question in this area, is: Does anything
14 turn on there being eighty-one (81) customers on Attachment 3
15 and ninety-three (93) customers on Attachment 4?

16 MS. KELLY DERKSEN: Nothing turns on it, Mr.
17 Peters. We had some movement of customers, either into the
18 high volume firm class or out of the high volume firm class,
19 effective November 1st of 2003 and that's the difference that
20 you're seeing.

21 The -- the one (1) calculation is a
22 prospective looking calculation that says, if we institute or
23 implement this change, here's what we expect customers to be
24 impacted by, so we're only really looking at the customers
25 that currently reside in the high volume firm class.

1 MR. BOB PETERS: When I said that was my last
2 question, I was just kidding but -- at least in this area.
3 Ms. Derksen, are all of these customers system supplied
4 customers or would any of these be under direct purchase?

5 MS. KELLY DERKSEN: We have a combination of
6 customers in this class. We have some WTS customers, we have
7 some transportation service only customers and we have some
8 sales customers.

9 MR. BOB PETERS: Mr. Chairman, I'm going to
10 move on to my final area of terms and conditions with this
11 Panel, and this might be an appropriate time for the
12 afternoon break?

13 THE CHAIRPERSON: Okay, let's say 3:10.

14

15 --- Upon recessing at 2:54 p.m.
16 --- Upon resuming at 3:12 p.m.

17

18 THE CHAIRPERSON: I guess there's no risk of
19 you being dehydrated, Mr. Barnlund.

20 Well, in an effort to enliven the Proceedings
21 and not to say that Mr. Peters is putting us all to sleep,
22 we're -- we're going to switch to Mr. Carroll. Mr. Carroll,
23 do you want to begin your cross-examination? We'll come back
24 to Mr. Peters later.

25 MR. BILL CARROLL: Thank you, Mr. Chairman.

1 Thank you, Mr. Peters, for those questions. I have some
2 questions along the same lines.

3 I guess I'd like to start by saying that many
4 of the people in this room have sort of made gas hearings
5 their life work. I know the people at that table have made
6 gas hearings their lives' work, especially these rate
7 applications that seem to take on a life of their own.

8 That's not the case for -- for me or for
9 MacDon Industries, we've only recently become students of
10 utility -- gas utility rates, over the past few months. So,
11 bear with me if some of our questions seem a little dopey,
12 but we're just trying to understand what's going on here.
13 We're still going up the learning curve.

14 We kind of feel like the biblical David
15 sitting here, I must say, and after Mr. Peters' questions
16 this morning and this afternoon, I'm not sure that I'm not
17 more confused, rather than less confused.

18 We take our hats off, both Mr. MacDonald and
19 I, to the Board, who last month listened to Hydro rates and
20 this month listened to gas rates and next month listen to
21 license plate rates. So how you take it all in is somewhat
22 beyond us.

23

24 CROSS-EXAMINATION BY MR. BILL CARROLL:

25 MR. BILL CARROLL: In any event, I have a

1 list of questions that we prepared ahead of time.

2 The first few questions are sort of policy
3 oriented questions, and perhaps Mr. Warden might be the
4 person to address those and then I'm going to get into some
5 of the rate issues, as we understand them and -- and the
6 expert members on the Panel could probably help us with
7 those.

8 This morning, Ms. Derksen, used the term,
9 "understandable" a couple of times. And it's odd because
10 that's in my first question. And my first question is, do
11 you believe that these hearings would be understandable for
12 the average customer?

13 MR. VINCE WARDEN: This testimony by this
14 Panel has been so smooth, up until now, that I hate to
15 interrupt that flow. But, Mr. Carroll, it is a very complex
16 area, there's no question.

17 We tried our very best to make it as
18 understandable, excuse me, as we can. We have numerous bill
19 inserts and energy documents that go out to our customers.
20 We have representatives that visit with our customers, try to
21 explain as best we can, the issues that are -- are effecting
22 their bills.

23 Having said all that, it is a complex
24 business. And Manitoba Hydro having acquired Centra Gas back
25 in 1999, I think I'm just catching on myself to the business.

1 And it takes some time, there's no question. But we do our
2 best.

3 MR. BILL CARROLL: MacDon Industries isn't my
4 only high volume firm customer. I have several other ones.
5 And my next question is, do you believe that the average high
6 volume firm customer understands the recent changes to the
7 demand rate, those being the shift from fifty (50) to 65
8 percent in cost allocation and the move from average day peak
9 month to peak day and the whole cost allocation process?

10 MS. MARLA MURPHY: Mr. Chairman, perhaps we
11 could give Mr. Carroll some direction in terms of the line of
12 questioning that this panel is able to answer. Certainly,
13 Ms. Derksen has spoken to the kind of steps that have been
14 taken to inform customers.

15 But we aren't in a position to speak to what
16 customers may or may not understand.

17 MR. BILL CARROLL: In response to some of Mr.
18 Peters questions earlier, on residential customers, the
19 Utility in fact, argued that the understandability of what --
20 of what the residential customers knew was an important
21 element in some of the rate making decisions. So I would
22 argue my question is valid.

23 THE CHAIRPERSON: I think Mr. Warden is
24 volunteering over here.

25

(BRIEF PAUSE)

3 MS. MARLA MURPHY: Maybe he wasn't really
4 volunteering.

(BRIEF PAUSE)

THE CHAIRPERSON: Mr. Warden? Ms. Derksen?

9 MS. KELLY DERKSEN: I was going to answer it
10 from -- your question from the prospective of the information
11 that I have received to date.

12 Through the numerous communications that have
13 gone out, thus far with respect to the change in the way that
14 we will demand for high volume from customers, those being
15 energy market comments. I personally met with several high
16 volume firm customers to -- to help them understand or to see
17 what kinds of questions or concerns they had over this
18 change.

19 We have sent out letters at the -- at the
20 beginning of August with respect to this issue. And out of
21 all of the communication that we have sent and probably going
22 back the seven (7) years since this issue really surfaced, we
23 have to date received four (4) customer responses on this
24 issue. Providing us information as to the concerns, their
25 concerns about the change in moving to actual peak day

1 billing for high volume firm customers.

2 Two (2) of those concerns were concerns that
3 we were flip flopping as what they termed it to be between --
4 moving from average peak day to actual -- to average peak day
5 to actual peak day.

6 So, four (4) questions or concerns out of all
7 the communications that we have sent out on this issue from
8 our perspective, does not signify a significant
9 misunderstanding or misinterpretation, or however that you
10 want to call it, with respect to this issue.

11

12 CONTINUED BY MR. BILL CARROLL:

13 MR. BILL CARROLL: Thank you. Given that
14 about half of the high volume firm customers are going to see
15 cost increases, some of them are -- are quite substantial.

16 And given that MacDon Industries is the only
17 industry that's chosen to show up for these Hearings, do you
18 think it's possible that the process has become so complex,
19 that the average industrial customer has sort of given up in
20 trying to understand or be able to change the direction that
21 the Utility has taken?

22 MR. VINCE WARDEN: Mr. Carroll, you know, I
23 really don't think the -- the fundamentals of what we're
24 doing here are all that complex, some of the mechanics of how
25 we get there -- sometimes can be quite complicated. But we

1 have, you know, an energy rate, a demand rate, I think most
2 customers understand that.

3 And what we're advocating with this change is
4 one (1) of fairness, we're allocating our costs to a customer
5 class, and we want the customers within that class to pay
6 their fair share, it's a simple as that. And that's what
7 we're achieving with this change.

8 MR. BILL CARROLL: I sat here last week and I
9 listened to the Utility and to Direct Energy talk about
10 hedging and hedging strategies, and actually it was
11 fascinating, I found it very interesting.

12 And I was wondering if the Utility has ever
13 considered taking a -- a cooperative approach and going out
14 to their large customer base with somebody like Direct Energy
15 or somebody else, and actually doing a workshop on hedging.
16 As much -- as much as we found Goldilocks and the two (2)
17 bears interesting, perhaps that would be a better way to get
18 information in the hands of people that really need it?

19

20 (BRIEF PAUSE)

21

22 MR. BRENT SANDERSON: Maybe I can add
23 something that may be of use to you. I am aware of the fact
24 that our direct -- our broker relations representative in gas
25 supply pricing administration which -- who acts as an

1 intermediary between the Utility and the broker community in
2 Manitoba, has on a number of occasions gone out to customer's
3 premises at their request, with representatives of the broker
4 community to discuss these issues.

5 I can't give you quantification of how many
6 times that's taken place, but I am aware of a number of
7 occasions where that has taken place.

8 MS. KELLY DERKSEN: And if I could add, Mr.
9 Carroll, please. I had met with a group of high volume firm
10 and interruptible customers in -- sometime in June, just this
11 past June. And the results or the indications from the
12 customers that we met with at that time, I met in conjunction
13 with our marketing folks, that our session, which dealt with
14 you know, this high volume firm issue, and helping customers
15 understand the changes that were proposed to take -- take
16 place.

17 In addition there were other issues of
18 interest or at least what we think are of interest to
19 customers that were provided to customers at that time. And
20 the reception from all of the customers there, there -- there
21 may have been a dozen or so customers attend, was very
22 positive.

23 And as a result of that session we had with
24 that particular group of customers, I know that our marketing
25 people are planning on doing those types of communications

1 with customers on a much more frequent basis, and include
2 topics like those that you discussed, related to hedging.

3 MR. VINCE WARDEN: I also might add before we
4 conclude, if I may, that I personally have spoken with
5 representatives of major industrial customer organizations on
6 subjects specific to hedging and price management and so
7 forth, and rate setting at the request of our key and major
8 account reps.

9 When the discussion -- when the customer is
10 desirous of a discussion, it gets maybe more technical than
11 the rep's background would allow, it's not unusual for them
12 to contact me and I will either contact the representative of
13 the customer's firm. Or the customer will contact me
14 directly and we will have these discussions at their request
15 and convenience.

16 MR. BILL CARROLL: Thank you. That's kind of
17 where I was heading with this. I know that Natural Resources
18 Canada puts on workshops for energy management and
19 Environment Canada puts on NPRI workshops. and I've attended
20 at those with -- with other users and I think that what
21 you're proposing now or planning on doing is an -- is an
22 excellent idea.

23 My next question is: does the Utility care
24 how natural gas is used after it passes through the meter,
25 which is sort of your cash register? And do you believe that

1 there's a difference between gas used for space heat and gas
2 used for -- as a production input?

3

4 (BRIEF PAUSE)

5

6 MR. VINCE WARDEN: Well, the Utility
7 certainly cares how that gas is used and -- and that's what
8 our demand side management programs are all about, is to
9 ensure to the extent possible that energy in total is being
10 used as efficiently as possible.

11 So, our interest doesn't stop at the meter.

12 MR. BILL CARROLL: And what about the use of
13 gas for space heat, versus the use of gas for a production
14 input? Does the Utility see any difference there, or is it
15 just gas use?

16 MR. VINCE WARDEN: Well, I think we have to
17 look beyond that general statement and gas that's being used
18 in production facilities -- we have to delve into just
19 exactly what process it's being used for.

20 I know that our -- our representatives, our
21 customer service representatives are -- go out and visit with
22 customers and -- and do their best to understand their
23 processes and advise them as to the most efficient use of --
24 of the product they're using, both gas and electricity.

25 MR. BILL CARROLL: The utility has a policy

1 of 1 metre per service address and we think that maybe that
2 penalizes customers with use patterns like MacDon's. We're
3 not sure, because we haven't done the analysis and we need
4 help doing that analysis.

5 Would the Utility be prepared to change that
6 policy, or at least be willing to look at the policy?

7

8 (BRIEF PAUSE)

9

10 MR. VINCE WARDEN: You're probably getting a
11 little bit beyond the expertise of this Panel, Mr. Carroll,
12 though I am aware that there are a number of customers that
13 have multiple service points.

14 So, if you're interested in pursuing that, we
15 could perhaps have a representative contact MacDon.

16 MR. BILL CARROLL: I know that when we did
17 the addition, that Mr. MacDonald spoke about this morning, I
18 was actually the project manager for that addition. And we
19 tried to get two (2) service meters, because we knew that
20 that addition was going to be a huge consumer of gas and it
21 wasn't allowed, so, that's how I know what your policy is.

22 If I could refer you to Exhibit 3 in the
23 document that we filed this morning, or that Mr. Peters asked
24 that be filed this morning. It's a graph that Hydro supplied
25 us of the MacDon Industries gas use.

1 And I think -- if you have that in front of
2 you.

3 MR. VINCE WARDEN: Yes, we have it here.

4 MR. BILL CARROLL: I think you can sort of
5 see what's going on there, during the five (5) days a week
6 that -- that -- that this company uses or does production.
7 There's a huge peak in the middle and that's the gas that's
8 the production input.

9 Saturday and Sunday -- Saturday's a little
10 higher than Sunday, because sometimes there's some work done
11 in the plant on Saturdays and Sundays, but that's sort of the
12 space heed load.

13 This is -- this is a load pattern that's not
14 easily changed. And we thought that if we could use
15 different metering for the space heat versus production heat,
16 we -- we could save some money, perhaps, because the demand
17 charges are being imposed on top of the space heat charges.

18 And so we don't know how that works, but we
19 think that possibly the Utility could help us out in that.

20
21 (BRIEF PAUSE)

22
23 MR. VINCE WARDEN: Mr. Carroll, I -- I really
24 think it would take in depth analysis of your operation to
25 determine whether or not it's to your advantage. Remember if

1 you had two (2) meters, you'd be subject to two (2) monthly
2 basic charges, and other costs that might go along with it.

3 And remember, it's not changing the cost
4 profile of Centra, we still have ex -- a fixed amount of
5 costs that we have to recover from our customer base. So, it
6 -- it becomes -- it could become a fairness issue as well, is
7 it fair to other customers to install one (1) meter for
8 heating and another one (1) for production, without offering
9 that same advantage, if -- if it turned out to be to all
10 customers.

11 And if it was advantageous on an individual
12 customer basis, we'd still be dealing with the same costs in
13 totality, which we would have to allocate to -- to our
14 customer base. And if every customer opted to separate their
15 heating and their production loads, it seems to me there
16 would be incremental costs that would have to be recovered
17 from those same customers.

18 So, I think it's something that would require
19 more in depth analysis than what we -- we can provide, in
20 this Panel today.

21 MR. BILL CARROLL: Thank you, I -- I guess
22 I'm just poking at the issue about how flexible the Utility
23 is in terms of helping this particular client that I'm
24 representing today.

On that same Exhibit 3, it's not hard to

1 visualize how if this company ran an extra shift, on a cold
2 day in February, they would pay for it for the rest of the
3 year. And that's one (1) of the key issues that -- that
4 there is for MacDon Industries, is that now they can't run a
5 double shift, because if they run a double shift, that curve
6 doesn't start coming down at sixteen hundred (1600) hours,
7 that curve goes on, and if you do that on a cold day,
8 suddenly you've incurred a whole lot of costs for a whole
9 year, and that's one (1) of the reasons they're so sensitive
10 to this issue.

11 MR. VINCE WARDEN: That's true, but it's --
12 you know, that's a business reality, and I guess it's a
13 business -- a decision that MacDon would have to make, as
14 does every other customer that's faced with that -- with that
15 issue.

16 MR. BILL CARROLL: I'd like to ask some
17 questions now on Tab 14, in Mr. Peters' Book of Documents,
18 which is Schedule 7.1.0.

19
20 (BRIEF PAUSE)

21
22 MR. BILL CARROLL: I thought I had a grip on
23 this schedule until Mr. Peters started asking questions
24 today.

25 I heard the explanation on line 14, in terms

1 of the supplementary firm and supplementary interruptible,
2 and as I understand it, those are the demand related costs
3 that go along with supplementary gas; is that correct?

4 MS. KELLY DERKSEN: No, there's a little bit
5 of confusion there I think. The costs that you see on line
6 14, up until the time that you -- you end our traditional
7 customer classes, which would end at the power stations,
8 those are a combination of both demand or fixed capacity
9 costs that we cur -- incur, both upstream in our system, and
10 within our own system, as well as some variable commodity
11 charges like unaccounted for gas costs that we incur on our
12 system to provide a service.

13 The amounts on line 14 are each class's
14 allocation of those types of costs. The supplemental gas
15 charge that you see at the end of that row for both firm and
16 interruptible customers, is a completely different charge
17 that appears on all sales and WTS customers' bills, for the
18 supply of natural gas that typically comes from -- from the
19 United States.

20 So, basically at the end of the day, what the
21 high volume firm class will pay is a contribution toward the
22 \$4.5 million that you see on line 14, as well as a
23 contribution toward the \$17 million number that you see under
24 the supplemental firm column.

25 So, mapped on -- no different than any other

1 high volume firm class, would be subject to -- would be
2 responsible for both of those types of costs.

3 MR. BILL CARROLL: Thank you. I think I
4 understand that part. Those two (2) numbers under the
5 supplemental firm and -- and interruptible are about 20
6 percent of the -- of the 83.4 million.

7 And as I understand it, the -- the split in
8 firm supplemental gas is ninety-six four (96.4) or one
9 hundred zero (100.0) or slightly different than that in
10 interruptible. The 20 percent to me seems out of line with
11 the split in the other volumes. Can you rationalize that for
12 me?

13 MS. KELLY DERKSEN: Yes, I'll clarify that for
14 you as well, Mr. Carroll. The billing percentages that we
15 discussed this morning that generally are, say 96 percent
16 primary and 4 percent supplemental, that represents the
17 portion of primary gas that a customer -- a firm customer
18 would pay versus the portion of supplemental gas, say the 4
19 percent that a customer would pay.

20 So, on every -- every firm customer's bill
21 what they would see is primary gas at a rate times 96 percent
22 because we supply those types of customers with both -- with
23 a mixture of both primary gas and supplemental gas.

24 The primary gas is our primary source of
25 supply and hence the name, which comes from Alberta and that

1 represents approximately 96 percent of the total gas
2 requirement or gas supply that a customer pays.

The 20 percent that you're speaking of, which
is the difference between the firm and the interruptible,
really has to do with how we supply supplemental gas between
firm and interruptible customers. And no firm customer would
pay for the two point six (2.6) or the \$2.7 million that's
under the column called supplemental interruptible. That
would solely be charted to the interruptible class.

10 MR. BILL CARROLL: I guess the part that I
11 can't get my mind around is, the -- the large fixed cost here
12 versus the small amount of volume.

13

14 (BRIEF PAUSE)

15

16 MS. KELLY DERKSEN: I'm -- I guess I'm a
17 little bit confused by it -- by your question, the
18 supplemental gas that you see under the supplemental firm and
19 the supplemental interrupt -- interruptible columns, those
20 are not fixed costs, like we were talking about the demand
21 component on the bill, those are variable charges.

22 So, we go out and we purchase gas supplies
23 from both Alberta, and in this case, from -- from US sources.
24 And we pay for every volume of gas that we purchase on behalf
25 of the customer.

1 And we then charge the customer for every unit
2 of gas that they use. So, it's a variable cost. The fixed
3 costs that we were speaking of earlier today, with respect to
4 demand would be for the high volume firm class, for example,
5 would be on line 4, under the high volume firm class or three
6 point five (3.5) or 3.6 million, let's say.

7 And in addition, there's another thirteen and
8 a half thousand dollars (\$13,500) that would be a fixed
9 demand related gas cost, as part of this Application. So
10 that's what we're discussing when we're talking about
11 recovering the fixed demand costs on the basis of actual peak
12 day or average peak day or whatever the methodology is that
13 we're speaking of.

14 MR. BILL CARROLL: Okay. So the seventeen
15 point zero (17.0) and the two point six seven (2.67), don't
16 figure into the demand costs?

17 MS. KELLY DERKSEN: They do not, no.

18 MR. BILL CARROLL: Okay. That leads me to my
19 next question then. The total amount of demand costs shown
20 in this table, I think adds up to about 51.1 million when you
21 don't include those -- those commodity charges you were just
22 talking about.

23 MS. KELLY DERKSEN: You're very close, yes,
24 Mr. Carroll.

25 MR. BILL CARROLL: And the demand costs for

1 the SGS and the LGS total about \$44.6 million.

2 MS. KELLY DERKSEN: That -- that's about
3 correct, keeping in mind, Mr. Carroll, that what we're
4 discussing on this particular table here is only gas cost
5 related. So that would be demand costs that we incur on TCPL
6 and on, say, the ANR pipeline in the United States.

7 And in addition, we have one (1) small
8 pipeline, I think, in western Manitoba, called Monell
9 pipeline. Those are the demand costs that would be
10 incorporated in the schedule.

11 There are additional demand costs that are in
12 the demand rates that -- that all customers would ultimately
13 pay. Those demand costs are the demand costs that customers
14 pay on account of Centra's system. And we have not included
15 those in this particular table because this Application only
16 deals with the gas cost portion or changes with respect to
17 gas cost portions of, say, the demand rate and the
18 supplemental charge that we previously spoke of as well.

19 So this is only part of the picture.

20 MR. BILL CARROLL: Thank you. I think I
21 understand that. I think it's a -- it's a big chunk of the
22 picture, though. And I guess the -- the one (1) issue that I
23 wanted to point out was that 87.3 percent of the demand costs
24 of this part of the picture, aren't recovered from customers
25 through demand charges.

1 MS. KELLY DERKSEN: I guess I have a couple
2 of points to make with you, if -- if you don't mind, Mr.
3 Carroll, and that is I -- and it's my opinion that the demand
4 cost component of a customer's bill is relatively small,
5 certainly in comparison to the gas cost portion of a
6 customer's bill.

7 If you accumulate the primary gas component as
8 well as the supplemental gas component that is charged to a
9 customer on a variable charge -- on a variable basis, it's --
10 it's my belief or based on -- on what I know today, that that
11 represents a much greater portion of a total customer's -- of
12 a total bill for a customer than the demand component.

13 For example, a typical residential customer
14 and I'm sure to whom we all can relate, if you are to consume
15 thirty-two hundred (3,200) cubic metres of gas a year, which
16 is an average customer, 60 percent of your bill is primary
17 gas and supplemental gas.

18 And so that is a much greater portion than the
19 demand cost. In fact, I -- if I recall correctly, of all of
20 our non-gas cost components, I think demand costs represent
21 maybe a third of the costs.

22 So -- in total of a customer's bill I think
23 the primary and the supplement gas components represent a
24 much larger component.

25 MR. BILL CARROLL: You're talking about the

1 commodity part of the bill, correct?

2 MS. KELLY DERKSEN: I'm talking about the
3 commodity part of the bill. With respect to your second
4 question, which was, you know, why are the smaller volume
5 customers recovering -- why are we recovering their demand
6 costs in a variable way and we don't treat the other, larger
7 volume customers in the same way.

8 And, as we discussed this morning, one (1) of
9 the primary reasons that we don't have a demand rate per se,
10 although we recover those costs from the SGS and LGS classes
11 is that, well, for one (1) it would be very expensive to put
12 demand metering for two hundred and fifty thousand (250,000)
13 customers on the bill.

14 And, in addition, like we've discussed as
15 well, that I think the complexity of a demand billing for a
16 residential customer may be fairly complex. And I think
17 that's another good reason why we would not want to have a
18 three (3) part rate structure for that type of customer.

19 MR. BILL CARROLL: I would argue that -- that
20 the way that you do it for high volume firm customers, is
21 also complex and hard to understand. And would the bottom
22 line be that you charge high volume firm and interruptible
23 customers demand charges, is because you can, because you
24 have the metering in place? Whereas you can't with these
25 other ones?

1 MS. KELLY DERKSEN: First of all, we put the
2 metering in place for the larger volume customers because
3 that we had intended to go to a three (3) part rate design.
4 And I'm not -- I don't agree with your statement that we can
5 do it and so we do.

6 I think from a cost allocation and rate design
7 perspective the most equitable and fair treatment is a three
8 (3) part rate structure because that minimizes the -- cross
9 subsidy that would otherwise occur, as it does under the two
10 (2) part rate.

11 So -- and I think that we have a different
12 type of mind-set in some of the smaller volume customers that
13 we just could not employ such -- such a type of charge
14 because of the complexity of it.

15 MR. BILL CARROLL: I had some more questions
16 along that line, but I think I'll leave them and move onto
17 something else.

18 Are there options from going to peak day or is
19 it the only possible alternative within the universe of
20 options?

21 MS. KELLY DERKSEN: I'm aware of a couple of
22 different methodologies that could be employed. I'm -- I'm
23 certain that there are a number of different methodologies
24 that are employed in other jurisdictions.

25 Other jurisdictions would be a little bit

1 different than Centra because of -- particularly the type of
2 climate that we have in this province, it's unlike most other
3 provinces, certainly in Canada.

4 The other methodology that we could employ
5 that would be reasonably cost based would be to bill on the
6 basis of -- of a design day. And that would be to recognize
7 all of the consumption in the high volume firm class and
8 other classes on the basis of when -- when customers use the
9 most amount of gas basically in history.

10 And I think that probably was in January of
11 1996 and we could recover costs in that way. And that
12 provides a direct link then between how that Centra incurs
13 costs because from a theoretical point of view, we have to
14 put a pipe in the ground to be able to serve customer --
15 serve customers. No matter how cold it is outside, we have
16 to put that pipe in the ground and we incur that fixed cost.

17 So, it would -- there would be a direct cost
18 causal link between that recovery mechanism and the billing
19 of it. But through the 1997 or 1996 cost allocation and rate
20 design review, we discounted that particular methodology
21 because a customer has no way then to control it.

22 They -- they can't observe it, they don't know
23 what they've caused on the system. And although more
24 theoretically correct, based on a design day, there were --
25 there were other considerations that took precedent. And

1 that's why we opted toward billing based on an actual peak
2 day methodology.

3 MR. BILL CARROLL: Earlier it was indicated
4 that the Utility is trying to encourage high load factors and
5 to change customers load profiles, if they -- if they can.
6 But can you understand and appreciate how the chosen option
7 impacts a business like MacDon Industries and I understand,
8 Mr. Warden's comment that that's the price of doing business,
9 basically.

10 But are there options out there that could
11 allow them to continue to do their business and grow their
12 business and at the same time, recover the money that you
13 guys require?

14 MS. KELLY DERKSEN: I don't want to leave the
15 impression, Mr. Carroll, that I sit in -- on my chair, at my
16 desk, and just create you know, ways to recover -- to recover
17 our money that -- that is completely unsympathetic toward a
18 customer's business operations. And in fact, I have
19 conversations with the marketing people who are out there in
20 contact with customers, to -- to better understand what their
21 concerns and their needs are.

22 So with that preamble, I am sympathetic toward
23 this type of situation. But keeping in mind that I also need
24 to be sympathetic to the other seventy-nine (79) customers in
25 that class, over 50 percent of whom would, you know, are --

1 are subsidizing customers like MacDon and have been for the
2 last seven (7) years.

3 So I also have to be sympathetic toward those
4 customers who compete in -- in similar circumstances to what
5 MacDon does.

6 MR. BILL CARROLL: Thank you. Can you
7 understand why my client is confused when the impact numbers
8 that have -- that they've been given have changed so
9 dramatically and apparently still continue to change?

10 At one (1) time, they were told the impact
11 would be thirty-nine thousand dollars (\$39,000). Then they
12 were told the impact was going to be nine thousand dollars
13 (\$9,000). Now a new schedule's come out and we don't know
14 what the impact of that's going to be, because I haven't
15 calculated it yet.

16 And so, they're confused and they're upset
17 because they keep seeing different numbers. Frankly, they
18 don't believe the impact.

19 MS. KELLY DERKSEN: I am sorry for some of
20 the -- you know, the information that has gone out and I can
21 -- I can certainly why that there is confusion.

22 I can assure you that the calculations that we
23 have done which provide the comparison between moving from
24 average peak day to actual peak day are sound calculations.

25 It -- it is not as important to have the same

1 rates in terms of the calculations that we did for that basis
2 so long as you're doing two (2) things.

3 First is, that you're keeping all other issues
4 constant, so there is no other impact as a result of any
5 other change when doing the calculation.

6 The second important issue is that you have a
7 consistency between how your rate is created and how you plan
8 to bill for that rate. And so long as you have those three
9 (3) things constant, you will pro -- you will come up with
10 virtually the same information as what we have done.

11 And, in fact, when I reviewed the information
12 that we filed with the Public Utilities Board, as part of the
13 03/04 General Rate Application, MacDon's impact as a result
14 of solely this change was almost identical to what we had
15 calculated back then, even though we used obviously a -- a
16 different set of rates because we had, you know, different
17 types of -- different levels of gas costs and so forth back
18 then.

19 Unfortunately, the information that our
20 marketing people provided to you that provided the thirty-
21 nine thousand dollar (\$39,000) impact, that was only one (1)
22 side of the equation. And like I said, on a number of
23 occasions today, that two (2) things have to happen.

24 You have to have a rate that reflects the type
25 of billing that you are going -- that you are planning on

1 doing, but you also have to change the demand units for a
2 particular customer.

3 The calculations that were sent to you via our
4 marketing department last fall only -- they assumed only one
5 (1) part of that equation and you need two (2) parts of that
6 -- that to occur.

7 And so that would way over estimate what the
8 impact to the customer would ultimately be. And so from --
9 from that perspective, I understand that there's a number of
10 numbers that have gone out there, but I can assure you that
11 what we've provided provides a level of direction in terms of
12 the impact to your business as a result of this particular
13 change.

14 MR. BILL CARROLL: Thank you. When the
15 information that Mr. Peters shows in Tab 17 came to MacDon,
16 they asked me to look at and see if these numbers were right.
17 This was the -- the ninety-six hundred dollar (\$9,600) number
18 and the forty-three hundred dollar (\$4,300) number.

19 So I attempted to, with my little pea brain,
20 figure out where these numbers came from and I asked you for
21 some supplemental information which you provided in
22 MACDON/CENTRA-12, on how the impact and rebate were
23 calculated.

24 And I still remain slightly confused as the
25 only rate in Attachment A and B, of MACDON/CENTRA-12 that I

1 can find in any version of schedule 8.1.0, either the first
2 version, the second version or the third version, is the zero
3 point sis one seven (0.617) one, which is the sum of the two
4 (2) demand rates.

5 That's the only number that's a consistent
6 number. The rest of the numbers, I don't know where they
7 came from. And I guess my question is, is this reasonable?
8 Is this helpful for the customer?

9 MS. KELLY DERKSEN: At the outset, I'd like to
10 say once again that the rates that you use to make these
11 determinations so long as you have those three (3) constant
12 factors that I discussed earlier, so long as you have those
13 three (3) things included in your rates, you're going to
14 ultimately come up with virtually the same results.

15 So, the -- the rates that I used in
16 preparation of Attachment Number 3, as well as, sorry --
17 Attachment Number 3, what I did to come up with those rates
18 is, I said, because I had to do an individual customer
19 calculation as directed by the PUB, I needed information --
20 specific information from each customer as to their actual
21 peak consumption and their average of the daily peak
22 consumption.

23 So, we went into our SCADA system which
24 provides us information as to -- on a daily basis of what
25 each customer uses. And I was able to determine between

1 August the 1st of 2003, and July the 31st of 2004, what all
2 customers in that class used, in terms of -- or set in terms
3 of an actual peak versus an average peak.

4 And that then became the basis of my rate
5 determination. That will vary from what's included in the
6 Application that's before the Board today, because when we go
7 to set rates, we set them on a forecast basis.

8 So we are forecasting what we expect each
9 customer in that class to use, in terms of peak day
10 consumption. So that obviously will be different than what
11 they used last year.

12 And so the rates will vary. Once again
13 though, that's not the bigger of the issues. As long as you
14 have three (3) constant factors, those being that your rate
15 is consistent with how you're billing and that you -- you
16 ensure that no other change, no other gas cost change or non-
17 gas cost change is occurring in your rate.

18 So long as those three (3) things happen, it's
19 almost and I quote, the word, "almost", irrelevant which rate
20 that you use.

21 I say, "almost", because we're also taking a
22 percentage of this impact as a result of a total bill. And
23 to the extent that rates increase and total bills increase
24 that will slightly impact the result. But it's almost not
25 worth mentioning, that's how small of an impact that would

1 have.

2 MR. BILL CARROLL: Thank you. I'm going to
3 ask you to turn to Exhibit 2, in the MacDon letter that was
4 filed earlier.

5

6 (BRIEF PAUSE)

7

8 MR. BILL CARROLL: And again, it's sort of my
9 attempt at recreating what Centra had done in Schedule 8.1.0.
10 And not necessarily understanding how you had arrived at
11 8.1.0, we tried to recreate it.

12 So, line 1 is the numbers right out of
13 Schedule 8.1.0, the yellow version. And then line 2 is my
14 attempt at recreating that number, and it's fairly close, but
15 it's not exact.

16 Now, I've tried to recreate many of your
17 numbers and come fairly close, but not exact, when I
18 absolutely know how they're calculated. So I assume that
19 this is fairly -- fairly close.

20 And then I used that same methodology to
21 calculate the impact on Mac -- MacDon, using the Centra
22 method and then using the method that I thought was the right
23 method.

24 The big difference is the way that the current
25 billed rates is calculated. And it seems to me that what

1 Centra, and please correct me if I'm wrong, is that they used
2 the peak day to calculate the current demand rate. That's
3 how I created that number of sixty-four thousand six hundred
4 and eighty-two dollars (\$64,682).

5 Am I right or am I wrong?

6 MS. KELLY DERKSEN: In preparation of this
7 hearing, Mr. -- Mr. Carroll, I did go through your
8 calculations to see if they were reasonable and I did
9 conclude that what you have done is reasonable.

10 So you are right from that perspective. So I
11 guess the question is: how is Centra's rate -- how is
12 Centra's bill impact proposal for the high volume firm class
13 so -- quite a bit different than the calculations that you
14 have provided here.

15 First, with respect to lines 1 and 2, lines --
16 line 1 is what we have done. Line 2 is your re-creation of
17 what we have done and other than, I -- I've disagreed a
18 little bit with how that you calculated peak day information,
19 but that's really a red herring. We're --we're pretty --
20 we're pretty much in the ballpark, so other than that
21 particular issue, we could say that one (1) and two (2) are -
22 - are pretty -- pretty close.

23 With respect to three (3), like I discussed
24 with Mr. Peters this morning, what Schedule 8. -- 8.1.0 which
25 outlines or provides a representation of what we expect the

1 bill impacts to be resulting out of this Application. They
2 do exactly what you say and that is, we have calculated those
3 impacts using peak day with the current billed rates and peak
4 day at the proposed billed rates.

5 On retrospect, I'm -- I may not have done the
6 calculations the same way. But recognizing that, it is
7 extremely difficult to pinpoint under Schedule 8.1.0 which is
8 really trying to give you a representation of where the rates
9 will -- what the bill impacts will be.

10 It's very difficult to figure out or to get an
11 average change between a customer's average peak day usage
12 and actual peak day usage, because obviously that's going to
13 be very individual.

14 So for me to pull out a number out of the air
15 and say this is representative of this class, probably
16 wouldn't provide you with meaningful information.

17 So what I've concluded is that I have been
18 able to derive your minus two point six (2.6) number that you
19 have on line 3. And that, in my mind, would be what your
20 individual impact would be as a result of this change.
21 Except for one (1) thing and that is that we updated our
22 rates on September the 2nd.

23 And if I do use that same calculation that you
24 have done, I come up with a round -- a minus 4 percent, or a
25 4 percent decrease to McDon anticipated for November the 1st

1 of 2004.

2 MR. BILL CARROLL: And do you agree that when
3 you take the rate riders out, that something very different
4 happens to those rates?

5 MS. KELLY DERKSEN: Sure that is, but you
6 know, I'm not sure what -- why that is a big issue, because
7 that -- that's monies entitled to the customer, and we're
8 providing that -- that money back to the customer through
9 rate riders.

10 So, you know, we're doing as what we -- what
11 we said we're going to do and refund the money. So, the --
12 to the extent that customers are entitled to it, we've
13 incorporated the amount that customer's bill -- that customer
14 bills will decrease on account of refunding that money.

15 MR. BILL CARROLL: I understand and
16 appreciate that, but I guess my client asked me, you know,
17 compare sort of apples with apples, and don't include any of
18 that other stuff. What's my -- what's the real impact that
19 I'm going to see?

20 And so the last line that I show in here, line
21 6, is sort of the real impact that they're going to see when
22 the rate riders come off. And I understand from the
23 discussion this morning that many more things could happen
24 between then and I'm with Mr. Peters, you know, what if, what
25 if, what if.

1 But I guess in our view, the way that the
2 impacts have been done leaves a false impression for the high
3 volume firm customers. And I fully appreciate that you have
4 no way of determining sort of what a typical before situation
5 would look like.

6 I had to create that for MacDon just using,
7 sort of, what I know about gas usage in -- in that company
8 and other companies. So, for -- for the Board's information
9 I think that the rate impacts show a better picture than
10 there are.

11 My question is, after all of that, and it came
12 out of a discussion earlier today, the rate riders are on for
13 nine (9) months, I think?

14 MS. KELLY DERKSEN: Yes, that's -- that's our
15 proposal.

16 MR. BILL CARROLL: And do the impact
17 statements show twelve (12) month rates sort of nine (9)
18 months with riders and three (3) months without riders, is
19 that how they're calculated?

20 MS. KELLY DERKSEN: The way that the
21 calculation is done, is that we take a typical residential
22 customer, for example, who over a twelve (12) month period
23 would consume thirty-two hundred (3,200) cubic meters of gas
24 in a year.

25 We apply the current billed rates to that

1 consumption level and then we would apply the proposed billed
2 rates to that same consumption level. So that would tell us,
3 over the course of the next twelve (12) months what we expect
4 a customer's bill to change by.

5 MR. BILL CARROLL: Could you maybe re-state
6 that, because I -- I still don't know whether or not, it's
7 with rate riders for nine (9) months and not with rate riders
8 for three (3) months, and then you get a total at the end.

9 MS. KELLY DERKSEN: The base component of the
10 bill is calculated over a twelve (12) month period. The
11 rider component of the bill is taking the nine (9) months
12 that we expect to be refunding this money and the -- the nine
13 (9) of volume levels and we've applied that nine (9) months
14 in the calculation of bill impact.

15 So, we have twelve (12) months of base rate
16 impacts and nine (9) months of rate rider impacts in those
17 calculations.

18 MR. BILL CARROLL: Okay. Thank you.

19 THE CHAIRPERSON: Mr. Carroll, if I may ask,
20 do you think you'll have much more because we can easily do
21 it again tomorrow morning?

22 MR. BILL CARROLL: I have two (2) more
23 questions.

24 THE CHAIRPERSON: Okay.

25

1 CONTINUED BY MR. BILL CARROLL:

2 MR. BILL CARROLL: My second last question is,
3 I think your argument on not making refunds for past over
4 billings or under billings, is that by delaying the increase
5 until November 1st, 2004, users save costs that they would
6 have owed, had the rate increase been put in sooner.

7 Is that essentially correct?

8 MS. KELLY DERKSEN: Our statement is, is that
9 the move from actual back to average demand occurred on March
10 the 1st of 2004, which is seven (7) months after that we
11 implemented it.

12 And we were -- as the Board issued in Order
13 16/'04, direction to the -- to Centra, in our opinion, that
14 we could begin billing on an actual peak day demand on April
15 -- April the -- the 1st of 2004, which was set -- will be
16 seven (7) months until the -- the new rates go into effect,
17 on November the 1st of 2004.

18 So, I guess, first of all, there is no rate
19 increase proposed in this Application, we're proposing a rate
20 decrease.

21 And secondly, I don't agree with your premise
22 that or -- or I guess your premise that we should be held
23 accountable for a mistake that the company made.

24 It's our position that we -- we made no
25 mistake, we implemented what we were allowed to implement and

1 there was obviously some mis-communication, so we are in a
2 position today to say, there is no back billing, because back
3 billing would imply that the company made a mistake. And we
4 don't agree to that.

5 MR. BILL CARROLL: I guess MacDon is -- is of
6 a position that they're one (1) of the companies that has
7 brackets around their numbers and they feel like they paid
8 forty-three hundred dollars (\$4,300) or whatever too much.

9 And they believe, that until this Board makes
10 a determination that somehow the rates are going to change,
11 that they were, in fact, charged too much. Is there a flaw
12 in their thinking?

13 MS. MARLA MURPHY: I think, Mr. Chairman, that
14 would constitute argument and we'll be pleased to address
15 that next Wednesday.

16 THE CHAIRPERSON: You can see that, Mr.
17 Carroll?

18 MR. BILL CARROLL: Sure. Thanks. Just an
19 observation that earlier it was said when Ms. Derksen in
20 answer to one of Mr. Peters questions that -- that this Board
21 agreed with the methodology and sort of the implementation
22 strategy went a little astray.

23 And I guess we're concerned by that, because
24 if that is, in fact, the case, then MacDon has wasted a lot
25 of time, energy and money if this is just a slam-dunk

1 proceeding.

2 So that's part of that whole issue. I'll ask
3 my last question now and I'm going to try and end on a
4 positive note.

5 Are you giving serious consideration to
6 implementing a parallel win/win program like PowerSmart for
7 gas users? I know it was brought up last week. MacDon
8 Industries has used the PowerSmart program many, many times.
9 And I think that it is a win/win situation.

10 And I guess I'd like to know if the Utility
11 is, sort of, heading in that direction for gas?

12 MR. VINCE WARDEN: We are -- Mr. Carroll, we
13 are definitely heading in that direction, whether it will
14 directly impact MacDon Industries initially is -- is
15 undecided at this point in time.

16 But, are in the midst of developing a program
17 which we will be bringing forward to Manitoba Hydro's Board
18 for approval initially and then hopefully launching it early
19 next year.

20 MR. BILL CARROLL: Thank you, Mr. Chairman.
21 Those are my questions.

22 THE CHAIRPERSON: Thank you Mr. Carroll. And
23 thank you everyone else. And we'll see you back all tomorrow
24 morning.

25

(PANEL STAND DOWN)

--- Upon adjourning at 4:11 p.m.

Certified Correct

10 _____

Carol Wilkinson

