

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MANITOBA PUBLIC UTILITIES BOARD

Re:                               CENTRA GAS MANITOBA INC.  
                                  2007 COMPETITIVE LANDSCAPE PROCEEDING

Before Board Panel:

- Graham Lane                   - Board Chairman
- Len Evans                     - Board Member
- Eric Jorgensen               - Board Member

HELD AT:

Public Utilities Board  
400, 330 Portage Avenue  
Winnipeg, Manitoba  
September 20th, 2007  
Vol VII  
Pages 1388 to 1512

1 APPEARANCES

2 R.F. Peters )Board Counsel

3

4 Marla Murphy )Centra Gas

5 Brent Czarnecki

6

7 Paul Kerr (np) )Coral Energy

8

9 Sandy Boyd (np) )Communications, Energy

10 )and Paper Workers

11 )Local 681

12

13 Kris Saxberg )CAC/MSOS

14 Ivan Holloway )

15

16 Eric Hoaken )Direct Energy

17 Nola Ruzycki )Marketing Limited

18 Karen Melnychuk )& Energy Savings

19 ) (Manitoba) L.P.

20

21 Dave Hill (np) )Koch Fertilizer

22

23 Nick Gretner (np) )J.R. Simplot

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

APPEARANCES (CONT)

William Gange (np) )TREE and Resource  
)Conservation Manitoba

|    |  |          |
|----|--|----------|
| 1  | TABLE OF CONTENTS                      |          |
| 2  |  | Page No. |
| 3  | Exhibit List                           | 1392     |
| 4  |  |          |
| 5  | Opening Comments                       | 1393     |
| 6  |  |          |
| 7  | CENTRA PANEL, Resumed:                 |          |
| 8  |  |          |
| 9  | VINCE WARDEN, Resumed                  |          |
| 10 | HOWARD STEPHENS, Resumed               |          |
| 11 | ROBIN WIENS, Resumed                   |          |
| 12 | GREG BARNLUND, Resumed                 |          |
| 13 | LLOYD KUCZEK, Resumed                  |          |
| 14 |  |          |
| 15 | Cross-Examination by Mr. Ivan Holloway | 1396     |
| 16 | Cross-Examination by Mr. Eric Hoaken   | 1465     |
| 17 |  |          |
| 18 | Certificate of Transcript              | 1512     |
| 19 |  |          |
| 20 |  |          |
| 21 |  |          |
| 22 |  |          |
| 23 |  |          |
| 24 |  |          |
| 25 |  |          |

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

LIST OF EXHIBITS

| EXHIBIT NO. | DESCRIPTION   | PAGE NO. |
|-------------|---|----------|
| CENTRA-15   | Response to Undertaking 3<br>updated information for the<br>answer to PUB/CENTRA-13, which<br>was found at Tab 2 of Mr. Peter's<br>book of documents. | 1455     |

1 --- Upon commencing at 1:05 p.m.

2

3 THE CHAIRPERSON: Okay, welcome back  
4 everyone. To open up with, Mr. Peters, if you could  
5 remind us where we are.

6 MR. BOB PETERS: Thank you, Mr. Chairman,  
7 good afternoon. A couple of matters at the outset,  
8 there's been some discussion amongst counsel about a  
9 revision that was needed for the transcript, and that  
10 revision has been done, and the transcript will be  
11 prepared and released, if it hasn't been already.

12 Secondly, Ms. Murphy, I think, has a  
13 further matter to address on the transcript, and a  
14 correction, I believe, to one (1) of the answers given to  
15 me of yesterday.

16 And then I think the third matter is to  
17 turn it over to the -- to the tandem I see, of CAC/MSOS  
18 counsel. Although I believe Mr. Holloway will be  
19 leading the charge this afternoon.

20 So, that will take us through to today,  
21 and I will remind the parties that by agreement last  
22 week, we are also sitting tomorrow to substitute for the  
23 Monday where we didn't sit this week, so, thank you, Mr.  
24 Chairman.

25 THE CHAIRPERSON: It's like ballroom

1 dancing in the '30s. Okay, thank you, Mr. Peters.

2 Ms. Murphy...?

3 MS. MARLA MURPHY: Thank you, Mr.

4 Chairman. We did pretty good, I think, throughout the  
5 day yesterday, with the exception of the very last page  
6 of the transcript. At page 1386, Mr. Peters put two (2)  
7 questions to Mr. Kuczek, which Mr. Kuczek would like to  
8 clarify, for the record.

9 The questions relate to the ordering of  
10 the quantitative research and the focus groups, and Mr.  
11 Kuczek is prepared to speak to that.

12 MR. LLOYD KUCZEK: Okay, I'll -- I'll  
13 even go one (1) question prior to that. And Mr. Peters  
14 asked me:

15 In the work plan that was submitted to  
16 you, Mr. Kuczek, to the Board, there  
17 was a suggestion in there that the  
18 focus group would be conducted before  
19 the quantitative research.

20 Correct."

21 And so, what -- what that was, was the  
22 plan that we -- and just to add a little more background  
23 so everybody knows what's going on, and we're all clear  
24 on this -- we developed a plan back in January, in  
25 response to the PUB Order, and prior to submitting the

1 RFP, that we thought was roughly what we would undertake.

2                   In that plan, and it was a rough plan, we  
3 had the focus groups to be conducted prior to the  
4 quantitative research. And then what happened subsequent  
5 to that, is that we issued the RFP, had discussions with  
6 eNRG, and there was a lot of discussions around the  
7 amount of information, wheth -- that we were -- the scope  
8 of the work, and whether or not we would need focus  
9 group, as well -- as -- included as part of the market  
10 research.

11                   In eNRG's quote to us, they -- they had  
12 options of doing focus group sessions, and so at that  
13 point we decided that it was uncertain we were going to  
14 do focus groups, but if we going to do them we would  
15 decide later on.

16                   And then Mr. Peters asked me:

17                   "As it turned out, the focus groups  
18 wasn't conducted in advance of the  
19 quantitative research?"

20                   And that's true, they were not. And then  
21 subsequent to that Mr. Peters asked:

22                   "As a result of that delay..."

23                   And -- and I guess I should add, I  
24 responded:

25                   "No, things got delayed because of the

1 consultations involved."

2 But that's -- that's not true. What got  
3 delayed was the whole process got delayed, which included  
4 undertaking some focus group sessions, as well. And then  
5 --so the following question:

6 "As a result of the delay then, the  
7 Order had to be inverted, where the  
8 quantitative research was done first,  
9 followed by the focus groups?"

10 And I said, "That's correct." But that's  
11 not correct, it's incorrect actually, as I explained.

12 MS. MARLA MURPHY: I hope that helped.

13 THE CHAIRPERSON: It appears it did.

14 Okay, Mr. Holloway?

15

16 CENTRA PANEL, Resumed

17

18 VINCE WARDEN, Resumed

19 HOWARD STEPHENS, Resumed

20 ROBIN WIENS, Resumed

21 GREG BARNLUND, Resumed

22 LLOYD KUCZEK, Resumed

23

24 CROSS-EXAMINATION BY MR. IVAN HOLLOWAY:

25 MR. IVAN HOLLOWAY: Thank you, Mr.

1 Chairman. Just for the record, my name is Ivan Holloway  
2 and I'm somewhat of a new face in here, as I'm sure you  
3 all can appreciate. And it kind of makes me wonder in  
4 this cross-examination whether you gentlemen are going to  
5 be more on the hot seat or me. I guess time will tell.

6 Anyway, first thing I'd like to direct you  
7 to is Centra -- Centra evidence Tab number 2. Sorry, I  
8 don't have a nice little consolidated brief.

9

10 (BRIEF PAUSE)

11

12 MR. IVAN HOLLOWAY: In particular, I'm  
13 looking at the attachment part of Tab 2 of Centra's  
14 evidence.

15

16 (BRIEF PAUSE)

17

18 MS. MARLA MURPHY: We have it, thanks.

19

20 CONTINUED BY MR. IVAN HOLLOWAY:

21 MR. IVAN HOLLOWAY: Now, if we look at  
22 the first page, it seems to indicate that generally for  
23 small volume customers and also for large volume  
24 customers, that the participation rate in system supply  
25 always exceeds that of the direct purchase.

1 Is that fair to say?

2 MR. GREG BARNLUND: That's correct.

3 MR. IVAN HOLLOWAY: And I see if we flip  
4 the page, we have tables that are -- that are the same  
5 comparison, except by volume, right?

6 MR. GREG BARNLUND: That's correct, yes.

7 MR. IVAN HOLLOWAY: And I see that for  
8 the small volume customers that that characteristic of --  
9 that there's greater volume in the supply -- or in the  
10 system supply as opposed to the direct purchase,  
11 continues on in this graph as well, right?

12 MR. GREG BARNLUND: Yes, that's correct.

13 MR. IVAN HOLLOWAY: But if I look down  
14 below and I look at the actual volumes by the industrial  
15 customer classes, I see that trend is reversed.

16 MR. GREG BARNLUND: Yes, sir. And that's  
17 due to the usage characteristics differences between  
18 large volume industrial customers and the residential  
19 customers. And the information in the second table is  
20 strongly influenced by one (1) customers in particular.

21 We have one (1) customer on the system who  
22 consumes probably 20 percent of our overall throughput,  
23 has been on transportation services for some time now.  
24 So that volume obviously would be reported in that -- in  
25 that graph and -- but the average usage per customer, for

1 the industrial customers, is obviously quite a bit --  
2 significantly larger than -- than an average residential  
3 customer.

4 MR. IVAN HOLLOWAY: Okay. So basically  
5 this would be largely skewed by that one (1) customer;  
6 is that fair to say?

7 MR. GREG BARNLUND: The one (1) customer  
8 would have a large influence on that information, I  
9 think.

10

11 (BRIEF PAUSE)

12

13 MR. IVAN HOLLOWAY: I'd like to turn your  
14 attention to an answer to an Information Request in  
15 PUB/CENTRA Number 33, if I may.

16

17 (BRIEF PAUSE)

18

19 MS. MARLA MURPHY: We have it.

20

21 CONTINUED BY MR. IVAN HOLLOWAY:

22 MR. IVAN HOLLOWAY: Now -- now this  
23 document is basically a -- a listing of the complaints  
24 that Centra got regarding brokers, from I believe, early  
25 in 2007 to, I guess the time that this IR was answered.

1 Is that fair to say?

2 MR. LLOYD KUCZEK: It would be inquiries  
3 as well as complaints.

4 MR. IVAN HOLLOWAY: Right. Thank you for  
5 that correction. Now, if I recall the number of --  
6 there's a hundred and fourteen (114) calls at this time,  
7 as I see from your answer, and of those hundred and  
8 fourteen (114), sixty (60) were categorized as complaint  
9 calls; does that sound about right?

10 MR. LLOYD KUCZEK: That's how the rep  
11 char -- characterized them, yes.

12 MR. IVAN HOLLOWAY: Do you have any --  
13 any kind of information that can give us a sense of -- of  
14 the meaningfulness of this volume of complaints/  
15 inquiries? And I'm more thinking compared to what the  
16 complaints and inquiries that Centra would get about  
17 their own service, so we can have a comparability.

18 MR. LLOYD KUCZEK: Just one sec.

19

20 (BRIEF PAUSE)

21

22 MR. LLOYD KUCZEK: I do have -- this  
23 wasn't part of the Hearing, but I do have some homework  
24 here, and this is just some reading material, but what I  
25 do get is reports once a month from the contact centre

1 that provides me with complaints and compliments that we  
2 receive as a company, overall.

3 So, this is for July 26th to August 24th,  
4 to give you some sort of an idea of the number of  
5 complaints we receive. There was twenty-five (25)  
6 complaints during that period, which is approximately a  
7 month, and eighteen (18) compliments.

8 Complaints, they're -- they're all over  
9 the map, from quality -- quality of customer service,  
10 billing and rates, IVR, meter reading, tree trimming,  
11 credit and collections, street lights, that sort of  
12 thing.

13 (BRIEF PAUSE)

14  
15 MR. IVAN HOLLOWAY: This chart that  
16 you've provided in the Information Request, it starts at  
17 February 1, 2007; do we know, is the last day April 18,  
18 2007?

19 MR. LLOYD KUCZEK: Correct.

20 MR. IVAN HOLLOWAY: I'm trying to do some  
21 quick math in my head, which is according to Mr. Peters,  
22 isn't always the best thing to do, especially in public.  
23 However, from February to April, we're looking at three  
24 (3) months; sixty (60) complaints in three (3) months.  
25 Roughly twenty (20) complaints a month for the -- for the

1 market retailers; does that sound about right?

2 MR. LLOYD KUCZEK: Yeah, I believe it's  
3 about two and a half (2 1/2) and a half months, that  
4 period, and so -- but it's in that range; twenty-five  
5 (25) complaints, possibly.

6 MR. IVAN HOLLOWAY: Okay. So the -- it  
7 looks as though there's roughly twenty-five (25)  
8 complaints per month, if -- if the month that you're  
9 quoting from Centra Gas -- first of all, is that a  
10 representative month, when you say twenty-five (25)  
11 complaints?

12 MR. LLOYD KUCZEK: Yeah, I get those  
13 reports sent every month, and generally speaking it's in  
14 that range. It -- the -- the causes or the complaints  
15 vary. In the wintertime we tend to get more complaints  
16 about the meter readers tromping over shrubs that they  
17 don't see under the snow, but...

18 MR. IVAN HOLLOWAY: So the -- just from  
19 this kind of -- in fairness to the marketers, it's not a  
20 long time assessment, but it would appear that the  
21 complaints are roughly equivalent, yet of course, there's  
22 only -- the marketers are only 20 percent of the  
23 marketplace compared with system supply.

24 So, does this indicate that there's -- in  
25 your view, that there's more complaints on average for

1 marketers than there is for system supply?

2 MR. LLOYD KUCZEK: It does suggest that,  
3 yes, for this period, anyways. I would su -- suggest  
4 that it -- it probably depends on the -- the activity  
5 that's going on in the marketplace.

6 MR. IVAN HOLLOWAY: If, in fact, this is  
7 indicative of some trend that's not just particular to  
8 these particular months, do you have any theory as to why  
9 that may be?

10 MR. LLOYD KUCZEK: No, but I -- I think  
11 in fairness to the retailers, I should add that I have  
12 been getting reports since then and the number of  
13 complaints has gone down. I don't have -- it hasn't been  
14 as high as that initial period there, but I -- I don't  
15 have the specif -- specific numbers. All I was doing is  
16 monitoring it roughly, to see how things are going for  
17 this Hearing.

18 MR. IVAN HOLLOWAY: I'd like to refer you  
19 to Mr. Peters' brief that he put together for this  
20 Hearing, and in particular, Tab 11 of his brief.

21

22 (BRIEF PAUSE)

23

24 MR. IVAN HOLLOWAY: Now, the panel talked  
25 with Mr. Peters about this to some extent yesterday, and

1 as I understand the evidence as provided then -- and I  
2 just want to confirm it before I continue -- is that if  
3 we are to look at what the addition -- additional cost to  
4 gas is for this fiscal year to current, it's  
5 approximately \$14 million. Is that fair?

6 MR. HOWARD STEPHENS: That's the realised  
7 result so far this year, yes.

8 MR. IVAN HOLLOWAY: And if I understand  
9 the evidence correctly from ye -- from yesterday, that  
10 there's -- the projected cost of hedging for this year to  
11 the end of, I guess, fiscal March '08, would be \$45  
12 million?

13 MR. HOWARD STEPHENS: That was the mark-  
14 to-market as of -- well, actually it was the mark-to-  
15 market as of this morning; I looked it up this morning to  
16 make sure I had the number.

17 MR. IVAN HOLLOWAY: So it -- it's an  
18 accurate projection from what you know right now?

19 MR. HOWARD STEPHENS: Yeah, but it isn't  
20 -- I mean the greater amount is not settled yet, so it'll  
21 be -- it'll depend upon what the market does from here on  
22 in.

23 MR. IVAN HOLLOWAY: Right, understood.  
24 So, if -- if we're able to follow this through and figure  
25 out what a total net addition would be, as projected --

1 if my math is -- my rough math is correct -- we're  
2 looking at a projected net addition at the end of fiscal  
3 '08, to be about \$41 million?

4 MR. HOWARD STEPHENS: Well, there are a  
5 lot of ifs associated with that, but I mean I can accept  
6 your -- I mean, the number is going to be somewhere in  
7 the vicinity, unless something is -- unexpected happens  
8 and that's why you hedge.

9 MR. IVAN HOLLOWAY: Right, but based upon  
10 the information we have right now?

11 MR. HOWARD STEPHENS: Based upon the  
12 information as of today, yes.

13 MR. IVAN HOLLOWAY: Okay. I want to talk  
14 about the concept of default gas supply. Now, my  
15 understanding is, is that in the world in which there's  
16 Centra offering one (1) product, and then the retailers  
17 offering their own products that the default is the  
18 Centra supply. Is that generally fair to say?

19 MR. HOWARD STEPHENS: Well, that has been  
20 the circumstance to this point in time.

21 MR. IVAN HOLLOWAY: Right. Now -- and  
22 that's exactly where I want to go, because we're looking  
23 at potentially allowing Centra to be able to offer  
24 multiple products, right?

25 MR. HOWARD STEPHENS: That's our

1 applications, yes.

2 MR. IVAN HOLLOWAY: Right. And in -- in  
3 a world in which Centra is no longer just offering just  
4 one (1) product but offering a number of products, is  
5 there some position or sense as to whether there's going  
6 to be a so-called default option?

7 MR. HOWARD STEPHENS: I think we alluded  
8 to the fact that we feel that the -- in our evidence, in  
9 fact, I'm sure we did -- that we -- we strong -- we feel  
10 strongly that our existing primary gas rate offering  
11 should be the default offering.

12 MR. IVAN HOLLOWAY: And when we say,  
13 "default" we mean that the -- if the consumer doesn't  
14 elect, that's the automatic type of gas that the consumer  
15 gets, is that right?

16 MR. HOWARD STEPHENS: That would be  
17 correct.

18 MR. IVAN HOLLOWAY: In a world in which  
19 there's potentially more choice that Centra can offer,  
20 does it need to be that there is a type of gas that the  
21 consumer gets without an election?

22 MR. GREG BARNLUND: Yes, definitely.

23 MR. IVAN HOLLOWAY: Can you explain why  
24 that is?

25 MR. GREG BARNLUND: Well, on one hand

1 you're going to have some customers that, for whatever  
2 personal reasons they might have, couldn't be bothered to  
3 be actively reviewing the options and making a choice  
4 there. It's not a -- a decision that they're actively  
5 involved in, so they're willing to accept the middle-of-  
6 the-road product that is regulated and approved by the  
7 Public Utilities Board in Manitoba, as being the standard  
8 system supply offering.

9           You are also going to have situations, of  
10 course, when you're adding customers to the system and a  
11 customer is building a house and they want to obtain gas  
12 service, they're going to sign up for gas service in the  
13 course of planning and undertaking the construction of  
14 their new house, and they want to make sure that the  
15 service is installed in time and the gas is ready to flow  
16 to them. And so a smaller decision for them is in terms  
17 of picking the appropriate gas price or the gas offering  
18 at that point in time.

19           So -- so for the most part you also have  
20 sort of a supplier of last resort situation that the  
21 Utility fulfills, in that if there are customers that for  
22 whatever reason may wish to return or cancel a contract  
23 with a broker or marketer, they can automatically return  
24 to this standard supply offering and there's no  
25 discontinuity in terms of the services they're receiving

1 from the gas utility.

2 MR. IVAN HOLLOWAY: Okay. Leaving aside  
3 the situations where someone wants to leave a broker and  
4 go back to system supply, is it not -- surely it's  
5 possible to say, Look, you -- you want us to connect gas  
6 to your house or you're moving into a new house with a  
7 gas connection, you have to make the choice between  
8 option A, option B or option C, and if you don't, you  
9 don't get gas.

10 Is that not possible?

11 MR. GREG BARNLUND: Well, I'm certain  
12 it's -- that's one (1) possibility, but in the intent of  
13 providing reasonable customer service, I don't think that  
14 that's something that -- that is really of benefit to  
15 customers.

16 I mean, they don't -- unless they -- if  
17 they -- if, when they're signing up for gas service, if  
18 they have another option in mind, in terms of who would  
19 be supplying their gas, they can sign up for that supply.  
20 If it's through a broker, for example, they can sign that  
21 up and that would -- that supply arrangement would get  
22 enrolled and -- and they'd be able to take advantage of  
23 that.

24 So -- but in terms of -- to be having  
25 somebody to select -- supply a specific supply every time

1 that they either move or -- or take a -- or build a  
2 house, that's, I would say fairly inconvenient and  
3 doesn't provide very good customer service to them; where  
4 you're asking them to fill out a lot of extra  
5 information; they may not be interested in -- in being  
6 involved with at that point in time.

7                   And -- Mr. Stephens reminds me quite  
8 correctly that -- when a new house is being built it's  
9 often the general contractor that's applying for gas  
10 service and not the homeowner directly. And that -- the  
11 decision to be made -- that the homeowner would make  
12 could conceivably be different from the decision that the  
13 general contractor or builder would be making.

14                   MR. IVAN HOLLOWAY: But surely under --  
15 under those circumstances -- when the customer moves in  
16 and -- and the gas starts to flow -- that a -- a phone  
17 call to the customer could be made, and that could be  
18 done relatively simply. Is that not -- is that not -- is  
19 it -- really more required than that?

20                   MR. GREG BARNLUND: Can you describe that  
21 again? You're saying that the Utility would then phone  
22 the customer?

23                   MR. IVAN HOLLOWAY: Well, I'm -- I'm  
24 giving a -- a possibility.

25                   MR. GREG BARNLUND: Well, I mean that's

1 conceivable, but it's also costly. I mean, we would have  
2 to try and figure out when a customer is taking  
3 possession of a building, and then approach them -- on an  
4 out -- out -- outbound call basis, hoping to catch that  
5 person at home, and then trying to facilitate some type  
6 of a communication transfer. I mean, it's conceivable  
7 but it just seems very awkward to me.

8 MR. IVAN HOLLOWAY: The reason why I'm  
9 going down this is that, I -- I believe -- I think it was  
10 Mr. Stephens said yesterday, that when talking about --  
11 talking to Mr. Peters about the default supply, said  
12 something in the effect of, One size fits all. Rate  
13 setting mechanism serves customers very well -- and  
14 Centra doesn't want to see the default offering that is  
15 not -- not viable for customers, that there's a con --

16 MR. GREG BARNLUND: That's correct.

17 MR. IVAN HOLLOWAY: -- there's a concern  
18 there to look out for customers basically.

19 MR. GREG BARNLUND: Yes, that is correct.  
20 Yes.

21 MR. IVAN HOLLOWAY: Yet, if the customers  
22 don't have an opportunity to focus their mind as to what  
23 they would like, the default that may be provided to them  
24 may, in fact, not be what they want.

25 Is that fair to say?

1                   MR. GREG BARNLUND:   That's possible.  And  
2 I think that it's also then the customers responsibility  
3 to evaluate the options that would be available to them.  
4 And -- and when they're ready to make a choice then they  
5 should be able to make that choice, and -- and that  
6 choice should be implemented as quickly as it possibly  
7 could be done.

8                   But I think that you have to take the  
9 customers circumstances into consideration quite  
10 carefully, in terms of that whole situation.  And  
11 customers -- may not be ready to make the decision when  
12 you're asking them to make the decision.

13                   MR. LLOYD KUCZEK:   Just to add to that,  
14 you know we haven't done specific market research, but --  
15 the research that we have done suggests that there are a  
16 number of customers that simply, it isn't on the top of  
17 their mind;  it's not a priority for them.  And so I  
18 think that they -- and if we did some market research, I  
19 would -- I would think that they would suggest that -- if  
20 they were in that -- category, they would just prefer  
21 that -- Centra Gas decide what's best for them.

22                   And -- you know if they're not gonna make  
23 the decision and -- if it was -- that were the case, then  
24 it seems to me the best would be what Mr. Stephens  
25 proposed, with the something in the middle-of-the-road

1 that -- as a product for a default.

2 And when I say middle-of-the-road, it's  
3 actually also the category which seems to match the  
4 largest percentage of customers' preferences, as well.

5

6 (BRIEF PAUSE)

7

8 MR. IVAN HOLLOWAY: Now, I -- I can't  
9 remember which one of the panel said this yesterday, but  
10 I just want to confirm it, that -- that the -- the only  
11 reason for hedging is to reduce volatility. Is that fair  
12 to say?

13 MR. HOWARD STEPHENS: That's correct.

14 MR. IVAN HOLLOWAY: And of course the  
15 concern about volatility is -- is essentially a concern  
16 that a price change -- unexpected price change, or a  
17 severe price change, in a short period of time could take  
18 consumers off guard.

19 MR. HOWARD STEPHENS: Completely by  
20 surprise, yes.

21 MR. IVAN HOLLOWAY: Now, I believe Mr.  
22 Warden said yesterday, that the most significant factor  
23 in volatility is the weather. Is that right? Fair to  
24 say?

25 MR. HOWARD STEPHENS: I believe he --

1 well if he didn't say it I will, lets put it that way.

2 MR. IVAN HOLLOWAY: And if I look at  
3 PUB/CENTRA IR answer 26, on the first page, the second  
4 last paragraph, it seems to me that it's stated even --  
5 even stronger than that. I just want to quote for the  
6 record, in the middle of the first sentence of that  
7 second last paragraph:

8 "Centra maintains that the overwhelming  
9 majority of the volatility or  
10 variability that customers experience  
11 in their monthly natural gas bills, is  
12 the result of changing consumption in  
13 response to changing weather  
14 conditions."

15 Do you see that?

16 MR. HOWARD STEPHENS: I do.

17 MR. IVAN HOLLOWAY: So is it -- is it for  
18 -- is it fair to say, that in fact it's really -- the  
19 volatility in your gas bill, the overwhelming majority is  
20 attributable to weather factors?

21 MR. HOWARD STEPHENS: I think ultimately  
22 we look at the customers' bill volatility as being, I  
23 mean, one of the key indicators of performance, because  
24 that's what the customer typically looks at. I mean, in  
25 my own personal opinion, I have no research to



1 responses to the IRs in DEML/CENTRA-16 and PUB/CENTRA-26,  
2 I think -- I think, the former was looked at yesterday  
3 with Mr. Peters...

4

5

(BRIEF PAUSE)

6

7

MR. HOWARD STEPHENS: You could have  
8 saved me some time if you would have told me the one (1)  
9 with the fun -- the funny curves on it.

10

MR. IVAN HOLLOWAY: Yeah, I know which  
11 one (1) you're talking about, sir. I -- I don't intend  
12 to go through these in any great detail because they were  
13 canvassed to some extent by Mr. Peters yesterday,  
14 although I'm not sure that PUB/CENTRA-26 was -- was  
15 canvassed.

16

But essentially, what these appear to be  
17 showing is that the empirical evidence of -- of the value  
18 of a more fixed product, or a perfectly fixed product,  
19 appears to show that there's either no effect on bill  
20 volatility or that in fact it's an opposite, a counter  
21 intuitive effect on bill volatility, in that the more the  
22 rate is fixed, the more volatile the bill seems to be.

23

MR. HOWARD STEPHENS: No, it's not only  
24 the more the bill is fixed; the higher the price the bill  
25 is fixed, or the rate is fixed at, and then it multiplied

1 by the consumption is obviously going to drive out more  
2 volatility.

3 MR. IVAN HOLLOWAY: Right. But the --  
4 the bottom line is, is that the evidence that we have  
5 before us right now, the empirical evidence, of the  
6 extent to which fixed rates are improving bill  
7 volatility, is such that it doesn't appear that it's  
8 having any effect on bill volatility. Is that fair to  
9 say?

10 MR. HOWARD STEPHENS: Yeah, this is just  
11 some analysis we had done some time ago. And actually,  
12 when we got the results of it, you know, I mean, my eyes  
13 couldn't believe it, and -- 'cause it is  
14 counterintuitive.

15 But if you look at it in the context that  
16 even though our rate is variable, our rates and the  
17 underlying price associated with them, are not  
18 necessarily correlated with the weather in Winnipeg.

19 So, there could be some other factors in  
20 the States that are driving prices up or down. And it  
21 could be down, at the -- at the very same time that we're  
22 experiencing very cold weather, and from that perspective  
23 then we wouldn't see as much volatility under our rate  
24 setting methodology.

25 So it's, if -- I mean, there is a good

1 rationale with respect to it, in terms of the findings  
2 that we did come across with this.

3 MR. IVAN HOLLOWAY: And the effects in  
4 the United States that you're eluding to, it sounds like  
5 these could be effects that could be ongoing, not just  
6 something that was peculiar to the last six (6) years  
7 that were looked at, but potentially could be ongoing.  
8 Is that fair to say?

9 MR. HOWARD STEPHENS: I mean, anything  
10 can be happening. I mean, it could be very warm here,  
11 could be -- very cold in the States, larger demand in the  
12 northeast, great big pull on storage; any one of a number  
13 factors can take the price up, and as a result our rates  
14 would go up.

15 MR. IVAN HOLLOWAY: So, I guess what  
16 you're saying, is that there's no sense from the Utility  
17 as to whether such a trend would likely continue on in  
18 the future, like we've seen in these graphs, or not?

19 MR. HOWARD STEPHENS: Weather is always  
20 going to be a very big contributor to the volatility of a  
21 customer's bill from month to month.

22 MR. IVAN HOLLOWAY: Understood. But I'm  
23 not really talking about the weather. I'm more talking  
24 about the -- whether the -- a fixed rate is -- would  
25 likely continue to either have no effect or a

1 counterintuitive effect on bill volatility, into the  
2 future.

3 MR. HOWARD STEPHENS: If a customer's  
4 expectation is that they're going to reduce the  
5 volatility of their bills, we would like to make sure  
6 that they understand that that may not always be the  
7 case, and I think that that's going to be a fairly  
8 longstanding rule.

9 MR. IVAN HOLLOWAY: That may not always  
10 be the case, but it -- it seems from the only evidence  
11 that we have right now, that is the case.

12 MR. HOWARD STEPHENS: Sorry, can I get  
13 you to repeat?

14 MR. IVAN HOLLOWAY: I'm sorry. It -- it  
15 seems that from the evidence that we have, unless there's  
16 more evidence that's -- that's not being put forward  
17 here, but seeming from the evidence that we have in front  
18 of us, that the rate volatility, or the extent to which a  
19 rate is fixed, is not significantly impacting bill  
20 volatility. I mean, that's basically the evidence we  
21 have, right?

22 MR. HOWARD STEPHENS: Based upon the  
23 evid -- of the time period we're talking about now. On  
24 forward going basis, I don't think I can predict that.

25 MR. IVAN HOLLOWAY: No, understood. But

1 just based upon what we have right now?

2 MR. LLOYD KUCZEK: Yes.

3 MR. IVAN HOLLOWAY: I want to talk about  
4 the cost of hedging, and not par -- not so much the --  
5 the swings, in terms of what the Utility may be paying  
6 more, or may be paying less as a result of it's hedging  
7 program, but more the, kind of the internal costs.

8 Did I understand Mr. Warden to say  
9 yesterday that the -- it's estimated that the costs of  
10 hedging to Centra were approximately one tenth (1/10th)  
11 of 1 percent primary gas costs?

12 MR. VINCE WARDEN: Yes, Mr. Holloway,  
13 you understand it correctly. That was the number that we  
14 put on the record and has been put on the record in  
15 previous proceedings.

16 MR. IVAN HOLLOWAY: And that that number  
17 is, when we actually do the 1 per -- one tenth (1/10) of  
18 1 percent computation, that that works out to, I think  
19 you said yesterday, less than one hundred thousand  
20 dollars (\$100,000) dollars a year?

21 MR. VINCE WARDEN: Well no, no. I think  
22 we're talking two (2) different things there. The -- the  
23 hundred thousand dollars (\$100,000) was -- I think was  
24 asked what the internal costs of Centra gas were to  
25 administer the -- the hedging program. We didn't have a

1 precise figure on that, but my rough estimate was less  
2 than a hundred thousand dollars (\$100,000) per year.

3 MR. IVAN HOLLOWAY: So what -- what do  
4 you mean by the internal costs of hedging? What -- what  
5 are you referring to?

6 MR. VINCE WARDEN: Well, essentially the  
7 costs, wages and salaries of employees, overheads,  
8 training costs associated with attending seminars, so  
9 that would comprise the majority of -- of the hundred  
10 thousand dollars (\$100,000) that I'm talking about.

11 MR. IVAN HOLLOWAY: So those are  
12 basically the costs that Centra incurs to manage the  
13 program; is that fair to say?

14 MR. VINCE WARDEN: Correct.

15 MR. IVAN HOLLOWAY: But that doesn't  
16 include dealer margins, is that right?

17 MR. VINCE WARDEN: No, it wasn't intended  
18 to include deal -- dealers margins.

19 MR. IVAN HOLLOWAY: Okay. And -- and  
20 what's your estimate on an annual basis of the dealer  
21 margins?

22 MR. VINCE WARDEN: Well, there -- there  
23 really is no annual number. We -- we've indicated that  
24 over the long term -- and when we talk long term, we're  
25 talking ten (10) years thereabouts or longer -- that we

1 expect that essentially a -- a hedging program will be  
2 cost neutral, except for the dealer margin piece, which  
3 is -- is that one-tenth (1/10th) of 1 percent, on average  
4 over that period of time.

5 MR. IVAN HOLLOWAY: And -- and what is  
6 the -- can you tell me, you know, a -- a rough  
7 calculation of what that one-tenth (1/10th) of 1 percent  
8 is on an annual basis?

9 MR. VINCE WARDEN: Well, primary gas  
10 costs are -- are about five hundred thousand dollars  
11 (\$500,000), or \$500 million per year. So, one-tenth  
12 (1/10th) of 1 percent of fi -- \$500 million, five hundred  
13 thousand dollars (\$500,000).

14 Now, that's -- the 500 million is a gross  
15 -- actually it's appr -- approaching 600 million now, for  
16 total gas costs. Not all of that would be hedged; about  
17 two-thirds (2/3s) of that would be hedged. So you'd have  
18 to do a calculation to determine exactly what that would  
19 be, but roughly those -- that the magnitude -- order of  
20 magnitude of the numbers.

21 MR. IVAN HOLLOWAY: So if -- I'm doing  
22 some quick math here -- we're looking at six hundred  
23 thousand (600,000) on 600 million, and then there would  
24 be two-thirds (2/3s) of that, so we'd be looking at  
25 around four hundred thousand dollars (\$400,000).

1 Does that sound right?

2 MR. VINCE WARDEN: Yes, that's about  
3 right.

4 MR. IVAN HOLLOWAY: And so the -- the  
5 cost to the Utility on a order of magnitude, and not on  
6 an exact number basis per year, we're looking at around  
7 five hundred thousand dollars (\$500,000).

8 Is that fair to say?

9 MR. VINCE WARDEN: Approximately, yes.

10 MR. IVAN HOLLOWAY: Now, does that five  
11 hundred thousand dollars (\$500,000) include costs such as  
12 the Util -- the regulatory hearing costs; like this one,  
13 for example?

14 MR. VINCE WARDEN: Well, we are getting  
15 down to a level of preciseness now, and when I -- when I  
16 threw out the number of a hundred thousand dollars  
17 (\$100,000), I -- I -- you know, I -- those are the total  
18 costs that we would incur.

19 So regulatory costs, I think, could  
20 probably -- if we added up all the -- tallied up all the  
21 costs, I think regu -- regulatory costs could be included  
22 within that hundred thousand dollars (\$100,000) number.

23 MR. IVAN HOLLOWAY: Could be included,  
24 but I sense that you're not sure about that.

25 MR. VINCE WARDEN: Well, I wasn't -- I

1 hope I'm clear -- I wasn't sure about the hundred  
2 thousand (100,000), I'm -- I'm just saying it's not a  
3 significant number, it's less than a hundred thousand  
4 dollars (\$100,000) per year.

5 MR. IVAN HOLLOWAY: Now, in the '07 study  
6 that was done by eNRG that we've spoken about before --  
7 or that Mr. Peters, I guess, spoke with you about before  
8 -- there was a reference in there to the cost of hedging  
9 being less than 1 percent.

10 And now, I guess one-tenth (1/10th) of 1  
11 percent is technically less than 1 percent, but one  
12 usually assumes when someone says less than 1 percent,  
13 they usually mean .9 percent or .8 percent. Is -- is  
14 there -- is this just kind of a fluke or a happenstance  
15 or is there some reason behind that?

16 MR. LLOYD KUCZEK: I could respond to  
17 that. We did provide the one-tenth (1/10th) of 1 percent  
18 to eNRG. eNRG thought it's insignificant to the cus --  
19 or small enough and the best way to portray it would be  
20 in a less complicated manner just saying 1 percent and  
21 not going with the one-tenth of 1 percent.

22 MR. IVAN HOLLOWAY: Thank you. Now, if  
23 my memory serves me correct I think I've read that the  
24 previous number that was quoted either at Board hearings  
25 or in previous market research was between 1 and 2

1 percent.

2 Does that sound about right?

3 MR. HOWARD STEPHENS: I think we may have  
4 led that evidence at one (1) point or another but we  
5 refined our knowledge of the -- the dealer margins and  
6 how they're calculated and that's how we've arrived at  
7 the newer numbers.

8 MR. IVAN HOLLOWAY: So, I'm not sure I  
9 fully understand that answer, but, are you saying that  
10 the previous 1 to 2 percent may have included dealer  
11 margins?

12 MR. HOWARD STEPHENS: That's what I'm  
13 speaking of is dealer margin.

14 MR. IVAN HOLLOWAY: So it's basically not  
15 directly comparable to the one-tenth (1/10th) of 1  
16 percent that we were talking about before because that  
17 did include dealer margins. Oh no, sorry, that is --

18 MR. HOWARD STEPHENS: What --

19 MR. IVAN HOLLOWAY: -- I'm sorry. My  
20 fault. I'm confused. Okay. When you say that process  
21 was refined in terms of determining one-tenth (1/10th) of  
22 1 percent, can you elaborate on what you mean by that?

23 I mean, it seems like a change from 1 to 2  
24 percent to one-tenth (1/10th) of 1 percent -- while both  
25 small numbers in kind of a relative sense -- they are

1 pretty big numbers when you actually do the math compared  
2 with five or \$600 million of gas.

3 MR. HOWARD STEPHENS: It's just a -- it's  
4 a matter of learning over time. We've run the program  
5 now for seven (7) years. We've gotten our people trained  
6 much better with respect to the program and the -- the  
7 use of derivative products, et cetera, to the point where  
8 we have experts on staff now.

9 And so from that perspective we are now  
10 better able to establish exactly what kind of dealer  
11 margins are expected and it's not exactly easy  
12 information. You just don't go to the dealer and ask  
13 them how much -- what's your margin, I mean, that's  
14 pretty much a confidential piece of information.

15 MR. IVAN HOLLOWAY: So there's a  
16 certain...

17

18 (BRIEF PAUSE)

19

20 MR. IVAN HOLLOWAY: So there's a certain

21 --

22 MR. HOWARD STEPHENS: Maybe I'll add --  
23 I'll just add to that. We did have one (1) consultant's  
24 report that did confirm that number as well. So from  
25 that perspective -- and I believe that Mr. Pringle in his

1 evidence last year agreed with us with respect to that  
2 cost -- your -- and that would have been your witness.

3 MR. IVAN HOLLOWAY: I want to -- Mr.  
4 Saxberg informs me he tells all his experts to not agree,  
5 so, that's not possible.

6 MR. HOWARD STEPHENS: I think we'll  
7 discuss that later.

8 MR. IVAN HOLLOWAY: I'd like to talk  
9 about the -- the PGVA and I believe that -- and I can't  
10 remember which member of the panel said this yesterday.  
11 I -- I think it might have been Mr. Barnlund but I could  
12 be wrong, that the PGVA count -- there's a -- when  
13 there's a disconnect between the -- when -- when gas is  
14 purchased -- the cost of gas is purchased and when it's  
15 ultimately -- and when the -- the rate is changed to  
16 reflect that purchase, there's a difference which causes  
17 an account, either negative or positive, in the PGVA?

18 MR. GREG BARNLUND: I think what I was  
19 describing was at a high level of purpose the PGVA is to  
20 track over some period of time the cost of the gas that's  
21 acquired to serve the load for that period of time versus  
22 the revenues that are generated from the volumes that are  
23 sold to customers over the same period of time.

24 MR. IVAN HOLLOWAY: Right and I probably  
25 misspoke myself but I think that's my -- my general

1 understanding of what you said.

2                   And -- but I think there's something  
3 further and that is, is that this -- the PGVA can cause  
4 greater volatility but that hedging can reduce this  
5 greater volatility. Did I get that right?

6                   MR. GREG BARNLUND: I -- I think,  
7 essentially, that's the case because what happens when  
8 you're hedging you are incorporating the effect of the  
9 hedge into the forecast gas cost for the period that you  
10 are going to set your rates for on a prospective basis.

11                   So, potentially then, if those rates are  
12 closer to recovering what your actual costs are, then you  
13 have less that would flow into the PGVA -- or accumulate  
14 in the PGVA at the end of period that would end up  
15 needing to be recovered from customers in some subsequent  
16 period.

17                   MR. IVAN HOLLOWAY: Okay, and -- and I  
18 think that there's even something that went farther than  
19 that, that -- that there was -- where the PGVA had to be  
20 recovered in a net -- in a -- and if it built up  
21 significantly and then had to be recovered in a time  
22 period, in the next time period, especially a time period  
23 in which there was low gas volumes, that that could have  
24 a significant volatility impact; is -- is that -- did I  
25 get that right?

1                   MR. GREG BARNLUND:   Well, I think that  
2 was -- first of all, that discussion was occurring in the  
3 context of a monthly rate changing product where the PGA  
4 -- PGVA would be recovered not in the quarter or over the  
5 next period of time, beginning in the next quarter, but  
6 beginning each subsequent month.  And so we were talking  
7 about the effect of that recovery having on amplifying  
8 the volatility in the primary gas price over what you  
9 would normally see as the volatility in -- volatility in  
10 the underlying gas cost itself.

11                   But separately from that, the nature of  
12 the PGVA and the nature of -- of the recovery of that,  
13 even under a quarterly arrangement that we've got right  
14 now, that let's say, for example, that we were required  
15 not to hedge and we go through a period of time where  
16 over a quarter, say from November until February 1, which  
17 is a very cold part of the year, gas prices for whatever  
18 reason were to dramatically increase beyond what we have  
19 imbedded in our forward-looking sales rate for that  
20 period of time.

21                   We are going to accumulate a significant  
22 buildup in the PGVA that would be owing to the Company  
23 from the customers by virtue of a large percentage of our  
24 annual volume being delivered to those customers in that  
25 three (3) month period, coupled with a significant runup

1 in price occurring at the same time.

2 So, you have a large PGVA balance that you  
3 have to contend with at that point in time and you have  
4 some decisions to make as to how you recover that from  
5 customers and you also have some implications in terms of  
6 customers that may wish to move off of your primary gas  
7 on to some other product because then you have issues in  
8 terms of the fairness of recovering from those customers.

9 And so that's the problem or the conundrum  
10 you have with the buildup of the PGVA if you're not  
11 allowed to use hedging.

12 MR. IVAN HOLLOWAY: Okay. Just leaving  
13 aside the -- the -- you know, some possible inequities of  
14 people moving out of the market and -- and -- you know,  
15 and people moving into the market.

16 It seems to me that from a volatility  
17 perspective, that problem can be solved if the PGVA is  
18 recovered on an amortized twelve (12) month basis, which  
19 is what I thought was said later on in the testimony; is  
20 that -- is that not correct?

21 MR. GREG BARNLUND: Well, we do recover  
22 it on a twelve (12) month basis. I mean, I don't want to  
23 confuse the discussions here in terms of what we're  
24 currently doing now. Some of those discussions we had  
25 before were in the context of a monthly price resetting

1 process and how would you recover a PGA balance in that  
2 regime.

3 MR. IVAN HOLLOWAY: So, if I understand  
4 you correctly then, that wouldn't be an issue in terms of  
5 volatility if it was -- if PGVA was recovered on an  
6 amortized twelve (12) month basis?

7 MR. GREG BARNLUND: It's always an issue.  
8 These things are highly interrelated. The recovery --  
9 the period over which you recover that PGVA is important  
10 and if you were to recover it over some period other than  
11 twelve (12) months, it's going to have an effect.

12 And so these things all interrelate  
13 together, so when you sever one piece, you have to make  
14 adjustments to the other pieces. It's a very  
15 interrelated mechanism, if you would.

16 MR. IVAN HOLLOWAY: I understand -- and I  
17 don't have a quick source for this, but I understand that  
18 it -- there was some market research done that indicated  
19 the consumer tolerance for price volatility. I -- I  
20 essentially, I guess, price increase on an annual basis  
21 was about sixty dollars (\$60). I think that was done  
22 some years ago. Does that sound about right?

23 MR. GREG BARNLUND: I believe so, yeah.

24 MR. IVAN HOLLOWAY: And the -- the most  
25 recent report that was put forward in evidence, the eNRG

1 survey, indicates -- and I have the numbers handy, we can  
2 go to it if -- if you like -- but there -- there seems to  
3 be from -- from the results of their research is that the  
4 new tolerance is approximately a hundred and ninety-five  
5 dollars (\$195) for Hydro residential customers and two  
6 hundred and thirty-four dollars (\$234) for -- the  
7 marketer residential customers.

8 Does that sound about right?

9 MR. GREG BARNLUND: I understand that was  
10 presented in that research, yes.

11 MR. IVAN HOLLOWAY: And -- and I  
12 understand that -- that Centra is adopting and putting  
13 forward that evidence as being accurate; is that fair to  
14 say?

15 MR. GREG BARNLUND: Yes. Well, it's --  
16 it's the -- the contents of our research report, which  
17 we've incorp -- incorporated into our evidence, yes.

18 MR. IVAN HOLLOWAY: Right. But I guess  
19 what I'm getting at specifically is you're not taking any  
20 issue with this particular statistic that was put forward  
21 of a hundred and ninety-five dollars (\$195) and two  
22 hundred and thirty-four (234).

23 MR. GREG BARNLUND: No.

24 MR. IVAN HOLLOWAY: Now, the -- the  
25 bandwidth for the hedging program was increased, I

1 believe, in January, right?

2 MR. GREG BARNLUND: Yes.

3 MR. IVAN HOLLOWAY: To 15 percent?

4 MR. HOWARD STEPHENS: 15 percent above  
5 the swap price at the time.

6 MR. IVAN HOLLOWAY: Now, I -- I'm gonna  
7 take a chance here, but it seems to me, on a very kind of  
8 rough calculation basis, that -- that it wouldn't likely  
9 be a circumstance even on an extreme price increase basis  
10 that with -- with a 15 percent bandwidth that we would  
11 get anywhere near a hundred and ninety-five dollars  
12 (\$195) or two hundred and thirty-four (234), on an annual  
13 basis.

14 MR. HOWARD STEPHENS: Okay. I -- I'm not  
15 really sure that I understand your question, be -- but --  
16 because you're talking annual differences in terms of  
17 bills, and I don't know what my reference is here.

18 MR. IVAN HOLLOWAY: I -- I understand  
19 that. And you're -- I mean the -- the -- let me go back  
20 a step maybe --

21 MR. HOWARD STEPHENS: Let me -- let me  
22 help you, maybe. Maybe I can help you --

23 MR. IVAN HOLLOWAY: Please.

24 MR. HOWARD STEPHENS: -- and then we'll -  
25 - then we'll take it from there.

1 MR. IVAN HOLLOWAY: Okay.

2 MR. HOWARD STEPHENS: The sixty dollars  
3 (\$60) was based upon a fifty (50) cent -- a fifty (50)  
4 cent move of the pricing curve over the course of a year.  
5 And the likelihood of that was considered to be very low.  
6 But this very still the -- this is something -- I still  
7 had hair when we developed that number.

8 So that -- that information is not really  
9 relevant. So it was fifty (50) cents relative to say a  
10 four dollar (\$4) market or a three dollar (\$3) market,  
11 and so when the Board came back, I mean, and suggested  
12 that we look at 15 -- or 20 percent, or something like  
13 that, as a percentage of the marketplace and, I mean, it  
14 was really, I mean, mirroring what we were doing in the  
15 past, without, you know, specifically defining the dollar  
16 amount.

17 MR. IVAN HOLLOWAY: So I -- I take it  
18 from your answer that there's been no kind of attempt to  
19 assess, you know, if let's say there is a year in which,  
20 on an average customers bill, that the -- the price of  
21 gas was hitting the upper strike point continually, that  
22 what this would -- what dollar effect this would have on  
23 an average persons annual bill? There's been no kind of  
24 internal assessment in that regard?

25 MR. HOWARD STEPHENS: Well, in terms of

1 your example, if the price is hitting the upper strike --  
2 that means we're cutting the -- the peaks off the price,  
3 so the end effect is going to be a lower cost to the  
4 customer.

5 (BRIEF PAUSE)

6

7 MR. IVAN HOLLOWAY: Maybe I'll come at  
8 this from a different direction, upon the advice and  
9 direction of counsel.

10 If -- if we didn't have hedging on a  
11 typical year or -- yeah, on a typical year, what's the  
12 chances that we're going to reach the one hundred and  
13 ninety-five (195) or two hundred and thirty-four (234);  
14 do you have any -- any analysis or information on that?

15 MR. HOWARD STEPHENS: Nobody could tell  
16 you that because it's -- I mean it's -- you'd have --  
17 you're really asking me to forecast what prices are going  
18 to do over the course of the year, and nobody could do  
19 that.

20 MR. IVAN HOLLOWAY: No, understood, but I  
21 mean, just in terms of from historical analysis  
22 perspective.

23 MR. HOWARD STEPHENS: History is not a  
24 good predictor of the future with respect to gas pricing.

25 MR. IVAN HOLLOWAY: That may be so,

1 although I guess it's largely the only thing we have  
2 except for theory, right? You can't give me some kind of  
3 sense? I mean surely the sixty dollars (\$60) and the --  
4 the fifty (50) cents had some connection. I mean did it  
5 -- did it not -- was there not a...

6 MR. HOWARD STEPHENS: Certainly -- I wish  
7 the author of this stuff was going back a ways. Fifty  
8 (50) cents was considered by myself to be an extremely  
9 large move with respect to AECO prices. So we wanted to  
10 protect our customers from what you would call disaster  
11 insurance, I mean providing disaster insurance. And if  
12 you took that multiplied by the average per customer, it  
13 ended up to be sixty dollars (\$60) a year. So we wanted  
14 to try and rein in a customer's bill within sixty (60) --  
15 plus or minus sixty dollars (\$60) based upon normal  
16 consumption.

17 MR. IVAN HOLLOWAY: And that's what I'm  
18 getting at. You're doing a similar calculation for today  
19 -- for the --

20 MR. HOWARD STEPHENS: No. With the --

21 MR. IVAN HOLLOWAY: -- ninety-five (95)  
22 and the two three four (234).

23 MR. HOWARD STEPHENS: The -- the  
24 benchmark that we use today is to look at the percentage  
25 of volatility reduction that we've achieved relative to

1 the market.

2

3

(BRIEF PAUSE)

4

5 MR. LLOYD KUCZEK: Maybe I could add some  
6 context to that as well just so everybody's clear on  
7 this. When we ask the customers that information or  
8 responses to that question, it was on their annual bill  
9 and there was no -- I guess part of the -- the exposure  
10 that they have is to weather each and every year and  
11 weather variations could impact customers' bills by 20  
12 percent.

13 So, you know, the 15 to 18 percent that  
14 they're exposed to here, they're -- without any hedging  
15 that's done, they're exposed to at least half that due to  
16 weather regardless so.

17

18

(BRIEF PAUSE)

19

20 MR. IVAN HOLLOWAY: I guess I'm not sure  
21 entirely what the value is of -- of obtaining the one  
22 ninety-five (195) and the two thirty-four (234); even  
23 asking people that question if there's no kind of sense  
24 as to what the -- the hedging program is going to drive  
25 or impact that.

1 MR. LLOYD KUCZEK: I -- I asked the  
2 question but I -- I -- it was for Howard's purpose, so it  
3 wasn't of much value to Howard or Mr. Stephens, I was  
4 mistaken.

5 MR. HOWARD STEPHENS: Simply because the  
6 volume -- I mean there's so much variability associated  
7 with volume and weather. I mean, it's very difficult to,  
8 you know, relate that number in terms of a customer's  
9 bill.

10 And a customer's bill is going to be  
11 different based upon size of house, their kind of  
12 consumption, lifestyle, and a variety of things. So it's  
13 very difficult to make that sort of an assumption unless  
14 you look at it from a very grand perspective, and look  
15 at an average customer, which doesn't really exist, and  
16 try to establish a benchmark in that way.

17

18 (BRIEF PAUSE)

19

20 MR. IVAN HOLLOWAY: Without doing any  
21 kind of serious quantitative analysis here -- although  
22 this may need to be done -- it -- it seems that if we're  
23 talking about, you know, roughly two hundred dollars  
24 (\$200); one ninety five (195) or two -- two-thirty (230),  
25 I think is the number. Let's just say it's two hundred

1 dollars (\$200).

2                   We're looking at two hundred dollars  
3 (\$200) either up or two hundred dollars (\$200) down that  
4 a customer -- average customer says that they can handle  
5 in a year. I'm advised by my colleague that that's about  
6 a 33 percent variance. It...

7

8   (BRIEF PAUSE)

9

10                   MR. HOWARD STEPHENS:    Could you perhaps  
11 put the question to me, now that I have some reference in  
12 front of me?

13                   MR. IVAN HOLLOWAY:    Absolutely. What --  
14 what I'm getting at is that if we're looking at -- if the  
15 average bill, which we talked about yesterday, which I  
16 think was assumed to be, for a residential, twelve  
17 hundred and sixty dollars (\$1,260) -- first we agree to  
18 that, right?

19                   MR. HOWARD STEPHENS:    Yeah.

20                   MR. IVAN HOLLOWAY:    And if we -- if the  
21 survey results tell us that the average residential  
22 customers can handle a two hundred dollar (\$200)  
23 variance, either up or down -- well, presumably anything  
24 down, but at least two hundred dollars (\$200) up -- that  
25 we're looking at a fairly significant variance around the

1 twelve hundred and sixty (1,260) number.

2 MR. HOWARD STEPHENS: Yeah, so it would  
3 be about 33 percent.

4 MR. IVAN HOLLOWAY: Right. And we're  
5 talking about the bandwidth of the hedging program being  
6 15 percent of the primary gas component.

7 Now, I know -- and I'm sure there's more  
8 complicated ways of -- of -- there's a more complicated  
9 analysis that needs to be done in order to properly  
10 compare those two (2) things. But on a -- kind of on a  
11 high-level global basis, doesn't it seem that the -- the  
12 hedging program at 15 percent is really cutting things  
13 off well before they -- they -- would need -- need to  
14 be?

15 MR. LLOYD KUCZEK: But just to point out  
16 my earlier point, you have to take the weather variation  
17 at least off because the -- the customer is responding,  
18 saying that this is his willingness to be exposed to this  
19 amount on his total annual bill, which includes weather  
20 variation, as well as any variation due to the hedging.

21 So the first -- I would suggest the first  
22 thing that should be done is subtract the weather  
23 variation off. And I mentioned earlier that it's about  
24 20 percent you're exposed to, so if you say plus and  
25 minus 10 percent, these numbers probably should be

1 reduced at least in half and then that same question  
2 should be proposed to Mr. Stephens.

3 MR. HOWARD STEPHENS: Well, you don't  
4 have to coach him, Lloyd.

5 MR. LLOYD KUCZEK: I was just trying to  
6 get my point in about the weather.

7 MR. HOWARD STEPHENS: We'll talk later.

8 MR. IVAN HOLLOWAY: I understand that  
9 when the consumer answers the question then, I think that  
10 weather would be bound up in that. But I'm just trying  
11 to isolate the component dealing with -- with rates, and  
12 it seems to me that if -- if the component dealing with  
13 rates is -- is far less, even taking into consideration  
14 weather, that -- well, I guess the question I'm posing to  
15 you -- maybe let's put that over.

16 If we do take into account a weather  
17 variation of, you know, my -- taking that in half, what -  
18 - would you have any computations to provide us with on -  
19 - on that?

20 MR. HOWARD STEPHENS: Do I have -- I  
21 didn't catch the --

22 MR. IVAN HOLLOWAY: The continuing run of  
23 -- of commentary. If -- if we take into the account the  
24 weather, as Mr. Kuczek is saying, and let's say we reduce  
25 it very -- reduce that number by half; the -- the two

1 hundred (200) variance. Is the -- is the -- is there  
2 some sense as to whether the 15 percent bandwidth is  
3 going to -- with the hedging program, is going to even  
4 hit that?

5 MR. HOWARD STEPHENS: Oh, it depends on  
6 the absolute cost of the swaps, so obviously 15 percent  
7 of a number, of which I can't predict, is going to be --  
8 I mean, will result in an upper strike on a pr -- on the  
9 product and that may or may not be within the tolerances  
10 that Mr. Kuczek has identified.

11 MR. IVAN HOLLOWAY: Yes --

12 MR. HOWARD STEPHENS: But -- but it is  
13 possible to do an analysis, I guess, in terms of what's  
14 the probability of an occurrence with respect to those  
15 prices, and then analyse what the effects would be.

16 My sense is, though, that we might be --  
17 we would might have to tighten the -- the bandwidth with  
18 respect to the instruments to meet that target.

19 MR. IVAN HOLLOWAY: Okay. So that's what  
20 I'm getting at. That analysis hasn't been done, is  
21 basically what you're saying?

22 MR. LLOYD KUCZEK: That's clear.

23 MR. HOWARD STEPHENS: What was that, sir?

24 MR. IVAN HOLLOWAY: Well, I think Mr.  
25 Kuczek answered it, but I was -- just wanted to confirm

1 that that analysis that we were just talking about, has  
2 not been done. I'd like to direct you to the eNRG  
3 survey, please. And in particular, table 14 on page 36.

4

5 (BRIEF PAUSE)

6

7 MR. IVAN HOLLOWAY: Now, the...

8

9 (BRIEF PAUSE)

10

11 MR. IVAN HOLLOWAY: The -- the question  
12 posed here, just for the record:

13 "Are you prepared to pay a premium for  
14 -- are you prepared to pay a premium to  
15 eliminate the ups and downs in the  
16 price for gas?"

17 And this refers back to the table 13,  
18 which talks about peoples various preferences. But the -  
19 - the answers here for a residential hydro customer is  
20 that for -- are people prepared to pay a premium to  
21 eliminate ups and downs in the price of gas where your  
22 rate for natural gas changes every three (3) months; 79  
23 percent of respondents say no.

24 And if it's up to changes for every year,  
25 it's 74 percent say no. And -- and then there's other

1 statistics for -- for other groups, and -- and other time  
2 levels, but they're generally fairly consistent in the  
3 strength in which they say no.

4                   Would you not think that this response  
5 indicates that consumers don't want to pay anything for  
6 programs that eliminate ups and downs in price?

7                   MR. LLOYD KUCZEK:     I guess you have to  
8 look at it in -- from both sides; those that are not  
9 willing to pay anything, and those that are willing to  
10 pay something. And I think a further analysis is  
11 required where you have to do some weighting.

12                   But I -- I did a rough calculation myself  
13 just on the Manitoba Hydro customers, and if you took at  
14 the -- the "yes" responses, and I did that calculation  
15 for each one of them, and multiplied it by the end number  
16 factor for each one of the categories; then added them up  
17 to see how many out of the eight hundred (800) were  
18 willing to pay a premium and the -- it worked out to 26.6  
19 percent. So, basically, one (1) out of four (4) are  
20 willing to pay a premium and the other three (3) are not.

21                   So, yes, a majority of customers are not  
22 willing to pay a premium, but there is a smaller market  
23 share, but yet what I would refer to as a significant  
24 market share willing to pay a premium.

25                   MR. IVAN HOLLOWAY:    Would you agree that

1 -- that the costs that we talked about before for  
2 providing the hedging program, the roughly five hundred  
3 thousand dollars (\$500,000) a year, could be  
4 characterised as a premium?

5 I mean, it's essentially a cost that's  
6 passed along to the customer for that program, right?

7 MR. HOWARD STEPHENS: It's the costs of  
8 mitigating the volatility within our cost of gas, yes.

9 MR. IVAN HOLLOWAY: Yes, so -- but it's  
10 passed on to the customer, right?

11 MR. HOWARD STEPHENS: Yep.

12 MR. IVAN HOLLOWAY: So, I mean  
13 essentially you characterise that as a premium for the  
14 customer, right?

15 MR. HOWARD STEPHENS: Yes, you could  
16 characterise it as such. There is a cost associated with  
17 providing that insurance that we're providing, so I guess  
18 that would be the premium associated with it.

19 MR. IVAN HOLLOWAY: So, in light of this  
20 -- the results of this table 14, which indicate that a  
21 lot of people don't want to pay a premium for -- to  
22 eliminate ups and downs in gas; does that in any way  
23 change your conclusion as to whether you want to have  
24 hedging -- hedged gas as the default option?

25 MR. VINCE WARDEN: Mr. Holloway, I -- I

1 really think you have to be careful you don't confuse  
2 this with price management. Table 14 relates to table  
3 13, and in which we're talking about variable products  
4 versus fixed products; totally different from what we're  
5 talking about in terms of price management.

6 So there is another probably more direct  
7 question with respect to the premium we pay on price  
8 management that's more relevant. So I think to conclude  
9 out of table 14, that -- that customers do not want us to  
10 manage prices through derivatives would be an incorrect  
11 conclusion.

12

13 (BRIEF PAUSE)

14

15 MR. IVAN HOLLOWAY: But wouldn't you  
16 agree that a fixed price -- a fixed rate is the logical  
17 end of a continuum of hedging? I mean, if -- it's true,  
18 the -- the question asks, you know, about the elimination  
19 of ups and downs, but hedging doesn't totally eliminate  
20 the ups and downs, but it eliminates some of the ups and  
21 downs, at least on a theoretical basis.

22 So I don't -- I don't mean to be  
23 argumentative, but I don't -- I don't see how -- I'm --  
24 we're -- you -- you would agree that consumers -- and I  
25 think was stated yesterday -- don't really understand or

1 have a great level of sophistication when it comes to  
2 looking at their bill, right?

3 MR. VINCE WARDEN: Well, I'm not sure I'd  
4 want to generalise in that manner, but I think there's  
5 some customers have a very -- pay -- pay very close  
6 attention to their bill -- their bills and -- and others  
7 don't.

8 MR. IVAN HOLLOWAY: But the -- you would  
9 agree that the fo -- focus report seems to indicate that  
10 when it talked to people about their understanding of the  
11 various components, the bills -- the bill, that their  
12 understanding was generally fairly low.

13 MR. GREG BARNLUND: It may be that  
14 they're somewhat confused by the descriptions of the  
15 items they are seeing on the bill, but it's hard to  
16 interpret exactly what conclusions you can make from  
17 that.

18 MR. IVAN HOLLOWAY: Well, if -- if I look  
19 at page number 2 of the eNRG focus group report, which is  
20 part of the executive summary. I know there's dangers in  
21 inferring things from executive summaries as Mr. Hoaken  
22 has pointed out to us. However, this is a report that  
23 was commissioned by Centra Gas and it appears to be  
24 relying upon it.

25 I see that in the -- in the fourth

1 paragraph from the top of the page, under the section  
2 Consumer Awareness: Understanding the Components of  
3 Natural Gas Bill, the first sentence says:

4 "Beyond the above points there is very  
5 little appreciation for what the  
6 detailed billing section consisted of."

7 MR. GREG BARNLUND: And I think if you  
8 read further it supports what I was saying before in that  
9 customers -- are not sure what is meant by  
10 transportation, or may not understand what is meant by  
11 the word, "distribution," or supplemental gas.

12 MR. IVAN HOLLOWAY: Well, I mean, the  
13 document says what it says, but -- it doesn't seem to be  
14 anywhere in here where there's a particular mention of  
15 people having a good understanding of the rate component  
16 of their bill. Is that fair to say?

17 MR. GREG BARNLUND: Well, the -- it says  
18 what it says, in terms of the confusion and in terms of  
19 the description of line items, but...

20 MR. LLOYD KUCZEK: As far as the '07  
21 market research goes if -- if you -- I think -- if you  
22 were looking for what consumers -- are willing -- what  
23 their willingness to pay for hedging for the current  
24 product, I -- I would suggest that possibly looking at  
25 the responses to -- starting at page 39 of the -- where

1 is it -- 38 is it, of the -- the report?

2 But it -- but it eventually gets to after  
3 explaining to the customer that -- there is a 1 percent  
4 premium, and that -- are -- are they in favour or not in  
5 favour. This is Page 40. And -- and I'll just read the  
6 question.

7 "I am now going to read you three (3)  
8 different points of view about Manitoba  
9 Hydro's efforts to reduce the primary  
10 gas fluctuations. After I read all  
11 three (3) statements, I'd like you to  
12 tell me which one of these statements  
13 is closest to your own view."

14 And, this is after we had told the  
15 customer that -- what the Price Management Program was,  
16 in general terms. But they were told that it -- costs  
17 them over the long run, less than 1 percent and it also -  
18 - they were not exposed to the -- dramatic -- price  
19 fluctuations, up or down.

20 And a significant number of customers in  
21 this case still said that they still favoured the  
22 Manitoba Hydro or Centra to continue with the program,  
23 and that was 63 percent of the residential -- Manitoba  
24 customers and 55 percent of the retail customers in that.  
25 And 16 percent of said that we should increase our

1 hedging and -- of the Manitoba Hydro customers, and 13  
2 percent of retail customers said we should increase it.

3 But I would suggest that would be -- those  
4 questions give a better indication of what a -- our  
5 consumers feel about the hedging program and the costing  
6 of it.

7 The earlier question that you were  
8 referring too was just a generic question that we were  
9 asking that really didn't really include our product that  
10 we're currently -- currently offering. And we were just  
11 trying to get a sense for customer preferences among  
12 those products, which ones they would prefer, and --  
13 whether they're willing to pay a premium or not for those  
14 products.

15

16 (BRIEF PAUSE)

17

18 MR. LLOYD KUCZEK: My colleague corrects  
19 me. I was referring to the retail customers when I was  
20 talking retailer customers responding at table 19, and  
21 that's not true; that was the small commercial customers.  
22 Sorry about that.

23

24 (BRIEF PAUSE)

25

1 MR. IVAN HOLLOWAY: Doesn't it seem to  
2 you that there is a certain amount of inconsistency  
3 between some of these results in the survey?

4 MR. LLOYD KUCZEK: I didn't feel that  
5 way.

6 MR. IVAN HOLLOWAY: Well --

7 MR. LLOYD KUCZEK: Inconsistencies in  
8 terms of different customers prefer different things,  
9 but...

10 MR. IVAN HOLLOWAY: We're talking about a  
11 representative sample of gas consumers, right?

12 MR. LLOYD KUCZEK: Correct.

13 MR. IVAN HOLLOWAY: We're talking about  
14 people that have, presumably, a representative sample of  
15 understanding of the whole natural gas market, right?

16 MR. LLOYD KUCZEK: The customers would  
17 have varying understanding of the gas market that we're  
18 surveying, and so you have to -- and that comes out in  
19 the results as well, I would suggest.

20 But as you're asking questions, some of  
21 them are getting educated on some of the -- the  
22 components of the --the market along the way, with -- by  
23 asking the questions.

24 MR. IVAN HOLLOWAY: Understood, and I  
25 understand there's a variability between individual

1 respondents to this survey, but as an overall, what I'm  
2 suggesting is that -- assuming this is done somewhat  
3 properly -- is that the people answering these questions  
4 are representative sample of gas consumers?

5 MR. LLOYD KUCZEK: That's true, although  
6 we're excluding one segment of the market here which was  
7 identified earlier by eNRG, and that was consumers that  
8 are with the -- signed up with retail cust -- or  
9 suppliers, but don't know they are.

10 MR. IVAN HOLLOWAY: Right. But -- but  
11 leaving aside that detail for -- for a moment, the people  
12 that are responding the this survey, are not -- you  
13 wouldn't suggest are people that have a certain high  
14 level of sophistication when it comes to the operation of  
15 the gas market, right?

16 MR. LLOYD KUCZEK: I would suggest  
17 they're a broad range of customers.

18 MR. IVAN HOLLOWAY: There is a broad  
19 range of customers, but if we took this room, for  
20 example, and did a -- a survey of this room and its  
21 knowledge, it would be significantly higher and greater  
22 understanding than the average survey recipient. You'd  
23 have to agree with that, right?

24 MR. LLOYD KUCZEK: Certainly.

25 MR. IVAN HOLLOWAY: So isn't it

1 reasonable to draw from some of these results that when  
2 people are answering these questions, that they're --  
3 they're answering the question based upon a variable,  
4 admitted, but also a basic understanding?

5 MR. LLOYD KUCZEK: Yes.

6 MR. IVAN HOLLOWAY: So wouldn't it be --  
7 based upon that, wouldn't it be prudent to infer from  
8 these results that from less complicated questions where  
9 customers are being asked questions like, you know, Do  
10 you prefer rate stability vs non rate stability, Do you  
11 prefer, you know, to pay less or to pay more; basic  
12 questions as opposed to complicated questions, that you  
13 may get more reliable results?

14 MR. LLOYD KUCZEK: You're suggesting  
15 asking simpler questions and moving to more complicated  
16 questions?

17 MR. IVAN HOLLOWAY: I'm saying that the  
18 question in table 14 is a -- is a fairly straight forward  
19 question. It's saying:

20 "Are you prepared to pay a premium to  
21 eliminate the ups and downs at various  
22 -- various intervals -- ups and downs  
23 during various time periods, at various  
24 time intervals?"

25 And you're getting some fairly clear

1 responses from a fairly simple question.

2                   Whereas when questions are being asked  
3 where there's, you know, some complication being built  
4 into them, you seem to be getting results that don't  
5 really jibe with the ones that are more simple.

6                   Is that fair?

7                   MR. LLOYD KUCZEK:     I -- I didn't see it  
8 that way. What we were trying to do with the earlier  
9 questions, was trying to find out -- and you've got to  
10 remember that part of the objective here is to try to  
11 determine what customer's preferences are for different  
12 products, so we -- we -- eNRG designed the question to  
13 help us determine that.

14                   So we -- we were trying to determine how  
15 many customers would have a preference without regard to  
16 a premium, first of all, for these different product.  
17 And to keep it quite simple, we just put on the table  
18 four (4) different product. We didn't complicate it by  
19 putting our current product on the table, because that's  
20 a -- as an option, that is a very complicated product,  
21 and we discussed that many times, and very hard to  
22 explain to customers.

23                   So the objective here was just to find  
24 out, broadly speaking and in simple terms, if you had a  
25 choice without even consideration for a premium, what is

1 your preference?

2 And then the second part of that, that we  
3 wanted to find out, was -- okay, now if this your  
4 preference, are you willing to pay a premium?

5 And of course, we're interested and I'm  
6 sure the retailers will find this very interesting as  
7 well, because it gives you market information to help you  
8 determine whether or not you want to pursue a particular  
9 product in a market.

10 Later on we were interested in getting at  
11 least some information on customers' preferences and  
12 awareness for our current product, and that's what the  
13 questions that I led you to -- were -- were -- that was  
14 the objective of those questions.

15

16 (BRIEF PAUSE)

17

18 MR. IVAN HOLLOWAY: Mr. Chair, judging by  
19 the hour, I'm wondering if we could take a brief break.

20 THE CHAIRPERSON: Very well, Mr.  
21 Holloway. We'll come back then in fifteen (15) minutes.

22

23 --- Upon recessing at 2:34 p.m.

24 --- Upon resuming at 2:55 p.m.

25

1 THE CHAIRPERSON: Okay, Mr. Holloway --

2 MS. MARLA MURPHY: Mr. Chairman, if I  
3 might indicate just before we begin and while you're  
4 getting settled, we have circulated a response to  
5 Undertaking number 3, which Mr. Peters had requested.  
6 It's the updated information for the answer to  
7 PUB/CENTRA-13, which was found at Tab 2 of Mr. Peter's  
8 book of documents.

9 I believe it should be Centra Exhibit 15,  
10 if that's acceptable.

11 THE CHAIRPERSON: Thank you. 15 it is.

12

13 --- EXHIBIT NO. CENTRA-15: Response to Undertaking 3;  
14 updated information for the  
15 answer to PUB/CENTRA-13,  
16 which was found at Tab 2 of  
17 Mr. Peter's book of  
18 documents.

19

20 MS. MARLA MURPHY: Thank you.

21 THE CHAIRPERSON: Okay, Mr. Holloway.

22

23 CONTINUED BY MR. IVAN HOLLOWAY

24 MR. IVAN HOLLOWAY: Thank you. I'd like  
25 to direct the panel back to table 14. I appreciate that

1 there's other tables that the panel is interested in, but  
2 I -- I want to focus on this one for -- for just a moment  
3 more.

4                   If respondents are saying that for  
5 residential hydro, for example, that 79 percent are not  
6 prepared to pay a premium to eliminate the ups and downs  
7 for the price of gas for three (3) months, why would --  
8 intuitively, why would customers want to pay a premium to  
9 have something that's slightly less than fixed?

10                   I mean, the hedging program is essentially  
11 prices that aren't quite market prices but they aren't  
12 quite fixed, right?

13                   MR. LLOYD KUCZEK: Well, our -- our, you  
14 know -- our hedge product is -- it's a combination of  
15 many things, and that we even tried to come up with a --  
16 a term that we can describe it. But I -- I view it as a  
17 -- a product that somewhere's between a three (3) month  
18 fixed product and a one (1) year fixed product, because  
19 we do some hedging that protects customers for specific  
20 volumes for one (1) year out.

21                   And -- and they're also exposed for  
22 fluctuations and price every three (3) months, so it's  
23 somewhat of a complicated product. And what the  
24 customers are being asked here is a very -- it's a very  
25 simple product and a fairly straightforward question, as

1 well.

2 MR. IVAN HOLLOWAY: Well, right, but the  
3 -- the -- the value to the hedge project -- product is  
4 that it's less volatile than a pure market product,  
5 right?

6 MR. LLOYD KUCZEK: That's correct.

7 MR. IVAN HOLLOWAY: And the value of a  
8 fixed-price product is that the rate isn't volatile at  
9 all, right?

10 MR. LLOYD KUCZEK: That's true.

11 MR. IVAN HOLLOWAY: So, if the value has  
12 to do with the extent to which a rate is fixed, then why  
13 would consumers want to pay a premium for a totally fixed  
14 product -- wouldn't want to pay a premium for a totally  
15 fixed product and want to pay a premium for a slightly  
16 fixed product?

17 MR. LLOYD KUCZEK: Now, you got me  
18 confused.

19 MR. IVAN HOLLOWAY: Well, you're --  
20 what's being suggested is that there's other parts to  
21 this report that -- and I -- I acknowledge them -- that  
22 say, well, no, there is support for hedging; we have this  
23 question and that question.

24 I've put to the panel that perhaps there's  
25 some problems with those questions in terms of

1 complications and -- and other things and -- and perhaps  
2 there's some contra -- contradictions between the -- the  
3 responses there and the responses here.

4                   And what I'm putting to you is that if in  
5 fact the customers do want to pay a premium --  
6 essentially, is what -- what's acknowledged, is -- is the  
7 cost of hedging is -- is a premium for -- for a hedged  
8 product, then this table seems to directly contradict  
9 that if the value in the fixed product -- if the value in  
10 -- in the hedge is that it's slightly fixed, for lack of  
11 a better term.

12                   MR. VINCE WARDEN:   Mr. Holloway, it -- it  
13 does seem to me that you are somewhat questioning the  
14 credibility of the responses that were provided by -- by  
15 the respondents to -- to this survey.  And perhaps that  
16 question might have been more appropriately directed to  
17 the expert witness.

18                   I think we can only interpret the results  
19 as they're presented here to us.  And we had a question  
20 that was directly related -- as Mr. Kuczek poi -- pointed  
21 out -- a question that was directly related to the  
22 hedging program and the premiums that are associated to -  
23 - with that program, and the results are --  
24 overwhelmingly support Manitoba Hydro Centra Gas  
25 continuing to -- to hedge.

1                   So I -- I do think that -- that -- and I  
2 also think you shouldn't, in my view, read table 14 or  
3 try to -- and table -- interpret table 14 in isolation.  
4 You really have to interpret it with table 13, so you  
5 have to read the both of them together. And I -- I do  
6 believe you're trying to read too much into -- into that  
7 one table and translate that into some questions as  
8 better answered by another -- by another question.

9

10   (BRIEF PAUSE)

11

12                   MR. IVAN HOLLOWAY:    You would agree with  
13 me that it appears that -- based upon the consumer  
14 research -- that a majority of respondents would like to  
15 see Manitoba Hydro provide more than one offering option,  
16 right?

17                   MR. LLOYD KUCZEK:    Correct.

18                   MR. IVAN HOLLOWAY:    If you look at table  
19 21-A on page 42, it indicates that 64 percent of  
20 residential customers and 75 percent -- pardon me, 64  
21 percent of Hydro residential customers and 75 percent of  
22 residential marketer customers would like more than one  
23 option. Do you doubt that?

24                   MR. LLOYD KUCZEK:    Yes.

25                   MR. IVAN HOLLOWAY:    And if you would just

1 flip back a page to page 41, table 20, it indicates that  
2 -- the second part of the table -- that there's 48  
3 percent of respondents support a market price or variable  
4 rate plan where the consumer pays the actual market rate  
5 for natural gas on a monthly basis.

6 Do you -- do you adopt that and accept  
7 that?

8 MR. LLOYD KUCZEK: Yes. Just in -- in  
9 the context of how the question was asked, yes.

10 MR. IVAN HOLLOWAY: And of course,  
11 Manitoba Hydro, I assume, is going to want to, as much as  
12 possible, provide options for its consumers, the  
13 consumers want; that -- that's fair to say; right?

14 MR. LLOYD KUCZEK: Having said that, it  
15 is much more complicated than that.

16 MR. IVAN HOLLOWAY: Understood, but just  
17 as a high-level general principle.

18 MR. LLOYD KUCZEK: Yes, as a high-level  
19 principle if -- we'd like to meet our customers' needs.

20 MR. IVAN HOLLOWAY: So is there -- I  
21 mean, if we compare that 48 percent support for a  
22 variable plan with the support for a fixed plan of one  
23 (1) to five (5) years, we see there's slightly more  
24 support for the fixed-rate plan of 56 percent. But  
25 they're not, I mean, they're -- they're roughly around

1 the 50 percent range.

2 I understand from the evidence given  
3 yesterday that there's -- Centra Gas is looking to put  
4 forward a -- or thinking seriously about putting forward  
5 a fixed-rate plan.

6 Based upon this evidence that was provided  
7 after IRs were answered, is there -- has there been some  
8 discussion or -- or plan to offer a market variable plan?

9 MR. LLOYD KUCZEK: There's been some  
10 discussion but, you know, we've had some discussion about  
11 if we were to offer our product, you know, how receptive  
12 would it be to the marketplace and how would we go about  
13 doing it and then a number of other issues.

14 There -- there is, as the marketing person  
15 in the Corporation, I'm very concerned about how, on the  
16 uptake of the -- the various products, you could do  
17 customer research. and you can ask customers if they  
18 prefer these products, but that's one thing; and then  
19 it's a lot -- it's another issue to -- to actually offer  
20 the product.

21 and whether or not you'll get that uptake  
22 is very dependent on how you do with the marketing  
23 effort, the consumers' preference -- preference for that  
24 or at least have the consumers' -- where -- where on the  
25 consumers' priority list that decision actually falls.

1                   So, there's -- there's many issues so,  
2 given all the various issues I suspect that if we were to  
3 offer any products, we would start with one product and  
4 then see how that goes and then move from there.

5                   MR. IVAN HOLLOWAY:    I believe Mr. Warden  
6 said yesterday, if I have this correct, that the cost to  
7 implement a fixed-price offering would be, I have in  
8 quotes, "minimal". Is that -- is that fair from your  
9 recollection?

10

11   (BRIEF PAUSE)

12

13                   MR. VINCE WARDEN:    Yes, Mr. Holloway, I'm  
14 not sure I -- I used the word "minimal," but if you could  
15 be more precise with that or referen -- give me a  
16 reference then we can maybe put it in context.

17                   MR. IVAN HOLLOWAY:    Yeah, and I  
18 appreciate that, and I apologize that it's not fair to be  
19 out of context, and I don't have a reference, I'm sorry,  
20 it's in my notes and wasn't -- wasn't from reviewing the  
21 transcript.

22   But I think it was a line of questions  
23 that -- that Mr. Peters was asking that had to do with  
24 what -- what the costs were, perhaps involved in setting  
25 up an affiliate to offer another offering as opposed to -

1 - to what the price would be if the -- if the Utility did  
2 it internally and I think there was some reference to it  
3 being not a substantial cost in the scheme of things.

4 MR. VINCE WARDEN: Yes, yes. I  
5 absolutely concur with that statement, relative to  
6 setting up a subsidiar -- or an affiliated company, the  
7 costs of administering a fixed price offering or an  
8 alternative offering would be -- would be minimal within  
9 the regulated utility, by comparison purposes.

10 MR. IVAN HOLLOWAY: I -- I'm sorry, I  
11 can't remember if this question was asked yesterday, but  
12 I think I have to ask it: Is -- is there some sense of  
13 what it would cost to put out a fixed price offering?

14 MR. LLOYD KUCZEK: It varies, I mean, we  
15 -- we can minimize the costs, from -- on one extreme we  
16 could minimize the costs by Mr. Stephens going out and  
17 procuring the product and me simply just offering it to  
18 the customer through some low-cost marketing initiatives,  
19 such as billstuffers, and so it could be accomplished  
20 that way at a fairly low cost.

21 However, I don't know what Mr. Stephens'  
22 costs are, but from a marketing perspective I could do it  
23 at a low cost and then -- but the update might not be  
24 that great, so I might have to spend a lot more money and  
25 start going door-to-door to my neighbours to fulfill

1 those gas molecules that Mr. Stephens is going to be  
2 pushing down my throat.

3 MR. IVAN HOLLOWAY: Okay, let me approach  
4 this from another way. Is there -- if Manitoba Hydro  
5 were to offer a variable rate offering -- a market rate  
6 offering, would -- is it reasonable to assume that that  
7 offering would be roughly -- would roughly cost the same  
8 amount as an offering for a fixed rate? All things being  
9 equal.

10 MR. LLOYD KUCZEK: I can only answer  
11 from the marketing side, and I'll let Mr. Stephens  
12 address the supply side. But from the marketing side it  
13 would be approximately the same.

14 MR. HOWARD STEPHENS: Can you give me the  
15 question again?

16 MR. IVAN HOLLOWAY: Yes, sir. I'm just  
17 wondering if the cost of offering a -- if Manitoba Hydro  
18 were to offer a market rate plan -- offering. I'm  
19 wondering if the cost to do that would likely be roughly  
20 the same as the cost to offer a fixed rate offering?

21 MR. HOWARD STEPHENS: I don't know that I  
22 can give you a direct answer with respect to that,  
23 because it depends on the function -- or the -- the way  
24 we manage it, whether it's through a fixed price  
25 contract, and as we discussed yesterday, under our Nex --

1 Nexen contract, for example, and volume certainty has  
2 been eliminated.

3                   They will basically sell us exactly how  
4 muc -- the amount of gas that we need to satisfy the  
5 customers that have elected that option. Or whether we  
6 have to go out and hedge, and then we'll have volume  
7 uncertainty associated with that, and we have to be  
8 prepared to deal with that as well, so.

9                   We're not far enough down the road with  
10 respect to how we're going to develop these programs to  
11 really give you a good answer with respect to that.

12

13   (BRIEF PAUSE)

14

15                   MR. IVAN HOLLOWAY: I wish to thank the  
16 panel, I have no further questions.

17                   THE CHAIRPERSON: Thank you, Mr.  
18 Holloway.

19                   So Mr. Hoaken, are you ready to begin?

20                   MR. ERIC HOAKEN: I am indeed, thank you,  
21 Mr. Chair.

22

23 CROSS-EXAMINATION BY MR. ERIC HOAKEN:

24                   MR. ERIC HOAKEN: So finally good  
25 afternoon, panel. I'm going to start, if I may, with

1 something that you said early on, Mr. Warden.

2 As I understand it, the premise for Centra  
3 or Manitoba Hydro even considering a fixed rate offering  
4 is that it has diagnosed, if I can put it that way, it  
5 has diagnosed the current competitive market as not  
6 working properly; is that fair?

7 MR. VINCE WARDEN: Well, first let me  
8 say that the desire by Manitoba Hydro to enter the fixed  
9 price market is more so driven by the expressed needs and  
10 wants of our customers.

11 So, whether or not the -- the market is  
12 working as intended or as envisioned when it was first  
13 set up, hard to say. I don't think it's -- I think we've  
14 -- we said in our -- in our filing, that the competitive  
15 market is not flourishing the way it might have been  
16 envisioned some years ago.

17 MR. ERIC HOAKEN: All right, but are you  
18 telling me, Mr. Warden, that even if the current market  
19 was meeting the expectations that you had in 1996 and  
20 1998, you might still be here today suggesting that  
21 Centra should have a fixed rate offering, because your  
22 customers have indicated that they want it?

23 MR. VINCE WARDEN: I'd say that's --  
24 that's likely, yes. If the customers have expressed to  
25 us that this is something they want, that -- I think we

1 have an obligation to at least investigate that and  
2 attempt to respond to our customers' needs.

3 MR. ERIC HOAKEN: And just dealing with  
4 this evaluation of the competitive market, the -- the  
5 current regime, if I can call it that, under the WTS  
6 really only started in 2001, right?

7 MR. GREG BARNLUND: May of 2000.

8 MR. ERIC HOAKEN: Of 2000. I'm sorry,  
9 Mr. Barnlund. And so we had the Hearing in '96, the  
10 decision in '98 and then the implementation of some of  
11 the aspects of that decision, including the elimination  
12 of the buy/sell and the commencement of the WTS which, as  
13 you say, started in 2000, right?

14 MR. GREG BARNLUND: Yes.

15 MR. ERIC HOAKEN: So if we are trying in  
16 this process to evaluate how the competitive market has  
17 developed since these issues were last canvassed by this  
18 Board, is it fair to say that the period we really should  
19 be turning our mind to is that April 2000 period up to  
20 today?

21 MR. GREG BARNLUND: Well, I -- I don't  
22 know if you can define it that closely or not. I -- I  
23 would tend to look at it more in the regard -- with  
24 regard to this market having been opened in around 1991  
25 for direct purchase to residential customers.

1                   Because I think if you look at it from the  
2 perspective of the market and from the customers  
3 themselves, they've been exposed to direct purchase for  
4 that period of time.

5                   MR. ERIC HOAKEN:   All right.  Let's be  
6 fair, though, Mr. Barnlund.  The nature of the products  
7 that they've been exposed to has changed dramatically  
8 since April of 2000.  Correct?

9                   MR. GREG BARNLUND:   Well, I -- obviously  
10 in going from a buy/sell arrangement to a Western  
11 Transportation Service ABC process where marketers can  
12 provide a distinct product with a separate price for it,  
13 that is an improvement that was incorporated in this  
14 market at that point in time.

15                  MR. ERIC HOAKEN:   Okay.  But coming back  
16 to my question, really, though, the products that have  
17 been available on the market since April 2000 are  
18 dramatically different than those that were available  
19 before.  Correct?

20                  MR. GREG BARNLUND:   Well, the products  
21 themselves are different, but the aspects of the market,  
22 like I say, are -- are part of that continuum.  And the  
23 aspects of the market are customers understanding direct  
24 purchase and understanding what a gas marketer is and  
25 understanding what natural gas, the product, is itself.

1                   MR. ERIC HOAKEN:    But the -- the  
2 structural mechanism that permits the direct purchase  
3 customer to contract with a broker or retailer has been  
4 considerably different since April of 2000 than it was  
5 before.

6                   MR. GREG BARNLUND:    So for the last seven  
7 (7) years that it's been in place?    Sure.

8                   MR. ERIC HOAKEN:    Right.  And so all I'm  
9 suggesting to you is that we have had, in this province,  
10 since April of 2000, a different market structure in the  
11 competitive sector than we had before.

12                   I'm not suggesting it's the first time we  
13 had a competitive market, but we had a different  
14 structure of the competitive market in that period.  Is  
15 that fair?

16                   MR. GREG BARNLUND:    Well, I guess the  
17 ability for marketers to offer different products began  
18 in -- in May of 2000, so I -- I just don't know, in terms  
19 of characterizing market structure whether -- you know,  
20 how you define market structure in that regard.

21                   I -- like I'm saying is that the ability  
22 to offer these products really began in this way in May  
23 of 2000.

24                   MR. ERIC HOAKEN:    So you -- you're -- you  
25 don't feel in a position to disagree -- or to -- to agree

1 with my proposition that the market structure is  
2 different since April of 2000?

3 MR. GREG BARNLUND: Well -- and I guess  
4 it just depends on what you're talking about in terms of  
5 market structure. If you mean market structure in terms  
6 of there were X number of brokers in a marketplace at one  
7 point in time and now there are Y number -- you know, I -  
8 - I just don't understand really the definition of what  
9 you're getting at in terms of market structure.

10 MR. ERIC HOAKEN: Okay. Now, coming back  
11 to you, Mr. Warden, as I understand what you said in your  
12 evidence in-chief, the assessment that has been made by  
13 Manitoba Hydro is that this market is not working  
14 appropriately or effectively.

15 And you cited a number of reasons for  
16 that, and I just wanted to make sure I understand them  
17 correctly. There was reference to the fact that there  
18 are only two (2) market participants.

19 Is that a factor that Centra relies upon  
20 for its conclusion that this market is not a healthy or  
21 effectively functioning competitive market?

22 MR. GREG BARNLUND: There is one --  
23 sorry. Mr. Warden, go right ahead.

24 MR. VINCE WARDEN: I'll answer then. Mr.  
25 Barnlund can finish it off, but -- I was simply going to

1 say that that's part of -- of our conclusion, yes; that  
2 that contributes to our conclusion -- it isn't working as  
3 it per -- perhaps should at the optimum.

4 MR. ERIC HOAKEN: I think it was you, Mr.  
5 Barnlund, who said earlier that there's nothing in and of  
6 itself alarming or concerning about the fact that there  
7 was a greater number of market participants earlier and  
8 we now have what fewer number in the market.

9 That fact in and of itself is not of  
10 concern.

11 MR. GREG BARNLUND: I believe what I said  
12 was that there is a -- there's the expectations that  
13 you're going to have a natural evolution occur from the  
14 time of opening of any market as time goes forward.

15 And at the time of opening of the market,  
16 it's usually expected that you have a large number of  
17 participants at the outset that are participating in that  
18 marketplace and over time -- and that time can be  
19 measured in years, I suppose, it's -- there's no way of  
20 putting, you know, any accurate yardstick to this, but  
21 over some period of time, depending on the circumstances  
22 within that market and within the industry, one can  
23 expect to see some co -- consolidation to occur and some  
24 consolidation will likely occur in any market that opens  
25 up.

1                   But I said the concern lies in that, at  
2 some point in time, that concentration will -- will  
3 coalesce to such a point that there may not be a  
4 sufficient number of competitors existing in that market  
5 to provide workable competition, those are my words.

6                   MR. ERIC HOAKEN:   Yeah.  No, I understand  
7 that completely, but -- I'll let Mr. Stephens say what he  
8 wants to say to you and I'll ask you the question.

9                   But just in and of itself, the -- the fact  
10 that there are today fewer participants in the market,  
11 leaving aside what the absolute number is, the fact that  
12 there's fewer participants in the market today than there  
13 were, say, in April of 2000 is not a fact that can be  
14 relied upon for the conclusion that this is not a healthy  
15 market; right?

16                  MR. GREG BARNLUND:   Well, the number of  
17 participants was -- would be one of the -- one of the  
18 factors that would be involved in the equation, but not  
19 the only factor.

20                  MR. ERIC HOAKEN:   Yeah, and -- and I  
21 think you and I are speaking at cross-purposes because I  
22 don't think we're going to disagree on this point.  I'm  
23 not talking about the absolute number, Mr. Barnlund, I'm  
24 talking about the fact that there were X in 2000 and  
25 there is now some percentage of X.

1           The mere fact that you've had a decrease -  
2 - leaving aside what the absolute numbers are, the mere  
3 fact of a decrease is not in and of itself evidence of an  
4 ineffectively functioning market.

5           MR. GREG BARNLUND:   Well, and I think I  
6 also referred to the fact before that we don't know what  
7 that threshold is in terms of a minimum number of firms  
8 within a market that would create a workably competitive  
9 situation.

10          MR. ERIC HOAKEN:   All right, but subject  
11 to determining what that threshold is, the mere movement  
12 downward in the number of firms is not in and of itself  
13 cause for concern.

14          MR. GREG BARNLUND:   Possibly, yes.

15          MR. ERIC HOAKEN:   Okay, what does your  
16 answer depend on?

17          MR. GREG BARNLUND:   Well, it depends if  
18 we're talking the change between one (1) firm to two (2)  
19 firms or two (2) firms to one (1) firm, that could be a  
20 significant factor.

21          MR. ERIC HOAKEN:   Right, which is what  
22 now we're -- that's not what we're talking about in this  
23 case, right?

24          MR. GREG BARNLUND:   Well, I think if I  
25 recall back to May of 2000, in terms of the retail

1 market, I think probably one of the participants in this  
2 hearing was likely the only participant that had fixed  
3 priced offerings in the market at that point in time;  
4 today we have two (2).

5                   Is that a dramatic improvement or a  
6 dramatic change one way or the other; I don't know, the  
7 number is such a low number that I have a hard time  
8 really answering you properly and -- with regards to  
9 that, I'm sorry.

10                   MR. ERIC HOAKEN:    Okay.  And so then  
11 let's stick with this thought because what you are  
12 saying, I think, is that you -- you just can't get past  
13 this issue of the number of market participants, that,  
14 for you, is clear evidence, I think you're telling the  
15 Board, of a market that's not functioning appropriately.

16                   MR. GREG BARNLUND:   Well, again, that is  
17 one (1) factor taken in consideration with other factors,  
18 too, yes.

19                   MR. ERIC HOAKEN:    And let's just go  
20 through what those other factors are.  Would the -- the  
21 aggregate market penetration rate of the retailers be  
22 another factor that you would rely upon in support of  
23 your conclusion that the market's not functioning  
24 effectively?

25                   MR. GREG BARNLUND:    If you just give me a

1 second, I just have to turn something up.

2 MR. ERIC HOAKEN: Sure.

3

4 (BRIEF PAUSE)

5

6 MR. GREG BARNLUND: So I've just turned  
7 up our application tab 2, and I'm just looking at the  
8 assessment of the market structure.

9 MR. ERIC HOAKEN: I'm sorry, do you have  
10 an application before the Board?

11 MR. GREG BARNLUND: Oh, sorry.

12 MR. ERIC HOAKEN: Because I was going to  
13 say, I missed it.

14 MR. GREG BARNLUND: Just -- it's a bad  
15 habit, I apologize. We have a submission but I am at  
16 tab 2, and I'm looking at the Assessment we made of the  
17 market structure and that's on page 8 of 17.

18 MR. ERIC HOAKEN: And I'm sorry, what  
19 tab did you say, Mr. Barnlund?

20 MR. GREG BARNLUND: Tab 2. And in  
21 Section 2.3, we describe our assessment of the market  
22 structure and we identified a certain number of criteria  
23 that we used within that assessment.

24 So one of the criteria was the number of  
25 participating customers, and I think that's maybe what we

1 were just talking about before we turned this up.

2 MR. ERIC HOAKEN: And just so we're  
3 clear, I -- I have in fact read this; so that's not what  
4 I was asking you about.

5 What I was asking you about was the  
6 penetration rates. Is the penetration rate in the  
7 aggregate of retailers, is that another factor that  
8 Centra relies upon in support of its conclusion that the  
9 market is not functioning appropriately?

10 MR. GREG BARNLUND: Well, and that --  
11 and that is the number of participating customers. So if  
12 you've got a market of two hundred and fifty thousand  
13 (250,000) customers, fifty thousand (50,000) of which are  
14 participating on direct purchase, that would be the  
15 participation rate and that's probably what you're  
16 referring to in terms of the market penetration.

17 MR. ERIC HOAKEN: Right. And I think  
18 we've talked about that in those terms earlier in this  
19 proceeding. So, you - not you personally but - Centra is  
20 concluding from the fact that the penetration rate in the  
21 residential and small commercial sector is in the order  
22 of 20 or 21 percent, that is a factor you point to as  
23 evidence of this being a market that's not functioning  
24 appropriately; is that fair?

25 MR. GREG BARNLUND: Well, that is one of

1 the factors. But we also -- we're not looking at this  
2 independently, one factor in isolation from any of the  
3 others.

4 MR. ERIC HOAKEN: And I certainly didn't  
5 suggest that, Mr. Barnlund, I'm just -- I'm trying to be  
6 -- I'm trying to take you through the factors, and I  
7 think what I said was, "one of the factors." So I  
8 certainly wasn't suggesting to you it was the only  
9 factor.

10 MR. GREG BARNLUND: No, that's fair.

11 MR. ERIC HOAKEN: All right. So, the  
12 penetration rate in this province is, as I understand it  
13 on the evidence that's been filed by Centra, perhaps the  
14 IR response is comparable to that of the province of  
15 Alberta; is that right?

16 MR. GREG BARNLUND: I think that's  
17 correct from what we were able to determine, yes.

18 MR. ERIC HOAKEN: Now, I take it you'd  
19 agree with me that another indicia, if you will, of how  
20 well the market is functioning is the range of product  
21 offerings; is that fair?

22 MR. GREG BARNLUND: That's correct.

23 MR. ERIC HOAKEN: And the -- the range  
24 of product offerings in Manitoba is certainly broader  
25 today than it was in 2000 or 2001; is that fair?

1 MR. GREG BARNLUND: I believe so, yes.

2 MR. ERIC HOAKEN: And there have, in  
3 fact, been recent new offerings in the market in the last  
4 twelve (12) months; is that right?

5 MR. GREG BARNLUND: I understand that,  
6 yes.

7 But I also want to reflect back on the  
8 context that we were in in 1996, '97, and '98 when we had  
9 a generic Hearing and we ended up concluding that to take  
10 this to the next step we had to the changes such as  
11 putting Western Transportation Service in place.

12 And at that point in time there was a, I  
13 think, a consensus in the industry that this deregulation  
14 was going to open, you know, kind of unleash the flood  
15 gates and allow a plethora of different product offerings  
16 to be issued into the marketplace.

17 And this was a view that was held by LDCs  
18 and by marketers alike. And there was the thinking that  
19 -- that by facilitating this type of activity that there  
20 would be a vast array of products across a broad spectrum  
21 of options for customers that would, basically, give  
22 customers a -- a very wide choice of products and  
23 different types of service offerings and durations,  
24 potentially bundled together with other products and  
25 other offerings and unto themselves and those things have

1 not -- that consensus has proven wrong and we are not in  
2 that environment today.

3 MR. ERIC HOAKEN: Right.

4 MR. GREG BARNLUND: And we are in a far  
5 less -- an environment with far less products than what  
6 was originally contemplated in the first hearing or the  
7 sec -- the 1996 hearing with regards to this that has, I  
8 guess, set us on this course here today.

9 MR. ERIC HOAKEN: Right, well that's an  
10 excellent segue for me to go back to Mr. Kuczek because  
11 you -- you made the point earlier today that the real  
12 world doesn't really work that way, right?

13 You can blue-sky products all you like,  
14 but the real issue is, what's the uptake going to be when  
15 you've actually designed and priced the product; is that  
16 fair, Mr. Kuczek?

17 MR. LLOYD KUCZEK: Yes, you could open a  
18 store and stock your store with a number of products, but  
19 if nobody comes in to buy those products, that really  
20 doesn't matter.

21 MR. ERIC HOAKEN: Right, so, although in  
22 the hearing that Mr. Barnlund has referred to in '96,  
23 there may have been lots of optimistic expectations. The  
24 real issue is where the rubber hits the road, right?

25 You have to go back and design the

1 product, you have to canvas customers, do market research  
2 and determine if they're interested in them, and only  
3 then can you develop a realistic expectation of what  
4 products you can really sell in the market.

5                   Isn't that how it works, Mr. Kuczek?

6                   MR. GREG BARNLUND:     If I might jump in  
7 first before, Mr. Kuczek --

8                   MR. ERIC HOAKEN:     Well it --

9                   MR. GREG BARNLUND:     -- answers, I just  
10 wanted to -- you're taking it from -- and really  
11 basically the point I'm making is, the blue-sky thinking  
12 was in terms of the structure of the industry and the --  
13 and the activity of the industry as opposed to the blue  
14 sky of creating these products -- of the individual  
15 product itself.

16                   And the industry did not evolve in the way  
17 that the consensus thinking held in the mid 1990's.

18                   MR. ERIC HOAKEN:     Okay, so you've now had  
19 time to think about my question, Mr. Kuczek.

20                   MR. LLOYD KUCZEK:     You don't know me  
21 very well. You're going to have to repeat that, I'm  
22 sorry.

23                   MR. ERIC HOAKEN:     Sure, well let me pick  
24 up on the theme of what Mr. Barnlund said.

25                   How the market actually develops is going

1 to be a function of what customers actually want and what  
2 they actually buy, right?

3 MR. LLOYD KUCZEK: I'll agree with that.

4 MR. ERIC HOAKEN: So I'm sure you, as a  
5 marketing person, have often presided over projections of  
6 what might happen, and have been in the situation where  
7 the actual appetite for products has been different than  
8 what you forecast?

9 MR. LLOYD KUCZEK: That would be true in  
10 many markets, yes.

11 MR. ERIC HOAKEN: Right. So, the range  
12 of product offerings that is available today, you would  
13 expect, as a marketing person, Mr. Kuczek, is a function,  
14 at least to some degree, of what consumers in this  
15 province have said they want; is that fair?

16 MR. LLOYD KUCZEK: Well I -- you know I  
17 -- the customers -- we've done some market research.  
18 Customers say they want different products, and I -- I  
19 don't think that that would have been a lot different  
20 five (5) or seven (7) years ago so, you know, in support  
21 of what Mr. Barklund's saying -- Barnlund.

22 MR. ERIC HOAKEN: He's -- he's been  
23 called a lot of things over the last week.

24 MR. LLOYD KUCZEK: I would have thought  
25 that even as a marketer or a business person, that the

1 market would have evolved quicker than it has but I would  
2 offer that comment.

3 MR. ERIC HOAKEN: But, as -- as you've  
4 quite fairly said already, there can often be a  
5 discrepancy between what customers say, in a general  
6 sense they want, and what they actually want when they're  
7 presented with a specific product at a specific price, is  
8 that fair?

9 MR. LLOYD KUCZEK: Yeah, that's fair,  
10 yes.

11 MR. ERIC HOAKEN: All right. And so when  
12 we're evaluating the product offerings that are available  
13 today, I think as Mr. Barnlund said there are more  
14 products available today.

15 And in the last twelve (12) months there  
16 have been additional products that have been offered by  
17 the retailers. You'd be aware of that, right, Mr.  
18 Kuczek?

19 MR. LLOYD KUCZEK: Yes.

20 MR. ERIC HOAKEN: And so to the extent  
21 that there are more choices available -- more products  
22 available to consumers today, that would be at least one  
23 benefit that's being produced by the competitive market,  
24 is that fair; that there's more customer choice that is  
25 available now then there was, say, twelve (12) months

1 ago, is that fair?

2 MR. GREG BARNLUND: Well I guess my only  
3 observation would be, why has it taken six and a half (6  
4 1/2) years to get to that point? I mean, what changed in  
5 the last twelve (12) months that has promoted the  
6 development and the introduction of one (1) or two (2)  
7 new products in this market?

8 MR. ERIC HOAKEN: Okay, but leaving that  
9 aside, the fact that there are new products; leaving  
10 aside that point, Mr. Barnlund -- leave -- the fact that  
11 there are products in the market that weren't available  
12 twelve (12) months ago is a benefit for consumers in  
13 Manitoba.

14 MR. GREG BARNLUND: Yes, potentially,  
15 but the overall observation is that the ability to offer  
16 those products existed in 2007 and 2006, 2005, 2004, all  
17 the way back to May of 2001. So why weren't they  
18 offered? MR. ERIC HOAKEN: How do you know that?

19 MR. GREG BARNLUND: Well, why are they  
20 offered now, and they weren't offered in 2001?

21 MR. ERIC HOAKEN: Well, did you do any  
22 research -- well, actually I should ask Mr. Kuczek this,  
23 this is your department.

24 Did you do any research in those years to  
25 canvas the appetite for those products?

1                   MR. LLOYD KUCZEK:     I was busy doing DSM  
2 back then, but we didn't do any research back then,  
3 because we weren't -- we weren't thinking of pursuing the  
4 market; that wasn't our -- our position back then. We're  
5 only interested at this point.

6                   MR. ERIC HOAKEN:     All right. Let me come  
7 back to you, Mr. Warden.

8                   You said yesterday, I think, that what  
9 Manitoba Hydro would be looking to do in entering the  
10 fixed-rate market or perhaps more arc -- more accurately,  
11 in offering other products would be to fill the void that  
12 exists in the market. Is that fair?

13                  MR. VINCE WARDEN:     I used those words,  
14 yes.

15                  MR. ERIC HOAKEN:     And I take it you'd  
16 agree with me that based on the results of the customer  
17 research that Centra has most recently conducted, the  
18 products that are most popular with customers -- or at  
19 least that they say that they want the most, are already  
20 being offered in the market?

21                  MR. VINCE WARDEN:     Yes, and I think  
22 that's why I -- I indicated that I wouldn't -- Manitoba  
23 Hydro wouldn't want to limit itself to one (1) or two (2)  
24 year products. We would like to have the authority to --  
25 to go into the longer-term product offerings if, in fact,

1 we -- following our additional research, following --  
2 following these proceedings, if our customers indicated  
3 more of a preference for us into that marketplace, I --  
4 we would like to be -- have the ability to do that as  
5 well.

6                   So -- the void is in one (1) and two (2).  
7 I think I indicated that would be a likely target but not  
8 necessarily the only target.

9                   MR. ERIC HOAKEN: No, and I -- that's  
10 absolutely right, but my only point, Mr. Warden, is that  
11 to the extent that you did end up offering three (3) and  
12 five (5) year products, that wouldn't really square with  
13 your analogy of filling the void.

14                   You wouldn't be offering products, in  
15 those examples, that were not available in the market,  
16 you would, in fact, be offering products that are already  
17 available in the market, right?

18                   MR. VINCE WARDEN: Already available,  
19 perhaps at a different price, but yes, the -- the  
20 products are there.

21                   MR. ERIC HOAKEN: Right. And just on  
22 this point again, and perhaps we don't need to go back to  
23 it, Mr. Kuczek, but on the one (1) year product, if I  
24 understood you correctly, Mr. Warden, you've not really  
25 designed the product, if I can put it that way?

1 MR. VINCE WARDEN: We have not.

2 MR. ERIC HOAKEN: Right. And so you  
3 don't, at this point, know, sort of what the costing is  
4 going to be, or, on the customer side, what the pricing  
5 is going to be?

6 MR. VINCE WARDEN: That's the next step.

7 MR. ERIC HOAKEN: Right. And -- and  
8 until you know those things, it's hard to know -- as  
9 you've said earlier, Mr. Kuczek, what the uptake would  
10 be. Right?

11 MR. LLOYD KUCZEK: We won't know what the  
12 uptake's going to be until we actually offer it to the  
13 customers.

14 MR. ERIC HOAKEN: Right. That's the  
15 jump-off-the-cliff, right; where you hope that you're  
16 going to be able to sell as many of these things as you  
17 thought you were, right?

18 MR. LLOYD KUCZEK: Correct.

19 MR. VINCE WARDEN: We would design it in  
20 such a way, however, that it wouldn't be jumping off the  
21 cliff.

22 MR. ERIC HOAKEN: I -- I would have been  
23 really disappointed if somebody didn't jump in after that  
24 analogy.

25 Now, you -- you said yesterday in

1 evidence, Mr. Barnlund -- you know, back to this issue of  
2 what is the ideal number of market participants. And I  
3 think you quite fairly said that you don't know. Is that  
4 fair?

5 MR. GREG BARNLUND: That's fair, yes.

6 MR. ERIC HOAKEN: And you, though,  
7 offered an illustration by making reference to the  
8 experience in Georgia. And then your counsel was good  
9 enough to then file the written materials that you'd made  
10 reference to.

11 But I -- I take it you'd agree with me  
12 that that's a dramatically different market structure in  
13 Atlanta than the one (1) that we're talking about here in  
14 Manitoba. Is that fair?

15 MR. GREG BARNLUND: It is a dramatically  
16 different market structure, and the example we use was  
17 the fact that they had actually done -- passed some  
18 legislation that identified a -- a threshold in terms of  
19 the number of participants that would -- that would be  
20 important to them.

21 MR. ERIC HOAKEN: Right. And you  
22 certainly weren't meaning to suggest to this Board that  
23 that threshold that was appropriate in the unique  
24 circumstances of Atlanta would somehow be applicable to  
25 the circumstances of Manitoba. Is that fair?

1 MR. GREG BARNLUND: That's fair, yes.

2 MR. ERIC HOAKEN: And just -- this is  
3 probably unnecessary, but part of the reason for it not  
4 being an appropriate comparator is that in Atlanta,  
5 there'd been a complete exit of the Utility from the  
6 merchant function.

7 MR. GREG BARNLUND: Well, there is a  
8 dramatically different restructuring of the -- of the  
9 natural gas market in Georgia than what had occurred  
10 anywhere else in North America.

11 MR. ERIC HOAKEN: Right.

12 MR. GREG BARNLUND: And --

13 MR. ERIC HOAKEN: Which included the exit  
14 of the Utility from the market function -- or from the  
15 merchant function.

16 MR. GREG BARNLUND: And the -- the Utility  
17 chose to exit the merchant function, and the customer  
18 base was very quickly propelled into -- through the  
19 deregulation process, as opposed to going at an  
20 incremental pace. And that rapid pace of -- of  
21 restructuring caused numerous problems and difficulties  
22 in that particular market.

23 MR. ERIC HOAKEN: All right, so none of  
24 that in the end is terribly relevant to what we're  
25 talking about here, is that fair?

1                   MR. GREG BARNLUND:    I think it's -- the  
2    relevance of it is that everybody in the industry can  
3    look at Georgia and understand what can go wrong if  
4    deregulation is taken at too dramatic a pace in a given  
5    market before customers and the other institutions are  
6    ready to take up on it.

7                   MR. ERIC HOAKEN:    And there's really a  
8    spectrum or continuum of deregulation and what had  
9    happened in Atlanta was pretty close to the far end, is  
10   that fair?

11                  MR. GREG BARNLUND:    I would actually  
12   characterise Georgia as being the outlier; it's that far  
13   out.

14                  MR. ERIC HOAKEN:    So it's off the  
15   continuum.

16                  MR. GREG BARNLUND:    It's at the edge of  
17   the continuum, yes.

18                  MR. ERIC HOAKEN:    All right, thank you.  
19   Now, I want to just have a little bit better  
20   understanding of Centra as an organization.  I -- I  
21   understand that Centra Gas was purchased by Manitoba  
22   Hydro, and I'm probably going get the year wrong again,  
23   Mr. Barnlund, but it was -- was it 1999?  Oh, I should  
24   ask Mr. Warden that.

25                  MR. VINCE WARDEN:    July, 1999, yes.

1                   MR. ERIC HOAKEN:    Okay.  So -- pardon me?  
2    I think Mr. Stephens was just telling me I got it right.  
3    He was as surprised as I was.  And if I understand it  
4    correctly, Centra Gas -- is it Centra Gas Manitoba Inc.,  
5    is that cor -- the full name?

6                   MR. VINCE WARDEN:    Yes.

7                   MR. ERIC HOAKEN:    Can I call it Centra?

8                   MR. VINCE WARDEN:    Sure.

9                   MR. ERIC HOAKEN:    It -- it operates as an  
10   operating division, effectively, of Manitoba Hydro, is  
11   that an accurate characterization?

12                   MR. VINCE WARDEN:    Well, no, I -- I would  
13   more -- I think it's more appropriately described as a  
14   wholly- owned subsidiary of Manitoba Hydro.

15                   MR. ERIC HOAKEN:    All right, fair enough.  
16   But as I understand it, the Centra brand is -- is not  
17   really being actively used in this marketplace; am I  
18   wrong about that?

19                   MR. VINCE WARDEN:    Well, we use it  
20   interchangeably, actually.  Even in this proceeding, I've  
21   referred to Manitoba Hydro frequently.  We do re -- refer  
22   to Centra Gas, so it's still used in -- in some of our  
23   communications with customers, so we haven't dropped the  
24   Centra moniker by any means.

25                   MR. ERIC HOAKEN:    Okay.  But is it fair

1 to say -- I mean it's just my perception that there's  
2 been, over the last three (3) or (4) years, an evolution  
3 where the Manitoba Hydro brand or name is being used in  
4 connection with the gas activities of the Company; is  
5 being used more frequently than was the case previously,  
6 am I wrong about that?

7 MR. VINCE WARDEN: You're right about  
8 that.

9 MR. ERIC HOAKEN: Okay. And an example  
10 of that is the re-branding of your bill that occurred,  
11 and I don't know exactly what had happened, but in the  
12 last couple of years what you did is you've now got a  
13 Manitoba Hydro branded bill, as opposed to a Centra bill,  
14 is that right?

15 MR. VINCE WARDEN: Yes, it was the -- in  
16 the result of combining our billing systems and with a --  
17 using one (1) billing system, we were able to use the one  
18 (1) branding, which is Manitoba Hydro, yes.

19 MR. ERIC HOAKEN: All right, so the name  
20 that gets imprinted on the minds of consumers, at least  
21 every month when they get their bill, is Manitoba Hydro  
22 now, as opposed to Centra?

23 MR. VINCE WARDEN: Correct.

24 MR. ERIC HOAKEN: And does -- does Centra  
25 have its own office premises that are dedicated

1 exclusively to the operations of Centra?

2 MR. VINCE WARDEN: No.

3 MR. ERIC HOAKEN: And are there some  
4 employees of Manitoba Hydro -- I take it you are all  
5 formerly, or at least legally, employed by Manitoba  
6 Hydro, is that right?

7 MR. VINCE WARDEN: Yes --

8 MR. ERIC HOAKEN: And --

9 MR. VINCE WARDEN: -- we are all Manitoba  
10 Hydro employees.

11 MR. ERIC HOAKEN: All right. And are  
12 there some employees of Manitoba Hydro who exclusively  
13 perform functions on the gas side? I'm guessing Mr.  
14 Stephens would fall into that category.

15 MR. VINCE WARDEN: No, I -- I think even  
16 Mr. Stephens; we work together on electric-type issues  
17 and so -- but there -- there are a small core of people  
18 that work exclusively on gas operations. There -- they  
19 number -- out of approximately six thousand (6,000)  
20 employees, there's about three hundred (300) that would -  
21 - could be termed exclusive gas employees.

22 MR. ERIC HOAKEN: In -- in what business  
23 functions are they typically engaged in?

24 MR. VINCE WARDEN: Those would be  
25 typically in the service part of our business, so they

1 would be installers, pipe -- pipefitters; that type of  
2 function, so it would be in the trades primarily.

3 MR. ERIC HOAKEN: All right, the front  
4 lines personnel, if I can call them that way.

5 MR. VINCE WARDEN: Well, the front -- lot  
6 of the front lines personnel are in Mr. Kuczek's area so  
7 the customer service people --

8 MR. ERIC HOAKEN: Right.

9 MR. VINCE WARDEN: -- would not -- would  
10 not necessarily fall into that category.

11 MR. ERIC HOAKEN: All right. What about,  
12 though, staff who are administrative or managerial in  
13 nature; is there some subset or group of employees in  
14 Manitoba Hydro who are dedicated exclusively to Centra  
15 operations?

16 MR. VINCE WARDEN: No.

17 MR. ERIC HOAKEN: And when the market  
18 research was done this year, as I read it, in any case,  
19 when you were identifying the supplies of natural gas --  
20 the regulated utility for natural gas in Manitoba; the  
21 customers for the purposes of that study -- you used the  
22 moniker Manitoba Hydro as opposed to Centra; is that  
23 fair?

24 MR. LLOYD KUCZEK: I believe we did, yes.

25 MR. ERIC HOAKEN: Right. And as you very

1 proudly told us at the outset of your examination-in-  
2 chief, Mr. Warden, there's a very positive perception  
3 among consumers in Manitoba of Manitoba Hydro; is that  
4 right?

5 MR. VINCE WARDEN: I have difficulty  
6 concealing that pride, yes.

7 MR. ERIC HOAKEN: That -- that was very  
8 apparent. And, as you told us -- as we learned both from  
9 you and Mr. Kuczek, the JD Power Study certainly  
10 demonstrated that as far as electricity is concerned,  
11 that consumers in Manitoba have a very positive  
12 impression of Manitoba Hydro; is that fair?

13 MR. VINCE WARDEN: Yes, I think so.

14 MR. ERIC HOAKEN: And -- and although you  
15 quite fairly said that you didn't have any data  
16 necessarily to support it, you said you would expect that  
17 they would have a similarly positive impression of the  
18 gas operations in Manitoba Hydro; is that fair?

19 MR. VINCE WARDEN: Yes.

20 MR. ERIC HOAKEN: And at least part of  
21 the reason for that would be their familiarity with and  
22 trust of the electricity side of Manitoba Hydro; is that  
23 fair?

24 MR. VINCE WARDEN: Again I'd say that's  
25 fair.

1                   MR. ERIC HOAKEN:   Now, in the course of  
2 your evidence-in-chief, Mr. Warden, you said that  
3 Manitoba Hydro has -- I think you said, "excellent  
4 relationships" with brokers or retailers; is that right?

5                   MR. VINCE WARDEN:   I did say that.

6                   MR. ERIC HOAKEN:   And at the risk of  
7 sounding impolite, would it surprise you to know that the  
8 retailers don't necessarily perceive the relationship the  
9 same way?

10                  MR. VINCE WARDEN:   I'd be disappointed in  
11 that but I -- I'll accept that.

12                  MR. ERIC HOAKEN:   All right.  It wouldn't  
13 surprise you?

14                  MR. VINCE WARDEN:   Yes, it does surprise  
15 me actually.

16                  MR. ERIC HOAKEN:   Would it surprise you  
17 to know that the retailers find that Manitoba Hydro is  
18 secretive and non-consultative and dictatorial; would any  
19 of that surprise you?

20                  MR. VINCE WARDEN:   I would be astonished  
21 at that, yes.

22                  MR. ERIC HOAKEN:   You would; all right.  
23 And tell me this; would it surprise you to know that the  
24 perception of the retailers is that Manitoba Hydro  
25 consults with the retailers only when they have to and

1 even then only perfunctorily?

2 MR. VINCE WARDEN: Again, yes I'm  
3 somewhat -- I would be somewhat surprised if that was  
4 fact. I -- I don't accept that as fact. I -- I'm  
5 assuming you're just putting forward a supposition, but -  
6 - but I'd be surprised under -- under that circumstance,  
7 yeah.

8 MR. ERIC HOAKEN: All right. Well, maybe  
9 it would be helpful then, for us to explore a little bit  
10 of the factual basis for that perception. Turn if you  
11 will to, I believe it's DEML/CENTRA-18. Sorry,  
12 DEML/ESMLP.

13

14 (BRIEF PAUSE)

15

16 MR. ERIC HOAKEN: And if you'd go -- turn  
17 to attachment 2; and I see you're turning it up, Mr.  
18 Kuczek, which is a good thing because, really, in all  
19 fairness, you're probably the person I should ask this  
20 question of.

21

22 (BRIEF PAUSE)

23

24 MR. ERIC HOAKEN: I'm going to wait for  
25 you until you say you've got it, Mr. Kuczek, 'cause I

1 think I'm going to ask you, since it's your letter.

2 MR. LLOYD KUCZEK: I -- I do have it.

3 MR. ERIC HOAKEN: Okay. And this is a  
4 letter that you wrote to all brokers in Manitoba on the  
5 18th of April, 2005; is that right?

6

7 (BRIEF PAUSE)

8

9 MR. ERIC HOAKEN: Sorry, I'm on  
10 attachment 2. Do you have that?

11 MR. LLOYD KUCZEK: You mentioned the date  
12 of April the 18th?

13 MR. ERIC HOAKEN: I believe so. I've  
14 never been good at this number thing, but it's 2005-04-  
15 18, and since there's not eighteen (18) months, I'm  
16 assuming that it's April.

17

18 (BRIEF PAUSE)

19

20 MR. LLOYD KUCZEK: Okay, I've finally got  
21 it.

22 MR. ERIC HOAKEN: Okay, and that is a  
23 letter written and authored by you, correct?

24 MR. LLOYD KUCZEK: Yes.

25 MR. ERIC HOAKEN: And what's going on

1 here is that there had been a decision by this Board in  
2 2004, that being, Order Number 131/04, right?

3 MR. LLOYD KUCZEK: Correct.

4 MR. ERIC HOAKEN: And do you -- off the  
5 top of your head, can you recall the date of that Order?

6 MR. LLOYD KUCZEK: The date of the Order?

7 MR. ERIC HOAKEN: Yeah.

8 MR. LLOYD KUCZEK: Nope.

9 MR. ERIC HOAKEN: Okay, but in any case  
10 we can tell from -- from this that it was in 2004  
11 sometime?

12 MR. LLOYD KUCZEK: Yes.

13 MR. ERIC HOAKEN: Yeah. And in any case,  
14 you're -- you're writing to say that in that Order the  
15 Board has directed Centra to report on the advantages and  
16 disadvantages of Centra offering fixed price  
17 arrangements; you see that?

18 MR. LLOYD KUCZEK: Correct.

19 MR. ERIC HOAKEN: And, indeed, the Board  
20 as part of its Order, had also directed Centra to consult  
21 with the broker community about that?

22 MR. LLOYD KUCZEK: Yes.

23 MR. ERIC HOAKEN: Okay. And so, you were  
24 writing this letter in order to -- to comply with a  
25 directive of the Board; is that fair?

1 MR. LLOYD KUCZEK: Yes.

2 MR. ERIC HOAKEN: All right. And so, you  
3 were writing in April, which was at least four (4) months  
4 after the release of the decision.

5 I think we can take that as a given,  
6 right?

7 MR. LLOYD KUCZEK: Yes, that's correct.

8 MR. ERIC HOAKEN: And asking for input  
9 from the brokers, and if you see at the very bottom on  
10 the second page, you're asking for their input on the  
11 29th of April; about eleven (11) days hence?

12 MR. LLOYD KUCZEK: Yes.

13 MR. ERIC HOAKEN: And just to try and put  
14 the perception that I put to, I think, Mr. Warden -- just  
15 to put it in perspective, can you understand how the  
16 brokers would be concerned that they're being consulted  
17 (a) after such a long time after the Board's decision's  
18 been released, and (b) with such a short time frame put  
19 on their ability to make a meaningful response?

20 MR. LLOYD KUCZEK: Well, my -- you know,  
21 my experience to date has been that if I ask for  
22 something and I don't provide enough time for an  
23 appropriate response, the brokers have asked for more  
24 time, and have pointed out the short-notice period  
25 whenever they felt it was short. And so I do think that

1 if it was too short, the brokers would have pointed it  
2 out to me, and I would have extended the -- the period of  
3 time.

4 MR. ERIC HOAKEN: All right. What was --  
5 I know it's not fair, perhaps, to ask you think back to  
6 2005, but what was the urgency of getting the response by  
7 the end of April?

8 MR. LLOYD KUCZEK: Oh, this all comes  
9 down to another Order -- or Hearing I guess, and so I  
10 think we committed to -- and I'd have to be careful on  
11 how I say this, because I'm not sure if we committed to,  
12 but our -- if we didn't commit to, it was our desire to  
13 provide the Board with this information prior to that  
14 Hearing.

15 So we hadn't undertaken that effort until  
16 this point, and realized that we really needed to do that  
17 and get that information before the Board.

18 MR. ERIC HOAKEN: All right. And then  
19 turn over the page, and we see Attachment 3, and this is  
20 as similar then -- that you wrote early this year to  
21 comply with the directive that the Board made in Order  
22 number 175/06, correct?

23 MR. LLOYD KUCZEK: There is a link with  
24 the Board, yes.

25 MR. ERIC HOAKEN: I'm sorry, say that

1 again?

2 MR. LLOYD KUCZEK: I said -- I was joking  
3 actually, but you're correct, yes.

4 MR. ERIC HOAKEN: Okay. And you again  
5 have got a fairly short time frame. I take it, it was  
6 because of Centra's interest in trying to get the market  
7 research completed before this Hearing was started?

8 MR. LLOYD KUCZEK: Clearly that was the  
9 reason behind it, yes.

10 MR. ERIC HOAKEN: All right. And you did  
11 in fact get responses to this letter, right?

12 MR. LLOYD KUCZEK: Yes.

13 MR. ERIC HOAKEN: And I'm going to ask  
14 you to turn up the brief. I don't know if Ms. Murphy has  
15 a copy she can lend you. It's the brief that's been  
16 marked as DEML/ESMLP Exhibit 7. This is the brief of  
17 documents presented to Mr. Enns in his cross-examination.

18 Okay, you got it? Okay, is -- is that the  
19 same thing? Does it say on the front, "Brief of  
20 documents presented to Mr. Enns?"

21 MR. LLOYD KUCZEK: I -- I don't see that  
22 on the front cover, but it's eNRG panel cross-examination  
23 review.

24 MR. ERIC HOAKEN: Yeah, sorry, we've got  
25 two (2) briefs. This is Exhibit 7; this was the second

1 brief that consolidated a lot of the material that was  
2 provided in answer to DEML/ESMLP IR-60.

3 MS. MARLA MURPHY: I'm sorry, we are  
4 short of copies on that one. Mr. Enns has taken one with  
5 him, so...

6 MR. ERIC HOAKEN: Oh -- oh, thank you.  
7 Mr. Holloway is going to make his available, thank you  
8 very much.

9

10 CONTINUED BY MR. ERIC HOAKEN:

11 MR. ERIC HOAKEN: So, if you'd turn, if  
12 you will, to Tab 1 and this is a letter dated January 18,  
13 2007 from Andrea Gibbs at Direct Energy.

14 MR. LLOYD KUCZEK: Correct.

15 MR. ERIC HOAKEN: And this is a letter  
16 you received in response to the letter that you and I  
17 have just been looking at DEML-18, Attachment 3.

18 MR. LLOYD KUCZEK: Correct.

19 MR. ERIC HOAKEN: And you -- you see --  
20 in this letter at the bottom of the second page -- you  
21 see that Ms. Gibbs says:

22 "We fully anticipate that we'll have an  
23 opportunity as a stakeholder in the  
24 Manitoba natural gas market to  
25 participate in the final survey before

1                   it is distributed to the marketplace."

2                   Do you see that?

3                   MR. LLOYD KUCZEK:    Yes.

4                   MR. ERIC HOAKEN:    Okay.  And then you got  
5 a similar request from Energy Savings.  Flip over to Tab  
6 3; this is a letter dated January 22, 2007 you received  
7 from Ms. Ruzycki of Energy Savings.

8                   MR. LLOYD KUCZEK:    Yes.

9                   MR. ERIC HOAKEN:    And if you look on the  
10 second page, second last paragraph, you'll see the  
11 statement:

12                               "ESMC contends that once the market  
13                               survey questions have all been..."

14                   Sorry.

15                               "...have been prepared, all interested  
16                               parties should be asked for input and  
17                               feedback on the appropriateness of the  
18                               market research questions prior to  
19                               commencing the research."

20                   Do you see that?

21                   MR. LLOYD KUCZEK:    Yes.

22                   MR. ERIC HOAKEN:    And that didn't happen,  
23 right?

24                   MR. LLOYD KUCZEK:    Correct.

25                   MR. ERIC HOAKEN:    And to the extent that

1 the retailers had an opportunity to comment on any drafts  
2 of the survey, they commented on draft number 3, right?

3 MR. LLOYD KUCZEK: That's correct.

4 MR. ERIC HOAKEN: And they did not have  
5 an opportunity to comment on any draft after draft 3?

6 MR. LLOYD KUCZEK: Correct.

7 MR. ERIC HOAKEN: And we know from the  
8 evidence of Mr. Enns that there were in fact six (6)  
9 drafts, right?

10 MR. LLOYD KUCZEK: I believe there was  
11 five (5) drafts with the sixth being the final version,  
12 but I could be wrong on that.

13 MR. ERIC HOAKEN: Okay, I -- I had  
14 understood that there were six (6) drafts, but I -- I may  
15 have that wrong. But in any case, let's say six (6)  
16 versions, which would include the final version.

17 And you'll agree with me that there were  
18 substantial changes in the draft survey between the time  
19 it was presented to the retailers and the time that was  
20 actually implemented, is that fair?

21 MR. LLOYD KUCZEK: That would be fair.

22 MR. ERIC HOAKEN: And just dealing with  
23 CAC/MSOS, am I correct that they were also only presented  
24 with one (1) draft?

25 MR. LLOYD KUCZEK: I believe they were

1 presented with two (2) drafts.

2 MR. ERIC HOAKEN: All right, so they saw  
3 draft 3 and then, as I understand it, there were two (2)  
4 meetings where the concerns of CAC/MSOS were discussed  
5 and then did -- did they see a draft that came out of  
6 those meetings?

7 MR. LLOYD KUCZEK: They did, yes.

8 MR. ERIC HOAKEN: And was that draft 4,  
9 Mr. Kuczek?

10 MR. LLOYD KUCZEK: Correct.

11 MR. ERIC HOAKEN: All right. And so they  
12 also did not see either the ultimate draft, the final  
13 draft, or the penultimate draft, is that right?

14 MR. LLOYD KUCZEK: I believe they've seen  
15 -- and I -- I believe we've provided everybody with the  
16 final that did get sent out and it was filed obviously  
17 with this Hearing. But I -- I thought we sent it out to  
18 everybody once it was finalised and my colleague behind  
19 me will correct me if I'm wrong.

20 MR. ERIC HOAKEN: Sorry, I --

21 MR. LLOYD KUCZEK: But -- but you didn't  
22 have -- there was no opportunity provided for comment at  
23 that point. I made a decision to -- to meet -- in order  
24 to meet the time lines that I had to make a decision to  
25 actually proceed with the survey at a certain point and -

1 - and even as much as I would have liked to have given  
2 more people an opportunity to comment, it was paramount  
3 in my mind that I get that market research done in time  
4 for the hearings.

5 MR. ERIC HOAKEN: All right. And -- and  
6 so just so I understand what your saying, is that the  
7 final draft, if you will, of the survey; the one that was  
8 used to conduct the research was presented to -- or at  
9 least a copy of it was provided to the external  
10 stakeholders, but it was provided as a fait accompli, is  
11 that right?

12 MR. LLOYD KUCZEK: We were being  
13 courteous to let everybody know what was -- what we were  
14 using for a surv -- or what eNRG was finally using for a  
15 survey, yes.

16 MR. ERIC HOAKEN: All right. but you  
17 weren't giving them an opportunity to comment any  
18 further?

19 MR. LLOYD KUCZEK: No.

20 MR. ERIC HOAKEN: All right. And if I  
21 can ask you to turn up, Mr. Kuczek, the answer to  
22 PUB/CENTRA-39.

23

24

(BRIEF PAUSE)

25

1 MR. ERIC HOAKEN: This is and IR  
2 response. I'm not going to read all of the lead-in, you  
3 can do that if you need to. I'm sorry, Ms. Murphy.

4 MS. MARLA MURPHY: I don't think we're  
5 quite with you yet, just give us a minute.

6 MR. ERIC HOAKEN: Okay.

7

8 (BRIEF PAUSE)

9

10 MS. MARLA MURPHY: Did you say  
11 PUB/CENTRA-39?

12 MR. ERIC HOAKEN: Yes, I did.

13

14 (BRIEF PAUSE)

15

16 CONTINUED BY MR. ERIC HOAKEN:

17 MR. ERIC HOAKEN: Just -- if it assists,  
18 this was one of the second round. I think this was the  
19 only IR that Mr. Peters submitted after the customer  
20 research report and focus group report were delivered.

21

22 (BRIEF PAUSE)

23

24 MR. ERIC HOAKEN: Okay, have you got it,  
25 Mr. Kuczek?

1 MR. LLOYD KUCZEK: Yes.

2 MR. ERIC HOAKEN: Okay. And so, if you  
3 could turn to the second page. Look at the paragraph  
4 that starts at line 12. It says, "The -- the natural gas  
5 market perception survey." I'm just stopping there, I  
6 take it that's a reference to the customer research  
7 report that eNRG did?

8 MR. LLOYD KUCZEK: Yes.

9 MR. ERIC HOAKEN: Okay. So it says:  
10 "The survey was designed through a  
11 process with eNRG providing an initial  
12 draft distributed to stakeholders for  
13 feedback."

14 Now stopping there, you'll agree with me, that's actually  
15 not what happened?

16 MR. LLOYD KUCZEK: It depends on your  
17 definition of "initial."

18 MR. ERIC HOAKEN: Well, I would take it  
19 to mean the first draft. Do you think there's some other  
20 logical definition that we should use here?

21 MR. LLOYD KUCZEK: It was the initial  
22 draft provided to the brokers and the -- the external  
23 stakeholders. It wasn't the first draft. I -- I use  
24 those words differently than yourself.

25 MR. ERIC HOAKEN: All right. So, if --

1 if someone were to read this, like me for example, and  
2 think that this meant it was being suggested the first  
3 draft was given to the external stakeholders, that would  
4 not be a correct reading on this, is that your evidence?

5 MR. LLOYD KUCZEK: It wasn't the first  
6 draft prepared by eNRG, no.

7 MR. ERIC HOAKEN: Okay. And then if you  
8 go down -- well actually, the next sentence it says:

9 "eNRG then revised the draft taking  
10 into consideration the feedback  
11 received. External parties were then  
12 asked for their input regarding the  
13 revised draft survey."

14 Now that certainly didn't happen, right,  
15 Mr. Kuczek?

16

17 (BRIEF PAUSE)

18

19 MR. LLOYD KUCZEK: Just one (1) sec.

20

21 (BRIEF PAUSE)

22

23 MR. LLOYD KUCZEK: This draft was  
24 prepared by my colleague, but I did read it and I -- I  
25 read it somewhat different, but I'm informed that when

1 this was written, that initial draft was distributed to  
2 stake -- to stakeholders, that was in reference to the  
3 internal stakeholders at that point.

4 MR. ERIC HOAKEN: I see. So you had  
5 originally read it like me, to refer to external  
6 stakeholders, but you're now being told by Ms. Derksen  
7 who wrote it, that she meant something other than that?

8 MR. LLOYD KUCZEK: Mr. Meder was the  
9 coordinator for me on this project and Mr. Meder referred  
10 to stakeholders interchangeably, internally and  
11 externally, sometimes using the phrase "internal  
12 stakeholders" and "external stakeholders" but...

13 MR. ERIC HOAKEN: All right. So then if  
14 that's true, if -- if we accept that definition of  
15 stakeholders, then we have to go back to the word  
16 "initial," don't we? Because "initial" then means  
17 precisely what I said it does.

18 MR. LLOYD KUCZEK: That would be the  
19 case, yes.

20 MR. ERIC HOAKEN: Right. And so what  
21 you're saying this IR response means is that an initial  
22 draft, the first draft, was provided to "internal"  
23 stakeholders; we need to write that word in here; right;

24 MR. LLOYD KUCZEK: Yes. And as I recall  
25 there was only some internal stakeholders, it -- the



1 just ask you so I make sure we're talking about the same  
2 thing. When you say "wish list," are you talking about  
3 the research objectives?

4 MR. LLOYD KUCZEK: Yes.

5 MR. ERIC HOAKEN: Okay. And could I just  
6 say to the Chair that I may be sometime longer on this  
7 point, so I'm in your hands. If you'd like me to  
8 continue I'm certainly to do that; if you'd like to  
9 adjourn for the day we can do that as well.

10 THE CHAIRPERSON: I think we can wait  
11 until tomorrow, Mr. Hoaken, if that's all right with you.

12 Okay, we'll adjourn now and we'll see you  
13 all back tomorrow at nine o'clock. Thank you.

14 MR. ERIC HOAKEN: Thank you.

15

16 (PANEL RETIRES)

17

18 --- Upon adjourning at 4:05 p.m.

19

20 Certified correct,

21

22

23

24 \_\_\_\_\_  
Wendy Warnock, Ms.

25