

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MANITOBA PUBLIC UTILITIES BOARD

Re: 2008/'09 GENERAL RATE APPLICATION
MANITOBA HYDRO

Before Board Panel:

- Graham Lane - Board Chairman
- Robert Mayer - Board Member
- Susan Proven - Board Member

HELD AT:

Public Utilities Board
400, 330 Portage Avenue
Winnipeg, Manitoba
April 11th, 2008
Pages 2179 to 2403

APPEARANCES

1
2
3 Bob Peters)Board Counsel
4
5 Doug Buhr)City of Winnipeg
6
7 Byron Williams)Coalition
8
9 Jennifer Scott (np))TransCanada Keystone
10 Tamara Trull (np))Pipeline
11
12 Tamara McCaffrey)MIPUG
13 John Landry)
14
15 Michael Anderson (np))MKO
16
17 Patti Ramage)Manitoba Hydro
18 Odette Fernandes)
19
20 Bill Gange (np))RCM/TREE
21 Dan Rempel)
22 Peter Miller)
23
24
25

	TABLE OF CONTENTS	
		PAGE NO.
1		
2		
3	List of Exhibits	2182
4	Undertakings	2183
5		
6	MANITOBA HYDRO COST OF SERVICE AND RATE DESIGN PANEL RESUMED:	
7	KURT ROBIN WIENS, Resumed	
8	CHIC THOMAS, Resumed	
9	VINCE WARDEN, Resumed	
10	HAROLD SURMINSKI, Resumed	
11		
12	Continued Cross-Examination by Mr. Bob Peters	2185
13	Cross-Examination by Mr. Doug Buhr	2266
14	Cross-Examination by Mr. Byron Williams	2302
15		
16	Certificate of Transcript	2403
17		
18		
19		
20		
21		
22		
23		
24		
25		

1	LIST OF EXHIBITS		
2	EXHIBIT NO.	DESCRIPTION	PAGE NO.
3	CITY/HYDRO-2	Book of documents	2276
4	CITY/HYDRO-3	Update to a chart, "Manitoba Hydro	
5		Increase Electrical Rates for 2008/'09	
6		Rebuttal Evidence"	2277
7	CITY/HYDRO-4	Schedule entitled, "Area and Roadway	
8		Lighting COSS Revenue Cost and Export	
9		Allocations 1980 to present"	2278
10	COALITION-19	Load forecast reprinted without the	
11		express written permission of Manitoba	
12		Hydro	2297
13	COALITION-20	Small table, "Near Term Revenue	
14		Implications"	2297
15	COALITION-21	Small table, "Long Term Revenue	
16		Implications"	2297
17	COALITION-22	Reprint of Manitoba Hydro Response to	
18		PUB-2-49	2298
19	COALITION-23	Response to PUB/MH-1-57	2298
20	COALITION-24	Response to PUB/MH-2-37	2298
21	COALITION-25	Excerpt from the 2005 NERA Study	2299
22	COALITION-26	Table entitled, "Manitoba Hydro Domestic	
23		Customer Class Ratios of Revenue to	
24		Marginal Cost"	2299
25			

1	LIST OF EXHIBITS (Con't)		
2	EXHIBIT NO.	DESCRIPTION	PAGE NO.
3	COALITION-27	Response to COALITION/HYDRO-1-59	2300
4	COALITION-28	Perspectives on fairness and efficiency	2300
5	COALITION-29	Response to PUB/HYDRO-1-83	2300
6	COALITION-30	Excerpt of the article by Mr. Rice,	
7		"Household Electricity Demand Revisited"	2301
8	COALITION-31	Excerpt from a article by Bernstein and	
9		Griffin, "Regional Differences	
10		and the Price Elasticity of Demand for	
11		Energy."	2301
12	MH-69	Response to Undertaking 76	2365
13	MH-70	Response to Undertaking 71.	2365
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

	UNDERTAKINGS		
	NO.	DESCRIPTION	PAGE NO.
1			
2			
3	77	Manitoba Hydro to provide Board with a	
4		reconciliation of the transmission O&M	
5		numbers and distribution O&M numbers	2188
6	78	Manitoba Hydro to provide Board with an	
7		update to the major capital generation	
8		and transmission expenditures that have	
9		changed from the capital expenditures	
10		forecast, other than Kelsey	2197
11	79	Manitoba Hydro will provide the Board with	
12		total peak in the fiscal '08 year, and	
13		also broken down for domestic and for	
14		exports	2246
15	80	Manitoba Hydro will expand for Coalition	
16		graph at COALITION-23 to provide the	
17		forecast average export price for '07/'08,	
18		and the forecast for '08/'09; and will	
19		also depict separately the domestic prices	
20		for residential customers and the domestic	
21		prices for GSL greater than a 100 kV	2350
22	81	Manitoba Hydro to refile for Coalition table	
23		MH-10 reflecting the updated version	
24		presented in Manitoba Hydro Exhibit	
25		Number 68	2399

1 --- Upon commencing at 9:01 a.m.

2

3 THE CHAIRPERSON: Okay, welcome back
4 everyone.

5 Mr. Peters...?

6

7 MANITOBA HYDRO COST OF SERVICE AND RATE DESIGN PANEL

8 RESUMED:

9 KURT ROBIN WIENS, Resumed

10 CHIC THOMAS, Resumed

11 VINCE WARDEN, Resumed

12 HAROLD SURMINSKI, Resumed

13

14 CONTINUED CROSS-EXAMINATION BY MR. BOB PETERS:

15 MR. BOB PETERS: Yes, thank you, good
16 morning. Mr. Chairman, I'd like to start with this panel
17 on undertaking that was given -- or sorry, it's not even
18 an undertaking. It's an update to Appendix 11.2. it's
19 Manitoba Hydro Exhibit 68.

20 Mr. Wiens, you forewarned us that you were
21 filing this and I think you also forewarned us that some
22 of the changes were substantial yesterday.

23 Do you recall that?

24 MR. ROBIN WIENS: Yes.

25 MR. BOB PETERS: Is it the Corporation's

1 evidence that this document now would replace what is
2 previously been included as Document number 54 of the
3 book of documents?

4 MR. ROBIN WIENS: Yes.

5 MR. BOB PETERS: Can you confirm, Mr.
6 Wiens, that the operating and maintenance costs shown in
7 the bottom half of the page of Manitoba Hydro Exhibit 68
8 reflect embedded costs?

9 MR. ROBIN WIENS: In the broad sense of
10 the meaning, yes. They're the forecast costs out of the
11 Prospective Cost of Service Study for 2008 for operating
12 and maintenance in each of those four (4) functions.

13 MR. BOB PETERS: And when I check those
14 numbers, Mr. Wiens, against Schedule E-1, page 2 at Tab
15 55 of
16 the book of documents, why is it that the transmission
17 O&M as well as the distribution O&M don't reconcile?

18 MR. CHIC THOMAS: I might jump in here,
19 Mr. Peters, and good morning. Part of the reason is that
20 we don't include direct costs in there so there's some
21 direct costs that -- that aren't included.

22 So if you go to the second page of
23 Schedule E-1, you will see some -- some direct costs.

24 MR. BOB PETERS: I'm just going to have
25 you assist us with that, Mr. Thomas.

1 You said Schedule E-1, page 2 of 2?

2 MR. CHIC THOMAS: I did.

3 MR. BOB PETERS: And that's at Tab 55 of
4 the book of documents?

5 MR. CHIC THOMAS: Yes.

6 MR. BOB PETERS: Can you tell me which
7 direct costs you -- you didn't include in your
8 calculation of the marginal costs?

9 MR. CHIC THOMAS: Well the first big
10 difference was these are just the domestic classes of
11 course, so you can see that -- that up above on Schedule
12 E-1, we have a large deduction to -- for the export
13 class.

14 MR. BOB PETERS: Is that for generation
15 only though, Mr. Thomas?

16 MR. CHIC THOMAS: No. If you look about
17 halfway down the page, it's -- it's labeled "EO-2
18 Transmission Export."

19 MR. BOB PETERS: And that difference was
20 \$5.7 million?

21 MR. CHIC THOMAS: Yes.

22 MR. BOB PETERS: And if I compare your
23 Exhibit 68 to Schedule E-1, the difference is closer to
24 \$19 million?

25 MR. CHIC THOMAS: Yes.

1 MR. BOB PETERS: And I'm needing some
2 help to try to reconcile the two (2). You've given me
3 5.7 million of that.

4

5 (BRIEF PAUSE)

6

7 MR. CHIC THOMAS: Perhaps we should just
8 undertake to show you that reconciliation, Mr. Peters,
9 instead of --

10 MR. BOB PETERS: All right. For the
11 transmission O&M as well as the distribution O&M then,
12 Mr. Thomas?

13 MR. CHIC THOMAS: Absolutely.

14

15 --- UNDERTAKING NO. 77: Manitoba Hydro to provide
16 Board with a reconciliation
17 of the transmission O&M
18 numbers and distribution O&M
19 numbers

20

21 CONTINUED BY MR. BOB PETERS:

22 MR. BOB PETERS: Can you also explain at
23 this time why the marginal cost of transmission as
24 determined on a two (2) coincident peak basis doesn't
25 include O&M costs?

1 MR. ROBIN WIENS: Because the study only
2 estimated capital costs or forecast capital cost.

3 MR. BOB PETERS: Shouldn't O&M costs be
4 included in that calculation?

5 MR. ROBIN WIENS: That's why they've been
6 included in the bottom of the page, Mr. Peters.

7 MR. BOB PETERS: Is it correct that the
8 upper half of Manitoba Hydro Exhibit 68 has RCC
9 calculations that employ revenue that includes revenues
10 derived from the basic customer charges or the basic
11 monthly charges?

12 MR. CHIC THOMAS: Yes.

13 MR. BOB PETERS: On a marginal cost basis
14 shouldn't that be removed?

15

16 (BRIEF PAUSE)

17

18 MR. ROBIN WIENS: Mr. Peters, what --
19 what we've done here is we've -- we've taken the low-end
20 marginal cost which excludes any operating and
21 maintenance and, in effect, assumes that operating and
22 maintenance marginal cost is at or close to zero.

23 And shown the revenue, the total revenue,
24 from the customer classes against that, recognizing that
25 that is almost certainly and underestimate, we have

1 provided an estimate that would include the imbedded cost
2 for 2008 for operating and maintenance of those functions
3 on the bottom page with the same revenue.

4 MR. BOB PETERS: Does that render the
5 revenue-to-cost ratio on the top half of the page
6 virtually meaningless, Mr. Wiens, in your view?

7

8 (BRIEF PAUSE)

9

10 MR. ROBIN WIENS: I think what it does is
11 probably it sets an upper bound on what those revenue-to-
12 cost coverages would be.

13 MR. BOB PETERS: But not one that would
14 be reliable in determining how that class is doing
15 relative to marginal cost?

16 MR. ROBIN WIENS: Well, it's not precise.
17 Neither of them is precise, they are -- they are
18 approximate. By the nature of marginal costs, you're not
19 always going to be able to be as precise as you can be
20 with imbedded costs; that's one (1) of the virtues of
21 imbedded costs. They may not be the right concept in all
22 cases but you can measure them fairly precisely.
23 Marginal costs, in terms of pricing, is the correct
24 concept but you're getting a rougher measure of it.

25 MR. BOB PETERS: Can you explain to the

1 Board why these revisions have been made at this time?

2 MR. ROBIN WIENS: Very simply there was a
3 couple of fairly significant transposition errors in the
4 first version that we didn't catch.

5 MR. BOB PETERS: But it appears that
6 there's more than just numbers being transposed, is there
7 not? The -- the revenue is down roughly \$150 million --

8 MR. ROBIN WIENS: Sorry, Mr. Peters,
9 transposition from the PCOSS '08 trans -- in other words
10 transposing -- in some cases we had transposed numbers
11 from the PCOSS '08 table from the wrong column. It was
12 not the correct column.

13 MR. BOB PETERS: All right. I thank you
14 for that clarification.

15 Mr. Warden, yourself and Mr. Surminski,
16 the last vestiges of the revenue requirement panel still
17 with us, but on Manitoba Hydro Exhibit 48-1 which was a
18 clarification to Undertake -- Undertaking 57, just a
19 couple of quick questions and I'm hoping you can be the
20 person to provide the answers. I'm actually not looking
21 for more undertakings but if that's the only way you can
22 address it I understand that as well.

23 In looking at Manitoba Hydro Exhibit 48-1
24 the average interest on debt is shown at 6.5 percent,
25 correct?

1 MR. VINCE WARDEN: Yes.

2 MR. BOB PETERS: Mr. Page told the Board
3 that they -- that he expected the average interest to be
4 about 7 percent including the 1 percent guarantee fee.

5 Should that not be closer to 7 percent?

6 MR. VINCE WARDEN: Well, I think when Mr.
7 Page responded he did say approximately 7 percent, so the
8 six and a half (6 1/2) is a more precise estimate of what
9 that interest rate is or will be.

10 MR. BOB PETERS: There's also no
11 transmission depreciation shown on this clarification,
12 Exhibit Manitoba Hydro 48-1.

13 Where -- where will that be shown?

14 MR. VINCE WARDEN: Well, the -- the way
15 the costs are recovered within the partnership is for all
16 the capital costs to be recovered in the -- in the form
17 of a -- as indicated in this exhibit, in the form of a
18 mortgage payment. So the depreciation interest would all
19 be -- would all be incorporated within that mortgage
20 payment number of twenty-two, one sixty-two (22,162).

21 MR. BOB PETERS: Of the portion -- at the
22 top of the page the portion financed by debt, that is of
23 the -- the capital cost, at \$926 million, two hundred and
24 eight (208) of that is funded by Manitoba Hydro by way of
25 Manitoba Hydro debt, correct?

1 MR. VINCE WARDEN: In your -- to derive
2 the two hundred and eight (208) you would be taking the
3 67 percent of the three-o-eight nine thirty (308,930) --
4 is that correct? Is that what you did?

5 MR. BOB PETERS: Yes, assuming that --

6 MR. VINCE WARDEN: Yes --

7 MR. BOB PETERS: -- was --

8 MR. VINCE WARDEN: -- that -- that's --

9 MR. BOB PETERS: -- for the other
10 partner.

11 MR. VINCE WARDEN: -- that's correct,
12 yes.

13 MR. BOB PETERS: And that \$208 million
14 that would be -- that's funded by Manitoba Hydro's debt,
15 where is that interest cost accounted for on this sheet?

16 MR. VINCE WARDEN: That would be on the
17 financial statements of the parent, it would not be in --
18 on this sheet.

19 MR. BOB PETERS: Undertaking 54 led to
20 Manitoba Hydro Exhibit 54. I think that made Ms. Ramage
21 happy yesterday.

22 One (1) of the things that appears in
23 there, Mr. Warden, is that in the capital expenditure
24 forecast for the rerunning of Kelsey the Board was
25 looking at \$184 million of forecast capital cost to

1 complete that project. It now appears that's been
2 updated to 216 million.

3 Is that correct?

4 MR. HAROLD SURMINSKI: Yes, I can respond
5 to the Kelsey question.

6 MR. BOB PETERS: All --

7 MR. HAROLD SURMINSKI: That's correct, it
8 has increased.

9 MR. BOB PETERS: And that's over and
10 above what was been filed in your capital expenditure
11 forecast?

12 MR. HAROLD SURMINSKI: Yes, an update was
13 undertaken in the fall after the capital expenditure
14 forecast was released.

15 MR. BOB PETERS: And that one -- that one
16 project went up \$32 million?

17 MR. HAROLD SURMINSKI: Yes.

18 MR. BOB PETERS: Have there been updates
19 done for the other major capital expenditures in the
20 forecast last fall?

21 MR. HAROLD SURMINSKI: No, this one was
22 updated because we had experience of the first unit being
23 in service. Its output was -- was measured and it wasn't
24 quite what it -- was expected so there was a review of
25 the entire project for remaining units at that time.

1 MR. BOB PETERS: So that's the only one
2 that needed revision?

3 MR. HAROLD SURMINSKI: Yes.

4 MR. BOB PETERS: Manitoba Hydro
5 Undertaking 69 resulted --

6 MR. VINCE WARDEN: Mr. Peters, maybe --
7 sorry, I --

8 MR. BOB PETERS: Yes?

9 MR. VINCE WARDEN: -- just want to make
10 sure we've interpreted your question correctly.

11 Other capital projects are revised during
12 the year as needed so Kelsey would not be the only
13 capital project would -- that would be revised since last
14 fall. It's a continuous process when -- when a capital
15 project requires revision, for whatever reason, it's
16 brought before executive committee, and that is revised
17 and updated each fall when -- when that -- when that
18 capital plan is presented to the Board of Manitoba Hydro
19 for approval.

20 I just wanted to make sure I was clear on
21 what --

22 MR. BOB PETERS: No, I appreciate the
23 clarification. That suggests to the Board, I think, Mr.
24 Warden, that there may be an update to the capital
25 expenditures forecast filed in this proceeding. You may

1 have some of those items updated or changed from what's
2 been filed.

3 MR. VINCE WARDEN: That's true. We don't
4 -- we don't change the bottom line, so to speak, of the
5 capital expenditure forecast. We do make revisions to
6 specific items within that forecast though, and that
7 update is, as I mentioned, presented to the Board for --
8 Manitoba Hydro for approval every fall.

9 MR. BOB PETERS: If you don't change the
10 bottom line, does that mean you find, within your
11 forecast, other projects that you can cut back on if a
12 project goes to a higher cost?

13 MR. VINCE WARREN: To the extent possible
14 we do do that. There is in our capital expenditure
15 forecast which I don't have in front of me right now, but
16 there's an item which we refer to as a cost flow
17 adjustment which is a reconciling item to the bottom
18 line, and that number will change depending on whether or
19 not there are other offsets in the capital expenditure
20 forecast.

21 MR. BOB PETERS: Are you in a position to
22 provide an update to the major capital generation and
23 transmission expenditures that have changed from the
24 capital expenditures forecast other than Kelsey?

25 MR. VINCE WARREN: We can certainly do

1 that. The only hesitation I would have is that until
2 such a time as those are represented to the -- the Board
3 of Manitoba Hydro, they're not officially approved.

4 MR. BOB PETERS: That would be understood
5 in the undertaking. They would still be subject to the
6 Board's review of them, the Manitoba Hydro Board's
7 review.

8 MR. VINCE WARREN: We could do that, yes.

9
10 --- UNDERTAKING NO. 78: Manitoba Hydro to provide
11 Board with an update to the
12 major capital generation and
13 transmission expenditures
14 that have changed from the
15 capital expenditures
16 forecast, other than Kelsey
17

18 CONTINUED BY MR. BOB PETERS:

19 MR. BOB PETERS: Can you tell this board
20 whether the Wuskwatim Generating Station has been subject
21 to a revision since the last capital expenditure
22 forecast?

23 MR. VINCE WARREN: No, the Wuskwatim
24 project is unchanged.

25 MR. BOB PETERS: What about the head

1 office building?

2 MR. VINCE WARREN: Unchanged.

3 MR. BOB PETERS: And then that would be
4 as of last fall -- or since last fall?

5 MR. VINCE WARREN: That would --

6 MR. BOB PETERS: Till current, till -- as
7 we're sitting here today?

8 MR. VINCE WARREN: That's correct.

9 MR. BOB PETERS: In terms of Manitoba
10 Hydro Undertaking 69, which was Manitoba Hydro Exhibit
11 61, would the Board be correct in understanding -- I'll
12 just give this a minute please.

13 Mr. Thomas, it might -- it might be one
14 (1) that you're involved in here. That's Manitoba Hydro
15 Exhibit 61, which was Manitoba Hydro's Undertaking 69.
16 The Prospective Cost of Service Study '06, either April
17 or the -- or the revision of it, it employed a drought
18 situation, or a drought scenario data as inputs to the
19 median conditions, is that correct?

20

21 (BRIEF PAUSE)

22

23 MR. CHIC THOMAS: I'm sorry, Mr. Peters.
24 If you're talking to me, I've been tuned out for the last
25 little while, so.

1 one (1) of the -- one (1) of the inputs was the tail end
2 of a drought, and one (1) was near record flows, or high
3 flows, wouldn't something in between, or perhaps an
4 average been more appropriate?

5 MR. CHIC THOMAS: You know, I guess you
6 could do it one (1) of several ways. And perhaps an
7 average, I mean, would have mitigated some of the -- some
8 of the discrepancy between the two (2) years.

9 In the past we've always used the actual,
10 and we were just following that practice this time around
11 as well.

12 MR. BOB PETERS: When you do your Surplus
13 Energy Program Weighting of Generation, do you use a five
14 (5) year average?

15 MR. CHIC THOMAS: Yes.

16 MR. BOB PETERS: Would that be an
17 appropriate methodology to sort out some of the
18 discrepancies here?

19 MR. CHIC THOMAS: Well, I mean, when
20 you're considering these two (2) sets of data, obviously
21 an average or some other method would probably be a
22 little more appropriate. I guess over the long term some
23 of those swings aren't as evident but as a general
24 comment, you know, an average might be -- might be better
25 going forward.

1 MR. BOB PETERS: Thank you. Mr.
2 Surminski, Manitoba Hydro Undertaking 58 is now Manitoba
3 Hydro Exhibit 55, this might be directed for you.

4 In the calculations that were done before
5 the Clean Environment Commission, did Manitoba Hydro use
6 normalized export prices?

7 MR. HAROLD SURMINSKI: Yes. Well, we
8 would not use the term "normalized" because they're out
9 in time and this is -- our best forecast.

10 MR. BOB PETERS: But I mean normalized in
11 the sense that we talked about yesterday, where you will
12 -- you will impute a value different than your actual
13 experience in the near term.

14 MR. HAROLD SURMINSKI: Yes, but the near
15 term did not come -- come into -- into play here because
16 it was '09 and on that the advancement -- as soon as the
17 plant was on was 2009 --

18 MR. BOB PETERS: So --

19 MR. HAROLD SURMINSKI: -- and that was
20 2003 when we were working in --

21 MR. BOB PETERS: So in my words there
22 would be no need to normalize the values in this chart,
23 you simply use your expected values.

24 MR. HAROLD SURMINSKI: Yes, that's why I
25 said we wouldn't call it "normalized."

1 MR. BOB PETERS: All right. All right,
2 thank you. I want to turn with the panel to Tab 68 of
3 the book of documents and talk about some other rate
4 issues this morning.

5 In terms of residential rates the basic
6 monthly charge for residential customers remains
7 unchanged at six dollars and twenty-four cents (\$6.24) a
8 month.

9 Is that correct?

10 MR. ROBIN WIENS: Yes.

11 MR. BOB PETERS: And if you have 200 amp
12 service, that amount doubles, that basic monthly charge
13 doubles?

14 MR. ROBIN WIENS: Yes.

15 MR. BOB PETERS: It's been six hundred --
16 sorry, it's been six dollars and twenty-four cents
17 (\$6.24) a month for how long, Mr. Wiens?

18

19 (BRIEF PAUSE)

20

21 MR. ROBIN WIENS: We're checking that,
22 Mr. Peters. It's been a number of years. It was act --
23 it was changed very, very -- in a very, very minor way
24 the last year. But substantially it's been there for a
25 number of years.

1 customer costs that are not recovered in this rate are
2 then recovered volumetrically?

3 MR. ROBIN WIENS: Yes.

4 MR. BOB PETERS: And there is some
5 inherent cross-subsidization amongst customers within
6 classes in that situation.

7 Do you agree?

8 MR. ROBIN WIENS: On a purely embedded
9 cost basis that would be true, Mr. Peters.

10 MR. BOB PETERS: You'll also recall at
11 the last Centra Gas General Rate Application the
12 Utility's rate increase was added to the basic monthly
13 charge?

14 MR. ROBIN WIENS: I do recall that.

15 MR. BOB PETERS: Would that be an
16 appropriate step for the electricity side of the
17 business?

18 MR. ROBIN WIENS: No, it would not.

19 MR. BOB PETERS: Why is that?

20 MR. ROBIN WIENS: I -- I believe we've
21 had some of this discussion on the record already in this
22 proceeding, Mr. Peters, that definitely on a system-wide
23 basis for domestic customers, we want to recover the
24 embedded cost through the rates. We have a little less
25 certainty when we get down to the class level, and when

1 we get down to the level of the individual items in the
2 rate structure, we have less certainty.

3 Further, we have other factors that we
4 want to consider when we're setting the rates, and one
5 (1) of those factors is certainly the -- the embedded
6 cost of energy is significantly below the marginal cost
7 of energy.

8 So we believe that if we're going to
9 depart to any significant degree from -- from marginal
10 cost, probably best to do that in items in the rate
11 structure that are the least sensitive; in other words,
12 fixed costs, recovering -- recovering the -- the fixed
13 costs.

14 If we wanted to move our energy rates
15 closer to marginal cost and still bear some general
16 relationship with the class rate to embedded cost, then
17 we're looking at departing from marginal cost or from
18 embedded cost in a more significant way from items in the
19 rate structure that we would consider to be, and
20 generally the industry views as, less elastic.

21 So if you want to -- if -- if you want to
22 move up your -- your rate for energy to recognize a
23 conservation, to recognize an appropriate price signal,
24 you're going to reduce it somewhere else. And the least
25 elastic part of the rate structure is the basic monthly

1 charge.

2 There -- there are other reasons that,
3 historically and traditionally, the basic monthly charge
4 in most utilities has -- the rate is under-recovered
5 relative to embedded cost, and some of them have to do
6 with other desiderata in the rate design criteria such as
7 customer understandability and acceptability.

8 MR. BOB PETERS: But I heard Mr. Warden
9 tell the Board that the Corporation has no plans to go to
10 marginal cost rates for other customer classes other than
11 the general service large above baseline rate.

12 MR. ROBIN WIENS: Yes --

13 MR. BOB PETERS: So --

14 MR. ROBIN WIENS: -- and -- and this is
15 not a marginal cost design, however, it is recognizing
16 marginal cost in the design of rates that recover
17 embedded cost.

18 MR. BOB PETERS: If the marginal cost
19 rate to recover customer costs was done on a marginal
20 cost basis, that basic monthly charge would be twenty one
21 dollars and sixty-one cents (\$21.61) a month, wouldn't
22 it?

23 MR. ROBIN WIENS: Most of the -- most of
24 the customer-related costs are current costs so I
25 wouldn't necessary say that the marginal cost would be

1 an -- of an inverted rate for the residential class from
2 what I understand your evidence to have been?

3 MR. ROBIN WIENS: Yes.

4 MR. BOB PETERS: Would you agree that the
5 type of residential customer impacted most by this rate
6 structure would be the all-electric homes?

7 MR. ROBIN WIENS: All customers are
8 affected by it. The one that's most likely to have bill
9 increases related to it would be the all-electric home.

10 MR. BOB PETERS: The customer that would
11 be most affected on their bills would be the all-electric
12 home?

13 MR. ROBIN WIENS: Yes.

14 MR. BOB PETERS: Manitoba Hydro has about
15 a hundred and thirty-five thousand (135,000) of those
16 all-electric customers?

17

18 (BRIEF PAUSE)

19

20 MR. ROBIN WIENS: That sounds pretty
21 close.

22 MR. BOB PETERS: I think I took that from
23 the number of meters on your electric load forecast so it
24 may be close. Let's take it as close.

25 Is the change from -- the -- the first

1 block of energy last time this or the rate that currently
2 the Board approves is 175 kilowatt hours per month,
3 correct?

4 MR. ROBIN WIENS: Yes.

5 MR. BOB PETERS: And you're now proposing
6 that first block be increased to 900 kilowatt hours per
7 month?

8 MR. ROBIN WIENS: Yes.

9 MR. BOB PETERS: Is that increase
10 designed to mitigate the impact on the all-electrical
11 houses?

12 MR. ROBIN WIENS: It will have that
13 effect, Mr. Peters, but it was designed really to provide
14 for basic level of use at the lower rate -- the first
15 step of the rate, and use in excess of that at the higher
16 inverted, or nominally inverted part of the rate.

17 MR. BOB PETERS: So the increase in the
18 rate block was really futuristic in that somewhere down
19 the road when that inversion is greater, you -- the
20 Corporation wants the first block to be discounted to
21 allow for a basic level of consumption by all customers.

22 MR. ROBIN WIENS: That would be generally
23 right, yes.

24 MR. BOB PETERS: It wasn't designed
25 specifically for the all-electric customer?

1 MR. ROBIN WIENS: No, it was not.

2 MR. BOB PETERS: One (1) of the benefits
3 of it is it will give the all-electric customer a bit of
4 a break in the heating months, because you know for sure
5 that their electric bill is going to be greater than 900
6 kilowatt hours per month?

7 MR. ROBIN WIENS: In most cases that's
8 certainly true, and it could be considerably higher.

9 MR. BOB PETERS: And in most cases for
10 the homes that use natural gas for heat, they might be
11 able to manage their electric consumption to stay within
12 that first block of 900 kilowatt hours per month?

13 MR. ROBIN WIENS: Yes, depending on the
14 size of the house and the amenities in it.

15 MR. BOB PETERS: In terms of the impact
16 on the all electric home -- I'm just not sure if Mr.
17 Kuczek and I ever did agree -- but 25,000 kilowatt hours
18 per year was my estimate of the consumption of a typical
19 all-electric home located, lets say, in Winnipeg.

20 MR. ROBIN WIENS: You're talking about
21 all uses, not just the electric heat portion of the use?

22 MR. BOB PETERS: That's fair. I'm
23 talking all uses.

24 MR. ROBIN WIENS: Okay, that's -- that's
25 close.

1 MR. BOB PETERS: And with the additional
2 two (2) cents a kilowatt hour added onto that
3 consumption, it would work out to probably fifty dollars
4 (\$50) a year more for the all electric home than for the
5 home heated by natural gas?

6 MR. ROBIN WIENS: I -- I don't
7 understand, Mr. Peters, the reference to two (2) cents a
8 kilowatt hour?

9 MR. BOB PETERS: Sorry, point -- point --
10 five point (5.) -- sorry, I was doing the math as between
11 the six point zero one (6.01) and the five point nine
12 eight (5.98), the -- the different levels. Point zero
13 two (.02)...

14 THE CHAIRPERSON: That's three one-
15 hundredths (3/100ths) of a cent, isn't it?

16

17 CONTINUED BY MR. BOB PETERS:

18 MR. ROBIN WIENS: Point zero zero zero
19 three (.0003).

20 MR. BOB PETERS: We'll do the math --

21 MR. ROBIN WIENS: Dollars.

22 MR. BOB PETERS: -- later -- dollar, yes,
23 it was -- okay. I think we agree on that.

24 But the impact on that is about three
25 dollars and eighty-six cents (\$3.86) a month, or fifty

1 dollars (\$50) a year?

2 MR. ROBIN WIENS: The impact of the three
3 one hundredths (3/100ths) of a cent on how -- on --

4 MR. BOB PETERS: On the 25,000 kilowatt
5 hours per year. Seventy-five dollars (\$75) a month --

6 MR. ROBIN WIENS: Seven dollars and fifty
7 cents (\$7.50) over the entire year.

8 MR. BOB PETERS: I'll redo my math and
9 I'll come back if I've -- if I've calculated it wrong.

10 Should the block size -- what I was trying
11 to get at is, the impact on the all-electric home is
12 going to be more than a 2. -- a 2.8 percent increase on
13 average for their rates, correct?

14 MR. ROBIN WIENS: It -- it will be, and
15 I'm sure somewhere in this material we have the exact
16 number, and we'll get that.

17 MR. BOB PETERS: But the -- the point is,
18 should the block size be increased for the all-electric
19 customer?

20

21 (BRIEF PAUSE)

22

23 MR. ROBIN WIENS: Well, we are going to
24 have to wrestle with that problem in -- in the future,
25 Mr. Peters, and at this point I'm not sure exactly what

1 the -- what the solution to that is.

2 We -- we've seen evidence coming from the
3 Intervenor that we should try to target specifically the
4 electric heat customer and increase the first block size
5 for that customer. We see that there are -- in other
6 parts of the country, and I'm referring to Ontario, where
7 there's an attempt to recognize that through a -- a more
8 general rate structure. That's certainly,
9 administratively, the easiest way to go about it.

10 Specific targeting electric heat
11 customers, while it may look very desirable in principle,
12 is not as easy as it sounds. And you're going to,
13 depending on how you design it administratively, you're
14 going to have a lot of false positives. There are a lot
15 of false negatives, and we haven't fully wrestled with
16 that question.

17 But we do recognize that as we move
18 forward with -- with fully implementing in inverted rates
19 that we are going to have to deal with that question.

20 So the answer to your question, Mr.
21 Peters, is yes in theory, but we haven't fully dealt with
22 that yet.

23 MR. ROBERT MAYER: Mr. -- Mr. Wiens,
24 you're on a subject now that's very dear to my heart.
25 I'm looking at PUB/MANITOBA HYDRO First Round Number 12,

1 the response there.

2 And where -- I'll just read the portion
3 that I'm interested in.

4 "The intention is..."

5 It's under the residential class. We're
6 talking about the rate inversion.

7 "It is the intention -- the intention
8 is that the price in the second block
9 will move towards marginal cost in the
10 residential -- in the residential
11 rate."

12 Wouldn't that have the result of base --
13 especially for those of the people who live in places
14 where you do not have a cost effective option -- wouldn't
15 that, in effect, have the -- wouldn't that have the
16 result of eliminating or reversing the equal --
17 equalization of rates legislation, because you would
18 impose upon electrical customers who, by their location,
19 and I'm suggesting northern Manitoba, would bear a more
20 significant cost than anyone in southern Manitoba?

21 MR. ROBIN WIENS: Well, I don't believe,
22 in a technical sense, that it would violate the rate
23 equalization because the same rate would apply across the
24 province.

25 It would certainly lead to unequal bills,

1 and to that extent, I -- I agree with you, Mr. Mayer.

2 MR. ROBERT MAYER: My -- my notes say
3 they're trying to do through the back door which they can
4 no longer do through the front door, Mr. Wiens.

5 MR. ROBIN WIENS: Well I'm -- you know,
6 I'm not going to try to give a legal interpretation of
7 the legislation, but I -- I believe that the rate is
8 certain -- would certainly be equal across the province.

9 And in fact, if we try to do some type of
10 a distinction between say areas where natural gas was
11 available and where they weren't, and that's another
12 option in terms of dealing with this issue, that in that
13 sense we almost -- my belief is we almost certainly would
14 be violating the equalization of rates across the
15 province.

16 So what I'm saying is that we recognize
17 that we have an issue here. We recognize that we have to
18 deal with it, and one of the constraints that we have to
19 look at when we're dealing with it is that legislation.

20 MR. ROBERT MAYER: I understand that, but
21 the -- there have been some suggestions, especially out
22 of the evidence of -- if I recall correctly, RCM/TREE,
23 about how do we attempt to deal with that whole issue of
24 all electric heat where there is no realistic
25 alternative.

1 I -- I quite -- can't lay my hands on that
2 evidence right now. I have it with me here somewhere,
3 but I hadn't quite expected this to come up at this point
4 in time, but thank you.

5 MR. VINCE WARDEN: Mr. Mayer and Mr.
6 Peters, I just want to reiterate what Mr. Wiens had said.

7 We -- because the inversion is so slight
8 with this application that we didn't think it would be a
9 huge issue with respect to electric heat. We do
10 recognize that we're going to have to deal with this in
11 future rate applications.

12 We've talked about various methods of --
13 of dealing with that, and we will certainly recognize the
14 -- the issue in future applications.

15 MR. ROBERT MAYER: My concern, Mr.
16 Warden, is the expressed intention in the answer to
17 PUB/MANITOBA HYDRO First Round Number 12 to move to
18 marginal cost with those in -- in the second block rate
19 which would have a serious effect, in my opinion at
20 least, on residential customers who don't have an option
21 to electric heat.

22 MR. VINCE WARDEN: Yes. And there are
23 ways though of dealing with that. You know, we've talked
24 about seasonal rates and such, but we will have some kind
25 of a solution, we think, with the next application.

1 THE CHAIRPERSON: I guess this matter
2 becomes even more complicated now with natural gas
3 approaching the electricity cost level. And potentially
4 with another spike could pass it again like it did during
5 Katrina.

6 MR. VINCE WARDEN: Absolutely, that is an
7 issue as well.

8 THE CHAIRPERSON: Yes, very complex.
9 Okay, Mr. Peters...?

10

11 CONTINUED BY MR. BOB PETERS:

12 MR. BOB PETERS: Would it be fair to say
13 that because the inversion is nominal and some quantify
14 it at seven dollars and fifty cents (\$7.50) a year, that
15 it -- it really isn't seen as -- as a significant problem
16 at this point of time, but in the future it certainly is
17 seen by the Corporation as being a potential problem?

18 MR. VINCE WARDEN: Yes, Mr. Peters, we
19 agree with that.

20 MR. BOB PETERS: And as the Vice-Chair
21 was saying, it might have been Mr. Chernick's evidence
22 where he was proposing a summer block rate of -- the
23 first block would be 600 kilowatt hours in the -- in a
24 summer month, and then it would 16,00 kilowatt hours per
25 month in the winter months; that's one (1) way of dealing

1 with it in a seasonal basis.

2 MR. ROBIN WIENS: Well, that's certainly
3 one (1) way. Mr. Chernick's evidence was also though
4 that that would be limited to electric heat customers,
5 and we have some concern with the issue of trying to
6 specifically identify and pinpoint electric heat
7 customers. But in its broad intent that would be the
8 type of approach that we would be looking at; it may not
9 be precisely that one but it be broadly that type of an
10 approach.

11 MR. ROBERT MAYER: I --

12 MR. BOB PETERS: You did indicate in the
13 -- I'm sorry.

14 MR. ROBERT MAYER: I did note in your
15 response to that same Interrogatory that you equated
16 electric heat customers, or at least put them in the same
17 line as the people who were heating their hot tubs in
18 their backyards.

19 MR. ROBIN WIENS: If we did, Mr. Mayer,
20 that wasn't the intent.

21

22 CONTINUED BY MR. BOB PETERS:

23 MR. BOB PETERS: And I appreciate your
24 answer about Mr. Chernick's suggestion of how to -- to
25 address electric-only customers. In the Province of

1 Ontario you mentioned in a previous answer, they've got a
2 first block at 600 kilowatt hours per month in the summer
3 and then they go to a 1,000 kilowatt hours per month in
4 the winter; that's their second block, correct?

5 MR. ROBIN WIENS: That's right. And that
6 applies to all customers who are taking energy on the
7 regulated rate in Ontario.

8 MR. BOB PETERS: All right. And that's -
9 - that certainly is a distinction and a difference
10 between what Mr. Chernick was proposing.

11 MR. ROBIN WIENS: That is -- that is the
12 difference, yes, or the major difference.

13 MR. BOB PETERS: Does the Corporation
14 agree that while the inversion in this instance is modest
15 or nominal, the all-electric issue will need to be
16 refined for future rate increases?

17 MR. ROBIN WIENS: Absolutely.

18 MR. BOB PETERS: That assumes, Mr. Wiens,
19 that the rate increases that are approved by this Board
20 are added to the last block of energy to increase the
21 inversion, correct?

22 MR. ROBIN WIENS: That would likely be
23 the approach we would take, yes.

24 MR. BOB PETERS: As opposed to putting
25 any rate increases on the basic monthly charge, for

1 example, which you say is the least elastic of the -- the
2 rate issue -- rate components?

3 MR. ROBIN WIENS: Yes.

4 MR. BOB PETERS: In terms of residential
5 inverted rates, do inverted rates in principal penalize
6 those residential customers who are least able to adjust
7 their load?

8 MR. ROBIN WIENS: In some cases, yes.

9 MR. BOB PETERS: Not in every case?

10 MR. ROBIN WIENS: Well, I'm -- I'm
11 assuming that you're -- here you're still thinking about
12 electric heat customers who -- who may have difficulty
13 adjusting their load, either because of the availability
14 or price of alternative fuels or the cost of modifying
15 their houses in order to -- in order to accept another
16 source of space-heating energy. And to that extent, yes.

17 In other cases that -- that may not be the
18 case, but that's certainly the largest block of customers
19 that we'd have to be concerned about.

20 MR. BOB PETERS: Well, then let's
21 consider those who heat with natural gas and have a first
22 block of 900 kilowatt hours a month, but let's also say
23 they have a medical appliance that they have to use in
24 their home that uses a lot of electricity, they'd have
25 limited elasticity with that medical appliance being on.

1 You'd accept that as a -- in my example?

2 MR. ROBIN WIENS: Yes, that -- that would
3 be true. I'm not familiar with the kind of electric
4 usage of some of these appliances, but that could be a
5 possibility.

6 MR. BOB PETERS: And likewise for those
7 homes where, for whatever reason, the owner or the
8 occupant is unable to do demand-side management measures
9 or where demand-side management measures don't make an
10 economic business case for the home owner, the inverted
11 rate will then penalize them because they're least able
12 to adjust their load?

13 MR. ROBIN WIENS: I'm not sure that I can
14 get into this fully without our demand-side management
15 experts being here, Mr. Peters. That may be a
16 possibility. One (1) of the things that a higher
17 marginal rate does in a second block is it increases the
18 range of demand-side management measures that would
19 become economic from the customer's perspective.

20 MR. BOB PETERS: All right. Well, we
21 won't go -- we won't go back to that. What options can
22 the Corporation think of at this point of time would
23 ameliorate the impacts of the inversion on customers who
24 are least able to adjust their load?

25

1 (BRIEF PAUSE)

2

3 MR. ROBIN WIENS: Mr. Peters, the
4 question of affordability I guess is something that we
5 have to think about every time we ask for a rate
6 increase, whether it's involved in an inverted rate or
7 simply a rate increase that we're asking to rates
8 generally.

9 Those -- those issues still exist. They
10 may be somewhat -- somewhat more of a concern because
11 we're looking at the last block being inverted. There --
12 there may be some special -- some special situations that
13 we have to consider as we move forward.

14 Today what we're looking at, if we were to
15 move to the marginal cost based second block in one (1)
16 move today, we're looking at something that would not be
17 in excess of eight (8) cents. So it's -- it's not like
18 we're even moving to where rates are for every kilowatt
19 hour in jurisdictions like Ontario, where if you combine
20 the distribution and energy charges they're looking at
21 ten (10) or eleven (11) cents right now.

22 But it is something that we would have to
23 consider as we move forward.

24 MR. BOB PETERS: Residential customers
25 are already under your cost of service, your imbedded

1 cost of service methodology being cross-subsidized by
2 other classes, correct?

3 MR. ROBIN WIENS: Arguably, and to a --
4 to a -- not a huge degree, yeah.

5 MR. BOB PETERS: So the answer is yes,
6 but not a lot?

7 MR. ROBIN WIENS: That's fair.

8 MR. BOB PETERS: Is the only viable
9 solution an adjustment on the first block size for
10 specific customer reasons?

11 MR. ROBIN WIENS: That may be an option,
12 Mr. Peters. I think that the -- going forward we have to
13 look at it in totality.

14 Certainly the fact that you have, if you
15 have a first block size as large as 900 kilowatt hours,
16 that you've got a -- you've got a -- in terms of -- our -
17 - our likely scenario moving forward is adjustments only
18 to the second block where most of the -- any rate
19 increase being applied to the second block, you have an
20 element of stability there that I would think would be,
21 except for extremely large uses, would act to constrain
22 the overall rate increase on residential customers, other
23 -- other than those that have -- have a lot of electric
24 heat; which as I've said again, we're going to have to
25 take a look at -- at how we would deal with those

1 specifically.

2 If other situations come to our attention
3 that we feel we would need to have -- make some special
4 accommodation for, we would look at those.

5 MR. BOB PETERS: Such as -- such as a
6 social service exemption?

7 MR. ROBIN WIENS: I'm not sure what you
8 mean, Mr. Peters, by a social service exemption.

9 MR. BOB PETERS: If it was requested
10 through a so -- a social service agency, that there be an
11 adjustment made to a customer's electric account, at
12 least the size of the blocks, that would be something
13 that the Corporation would look at or consider?

14 MR. VINCE WARDEN: That -- that's not a
15 poli -- a current policy of the Corporation, Mr. Peters,
16 and we haven't contemplated that.

17 MR. BOB PETERS: All right, thank you.
18 At Tab 68, the second page deals with general service
19 small rates.

20 We've talked about these, but you can
21 confirm for me, Mr. Wiens, that the basic monthly charge
22 for the general service small customer doesn't recover
23 the fixed customer costs either?

24 MR. ROBIN WIENS: That's correct.

25 MR. BOB PETERS: And you can also confirm

1 that the demand and energy for this class is not totally
2 in balance because the demand billing is 120 percent of
3 the allocated demand costs?

4 MR. ROBIN WIENS: On an embedded cost
5 basis, that's true.

6 MR. BOB PETERS: And you haven't
7 calculated it on any other basis though?

8 MR. ROBIN WIENS: Not for individual
9 elements within the rate structure although we could do
10 that.

11 MR. BOB PETERS: In the general service
12 medium rate which was also included as -- it's page 11 of
13 26, but it's the last page included in the book of
14 documents Number 69 -- again, the demand and energy is
15 out of balance to the extent that the demand revenue is
16 118 percent of the allocated demand costs under the
17 embedded Cost of Service Study?

18 MR. ROBIN WIENS: Yes, I think we had
19 some discussion on this at an earlier stage in these
20 proceedings. And I made the point then that these are
21 what we could call legacy rates, and in past -- in past
22 applications we were looking at a different cost of
23 service methodology that had assigned more costs on the
24 demand basis.

25 But today, yes, we're looking at a demand

1 rate that is approximately 118 percent above the embedded
2 cost that we've calculated for.

3 MR. BOB PETERS: Is there any long term
4 plan of the Corporation to get the energy and the demand
5 more in balance?

6 MR. ROBIN WIENS: Our current plan, Mr.
7 Peters, which we've been proceeding with over the last
8 several years, is that we would apply rate increases in
9 these classes into the -- into the energy side, not to
10 the demand side, and we would hold the demand side
11 constant so that over time these would become re-
12 balanced.

13 MR. BOB PETERS: Well, over time I
14 suppose you -- you'd rely on the demand cost to increase
15 with no additional demand charge to get it into balance.

16 MR. ROBIN WIENS: Yeah, we expect that
17 that would happen, yes.

18 MR. BOB PETERS: And the energy side of
19 the equation, looking at Tab 69 of the book of documents
20 and the chart there that deals with demand and energy
21 revenue cost percentages, relatively speaking, the energy
22 side of the rates is under recovering the costs and the
23 demand side is over recovering the costs.

24 MR. ROBIN WIENS: Relative to embedded
25 cost, yes.

1 MR. BOB PETERS: And you're saying that
2 you'll deal with the energy side by trying to convince
3 this Board to increase the energy rate for customers when
4 you're successful in your rate applications.

5 MR. ROBIN WIENS: Yes.

6 MR. BOB PETERS: And on the demand side,
7 what will bring that back into balance is simply the
8 demand costs being inflated with no additional demand
9 rate increase.

10 MR. ROBIN WIENS: That's what we expect,
11 yes.

12 MR. BOB PETERS: When we talked earlier,
13 just a few minutes ago, about the residential customers,
14 one (1) of the -- one (1) of the things that -- had at
15 the gas hearing that I think you're familiar with, Mr.
16 Wiens, was that by putting the rate increase or part of
17 the rate increase through the basic monthly charge, that
18 would have the effect of recovering more money from the
19 people who would seasonally use their fireplace for
20 example, or a barbecue, and would also capture those who
21 -- who would use the pools and the air conditioning and
22 the other -- other features to a greater extent than --
23 than I suppose the majority of the class.

24 That would be one (1) of the impacts of
25 increasing the basic monthly charge, correct? Those who

1 use more will end up paying more.

2 MR. ROBIN WIENS: That's not what the
3 basic monthly charge is all about. Those costs, if
4 somebody is using a -- heating a pool or using a gas
5 barbecue, are recovered in the energy charge.

6 The basic charge is intended to recover
7 the cost of facilities that are in place; costs which
8 don't vary with respect to use of energy.

9 MR. BOB PETERS: But those customers who
10 -- let's just use the pool as the example who -- who
11 maybe are the all electric home but they have a gas
12 heated pool, they have fixed costs that they're not fully
13 recovering in their basic monthly charge like everybody
14 else. But by increasing the basic monthly charge, you're
15 then getting more money back from those customers.

16 MR. ROBIN WIENS: You're getting more
17 money from customers that you were previously recovering
18 on a volumetric basis so you're recovering it from --
19 you're recovering it from everybody. You're recovering
20 it from -- from people who don't use pools and -- and
21 barbecues in the summer and from those who do.

22 MR. BOB PETERS: But that's the cross-
23 subsidization we talked about. By increasing the basic
24 monthly charge, those who don't have a lot of volume
25 won't be expected to recover fully, in an annual basis,

1 those costs because they're not -- they're not using a
2 lot of volume.

3 MR. ROBIN WIENS: I -- I may be missing
4 something here, Mr. Peters, but by increasing the basic
5 monthly charge you are simply moving recovery away from
6 volumetric charges and into a basic monthly charge.
7 Those --

8 MR. BOB PETERS: Okay.

9 MR. ROBIN WIENS: -- those customers who
10 are -- who are burning more gas are -- are -- when the
11 charge is recovered volumetrically, they are paying those
12 costs. Now you're moving it away, everybody is paying
13 more of those costs.

14

15 (BRIEF PAUSE)

16

17 MR. BOB PETERS: I think we agreed
18 earlier, Mr. Wiens, that the basic monthly charge is now
19 at six dollars and twenty-four cents (\$6.24) a month and
20 to recover the actual customer cost it should be twenty-
21 one dollars and sixty-one cents (\$21.61)?

22 MR. ROBIN WIENS: Prior to -- prior to
23 the allocation of exports which now are applied to
24 distribution-related, customer-related costs as well
25 but --

1 MR. BOB PETERS: All right. Fair --

2 MR. ROBIN WIENS: -- but eighteen (18)
3 versus twenty-one (21), it's not a -- not a big deal.

4 MR. BOB PETERS: And if the customer
5 doesn't use sufficient volume to recover the difference
6 between the six twenty-four (6.24) and the twenty-one
7 (21) in their volumetric charge, you would get -- you
8 would make the customers pay who are incurring those
9 costs by increasing the basic monthly charge?

10

11 (BRIEF PAUSE)

12

13 MR. ROBIN WIENS: If your criterion in
14 the rate design is strictly recovering embedded costs on
15 a system class and a rate structure element basis, that
16 would be correct.

17 MR. BOB PETERS: In the curtailable rates
18 program of the Corporation, this is where the customer, I
19 understand, offers to curtail their load. The customer
20 will get a discount for doing that, and the customer can
21 make up what they curtailed on an off-peak basis,
22 correct?

23 MR. ROBIN WIENS: The customer receives a
24 discount for standing ready to be curtailed on demand.
25 Whether they make up the energy on an off-peak basis or

1 not is up to them.

2 MR. BOB PETERS: And in terms of the
3 number of customers, how many customers are -- are taking
4 advantage of the curtailable rates program?

5 MR. ROBIN WIENS: There are four (4).

6 MR. BOB PETERS: And in this application
7 before the Board, the Board is seeking modification to
8 the curtailable rates program because Manitoba Hydro
9 wants the option to use part of a customer's curtailed
10 load but not 100 percent of it?

11

12 (BRIEF PAUSE)

13

14 MR. ROBIN WIENS: Mr. Peters, that's not
15 the intent of what we're asking for.

16

17 (BRIEF PAUSE)

18

19 MR. ROBIN WIENS: Mr. Peters, the
20 modification that we're asking for is a modification to
21 the terms and conditions currently.

22 If -- if there is a certainty that
23 curtailments are not going to be available because the
24 load is already shut down for whatever reason of the
25 customer's, under the current provisions we want them to

1 tell us forty-eight (48) hours in advance of any such
2 shutdown. What we're asking for is to reduce that period
3 of notice to twenty-four (24) hours.

4 I'm sorry, I'm advised that it's the
5 reverse.

6 MR. BOB PETERS: All right. The
7 Corporation would like additional notice of when the
8 customer intends to have curtailable load available?

9 MR. ROBIN WIENS: Not available. If the
10 customer is going to be shutting down voluntarily for
11 their own reasons, we're asking them to give us forty-
12 eight (48) hours notice so we know we don't have that
13 available for curtailment.

14 MR. BOB PETERS: Thank you for that
15 clarification. Is the Curtailable Rates Program still
16 financially beneficial to Manitoba Hydro?

17 MR. ROBIN WIENS: Yes.

18 MR. BOB PETERS: Does the Corporation
19 intend to expand it?

20 MR. ROBIN WIENS: We're having some
21 internal discussions about that now.

22 MR. BOB PETERS: And are the penalties --
23 are the penalties being sought to be changed for
24 customers renegeing on their -- on their commitments?

25 MR. ROBIN WIENS: No, there's -- there's

1 no -- there's been no application to change those.

2 MR. BOB PETERS: Is it still a minimum of
3 5 megawatts of load to be curtailed?

4 MR. ROBIN WIENS: Yes.

5 MR. BOB PETERS: And so does that -- does
6 that restrict it to the general service large greater
7 than 100 kV customers?

8 MR. ROBIN WIENS: No. It -- it certainly
9 restricts it to general service large, and probably makes
10 it most available to the customers that are over 30 kV.

11

12 (BRIEF PAUSE)

13

14 MR. BOB PETERS: Would curtailed
15 customers have the option to access replacement energy at
16 above baseline rates from the Corporation?

17 MR. ROBIN WIENS: We don't currently have
18 that provision. If the customer can take replacement
19 energy off-peak that they wouldn't otherwise taken, they
20 can take it. Other than that, no.

21

22 (BRIEF PAUSE)

23

24 MR. BOB PETERS: In terms of the Surplus
25 Energy Program, this was the program that we've talked

1 about where Manitoba Hydro would make available energy to
2 customers domestically, provided they would pay the price
3 that the Corporation forecasts it would get on the export
4 market?

5 MR. ROBIN WIENS: Yes.

6 MR. BOB PETERS: And the Corporation is
7 now wanting to -- to have this rate option be available
8 through to March 31 of 2013?

9 MR. ROBIN WIENS: Yes.

10 MR. BOB PETERS: Why so far out?

11

12 (BRIEF PAUSE)

13

14 MR. ROBIN WIENS: Well, when we
15 originally requested this program -- to be able to offer
16 this program, we -- we -- we requested to be able to
17 offer it for a five (5) year period with the expectation
18 that we would be able to renew it beyond that.

19 So we're in the year 2008 today, that's
20 five (5) years hence. We -- we would just like a five
21 (5) year window to have some certainty going forward that
22 we're going to be able to continue offering this program.

23 MR. BOB PETERS: Manitoba Hydro --
24 Manitoba Hydro makes money on this Surplus Energy
25 Program, albeit modest?

1 MR. ROBIN WIENS: Some years we make a
2 little bit. Some years we drop a little bit, but the
3 intent is that it would be revenue-neutral.

4 MR. BOB PETERS: Why would Manitoba Hydro
5 sell surplus energy at a low price if it could store it
6 in a reservoir instead for a future date when it may need
7 it at a -- at a higher value?

8 MR. ROBIN WIENS: Well, I'm going to have
9 to cede the floor to Mr. Surminski if we're talking about
10 system optimization. But my understanding is that these
11 quantities are quantities that would have been sold on
12 the export market anyway, and that they're simply
13 diverted for domestic use. Or alternatively, that we may
14 have in situations where we may have to import to serve
15 this load, then we'll import, and they'll compensate us
16 for the price.

17 So we believe that we're revenue-neutral
18 with respect to this; that the value of that energy is --
19 is what we're getting from those customers.

20 MR. HAROLD SURMINSKI: I can add a bit.
21 And additional factor may be putting it in storage
22 doesn't mean that -- that you may utilize it in the
23 future, because you may get high flows in the future and
24 -- and have to spill it.

25 MR. BOB PETERS: Isn't it better to have

1 it in the bank and spill it if you don't need it than --
2 than not have it and have to import it at higher costs?

3 MR. HAROLD SURMINSKI: I'm not sure how I
4 could respond to that.

5 MR. ROBIN WIENS: Mr. Peters, our -- our
6 system operating people operate the system, and they
7 operate it on the basis of probabilities. You don't know
8 in advance what's going to happen.

9 But they operate it to maximize the value
10 of the water, and that's what we're doing with the
11 surplus energy program as well.

12 MR. BOB PETERS: The problem I have with
13 that answer, Mr. Wiens, is we know that say off-peak the
14 surplus energy program is resulting in energy being sold
15 at let's say one and a half (1 1/2) cents a kilowatt hour
16 for maybe thirteen (13) weeks and wondering why that it
17 wouldn't have a greater value if it was in storage.

18 MR. ROBIN WIENS: Again, within the
19 limits of my technical ability to understand this, our
20 system operating people operate the system to maximize
21 the value of the water.

22 Sometimes that's what the value of the
23 water is. You could put it in storage and yes, maybe
24 down the road they would have a higher value or maybe
25 down the road you'd be spilling it.

1 MR. BOB PETERS: In addition to the
2 extension on the surplus energy program term, the
3 Corporation's also seeking approval of the interim orders
4 to date, correct?

5 MR. ROBIN WIENS: Yes, we are.

6 MR. BOB PETERS: Have any of the
7 customers who have used the surplus energy program come
8 back after the fact and requested rate adjustments?

9 MR. ROBIN WIENS: No.

10 MR. BOB PETERS: On the Limited Use
11 Billing Demand, LUBD, is -- I have it here, that was to
12 mitigate high demand charges determined by the winter
13 ratchet, correct?

14 MR. CHIC THOMAS: Yes.

15 MR. BOB PETERS: And the winter ratchet
16 to put it into some explanation is that the demand charge
17 component of the rates that we've gone through, that
18 would be set in the winter months, correct?

19 MR. CHIC THOMAS: Yes.

20 MR. BOB PETERS: And a customer would be
21 billed 70 percent of their winter demand even in months
22 where their demand didn't exceed that on an actual basis.

23 MR. CHIC THOMAS: There's -- there's
24 other terms too. 25 percent of contract demand and --
25 but -- but typically it's the 70 percent is the ratchet

1 part that would be applicable in other months.

2 MR. BOB PETERS: Would the Board be
3 correct that the origin of the Limited Use Billing Demand
4 was for customers who had high demands in the winter and
5 low demands in the summer?

6 MR. CHIC THOMAS: Yes.

7 MR. BOB PETERS: Would it be correct that
8 if that was the initial target audience, the people who
9 now -- and the customers who now take advantage of the
10 Limited Use Billing Demand have a high summer peak and
11 not a winter peak.

12 MR. CHIC THOMAS: Yes, Mr. Peters, that's
13 correct. Yes. Mainly for the -- the people that don't
14 have high demand charges in the wintertime that would
15 make use of this program.

16 MR. ROBIN WIENS: Mr. Peters, the -- the
17 -- certainly the -- when the design of the program was
18 undertaken, there was a concern about the effect of the
19 winter ratchet, but it wasn't only that.

20 There are some customers that have very,
21 very low load factors even though they don't operate
22 solely in the winter. They may operate year round or
23 they may operate solely in the summer in some cases.

24 But that -- they were operating at very
25 low load factors and therefore, their cost of energy was

1 high, and they may not have been because of the -- the
2 greater diversity associated with a low load factors,
3 they have been imposing not the same demand costs on the
4 system as the class average.

5 And we wanted to recognize that for very
6 low load factor customers.

7 MR. BOB PETERS: This would be revenue-
8 neutral, Mr. Wiens, for load factors lower than -- or at
9 18 percent.

10 MR. ROBIN WIENS: Yes.

11 MR. BOB PETERS: And the customers you're
12 talking about would be -- have a load factor of less than
13 18 percent.

14 MR. ROBIN WIENS: It would not be
15 beneficial for them to -- to use this rate if their load
16 factor was higher than 18 percent.

17 MR. BOB PETERS: How many customers are
18 we talking approximately?

19 MR. CHIC THOMAS: There's a hundred and
20 twenty-three (123) customers, Mr. Peters.

21 MR. BOB PETERS: Thank you for that
22 approximation. And which class are they predominantly
23 in?

24 MR. CHIC THOMAS: There's sixty-eight
25 (68) in the small demand, twenty-two (22) medium,

1 seventeen (17) in the less than thirty (30) and sixteen
2 (16) in the greater than one hundred (100).

3 I'm sorry, that's one (1) in the greater
4 than one hundred (100).

5 MR. BOB PETERS: Does your information
6 also indicate how many of those hundred and twenty-three
7 customers (123) pay a winter ratchet, based on a winter
8 ratchet?

9

10 (BRIEF PAUSE)

11

12 MR. CHIC THOMAS: None, Mr. Peters,
13 because most of them are the small demand customers,
14 they're not subject to the -- to the ratchet, so.

15 MR. BOB PETERS: And the other ones who
16 are subject to the demand have the summer peak not a
17 winter peak?

18 MR. CHIC THOMAS: Yes.

19 MR. BOB PETERS: It's now the intention
20 of the Corporation to make this a permanent offering?

21 MR. ROBIN WIENS: It is a permanent
22 offering as far as we understand, Mr. Peters.

23 MR. BOB PETERS: Well, to confirm the
24 interim orders that relate to this offering?

25 MR. ROBIN WIENS: Yes.

1 MR. BOB PETERS: In terms of the winter
2 ratchet that's used to set the demand billing minimum
3 threshold, what would be the cost to Manitoba Hydro if
4 the winter ratchet was removed?

5 MR. ROBIN WIENS: Mr. Peters, I can
6 advise what the revenue impact of it would be, but that's
7 not the only cost that we'd be talking about. Revenue
8 impact is in the order of \$2 million a year. The cost
9 impact would relate to the need to advance distribution
10 facilities in the event that the removal of the ratchet
11 generated an increase in winter demands, and I don't have
12 a precise number for that.

13 MR. BOB PETERS: What you're telling the
14 Board is that if the winter ratchet was removed, the
15 customers may not be given the appropriate signal and
16 would increase their winter demand resulting in the
17 Corporation having to put in more facilities to -- to
18 meet that capacity.

19 MR. ROBIN WIENS: That's correct.

20 MR. BOB PETERS: If there were time-of-
21 use rates, would Manitoba Hydro need the winter ratchet?

22 MR. ROBIN WIENS: It would depend on the
23 design of the time-of-use rates. The -- in some cases
24 the winter ratchet is a pretty effective means of
25 controlling demand. And -- and I -- I can -- I am

1 recalling that our customer service people have spent an
2 awful lot of time working with customers to assist them
3 in reducing their demand during the peak months in order
4 to avoid or lessen its impact.

5 Time-of-use rates do provide a price
6 signal. For some customers that may be an effective
7 price signal, for others it -- it may not be as effective
8 a price signal as the ratchet.

9 But if we were to go to and be able to
10 implement a time-of-use rate because we were -- we had
11 installed the technology, to some extent certainly it
12 would be a substitute.

13 MR. BOB PETERS: In your second last
14 answer to me, Mr. Wiens, you indicated that one (1) of
15 the costs to the Corporation would be the cost of
16 advancing distribution infrastructure, correct?

17 MR. ROBIN WIENS: That's correct.

18 MR. BOB PETERS: Would a -- and that was
19 the initial purpose for the winter ratchet was to
20 suppress the winter demand so that there wouldn't be a
21 driving of the new capital construction projects related
22 to -- to the capacity?

23 MR. ROBIN WIENS: That's generally the
24 purpose of a -- that type of -- that type of a rate
25 structure that has a seasonal ratchet. It recognizes

1 that that's the season in which the peak requirements
2 occur, and that's when the -- when those peak
3 requirements are elevated that generates the need to add
4 to distribution facilities.

5 MR. BOB PETERS: Would Manitoba Hydro
6 agree that no longer is demand the primary constraint but
7 rather generation energy is the limiting factor?

8 MR. ROBIN WIENS: In the case of our
9 generation resources, that is true, but that's not true
10 in the case of regional transmission and distribution.

11 MR. BOB PETERS: So you're saying
12 regional transmission and distribution is a more limiting
13 factor than generation energy?

14 MR. ROBIN WIENS: I'm saying that the --
15 that that demand is still an issue, with respect --
16 demand continues to be an issue with respect to those
17 facilities.

18 The fact that we don't see capacity as a
19 constraint in generation is -- is simply because if we
20 plan and have capability available to meet the energy
21 requirements of the system, with the current
22 configuration, we would be meeting the capacity
23 requirements for the generation resource.

24 But that's not true of regional
25 transmission and distribution.

1 MR. BOB PETERS: Okay, thank you for
2 that. Mr. Surminski or Mr. Wiens, maybe Mr. Warden, the
3 winter peak in '05/'06 was about 5,000 megawatts?

4 MR. VINCE WARDEN: We can give you the
5 precise number, Mr. Peters, if you can just wait one
6 moment.

7 MR. HAROLD SURMINSKI: You're including
8 export sales, and domestic peak is significantly lower
9 than that.

10 MR. BOB PETERS: I'm including the 1,800
11 megawatt hours for export.

12 MR. HAROLD SURMINSKI: All right.
13 Megawatts, yes.

14 MR. BOB PETERS: So roughly 5,000
15 megawatts was the winter peak?

16 MR. HAROLD SURMINSKI: I -- I don't have
17 that, but subject to check, that sounds correct.

18 MR. BOB PETERS: Where I was going with
19 this, Mr. Surminski, is if you accept that, subject to
20 check, in terms of a relative number, the summer peak for
21 the '05/'06 fiscal year was about 4,900 megawatts, and
22 that also included the export calculation.

23 MR. HAROLD SURMINSKI: Yes, that sounds
24 correct.

25 MR. BOB PETERS: So what the Board is

1 seeing then is that the winter peak and the summer peak
2 are -- are almost identical at this point in time.

3 MR. HAROLD SURMINSKI: Yes, it's -- it's
4 determined by the generation we have. So the generation
5 is relatively similar. There's little difference.
6 Winter is somewhat reduced because of ice effects, but
7 it's the total generation that's determining it.

8 It's the combination of domestic and sales
9 equaling generation that we have.

10 MR. BOB PETERS: Mr. Warden, my dear
11 former colleague, Mr. Gardner, Q.C., would take pleasure
12 in asking you what was the peak in the fiscal '08 year
13 that the Corporation had?

14 Is that information available?

15 MR. VINCE WARDEN: Mr. Peters,
16 unfortunately I don't have that at hand. We -- we can
17 certainly get that but --

18 MR. BOB PETERS: Well I suppose it would
19 be certainly of factual interest for the date and the
20 quantity so that we compare to the maximum generation
21 capacity.

22 MR. VINCE WARDEN: Mr. Peters, just for
23 clarification, you're asking the domestic peak or the
24 peak including exports or both?

25 MR. BOB PETERS: I can't refuse the last

1 offer, Mr. Warden. Let's have -- I wanted the total
2 number but broken down for domestic and -- and for
3 exports so -- that would be helpful.

4 MR. VINCE WARDEN: Yes.

5
6 --- UNDERTAKING NO. 79: Manitoba Hydro will provide
7 the Board with total peak in
8 the fiscal '08 year, and also
9 broken down for domestic and
10 for exports

11
12 CONTINUED BY MR. BOB PETERS:

13 MR. BOB PETERS: I want to turn to diesel
14 for just a few minutes. In this application it was noted
15 earlier, Mr. Thomas and a question was posed to your
16 friends on the revenue requirement panel, and I think
17 I've forgotten the question, but it -- it did have
18 reference to the fact that the growth that is forecast
19 over the next twenty (20) years for the diesel zone
20 essentially doubles.

21 Is that your understanding?

22 MR. CHIC THOMAS: Yes, I recall that and
23 that's correct.

24 MR. BOB PETERS: Can you explain to the
25 Board why the Corporation is forecasting such growth in

1 the diesel zone?

2 MR. CHIC THOMAS: Well, it's -- it's
3 simply the way that we forecast. Basically what our --
4 our people that do that work is -- is they look at the
5 last years -- the last ten (10) years of actual data for
6 both consumption and number of customers and just project
7 that forward into the forecast.

8 MR. BOB PETERS: So that's based on
9 essentially population growth as opposed to any other
10 change.

11 MR. CHIC THOMAS: Well there's -- well
12 there's -- they take that average for the number of
13 customers added as well as the consumption history as
14 well.

15 MR. ROBIN WIENS: Mr. Peters, just the
16 context, doubling of consumption over a period of twenty
17 (20) years can be achieved by an annual increase of 3 1/2
18 percent a year.

19 MR. BOB PETERS: Increasing demand by 3
20 1/2 percent per year will double consumption over twenty
21 (20) years is your -- your math? It's the rule of seven
22 (7) divided by two (2)?

23 MR. ROBIN WIENS: However way you look at
24 it. I don't use that rule. I calculate it precisely,
25 Mr. Peters.

1 MR. BOB PETERS: Of course. But the --
2 but the increase in the diesel community, Mr. Wiens, is
3 not attributed to increasing the availability of
4 electricity for space heat?

5 MR. ROBIN WIENS: No.

6 MR. BOB PETERS: In fact, the forecast
7 assumes the same -- the same load restrictions as
8 currently applied?

9 MR. ROBIN WIENS: Yes.

10 MR. BOB PETERS: Does the increased
11 requirement for generation indicate new generating
12 facilities will be required at all or some of the four
13 (4) diesel communities?

14 MR. CHIC THOMAS: Notwithstanding a
15 replacement of age -- age and equipment. Replacing
16 generating facilities purely on a load growth is
17 something that -- that the people that are responsible
18 for that look at that on an annual basis.

19 Currently there are no plans to replace
20 any of the generating stations that exist now.

21 MR. BOB PETERS: Do I take from that
22 answer, Mr. Thomas, that the current generating stations
23 could meet this demand, the 26 gigawatt hours a year in -
24 - in 2026/'27?

25

1 (BRIEF PAUSE)

2

3 MR. CHIC THOMAS: Currently what we have
4 in place will not meet a doubling of energy use as
5 suggested in the forecast. However, our -- our people
6 are looking more in a five (5) to ten (10) year
7 forecasting window in terms of generation requirements.

8 MR. BOB PETERS: So in the five (5) to
9 ten (10) years there's no plans to replace or upgrade the
10 diesel generation?

11 MR. CHIC THOMAS: Strictly on the basis
12 of load growth, no.

13 MR. BOB PETERS: Can you update the Board
14 as to whether a run of the river plants, or what has been
15 called "Small Hydro" before this Board, is being examined
16 by -- as a generating source for electricity for the
17 diesel zone?

18 MR. CHIC THOMAS: I believe we were
19 directed by this Board to examine several options other
20 than diesel. And that is one (1) option that has been
21 studied.

22 MR. BOB PETERS: And -- and what is the
23 conclusion of the Corporation with respect to run of the
24 river generating stations or "Small Hydro" as it's been
25 known?

1 (BRIEF PAUSE)

2

3 MR. VINCE WARREN: Mr. Peters, Manitoba
4 Hydro has completed reports, and has shared those reports
5 with the leaders of those First Nations, and we are
6 awaiting their -- their comments, and it might be more
7 appropriate to -- to have those comments before we put
8 our conclusions on the record.

9

10 (BRIEF PAUSE)

11

12 MR. ROBERT MAYER: Several years ago when
13 Tim Sale was still the Minister, I saw a video of the
14 rapid that is located on a river between Brochet and Lac
15 Brochet that was designated, or said to be designated for
16 one (1) of these mini-hydro projects.

17 And it seems to me that was quite a few
18 years ago. And if we're still talking diesel generation
19 and replacing diesel generation as our population
20 doubles, I'm a little concerned about that.

21 I really thought we were making progress
22 toward something other than diesel. So when can we be
23 looking at, at least, something definitive in terms of
24 attempting to find another solution for what we're doing
25 in those poor communities?

1 MR. VINCE WARREN: Well, Mr. Mayer, I can
2 answer in a very general way and say that of all the
3 options that had been reviewed, diesel still remains as
4 the low cost, most efficient option for each of those
5 poor communities.

6

7 CONTINUED BY MR. BOB PETERS:

8 MR. BOB PETERS: Mr. Thomas, in terms of
9 the diesel zone you annually run a -- what we'll call a
10 "diesel cost of service study?

11 MR. CHIC THOMAS: Typically, yes.

12 MR. BOB PETERS: It's not a full cost of
13 service study like we've seen for your imbedded costs,
14 correct?

15 MR. CHIC THOMAS: It's a full cost of
16 service study for the diesel zone.

17 MR. BOB PETERS: So it's -- on a small
18 basis, or a small scale relative to the cost of service
19 study done for the --

20 MR. CHIC THOMAS: Yes.

21 MR. BOB PETERS: -- the grid costs. You
22 do that to determine whether or not there are costs that
23 are not being recovered from the rates being charged in
24 the diesel community?

25 MR. CHIC THOMAS: Yes.

1 MR. BOB PETERS: When's the last time the
2 diesel rate was adjusted? Was it two (2) years ago?

3 MR. CHIC THOMAS: I think so, yes, it was
4 -- the order's on the tip of my tongue, but it was
5 approximately that, yes.

6 MR. BOB PETERS: And can you tell the
7 Board whether the diesel costs continue to be fully
8 recovered from the rates that are being charged?

9 MR. CHIC THOMAS: Sorry, Mr. Peters?

10 MR. BOB PETERS: I was just asking
11 whether you can confirm for the Board whether or not the
12 costs to serve the diesel zone are still being fully
13 recovered by the rates that are being charged to the
14 diesel zone.

15 MR. CHIC THOMAS: To that earlier
16 question, it was January '01 that our rates changed in
17 the diesel zone. In terms of --

18 MR. ROBIN WIENS: January 1/'07.

19 MR. BOB PETERS: It's hard to answer two
20 (2) questions at once. You should try asking two (2)
21 questions at once.

22 MR. CHIC THOMAS: Going back to your last
23 question about are we still recovering the full cost in
24 the diesel zone, again by direction of Order 117/'06
25 we're ordered to bring forth a diesel study once the

1 settlement gree -- agreement is finally settled. We have
2 done some preliminary work and the full cost rate that --
3 that we have forecasted is very close to what is in place
4 now.

5 MR. BOB PETERS: Do I take from that
6 answer that the only thing holding up the Corporation
7 from coming in and asking for new rates for the diesel
8 zone is conclusion on the settlement agreement?

9 MR. CHIC THOMAS: That would be fair.

10 MR. ROBERT MAYER: We -- we only have at
11 this point in time an interim order on diesel rates, as I
12 understand it, and we are awaiting this elusive signature
13 before Manitoba Hydro applies to make those rates
14 permanent.

15 Is that an accurate description of where
16 we're at?

17 MR. VINCE WARDEN: Yes, it is, Mr. Mayer.
18 And I think at the -- with the last panel we discussed
19 the interim or the pending payment that was due at March
20 31st. I can advise that that payment has been made and
21 I'm optimistic that we are very close to the signing of
22 that agreement now, yes.

23

24 CONTINUED BY MR. BOB PETERS:

25 MR. BOB PETERS: Mr. Thomas, back in Tab

1 3 of the revenue requirement book of documents that I had
2 circulated there was a listing of the interim orders, and
3 the Vice-Chair has indicated that the -- the diesel
4 community is presently -- has rates that are approved
5 under an interim order, and you can confirm that,
6 correct?

7 MR. CHIC THOMAS: I can.

8 MR. BOB PETERS: And in fact the rates
9 that are currently in effect in the diesel zone under an
10 interim order are premised on three (3) preceding orders
11 that were interim in nature as well?

12 MR. CHIC THOMAS: Yes.

13 MR. BOB PETERS: Now, I'm just a little
14 confused. I understand you're waiting for this agreement
15 to be -- to -- to be inked or to be finally executed.

16 Why is that holding up any change in a
17 rate application?

18

19 (BRIEF PAUSE)

20

21 MS. PATTI RAMAGE: Mr. Peters, I'm not
22 sure because it's really not appropriate for me to give
23 evidence, but it's the legalities of the agreement and
24 various conditions that have to be satisfied and final
25 rate approval is the last in the series of conditions.

1 We wouldn't want to have final rate approval and then not
2 have other conditions precedent -- find out they weren't
3 satisfied.

4 MR. ROBERT MAYER: If I recall our
5 reasons for making it an interim order was to basically
6 insist upon a settlement happening, or we had, if I
7 recall correctly, offered to take that to the Court of
8 Appeal for an interpretation on who was responsible to
9 provide power on reserve.

10 But I think I understand why we can't come
11 back and we can't do much more with it until somebody
12 actually puts pen to paper on the outstanding agreement
13 which we understand, although all the payments have been
14 made, somebody isn't getting around to doing.

15 THE CHAIRPERSON: Mr. Peters, I think
16 we'll take the break right now because we've got
17 something else to do.

18 MR. BOB PETERS: Thank you.

19
20 --- Upon recessing at 10:31 a.m.

21 --- Upon resuming at 10:54 a.m.

22

23 THE CHAIRPERSON: Okay, welcome back.
24 Mr. Peters, you're still -- still delivering the pitches.

25

1 CONTINUED BY MR. BOB PETERS:

2 MR. BOB PETERS: And as I -- as I
3 indicated to colleagues at the break, I promised to be
4 finished by the morning coffee break. I just didn't
5 anticipate the Board taking an early coffee break. Okay,
6 maybe not.

7 Just a few matters of cleanup, no new
8 areas. Before the recess we were talking about diesel
9 rates and we -- we understand the complexities that exist
10 relative to the resolution of the agreement amongst
11 Manitoba Hydro, MKO and INAC.

12 My question, and this may have legal
13 undertones, but is there any prohibition on Manitoba
14 Hydro from coming back to this Board to apply for a new
15 interim rate for the diesel zone?

16 MR. VINCE WARDEN: No.

17 MR. BOB PETERS: Thank you. Mr. Thomas,
18 is a change in the diesel rate zone -- the diesel zone
19 rates needed now to recover any deficiency?

20 MR. CHIC THOMAS: As I'd said before the
21 break that we have done a preliminary '08 number, and the
22 numbers are relatively close.

23 Now we haven't firmed up that number, but
24 right now we're confident that they're fairly close.

25 MR. BOB PETERS: I think that's what you

1 said before the break but in terms of being close, can
2 you indicate to the Board whether there is -- since your
3 last rate approval from this Board -- whether there is a
4 surplus or a deficiency in the amount of monies recovered
5 from the diesel zone relative to the costs incurred by
6 the diesel zone?

7 MR. CHIC THOMAS: There would be a slight
8 deficit.

9 MR. BOB PETERS: Are you able to put the
10 order of magnitude of the deficit before the Board at
11 this time?

12 MR. CHIC THOMAS: I'm not prepared to do
13 that, Mr. Peters, because as I said we had done an
14 initial draft of our '08 study. It -- it hasn't been
15 through the approval process so -- so I don't think that
16 would be appropriate at this time.

17 MR. BOB PETERS: And the Corporation
18 recalls that the last deficit arose as a result of not
19 coming forward for rate increases when -- when the costs
20 didn't -- when the rates didn't recover the costs that
21 were being expended?

22 MR. CHIC THOMAS: That's fair.

23 MR. BOB PETERS: And the Corporation is -
24 - is concerned not to allow that to happen again?

25 MR. CHIC THOMAS: Absolutely.

1 MR. BOB PETERS: Is there a timeline, Mr.
2 Thomas as to when the Corporation feels it may be making
3 an application for a change in the interim rates to the
4 diesel zone?

5 MR. CHIC THOMAS: In terms of our study
6 and shoring that up and finalizing it, no. We could --
7 we could come to the Board probably early in the fall but
8 notwithstanding the schedule of the Board and of course
9 other matters before Manitoba Hydro is the other matter
10 in terms of the actual schedule and when we might apply.

11 MR. BOB PETERS: And that could be made
12 independent of whether there's been a final execution of
13 the settlement agreement.

14 MR. CHIC THOMAS: As Mr. Warden just
15 indicated, yes.

16 MR. BOB PETERS: Thank you. Back to
17 residential rates for just a minute, most homes are built
18 in the City of Winnipeg with -- is it 100 amps of
19 service?

20 MR. ROBIN WIENS: I would say there's --
21 there's a legacy of 100 amps. Most home that are built
22 now are built with two hundred (200).

23 MR. BOB PETERS: How would a homeowner
24 know if they have 100 or 200 amps?

25

1 (BRIEF PAUSE)

2

3 MR. ROBIN WIENS: Well, they could check
4 their panel, and if they were uncertain, they could call
5 their electrician.

6 MR. BOB PETERS: All right, or --

7 MR. ROBIN WIENS: Or they could call
8 Manitoba Hydro.

9 MR. BOB PETERS: If a homeowner increases
10 from 100 to 200 amps, would there be an expectation on
11 Manitoba Hydro that the basic monthly charge would
12 double?

13 MR. ROBIN WIENS: No, our basic monthly
14 charge is set on a standard of 200 amps or less.

15 MR. BOB PETERS: All right. Thank you
16 for that clarification. Anything over 200 amps, 201 and
17 upwards will attract an additional six dollars and
18 twenty-four cents (\$6.24) per month?

19 MR. ROBIN WIENS: Yes.

20

21 (BRIEF PAUSE)

22

23 MR. BOB PETERS: Mr. Thomas, this morning
24 we had some discussion about the marginal costs in
25 Manitoba Hydro's Exhibit 68, and I think you were going

1 to take an opportunity, I don't know if you did have time
2 at the break, but to consider some additional information
3 relative to that exhibit?

4 MR. CHIC THOMAS: Yes, thanks, Mr.
5 Peters. Yeah, we were talking earlier about the Marginal
6 Cost Study and you were questioning the -- the number for
7 the transmission and why it had changed significantly.

8 The reason is the -- it -- it's the direct
9 cost, and also it's the allocated costs to exports that
10 is in the -- in the -- the allocated line for
11 transmission, the fifty-two (52) number.

12

13 (BRIEF PAUSE)

14

15 MR. CHIC THOMAS: So yes, if you look at
16 the Schedule E-1 --

17 MR. BOB PETERS: You're looking at Tab 55
18 of the book of documents?

19 MR. CHIC THOMAS: Yes, thank you.

20 MR. BOB PETERS: Sorry, and you're on
21 page 2 of 2?

22 MR. CHIC THOMAS: I'm on page 1 of 1.

23 MR. BOB PETERS: Okay.

24 MR. CHIC THOMAS: Or 1 of 2.

25 MR. BOB PETERS: Sorry, I'm -- I'm now

1 with you.

2 MR. CHIC THOMAS: Okay. So if you take
3 that -- that fifty-two thousand (52,000) and then
4 subtract thirteen (13), which is the -- the cost within
5 that that is allocated to exports, we'll arrive back at
6 our thirty-nine (39) that is now in that schedule.

7

8 (BRIEF PAUSE)

9

10 MR. BOB PETERS: Where will I find the 13
11 million that's allocated directly to the exports?

12 MR. CHIC THOMAS: Well it's not on this
13 page. It's -- it would be in the Allocation Study. But
14 I can tell you that it's -- it's part of that 52 million.

15

16 (BRIEF PAUSE)

17

18 MR. BOB PETERS: The distribution also
19 had an anomaly. Did you have time to resolve that or...?

20 MR. CHIC THOMAS: I thought we were just
21 talking about the transmission. I wasn't aware that...

22 MR. BOB PETERS: All right, let me -- let
23 me review it further and see if I have anything on
24 follow-up.

25 MR. CHIC THOMAS: Sorry, Mr. Peters, I've

1 the dedicated street lighting number on the second page.
2 Right before we go to the summaries there's one called
3 CO-1 distributing -- distribution lighting. And I think
4 if I subtract the two (2) we should get the right number.

5 MR. BOB PETERS: I think that plus the
6 diesel might be the answer.

7 MR. CHIC THOMAS: Yes, I think you're
8 right. I'm not as quick on the calculator as Mr. Wiens,
9 unfortunately.

10 MR. BOB PETERS: I don't use a
11 calculator, and that's obvious. So that would be the
12 explanation on that, Mr. Thomas?

13 MR. CHIC THOMAS: Yes.

14 MR. BOB PETERS: All right. Thank you.
15 Mr. Warden, maybe in an attempt to give you the last
16 word, when you review the Corporation's rate structure
17 and its rate schedules, you'd agree that they're very
18 interrelated and if not only interrelated also complex?

19 MR. VINCE WARDEN: Yes, they are
20 interrelated and to the extent that a change in any one
21 (1) component of those schedules has an effect on the
22 other components, it is somewhat complex, yes.

23 MR. BOB PETERS: So how it applies to
24 specific customers could have some differences based on a
25 whole host of factors that would cause different bills to

1 come out for customers?

2 MR. VINCE WARDEN: Yes, although I think
3 from an individual customer perspective, the rates are
4 fairly straightforward. We have a residential customer,
5 we have a basic monthly charge, a first block and second
6 block, so I think the electric rates are probably less
7 complex than the gas rates that appear on the same bill.

8 MR. BOB PETERS: Thank you, Mr. Warden.
9 Is it Manitoba Hydro's assertion that the Manitoba Hydro
10 rates and the proposed changes in this general rate
11 application are entirely consistent with fair and
12 reasonable rates that are not prejudicial or unduly
13 discriminatory?

14 MR. VINCE WARDEN: Yes, I would agree
15 with that statement given the -- the circumstances we are
16 in. We -- we are striving to get, of course, to our
17 debt/equity target. We've been doing that for many
18 years. So given that we aren't there yet, the rates that
19 we have before this Board under all those considerations
20 of -- of financial targets, customer sensitivity, yes, I
21 would agree that our rates are -- are just and
22 reasonable in this application.

23 MR. BOB PETERS: Thank you. Mr.
24 Chairman, I'd like to thank Messrs Surminski, Thomas,
25 Wiens, and Warden, in addition to Ms. Flynn, Ms. Arnal,

1 Ms. Harms, and Mr. Dudar, who is hiding behind, for their
2 assistance in answering my questions.

3 I will review the undertakings, and if I
4 have anything further I'll request permission to -- to
5 advance those questions. But at this time I suggest you
6 turn it over to my colleague, Mr. Buhr, on the opposite
7 side.

8 THE CHAIRPERSON: And thank you, Mr.
9 Peters, for a comprehensive and spirited cross-
10 examination.

11 Okay, Mr. Buhr...?

12 MR. DOUG BUHR: Thank you, Mr. Chairman.
13 I should advise the Board that in -- in homage to Mr.
14 Peters I too have prepared a book of documents which I
15 would ask the Board secretary to circulate. I hasten to
16 add that it's -- it's only four (4) tabs, so I think I've
17 got them in the right order. And it shouldn't take us
18 too long to go through them.

19

20 (BRIEF PAUSE)

21

22 MR. DOUG BUHR: In all honesty, Mr.
23 Chairman, the reason I put this together was simply to
24 have everything in one (1) place, so that you weren't
25 searching through a whole bunch of volumes of documents.

1 THE CHAIRPERSON: It is helpful.

2

3 CROSS-EXAMINATION BY MR. DOUG BUHR:

4 MR. DOUG BUHR: Mr. Wiens, before we get
5 into that, I want to start with the discussions that have
6 taken place between Manitoba Hydro and the city pursuant
7 to Board Order 117/'06.

8 MR. ROBIN WIENS: Yes.

9 MR. DOUG BUHR: And in fact, you and Mr.
10 Thomas and Ms. Ramage have been involved in those
11 discussions, is that correct?

12 MR. ROBIN WIENS: That is.

13 MR. DOUG BUHR: Would you agree that
14 there had been a variety of issues that had been on the
15 table in those discussions?

16 MR. ROBIN WIENS: Yes, I would, a fairly
17 wide range in listed issues.

18 MR. DOUG BUHR: And that there's been a
19 fair amount of information exchanged in relation to those
20 issues?

21 MR. ROBIN WIENS: I believe so, yes.

22 MR. DOUG BUHR: And some of those issues
23 are fairly complex?

24 MR. ROBIN WIENS: Yes.

25 MR. DOUG BUHR: And that none of those

1 issues are on the table at this Hearing?

2 MR. ROBIN WIENS: I don't believe so.

3 MR. DOUG BUHR: In short, the parties
4 have decided to see if we can work those issues out?

5 MR. ROBIN WIENS: That's correct.

6 MR. DOUG BUHR: Thank you. If you go to
7 Tab 1 of my book of documents, it's -- it even has an
8 exhibit number, CITY/HYDRO Number 2. I like that when --
9 when Manitoba Hydro's up to seventy-eight (78) or
10 something I think.

11 If you look at -- and this is an extract
12 from your application. Under the heading, "Area and
13 Roadway Lighting," you start by saying there's a 1
14 percent increase being proposed, that equals two hundred
15 thousand dollars (\$200,000).

16 Did you want -- more that you want from
17 us?

18 MR. ROBIN WIENS: Yes.

19 MR. DOUG BUHR: Okay. And then -- and
20 I'm -- I think I'm right in saying that I think the
21 balance of that paragraph proceeds to talk about three
22 (3) alternative methods.

23 Do I have that right? I think there's
24 PCOSS, there is the RCC prior to allocation of net export
25 revenue, and there's retained earnings deficiency?

1 MR. ROBIN WIENS: Yes.

2 MR. DOUG BUHR: Okay. And we'll talk
3 about the PCOSS in a minute. In terms of the RCC
4 relative to net export revenues, I asked you to update
5 one (1) of your charts that you had filed in your
6 rebuttal evidence.

7 Have you had an opportunity to do that to
8 show area and roadway lighting, in terms of net export?

9 MR. ROBIN WIENS: Yes, we've done that.

10 MR. DOUG BUHR: Is -- is that already --
11 has that already been filed by Hydro or do we need to
12 file it as an exhibit now?

13

14 (BRIEF PAUSE)

15

16 MR. ROBIN WIENS: Mr. Buhr, that was a
17 request of yours offline and I believe we strictly
18 provided you with copies. I'm -- I had thought we were
19 going to be making some copies as well but I don't
20 believe that it's been filed as a -- as a document in
21 these proceedings.

22 MR. DOUG BUHR: Do you have the copies?

23 MR. ROBIN WIENS: It may be one (1) of
24 the victims of the -- of the long adjournment.

25 MR. DOUG BUHR: Just -- there is one (1)

1 other as well that you were preparing, have you made
2 copies of that, the financial overcharge?

3 MR. ROBIN WIENS: We definitely prepared
4 these items. Again, the question of the copies is just
5 what we're checking into.

6 MR. DOUG BUHR: Okay. Well, while that's
7 being made, let's -- let's move on then perhaps to the
8 other model that you used there, which is retained
9 earning deficiency. And I think the results of that are
10 shown on the next page of Tab 1.

11 MR. ROBIN WIENS: Yes.

12 MR. DOUG BUHR: And the area and roadway
13 lighting is 5 1/2 percent higher than any other class?

14 MR. ROBIN WIENS: That looks right.

15 MR. DOUG BUHR: And in fact whichever of
16 the three (3) methods is used, area and roadway lighting
17 was and is outside or above any zone of reasonableness?

18

19 (BRIEF PAUSE)

20

21 MR. ROBIN WIENS: Mr. Buhr, if you -- if
22 you look at the same page in your book of documents, in
23 respect of prior to -- in the first column that's prior
24 to the application of the request of rate increase by
25 Manitoba Hydro and it is, yes, it is slightly above the

1 zone of reasonableness.

2 In the case of the middle column which is
3 -- includes the rate increase of 2.9 percent for all
4 classes except street lights. It is just slightly below.

5 And in the case of the retained earnings
6 deficiency, it is the highest revenue cost coverage, but
7 it is -- it is also below 100 percent.

8 MR. DOUG BUHR: Thank you.

9

10 (BRIEF PAUSE)

11

12 MR. DOUG BUHR: Let's move on then to Tab
13 2, and I want to see if I can summarize the information
14 that appears in the chart as completed by Manitoba Hydro.

15 And the starting point is that except for
16 three years, 1999, 2001, and 2002, area and roadway
17 lighting is outside the zone of reasonableness?

18 MR. CHIC THOMAS: Yes.

19 MR. DOUG BUHR: And when you look
20 specifically at 1999 and 2001, I suggest to you that
21 those numbers are -- are an aberration? They're out of
22 the ordinary?

23

24 (BRIEF PAUSE)

25

1 MR. ROBIN WIENS: They're certainly
2 different from the other numbers in -- in the column, Mr.
3 Buhr. There's probably an explanation for that, but on
4 the -- on the surface of them, they are out -- outside of
5 what the rest of them are showing.

6 MR. DOUG BUHR: And substantially so?

7 MR. ROBIN WIENS: Well, they're below a
8 hundred (100), and every other one is above a hundred
9 (100).

10 MR. DOUG BUHR: Thank you. So the result
11 is that once since 1980 -- only once since 1980 -- has
12 the city -- has the area and roadway lighting been within
13 the zone of reasonableness?

14

15 (BRIEF PAUSE)

16

17 MR. ROBIN WIENS: That's what the numbers
18 are saying, Mr. Buhr.

19 MR. DOUG BUHR: And if -- if the ideal is
20 that RCC at one hundred (100), then area and roadway
21 lighting has been overcharged every year except one (1)?

22 MR. ROBIN WIENS: If the ideal is one
23 hundred (100). We have a zone of reasonableness. We
24 look at between ninety-five (95) and one hundred and five
25 (105). Prior to somewhere around 1994, it would have

1 been one hundred and ten (110), ninety (90) to one
2 hundred and ten (110), even eighty-five (85) to one
3 hundred and fifteen (115) at -- in the -- in the early
4 part of the 1990s.

5 But on this basis, it has been in most
6 years above the zone of reasonableness.

7 MR. DOUG BUHR: Thank you. You had a
8 discussion yesterday with Mr. Peters concerning the new
9 energy intensive class. And there was some discussion
10 about refunds. If somebody qualified for an exemption,
11 but hadn't applied at the right time? Do you recall
12 that?

13 MR. ROBIN WIENS: Well we had a
14 discussion, at a theoretical level, about how we might
15 handle the situation in which somebody either -- either
16 didn't apply or wasn't found to be eligible for an
17 exemption and then subsequently it was determined that it
18 was the other way around, yeah.

19 MR. DOUG BUHR: And I -- I think the
20 suggestion by you was that Hydro would consider a refund
21 in that situation?

22 MR. ROBIN WIENS: I -- I think I said
23 that yes, we would look at the -- look at whether that
24 was warranted or not.

25 MR. DOUG BUHR: I take it you're not

1 prepared to do that for any other class?

2 MR. ROBIN WIENS: We're not looking at it
3 for any of the existing classes, no.

4 MR. ROBERT MAYER: In all fairness, Mr.
5 Buhr, the Hydro Panel appeared to have been taken --
6 taken aback by the very word "refund."

7 MR. DOUG BUHR: And I'm not surprised,
8 Mr. Vice-Chair. Sorry, do we know what's happening with
9 those -- other -- the two (2) exhibits?

10 MR. ROBERT MAYER: Proposed exhibits.

11

12 CONTINUED BY MR. DOUG BUHR:

13 MR. DOUG BUHR: Sorry, proposed exhibits,
14 the Vice-Chair is correct. Well, I -- tell you what,
15 let's continue.

16 You mentioned that the -- the zone of
17 reasonableness was ninety-five (95) to one o five (105)
18 was established in 1995?

19 MR. ROBIN WIENS: I believe that the
20 Public Utilities Board accepted it in an order that they
21 issued in March or April of 1996?

22 MR. DOUG BUHR: Yes, you're -- you're
23 correct, Mr. Wiens. If you look at Tab 3 of the book of
24 documents, and you'll see that I have -- I have
25 highlighted -- there are three (3) pages in there, and I

1 have highlighted comments on the first and third pages.
2 I don't want to -- I'll give you a minute to read -- read
3 them. I don't want to -- I don't think it's necessary to
4 read them into the record.

5

6

(BRIEF PAUSE)

7

8 MR. ROBIN WIENS: That's fine, Mr. Buhr.

9 MR. DOUG BUHR: So at that time, at
10 least, unity was the goal, right?

11 MR. ROBIN WIENS: Movement towards unity
12 was the goal. It's -- to actually have rates precisely
13 at unity and -- and track unity over time is probably not
14 possible, but the idea was to target towards unity.

15 MR. DOUG BUHR: And that was in a Board
16 Order issued in 1996.

17 MR. ROBIN WIENS: This order was issued
18 in 1996.

19 MR. DOUG BUHR: And in fact that -- so
20 Hydro's goal was eventually to get classes to unity,
21 i.e., one hundred (100)?

22 MR. ROBIN WIENS: Was to move towards
23 unity, was to -- was to stay within the zone of
24 reasonableness and to move towards unity. As I've said
25 to get to unity and to stay there is probably an illusive

1 goal, but to move towards unity and be within the zone of
2 reasonableness is what we were looking at.

3 MR. DOUG BUHR: Well, I -- I don't want
4 to parse words with you, Mr. Wiens, but Hydro said that
5 they were going to strive to bring all classes to unity
6 but were unable to say when it may take place; that's the
7 -- Tab 3, the first page.

8

9 (BRIEF PAUSE)

10

11 MR. ROBIN WIENS: It's -- yes, it says
12 "strive." That was -- that would be a target.

13

14 (BRIEF PAUSE)

15

16 MR. DOUG BUHR: And since the zone of
17 reasonableness was established by that order I think I'm
18 correct in saying that there's been an excess or an
19 overcharge of almost \$11 million since that time assuming
20 RCC should have been one hundred (100)?

21 MR. ROBIN WIENS: The difference between
22 what actually happened and the one hundred (100) since
23 1996 is in the order of \$11 million. I'll accept that,
24 subject to check.

25 MR. DOUG BUHR: Yes, well that's one (1)

1 of the exhibits I think we're waiting for so...

2 MR. CHIC THOMAS: If I can interrupt
3 here, Mr. Buhr, I think we have those copies available if
4 we can --

5 MR. DOUG BUHR: Perfect. Let's -- maybe
6 let's go back then and file the net export revenue
7 exhibit --exhibit as the next one and I guess that's
8 CITY/HYDRO-3?

9

10 (BRIEF PAUSE)

11

12 THE CHAIRPERSON: Mr. Buhr, the panel now
13 has three (3) --

14 MR. DOUG BUHR: Right --

15 THE CHAIRPERSON: Book of documents could
16 be Exhibit Number CITY-2.

17 MR. DOUG BUHR: No, it's -- it's actually
18 CITY-3, I think, because my book of documents was 2.

19 THE CHAIRPERSON: That's what I -- sorry,
20 that's what I said.

21 MR. DOUG BUHR: Oh, okay.

22 THE CHAIRPERSON: Book of documents would
23 be Number 2.

24 MR. DOUG BUHR: Right.

25

1 --- EXHIBIT NO. CITY/HYDRO-2: Book of documents

2

3 THE CHAIRPERSON: So you want to
4 introduce the other two (2) then?

5 MR. DOUG BUHR: Yes. There's one (1),
6 CITY/HYDRO-3. This is an update to a chart that Manitoba
7 Hydro produced in its rebuttal evidence -- is that
8 correct?

9 THE CHAIRPERSON: Okay, so this would be
10 Number 3 then?

11 MR. DOUG BUHR: Yes, it's headed,
12 "Manitoba Hydro Increase Electrical Rates for 2008/'09
13 Rebuttal Evidence," and it's a -- there's a chart or a
14 table.

15 THE CHAIRPERSON: Okay, CITY Number 3.

16

17 --- EXHIBIT NO. CITY/HYDRO-3: Update to a chart,
18 "Manitoba Hydro Increase
19 Electrical Rates for 2008/'09
20 Rebuttal Evidence"

21

22 MR. DOUG BUHR: And sir, you've got one
23 (1) more schedule, "Area and Roadway Lighting COSS
24 Revenue Cost and Export Allocations 1980 To Present?"

25 MR. DOUG BUHR: Yes, Mr. Chairman, and

1 that will be CITY/HYDRO Number 4.

2 THE CHAIRPERSON: Very good.

3

4 --- EXHIBIT NO. CITY/HYDRO-4: Schedule entitled, "Area
5 and Roadway Lighting COSS
6 evenue Cost and Export
7 Allocations 1980 to present"
8

8

9 CONTINUED BY MR. DOUG BUHR:

10 MR. DOUG BUHR: And if I can go back to
11 what CITY/HYDRO Exhibit Number 3, basically all this is
12 is an update to a chart that you prepared in your -- for
13 your rebuttal evidence, and what you've done is added the
14 area and roadway lighting class at the bottom of that
15 chart.

16 MR. ROBIN WIENS: Yes, Mr. Buhr, but I
17 should also note that since the time we provided this to
18 you, we have also updated the numbers in the first column
19 of that chart.

20 But we can make those changes as we go
21 through your questions.

22 MR. DOUG BUHR: That's where I was going
23 to leave it, Mr. Wiens. If you want to provide those
24 updates by all means, let's do it now.

25 MR. ROBIN WIENS: And these -- these are

1 updates that would follow through from the revised
2 version of Appendix 11.2 that we handed out this morning
3 called --

4 THE CHAIRPERSON: It's Manitoba Hydro 68.

5 MR. ROBIN WIENS: -- 68. That -- that's
6 correct. And it -- it really would change the numbers in
7 the first column, the Revenue to Marginal Cost Ratio.

8 You'll see that refers to Appendix 11.2
9 and I can go through them one by one if that's helpful,
10 and people can cross them out or we can -- we can try and
11 get a revision.

12 But under residential where it's now
13 reading 60.6, it would be 61.4. General service small
14 would be 66.2. General service small demand would be
15 59.7. General service medium would be 54.3. General
16 service large would be 46 -- under 30 would be 46.5.
17 General service large 30 to 100 would be 44.2. General
18 service large over 100, would be 45.5, and area and
19 roadway lighting would be 84.1.

20

21 CONTINUED BY MR. DOUG BUHR:

22 MR. DOUG BUHR: So anyway you slice it,
23 it's substantially above everybody else.

24 MR. ROBIN WIENS: It is above everybody
25 else.

1 MR. DOUG BUHR: Then if I can direct your
2 attention to City Hydro Exhibit Number 4, can you
3 basically summarize what this chart is showing us?

4 MR. CHIC THOMAS: What we've tried to do
5 here, Mr. Buhr, is since 1980 through to the present what
6 we've compared is the -- the revenue from area and
7 roadway lighting to the costs allocated and -- and
8 directly assigned in the Cost of Service through time.

9 And then across the columns we are
10 calculating either the -- the overage or the underage in
11 terms of revenue in excess of cost.

12 MR. DOUG BUHR: So from 1980 to 1994,
13 it's \$37.754 million?

14 MR. CHIC THOMAS: That's what the table
15 shows. Just as a word of caution, there's a few in -- in
16 those years you just mentioned, there are two (2) where
17 we didn't -- didn't do a study and what we did was simply
18 take the average of the study previously and the study
19 after.

20 So -- but in essence the 37 is what --
21 what the number is, yes.

22 MR. DOUG BUHR: And the number for 1995
23 to 2008 is almost \$11 million.

24 MR. CHIC THOMAS: Yes.

25 MR. DOUG BUHR: For a total of almost \$49

1 million?

2 MR. CHIC THOMAS: That sounds about
3 right, yes, Mr. Buhr.

4 MR. DOUG BUHR: And I think I'm correct
5 in saying that to reduce area and roadway lighting RCC to
6 100 would mean a reduction of six hundred and twenty
7 thousand dollars (\$620,000) per year, in the bill?

8 The reference is Manitoba Hydro 1-2 and 1-
9 3(d). It's in Tab 2 of my book of documents. It's the
10 very -- the very last page in Tab 2, for example.

11 MR. CHIC THOMAS: Yes, I've got it, Mr.
12 Buhr.

13 MR. DOUG BUHR: So six hundred (600)
14 would require a -- a reduction of six hundred and twenty
15 thousand dollars (\$620,000) a year, right?

16 MR. CHIC THOMAS: Yes.

17 MR. DOUG BUHR: And in fact, what Hydro
18 has proposed is a two hundred thousand dollar (\$200,000)
19 a year increase in the bill?

20 MR. CHIC THOMAS: Yes.

21 MR. DOUG BUHR: And I -- if I refer you
22 to CITY/MANITOBA HYDRO-1-2, it's about halfway through
23 Tab 2. There's a chart there, and that shows the effect
24 of proposed rate -- any proposed rate change from 1
25 percent down to minus five (5)?

1 MR. CHIC THOMAS: Yes.

2 MR. DOUG BUHR: I then want to take you
3 to City Manitoba Hydro 1-3. It's the next question in
4 Tab 2. Is it fair to say that Manitoba Hydro hasn't
5 exactly been aggressive in trying to reduce area and
6 roadway lighting to one hundred (100) or even one-o-five
7 (105)?

8

9 (BRIEF PAUSE)

10

11 MR. ROBIN WIENS: Well, Mr. Buhr, I guess
12 it depends on what you mean by aggressive. If we can go
13 through some of this history that you've put before us --
14 and I'm looking right now at your Exhibit City Number 4,
15 going back to 1996 and 1997, the -- this Board directed 5
16 percent decreases --

17 MR. DOUG BUHR: Sorry, I just -- just --

18 MR. ROBIN WIENS: -- in each of those
19 years.

20 MR. DOUG BUHR: -- no, just -- just to
21 interrupt you one (1) minute. That's what the Board
22 ordered. Do you remember what Hydro proposed for those
23 two (2) years?

24 MR. ROBIN WIENS: I don't -- I don't have
25 that, Mr. Buhr.

1 MR. DOUG BUHR: If I suggest to you that
2 it was -- Hydro proposed zero and this Board said, No, a
3 5 percent cut in each of those two (2) years.

4 MR. ROBIN WIENS: That sounds right.

5 MR. DOUG BUHR: Thank you. Please
6 continue.

7 MR. ROBIN WIENS: If -- if we -- if we
8 move forward from there, we're -- we're into 1998, we did
9 not have a Cost of Service Study in that year or a rate
10 application for that matter. We get to 1999 --

11 MR. DOUG BUHR: Mr. Wiens, may -- if I
12 may suggest, this may help you. If you go to Tab 2 and -
13 - and look at the chart --

14 MR. ROBIN WIENS: That's where I am right
15 now, yeah. If -- if you go to 1999, that was the year --
16 or the year immediately after the year in which we
17 implemented our new financial reporting system which
18 enabled us to much better track the cost of providing
19 service.

20 And we got to ninety three point four
21 (93.4), which would suggest -- in terms of revenue cost
22 coverage, which would suggest that there wasn't a need to
23 be aggressive.

24 MR. DOUG BUHR: In fairness, Mr. Wiens,
25 we've already had this discussion, and you agreed with me

1 that 1999 and 2001 were an aberration or something's out
2 of the ordinary because they are so substantially
3 different from what -- what both precedes and follows.

4 MR. ROBIN WIENS: Yes, I did say that in
5 terms of the numbers themselves, Mr. Buhr, but I also
6 said that we could find a reason for it, and that's what
7 I am trying to track right now. We had the same result
8 or a similar result in 2001. In 2002, we had a result
9 which was slightly above 100 percent.

10 Now, you'll recall that 2002, 2003, and
11 moving into 2004 was the period in which we had another
12 significant change in our system that may have had an
13 impact on the costs, and while I can't precisely label
14 that -- that impact, that was when we integrated the
15 facilities that were part of the purchase by Manitoba
16 Hydro/Winnipeg Hydro, and that is likely having had an
17 impact on it but now we get to the point at which we have
18 -- we're in 2003 and 2004.

19 The first rate application in which
20 Manitoba Hydro could have taken a look at this was in
21 2003 and 2004, and we were still, at that point,
22 uncertain as to how effectively we had integrated that
23 material; the -- the records of former Winnipeg Hydro
24 into our records.

25 So when we came before this Board in 2004,

1 which was the first rate application that we had brought
2 to this Board since 1996, and I don't recall specifically
3 what we requested for street lights. I think it was zero
4 (0)...

5

6 (BRIEF PAUSE)

7

8 MR. ROBIN WIENS: I think it was zero
9 (0), but -- but at that point, we were directed by this
10 Board to apply 5 percent increase across the board
11 subsequent to that rate hearing. Since that time, we
12 have had another couple of across-the-board increases.
13 We have not been able to address that. This application
14 represents the first opportunity we've had since that
15 time to address the situation with respect to street
16 lighting.

17 MR. DOUG BUHR: And your way of
18 addressing it was to get our RCC down to one o four point
19 eight (104.8); in other words, two-tenths (2/10ths) of a
20 point within the zone of reasonableness?

21 MR. ROBIN WIENS: That's correct.

22 MR. DOUG BUHR: Are you -- is Hydro
23 proposing any further reductions to -- to get the area
24 and roadway lighting down below that?

25 MR. ROBIN WIENS: We have not taken a

1 proposal either to this Board or internally to do that so
2 we don't -- don't have a formal proposal to address that
3 in place yet.

4 MR. DOUG BUHR: And just so we're clear,
5 it's Manitoba Hydro's choice as to when and if it comes
6 back to this Board for a rate increase?

7 MR. ROBIN WIENS: The specific timing --
8 Manitoba Hydro may have some control over that, but the
9 Board has directed us now that we -- we can't let more
10 than three (3) years go before coming back for a rate
11 increase --

12 MR. DOUG BUHR: So are you saying to me--

13 MR. ROBIN WIENS: -- or an application of
14 some sort.

15 MR. DOUG BUHR: Are you saying to me then
16 that it will be another three (3) years from today before
17 this -- before Hydro comes back to this Board?

18 MR. ROBERT MAYER: This Board hasn't
19 decided that yet.

20 MR. DOUG BUHR: Okay. Thank you.

21

22 CONTINUED BY MR. DOUG BUHR:

23 MR. DOUG BUHR: You understand my
24 concern, Mr. Wiens --

25 THE CHAIRPERSON: Mr. Buhr, I wouldn't

1 mind hearing Mr. Wiens' answer to the question.

2 MR. VINCE WARDEN: Mr. Buhr, if you look
3 at the integrated financial forecast that was filed as a
4 part of these proceedings we do have a -- a rate increase
5 indicated in each and every year of that ten (10) year
6 forecast so we will be back before this Board with
7 another rate application for next year.

8 MR. DOUG BUHR: Thank you.

9

10 (BRIEF PAUSE)

11

12 CONTINUED BY MR. DOUG BUHR:

13 MR. DOUG BUHR: I want to take you to
14 CITY/MANITOBA HYDRO-1-3(a). It's about halfway through
15 Tab 2 of the book of documents.

16 MR. ROBIN WIENS: Yes, we -- I have that.

17 MR. DOUG BUHR: And in there it's -- what
18 -- what is said is that:

19 "Manitoba Hydro considers this zone and
20 time target to be under review in light
21 of directives received in Order
22 117/'06."

23 MR. ROBIN WIENS: Yes.

24 MR. DOUG BUHR: Then there's a reference
25 to COALITION/MANITOBA HYDRO-1-45A for further discussion?

1 MR. ROBIN WIENS: There's that reference.

2 MR. DOUG BUHR: Mr. Chairman, I don't
3 think it's necessary for everybody to -- to actually go
4 to 1-45A.

5 But would you agree with me, Mr. Wiens,
6 that all that answer does is refer to PUB Order 143/'04
7 saying that:

8 "Manitoba Hydro should ensure that all
9 classes are within the zzz -- let me
10 try that again -- ZOR over a reasonable
11 period of time being five (5) to seven
12 (7) years."

13 And I'm trying to figure out how that
14 relates to what directions you got in Board Order
15 117/'06.

16 MR. ROBIN WIENS: Well, we may -- we may
17 have an incorrect reference here given the volume of
18 questions we asked -- or we responded to. It may take me
19 some time to sort that out whether or not it is the
20 correct reference and if it is not, which it is.

21 But let me try to elaborate here if that
22 will be of some assistance.

23 MR. DOUG BUHR: Please.

24 MR. ROBIN WIENS: There were an extensive
25 number of directives in Board Order 117/'06. Among those

1 was the -- the facts that the Board wanted to see
2 information related to marginal and notional
3 environmental costs provided as supplemental information
4 that the Board intended to give some weight to.

5 The Board also intended to give some
6 weight to other concepts of embedded costs including with
7 and without export revenues applied.

8 This proceeding is the first proceeding in
9 which Manitoba Hydro's response to all of those
10 directives in terms of changes that the Board wanted to
11 see as to how costs were allocated. And Manitoba Hydro
12 was not certain that they would necessarily all survive
13 this -- this scrutiny that's happening during the current
14 proceeding.

15 So that is the uncertainty that -- that
16 we're talking about here when we say that we consider
17 this zone and this time target to be under review because
18 if the results differ substantially from what we had
19 anticipated when we filed all this material; if the
20 results of this review differs in any degree from what we
21 actually filed, we may want to look at a different
22 strategy for and perhaps, different targets.

23 So that's what -- that's what this is
24 referring to. And if the -- if the reference to
25 COALITION-45A is the wrong one, I apologize for that. It

1 may have been another one. But that's what we were
2 trying to -- trying to get at.

3 MR. DOUG BUHR: Thank you. So -- just so
4 I understand, it's -- it's not Hydro's position that
5 prior to Order 117/'06, the PUB only looked at the Cost
6 of Service Study to determine rates?

7 MR. ROBIN WIENS: Sorry, I was just -- I
8 was on the verge of finding that actual reference for you
9 so I missed part of your question.

10 MR. DOUG BUHR: I'll wait.

11 MR. ROBIN WIENS: We believe it should
12 have been COALITION-145B.

13 MR. DOUG BUHR: And that reference would
14 not change what you've just given as your explanation for
15 the statement?

16 MR. ROBIN WIENS: Well, the -- yeah that
17 --

18 MR. DOUG BUHR: There's nothing in 145B
19 that changes what you said.

20 MR. ROBIN WIENS: I -- I -- I haven't
21 read it except my colleague has pointed out that we refer
22 to at least some of it. I -- I would think that because
23 that was not prepared in real time, it might be more
24 comprehensive than the answer I've just given you on the
25 record now.

1 MS. PATTI RAMAGE: -- to provide
2 evidence.

3

4 CONTINUED BY MR. DOUG BUHR:

5 MR. DOUG BUHR: Manitoba Hydro has been
6 appearing before this Board for about thirty (30) or
7 forty (40) years. If they don't know what factors you
8 consider, there's a problem.

9 All I'm suggesting to you, Mr. Wiens, is
10 that there's really not a heck of a lot of -- that this
11 Board looks at a variety of factors when it determines
12 rates; that's what Board Order 117/'06 says, and I'm
13 suggesting to you that that's what this Board has done
14 since 1989.

15

16 MR. ROBIN WIENS: That -- that may well
17 be true, but -- but my reading of this is that it has
18 never been so explicit about the factors that it would
19 consider, nor have we had such extensive direction in
20 terms of modifications to the Cost of Service Study that
21 this -- that the Board wanted to see.

22 MR. DOUG BUHR: Okay, thank you.

23

24

(BRIEF PAUSE)

25

1 MR. DOUG BUHR: And if I -- sorry, direct
2 you to CITY/MANITOBA HYDRO-1-3C, it's the second last
3 page in Tab 2.

4 MR. ROBIN WIENS: We have that.

5 MR. DOUG BUHR: I'm -- I'm a little
6 puzzled. It talks about a \$1.1 revenue reduction, but I
7 though to reduce this the RCC to one hundred (100) was
8 six hundred and fifty thousand (650,000)? Or six --
9 sorry, six twenty (620), and that's on the next page.

10

11 (BRIEF PAUSE)

12

13 MR. CHIC THOMAS: Mr. Buhr, the
14 discrepancy is that -- that on 3C that you're looking at
15 is the area and roadway lighting class in total, whereas
16 the six hundred and twenty (620) that you refer to is --
17 is what we approximated to be the city of Winnipeg.

18 MR. DOUG BUHR: Thank you for that. And
19 going back to 1-3C, Hydro's answer then for the province-
20 wide is that it's a 0.6 percent decrease in Manitoba
21 Hydro's net income?

22 MR. CHIC THOMAS: That's how the
23 calculation worked out, yes.

24 MR. DOUG BUHR: Now, does that change --
25 because this was prepared some time ago, does that change

1 in light of the projected revenue being over \$300
2 million?

3 Is that point six (.6) going to change?

4 MR. ROBIN WIENS: Yes, it will.

5 MR. DOUG BUHR: To what?

6

7 (BRIEF PAUSE)

8

9 MR. ROBIN WIENS: It looks like it would
10 be about point four (.4).

11 MR. DOUG BUHR: Thank you.

12 MR. VINCE WARREN: Assuming 300 million
13 as the number.

14 MR. DOUG BUHR: Fair enough. Is that a -
15 - that is a reasonable assumption, I take it, is it?

16 MR. VINCE WARREN: It's reasonable.

17 MR. DOUG BUHR: Mr. Chairman, as I
18 promised at the outset, I would be brief. I am done,
19 thank you.

20 THE CHAIRPERSON: You are a man of your
21 word, Mr. Buhr. No slight intended for previous
22 speakers, of course.

23 I suggest we might as well take our lunch
24 break now and we will come back at one o'clock instead of
25 1:15.

1 --- Upon recessing at 11:48 p.m.

2 --- Upon resuming at 1:02 p.m.

3

4 THE CHAIRPERSON: Okay, welcome back
5 folks. If I've got this dance card right, next up is Mr.
6 Williams for the Coalition.

7 Mr. Williams...?

8 MR. BYRON WILLIAMS: Yes, thank you, and
9 good afternoon, Mr. Chairman, and members of the Board.
10 I should note that Ms. Desorcy is here, apparently
11 consulting on natural gas matters right now, and she's
12 learned far more about area and roadway lighting, I
13 think, than she ever planned to this morning, so that's
14 great.

15 I have a couple thank you's as well. I do
16 want to thank My Friend, Mr. Peters, first of all, and --
17 and the -- the consulting team again for their excellent
18 work in terms of this issue, and also for scheduling
19 their cross-examination so I get the prized Friday
20 afternoon after a long, long week cross-examination slot
21 where everyone's at their most alert. So I appreciate
22 that Mr. Peters.

23 And Mr. -- I do want to say thank you as
24 well to MIPUG. I was unable to be here yesterday --
25 yesterday morning, and MIPUG, and Mr. McLaren in

1 particular, kindly agreed to brief me on everything I
2 missed including a couple of the jokes or shots that Mr.
3 Peters took at me. So if -- if I do go into Monday, I
4 may have some responses to Mr. Peters.

5 Mr. Chairman, just in terms of
6 bookkeeping, lacking either the organizational ability,
7 or the resources of Mr. Buhr or Mr. Peters, I have got
8 some -- I've got some documents just to assist in cross-
9 examination. With two (2) exceptions they're all
10 documents that have come from the record; the other two
11 (2) are derived from the record and have been shared with
12 Manitoba Hydro.

13 And I'm at the Board's pleasure, mostly
14 their design to just assist parties in following along,
15 and I'm not sure they require an exhibit number, except
16 for two (2) of them, but I -- if -- I'll leave that to
17 the Board's discretion, and when we come to the
18 appropriate ones, I just recommend that we mark them as
19 exhibits at that point in time.

20 THE CHAIRPERSON: Well, for reference
21 sake, maybe it's better they are exhibits.

22 MR. BYRON WILLIAMS: We -- you -- we'd
23 like to go through and get them all --

24 THE CHAIRPERSON: Sure, why not. Why
25 not.

1 MR. BYRON WILLIAMS: I'll need Mr.
2 Gaudreau's advice.

3 THE CHAIRPERSON: What number are we up
4 to, Mr. Gaudreau?

5 MR. BYRON WILLIAMS: I'm sorry, Mr.
6 Gaudreau, I could not hear you?

7 Excuse me, I'd recommend that COALITION-19
8 be the "reprinted without the express written permission
9 of Manitoba Hydro load forecast."

10

11 --- EXHIBIT NO. COALITION-19: Load forecast reprinted
12 without the express written permission
13 of Manitoba Hydro

14

15 MR. BYRON WILLIAMS: COALITION-20 is the
16 -- the small table, "Near Term Revenue Implications."

17

18 --- EXHIBIT NO. COALITION-20: Small table, "Near Term
19 Revenue Implications"

20

21 MR. BYRON WILLIAMS: COALITION-21, I'd
22 recommend be the small table, "Long Term Revenue
23 Implications."

24

25 --- EXHIBIT NO. COALITION-21: Small table, "Long Term

1 Revenue Implications"

2

3 MR. BYRON WILLIAMS: COALITION-22 -- are
4 we okay now? We...

5 THE CHAIRPERSON: I think a copy of the
6 material -- we are missing one (1) copy.

7 I apologize, Mr. Williams. Now we are up
8 to...?

9 MR. BYRON WILLIAMS: COALITION-22, which
10 would be the reprint of the Manitoba Hydro response to
11 PUB-2-49.

12

13 --- EXHIBIT NO. COALITION-22: Reprint of Manitoba Hydro
14 Response to PUB-2-49

15

16 MR. BYRON WILLIAMS: COALITION-23,
17 PUB/MH-1-57.

18

19 --- EXHIBIT NO. COALITION-23: Response to PUB/MH-1-57

20

21 MR. BYRON WILLIAMS: 24 is COALITION-2 --
22 or PUB/MANITOBA HYDRO-2-37.

23

24 --- EXHIBIT NO. COALITION-24: Response to PUB/MH-2-37

25

1 MR. BYRON WILLIAMS: COALITION-25 is the
2 excerpt from the NERA study of 2005.

3 THE CHAIRPERSON: COALITION-25, the NERA
4 excerpts.

5

6 (BRIEF PAUSE)

7

8 THE CHAIRPERSON: Mr. Wiens has been
9 singled out again, Mr. Williams.

10 MR. BYRON WILLIAMS: I may need some
11 answers from him today, Mr. Chairman, so I'm not singling
12 him out.

13 I'd recommend -- and with apologies to Mr.
14 Wiens, COALITION-25, be the NERA excerpt.

15

16 --- EXHIBIT NO. COALITION-25: Excerpt from the 2005
17 NERA Study

18

19 MR. BYRON WILLIAMS: COALITION-26 should
20 be a table titled, "Manitoba Hydro Domestic Customer
21 Class Ratios of Revenue to Marginal Cost." And that's a
22 -- a new document based upon Exhibit 68 filed yesterday.

23

24 --- EXHIBIT NO. COALITION-26: Table entitled, "Manitoba
25 Hydro Domestic Customer Class Ratios of

1 Revenue to Marginal Cost"

2

3 MR. BYRON WILLIAMS: COALITION-27 is --
4 should be the response to COALITION/HYDRO-1-59.

5

6 --- EXHIBIT NO. COALITION-27: Response to COALITION/
7 HYDRO-1-59

8

9 MR. BYRON WILLIAMS: So we have a bit
10 logistical challenge here.

11 I apologize for that. I think we probably
12 have -- we appear to be -- be missing that, but I'm going
13 to -- do you have that, Mr. Chairman? You do, okay.

14 So --

15 THE CHAIRPERSON: Mr. Gaudreau made
16 copies.

17 MR. BYRON WILLIAMS: Okay. COALITION-28
18 should be perspectives on fairness and efficiency. I'm
19 seeing nods from Manitoba Hydro.

20

21 --- EXHIBIT NO. COALITION-28: Perspectives on fairness
22 and efficiency

23

24 MR. BYRON WILLIAMS: Next should be
25 COALITION-29, which is -- I'd suggest be Interrogatory

1 Response PUB/HYDRO-1-83.

2

3 --- EXHIBIT NO. COALITION-29: Response to PUB/HYDRO-1-83

4

5 MR. BYRON WILLIAMS: COALITION-30, I'd
6 suggest be the article by Mr. Rice, an excerpt from --
7 which is, "Household Electricity Demand Revisited," and
8 this is material put on the record by TREE.

9

10 --- EXHIBIT NO. COALITION-30: Excerpt of the article by
11 Mr. Rice, "Household
12 Electricity Demand Revisited"

13

14 MR. BYRON WILLIAMS: COALITION-31 would
15 be another excerpt from a article by Bernstein and
16 Griffin, "Regional Differences and the Price Elasticity
17 of Demand for Energy."

18

19 --- EXHIBIT NO. COALITION-31: Excerpt from a article by
20 Bernstein and Griffin, "Regional
21 Differences and the Price Elasticity of
22 Demand for Energy"

23

24 THE CHAIRPERSON: Very good.

25 MR. BYRON WILLIAMS: The amazing thing is

1 I think I will be dealing with them in order. We'll see
2 though.

3

4 CROSS-EXAMINATION BY MR. BYRON WILLIAMS:

5 MR. BYRON WILLIAMS: And I think I'll
6 start with Mr. Surminski. I know Mr. Kuczek's not here,
7 you're -- I'll -- I'll ask you to refer to Coalition
8 Number 19, which an excerpt from the May 2007 Electric
9 Load Forecast.

10 Do you have that, sir?

11 MR. HAROLD SURMINSKI: It may be me or it
12 may be Mr. Wiens. We talked about Mr. Wiens is in a -- a
13 good -- just as good of position to respond to the load
14 forecast.

15 MR. BYRON WILLIAMS: I'm find with
16 whoever it is, as long as Mr. Wiens is not angry with me
17 for missing that one (1) exhibit that I passed out.

18 MR. ROBIN WIENS: We'll see as the
19 afternoon proceeds, Mr. Williams. It could be a deferral
20 account.

21 MR. BYRON WILLIAMS: Mr. Wiens, thank you
22 for your anticipated cooperation, and I'll ask you to
23 turn to the next page, page 10, and at the top it's
24 headed, "Residential." And I'll direct your attention to
25 start with to the table at the bottom of page 10, which

1 is a table, I suggest to you, which shows residential
2 sales measured in gigawatt hours for a number of fiscal
3 years.

4 And it -- it shows both sales and weather
5 adjusted sales, is that right, sir?

6 MR. ROBIN WIENS: Yes.

7 MR. BYRON WILLIAMS: And just directing
8 your attention, first of all, to the left-hand side of
9 that table, you'll see -- the column with the fiscal
10 years, you'll see it's covering the years on the left-
11 hand side from 1986/'87, starting with that fiscal year,
12 going to 2006/'07.

13 Is that right, sir?

14 MR. ROBIN WIENS: Yes.

15 MR. BYRON WILLIAMS: And I just want to
16 look at the sales in -- actual sales in terms of gigawatt
17 hours. At the top we see way back in 1986/'87
18 residential sales in terms of gigawatt hours for that
19 year -- the actual sales were a bit over 5,000 gigawatt
20 hours.

21 Is that right, sir?

22 MR. ROBIN WIENS: Yes.

23 MR. BYRON WILLIAMS: And that they rose
24 to -- to about 6,500 gigawatt hours for the year
25 2006/'07, is that right, sir?

1 MR. ROBIN WIENS: Yes.

2 MR. BYRON WILLIAMS: And again just
3 moving now to -- four (4) columns over to the fiscal
4 year, starting 2007/'08 and the top right-hand corner,
5 you'll see that what the last two (2) columns portray is
6 the forecast in terms of the growth in residential sales
7 measured in gigawatt hours for the years 2007/'08 through
8 to two twenty-seven/two twenty-eight (227/228), is that -
9 - 2028, sir.

10 Is that right, sir?

11 MR. ROBIN WIENS: Yes.

12 MR. BYRON WILLIAMS: And you'll see that
13 growth is from about 6,500 kilowatt hours to a bit less -
14 - or excuse me, 6,500 gigawatt hours to a bit less than
15 8,000 gigawatt hours.

16 Is that right, sir?

17 MR. ROBIN WIENS: Yes.

18 MR. BYRON WILLIAMS: And I just want to
19 draw your attention as well as -- and thank you for your
20 assistance, Mr. Wiens, to the chart or the graph I guess
21 I'll -- or the figure at the top right-hand corner of the
22 same page.

23 You'll agree with me that this is a
24 graphical display of the -- the tables that we've just
25 gone through, sir?

1 MR. ROBIN WIENS: Yes.

2 MR. BYRON WILLIAMS: With the dots being
3 the actual historical results, the straight dark line
4 being the weather adjusted results, and the -- the light
5 grey dots in line being the forecast.

6 Is that right, sir?

7 MR. ROBIN WIENS: Yes.

8 MR. BYRON WILLIAMS: And just again to
9 look at this graphically, if we look at residential
10 sales, we see that in 1988 they were just around or a bit
11 above 5,000 gigawatt hours, and they've risen to about
12 6,500 gigawatt hours by 2008.

13 Do you see that, sir?

14 MR. ROBIN WIENS: Yes.

15 MR. BYRON WILLIAMS: And I'd like you, if
16 I might, just get you to keep your finger on that -- that
17 page but flip over to page 19. And what you'll see on
18 page 19 in figure 7 is a similar graphical display for
19 general service top consumers.

20 Do you see that, Mr. Wiens?

21 MR. ROBIN WIENS: Yes.

22 MR. BYRON WILLIAMS: And just -- we're
23 going to spend some time on that page, not too much, but
24 just to get you to flip over one (1) -- one (1) more page
25 as well, you'll see the page number 22. In the third

1 column over, again you have actual and projected results
2 for top consumers as measured in gigawatt hours for
3 certain years.

4 Do you see that, sir?

5 MR. ROBIN WIENS: Yes.

6 MR. BYRON WILLIAMS: Okay. Now by top
7 consumers I understand that Manitoba Hydro means firms
8 like Simplot, Hudson Bay Mining and Smelting, Louisiana
9 Pacific.

10 Would that be right, sir?

11 MR. ROBIN WIENS: Yes.

12 MR. BYRON WILLIAMS: I'd just like to do
13 with you if I might, Mr. Wiens, again kind of flipping
14 figure 1 on page 10 and figure 7 on page 19.

15 I'd just like to -- you to compare the --
16 the results in terms of growth in sales for residential
17 versus top consumers. And again, if we go back twenty
18 (20) years to 1988, we see that residential sales are, as
19 we've indicated previously, around 5,000 gigawatt hours.

20 Is that right, sir?

21 MR. ROBIN WIENS: Yes.

22 MR. BYRON WILLIAMS: And back in 1988 the
23 sales in terms of gigawatt hours for general service top
24 consumers, quite a bit lower at around 3,000 gigawatt
25 hours, correct?

1 You can see it graphically displayed on
2 figure 7, Mr. Wiens.

3 MR. ROBIN WIENS: Yes.

4 MR. BYRON WILLIAMS: Now let's zoom
5 forward twenty (20) years if we might. Again, we -- we
6 see that -- you're with us, Mr. Wiens?

7 MR. ROBIN WIENS: I'm with you.

8 MR. BYRON WILLIAMS: Okay. If we zoom
9 forward twenty (20) years again to -- let's say to
10 2007/'08 we see the -- the residential sales at about
11 6,500 gigawatt hours with the top consumers in the range
12 of about 6,000 gigawatt hours for the year 2007/'08.

13 Is that about right, sir?

14 MR. ROBIN WIENS: That's right.

15 MR. BYRON WILLIAMS: So there's been a
16 fair closing of the difference between them from twenty
17 (20) years ago to -- to the 2007/'08 year, in terms of --

18 MR. ROBIN WIENS: Yes.

19 MR. BYRON WILLIAMS: Thank you. And you
20 may need to refer to the actual numbers on page 22 of
21 this table, sir, but in terms of the forecast sales for
22 general service top consumers, measured in gigawatt
23 hours, versus the forecast sales for residential,
24 measured again in gigawatt hours, you'll agree with me
25 that by 2008/'09 or 2009/2010 -- 2010 at the -- the

1 latest top consumers annual sales in terms of gigawatt
2 hours are actually for -- forecasts to exceed the
3 residential sales.

4 Do you see that, sir?

5

6 (BRIEF PAUSE)

7

8 MR. ROBIN WIENS: It looks about 29 --
9 2009/2010.

10 MR. BYRON WILLIAMS: Okay. And just to -
11 - to finish up with this if you'll go -- where -- where
12 we're projected with this, if you look to 2017/2018 for
13 residential -- that's at page 10, sir -- you'll see that
14 they're forecast to be about 7,200 gigawatt hours in that
15 year?

16 MR. ROBIN WIENS: Yes.

17 MR. BYRON WILLIAMS: And if you again
18 flip to page 22 you'll see that the top consumers by
19 2017/'18 are forecast to be at about 8,600 gigawatt
20 hours.

21 Is that right, sir?

22 MR. ROBIN WIENS: Yes.

23 MR. BYRON WILLIAMS: So just -- in terms
24 of the -- the thirty (30) years covered by the historical
25 plus forecast figures, to sum up, way back in the 1980s

1 the residential sales were a fair degree above the top
2 consumer sales annually, and by 2017/'18 the reverse is
3 actually expected to be the case, that the top consumers
4 are projected to be a significant degree above the
5 residential sales.

6 Would that be fair, sir?

7 MR. ROBIN WIENS: Yes.

8

9 (BRIEF PAUSE)

10

11 MR. BYRON WILLIAMS: Are you preparing
12 another answer for me, Mr. Wiens, or...?

13 MR. ROBIN WIENS: No, I'm anticipating
14 your next question.

15 MR. BYRON WILLIAMS: Well, I'm going to
16 try and trick -- no, I'm just teasing.

17 Mr. Wiens, you -- you -- I didn't provide
18 this as a handout but the -- the response of Manitoba
19 Hydro to COALITION-2-37 suggests that the May 2007 load
20 forecast predicts that Manitoba Hydro's electric demand
21 will grow by about 3,109 gigawatt hours from 2007/'08 to
22 2012/2013.

23 Are -- are you prepared to accept that,
24 subject to check?

25 MR. ROBIN WIENS: Sure.

1 MR. BYRON WILLIAMS: And the source -- I
2 think Ms. Ramage is just checking it up -- is COALITION-
3 2-37.

4 Would you also accept that during this
5 period electricity demand due to energy intensive, which
6 I'm going to define as Hydro does as primary metals,
7 chemicals, and petroleum customers is expected to
8 increase by about 1,779 gigawatt hours at generation?

9 Would you accept that, subject to check,
10 sir?

11

12 (BRIEF PAUSE)

13

14 MR. ROBIN WIENS: Sure, I'll accept that.

15 MR. BYRON WILLIAMS: So of the -- if I
16 would suggest to you that the load increase, due to
17 electric -- electricity-intensive industry for this
18 period, the next five (5) years essentially, amounts to
19 57 percent of the load growth -- growth which I would
20 calculate by dividing one seven seven nine (1,779) by
21 three thousand one hundred and nine (3,109).

22 Would you accept that, sir?

23 MR. ROBIN WIENS: Yes.

24 MR. BYRON WILLIAMS: So in the -- in the
25 short term the -- a major driver in terms of the electron

1 -- electric load forecasts in the next five (5) years, a
2 key driver is these energy-intensive industries.

3 Is that fair, sir?

4 MR. ROBIN WIENS: Yes.

5 MR. BYRON WILLIAMS: In terms of your May
6 2007 load forecast would I be correct in suggesting to
7 you that it does not take into account any -- or it makes
8 no assumptions about the -- about how electric --
9 intensive electric users will respond to the new -- the
10 new proposed rate for high intensity users?

11 MR. ROBIN WIENS: I believe that to be
12 the case.

13 MR. BYRON WILLIAMS: And if it's not the
14 case, you'll -- you'll correct me -- you'll correct me
15 subsequently?

16 MR. ROBIN WIENS: Mm-hm, yes.

17 MR. BYRON WILLIAMS: Okay. I just want
18 to turn back to the residential customers just for one
19 (1) second. And -- and this actually is not from the --
20 the May 2007 load forecast. It comes from the May 2006
21 forecast. The page numbers's 14.

22 I don't have it in my materials, sir, but
23 in the May 2006 load forecast at page 14, my -- Manitoba
24 Hydro makes a comment about the growth in residential
25 basic all-electric energy. And it suggests this sector

1 has grown because most new homes in rural areas installed
2 electric water and space heat.

3 Would that be a fair statement, sir?

4 MR. ROBIN WIENS: Yes.

5 MR. BYRON WILLIAMS: And it goes on to
6 say that many of the new all-electric homes are being
7 built in First Nation communities that do not have access
8 to natural gas.

9 Would that also be a fair statement, sir?

10 MR. ROBIN WIENS: I haven't tested it
11 personally, but I believe it to be a fair statement.

12 MR. BYRON WILLIAMS: So when we look at
13 the -- the growth in all-electric homes in recent years,
14 a fair bit of that has come from homes being built in
15 First Nation communities that don't have access to
16 natural gas alternatives, would that be fair?

17 MR. ROBIN WIENS: This is what -- this is
18 what you're quoting the document as saying. I did not
19 prepare the document. I cannot respond to exactly what
20 proportion of the -- the new homes are on First Nations.
21 If that were important then we would have to go back and
22 take a look at it.

23 But that seems reasonable to me.

24

25 (BRIEF PAUSE)

1 MR. BYRON WILLIAMS: Well, Mr. -- Mr.
2 Wiens, maybe if -- and if it turns -- I'm goin -- I'm not
3 going to ask this as an undertaking, but I'm going to ask
4 you to consider how feasible this request would be.

5 If -- if you could go back -- how -- if
6 you could advise me how easy it would be to go back five
7 (5) years in terms of the growth in all-electric usage
8 and whether it's easy to attribute how much of that is
9 due to growth on First Nation -- growth of homes on First
10 Nation communities.

11 And also in terms of the corporation's
12 forecast the next few years, again what percentage. And
13 I'm not asking -- if you can advise perhaps on Monday as
14 to whether it's eas -- readily accessible or not, would
15 you agree to at least look at that, sir?

16 MR. ROBIN WIENS: We'll take a look at
17 that.

18

19 (BRIEF PAUSE)

20

21 MR. BYRON WILLIAMS: I'm sorry, Mr.
22 Wiens, my back row is a fair bit farther away than --
23 than your back row.

24 MR. ROBIN WIENS: My initial advice here
25 is that it may be possible. It may take some time

1 though.

2 MR. BYRON WILLIAMS: Mr. Wiens, just from
3 my -- it would be helpful information, but if it's a -- a
4 ten (10) hour investment of time, I'm not sure that it's
5 -- my clients are asking for that. But if it's an hour
6 or two, then we'd appreciate you exploring that.

7 MR. ROBIN WIENS: We'll do what we can.

8 MR. BYRON WILLIAMS: I'm going to turn to
9 a related subject in terms of addressing the -- the --
10 some issues around the proposed rates for new large
11 industrial loads. And I'm not sure who the witness will
12 be, but they may want to keep nearby again the Manitoba
13 Hydro application Volume I, Tab 10.

14 And also there are two (2) -- the two (2)
15 tables that I will be referring to are just COALITION-20
16 and COALITION-21.

17

18 (BRIEF PAUSE)

19

20 MR. BYRON WILLIAMS: Mr. Wiens, and again
21 you may -- I provided this material to you in advance so
22 you -- you may have had a chance to check it.

23 But for those who -- who don't trust my
24 ability to accurately copy from a -- from a book, I -- I
25 was -- the information for these two (2) tables is drawn

1 from page 11 of 18 and page 12 of 18.

2 MR. ROBIN WIENS: Yes, and Mr. Williams,
3 I -- I will comment on -- I want to suggest that it's
4 your ability and maybe our ability to communicate on page
5 11, but I will suggest some -- some revisions to clarify
6 these numbers.

7 I can do it now, or I can do it as you go
8 through them.

9 MR. BYRON WILLIAMS: Why don't' you do it
10 now, Mr. Wiens, if you can. First of all, the first one
11 is COALITION-20.

12 Do you have any changes for that, sir?

13 MR. ROBIN WIENS: Changes or
14 clarifications. If you go to the 4th column over, you've
15 made reference to average opportunity exports. And that
16 average would be covering the same period as the second
17 column in your table.

18 MR. BYRON WILLIAMS: And I was going to
19 clarify that myself.

20 MR. ROBIN WIENS: April 2003 to 2007.
21 Now if you go to the last column in your table, you have
22 said average opportunity exports '07/'08. That's not
23 possible. We filed this information on August the 1st of
24 '07.

25 So it's actually referring to the '06/'07

1 year up to January 31st of '07.

2 MR. BYRON WILLIAMS: Thank you, Mr.
3 Wiens, and in terms of the other COALITION-21, do you
4 have any changes to that?

5 MR. ROBIN WIENS: No, I don't.

6 MR. BYRON WILLIAMS: And I thank you for
7 that, Mr. Wiens. Just in terms of the -- the case for
8 the new large industrial load, my understanding is that
9 Manitoba Hydro's position is that large energy intensive
10 industry is being attracted to Manitoba on a scale that -
11 - that's large enough to threaten the Corporation's
12 revenue position.

13 Is that a fair statement?

14 MR. ROBIN WIENS: Yes. We've become
15 concerned about it over the last number of years.

16 MR. BYRON WILLIAMS: And in terms of the
17 -- turning -- I -- I want to look at, first of all, the
18 near term revenue implications which I'm going to suggest
19 to you are captioned in Coalition Number 20.

20 Your concern, in the short term, is that
21 load is being diverted or there's a risk of load being
22 diverted from the export market.

23 Is that the concern in the short term,
24 sir?

25 MR. ROBIN WIENS: Well I -- I would say

1 that's how the impacts are principally realized in the
2 short term. It's actually a concern in both the short
3 and long term.

4 MR. BYRON WILLIAMS: And we're going to
5 come to the long term in a -- in a moment, Mr. Wiens, but
6 okay, how -- how concerns are realized in the short term.

7 And as I understand these concerns, it's
8 essentially that Manitoba Hydro looking at the table on -
9 - from COALITION-20, suggests that it's typical firm
10 sales for a large load in Manitoba are three point two
11 (3.2) cents per kilowatt hour, is that right, sir?

12 MR. ROBIN WIENS: It's -- it's in that
13 order -- three point two (3.2), three point three (3.3).

14 MR. BYRON WILLIAMS: And that these sales
15 are considerably lower, you would suggest than what
16 you've averaged in terms of firm exports between April of
17 2003 and 2007.

18 Would that be right, sir?

19 MR. ROBIN WIENS: That would be correct.

20 MR. BYRON WILLIAMS: And as well as the
21 average from exports for the fiscal '06/'07 year,
22 correct?

23 MR. ROBIN WIENS: That's correct. One is
24 showing over -- over a slightly longer term than the
25 other, but they're both intended to demonstrate the same

1 picture.

2 MR. BYRON WILLIAMS: And indeed going to
3 the last two (2) columns in this table, it's also --
4 looking at both the longer term history and also the more
5 immediate '06/'07 results, the -- the price that you even
6 receive in -- in terms of average opportunity exports
7 would be considerably more than a typical firm sale for
8 large load in Manitoba.

9 Is that right, sir?

10 MR. ROBIN WIENS: Correct.

11 MR. BYRON WILLIAMS: Looking out into the
12 very near term future, the forecast, and this is the
13 column number 4, again, the -- the price that you expect
14 to receive from average from exports in the near term
15 future is considerably higher than the price you might --
16 or you will receive from a typical firm sale.

17 Is that right, sir?

18 MR. ROBIN WIENS: That's correct.

19 MR. BYRON WILLIAMS: From -- just in
20 terms of clarification, the forecast near term financial
21 period, what does -- what period does that cover; that
22 figure of five point three nine (5.39) cents per kilowatt
23 hour?

24 What are we looking at there?

25 MR. ROBIN WIENS: That was -- I don't

1 recall precisely, but it would likely refer to one (1) to
2 three (3) years looking forward.

3 MR. BYRON WILLIAMS: Now, this -- this
4 information was prepared in -- in -- sometime, I guess,
5 in the summer of 2007.

6 Have the figures changed materially since
7 then, Mr. -- Mr. Wiens, or do you still consider this
8 representative, at least directionally, in terms of the -
9 - the impact?

10 MR. ROBIN WIENS: Yes, I would.

11 MR. BYRON WILLIAMS: Turning to
12 COALITION-21, Mr. Wiens, and you -- you correctly pointed
13 out that there are both near-term and long-term revenue
14 implications and -- and your -- your concern in the long
15 term, again, is -- is not the -- not only the -- the
16 effect on -- in terms of foregone export sales, but it's
17 also the potential impact in terms of advancing costs in
18 new generation and transmission.

19 Is that right, sir?

20 MR. ROBIN WIENS: Well, it does do that,
21 but as Mr. Surminski has gone at great lengths to make
22 sure that it's understandable on the record, we do look
23 at production costing for estimating firm longer term
24 marginal costs as well.

25 So more correct, while we certainly are

1 concerned about the advancing of -- of new generation and
2 transmission, these costs are not going to be precisely
3 associated with that advancement. They are production
4 costing -- costs.

5 MR. BYRON WILLIAMS: But they give some
6 guidance into the -- the concerns of the Corporation?

7 MR. ROBIN WIENS: Yes, they do.

8 MR. BYRON WILLIAMS: Now, again you --
9 you may or -- if -- Mr. Wiens, if you do have the -- the
10 excerpt from Volume 1, Tab 10 of the application, page 12
11 of 18. It's -- it's not in the material that I prepared.

12 Do you have that, sir?

13 MR. ROBIN WIENS: Yes. Yes.

14 MR. BYRON WILLIAMS: And if you turn to
15 page 12 of 18, lines 12 to 15, there's a statement there
16 that:

17 "Unlike increases in other industrial
18 loads or in commercial residential
19 loads, growth of energy-intensive load
20 is more influenced by Manitoba's
21 current low power rates which are well
22 below market rates."

23 I wonder if you could explain the -- well,
24 first of all, did I read that correctly, and secondly, if
25 you can explain the thrust of that -- that observation,

1 sir?

2 MR. ROBIN WIENS: Well, our belief is --
3 I guess at some level, the level of rates can influence
4 many decisions by people in -- in different classes.

5 But typically large industrial users that
6 use a lot of electricity and in which electricity is a
7 significant part of their cost of production are going to
8 be more attracted by lower rates than say a residential
9 customer making -- and this -- this may be putting too
10 much of a contrast on it -- but a residential customer
11 making a decision to come to Winnipeg is more likely to
12 be influenced by a whole host of other factors before
13 they look at the price of electricity.

14 Industry looking for a location typically
15 unless it's -- and we're talking about energy-intensive
16 industry or industry which is tied to a particular
17 resource and the location of that resource looks at a
18 wide range of -- of factors in terms of making their
19 location decisions, and electricity may be one (1) of
20 them, but it's typically not primary for a lot of other
21 industry that is not energy intensive.

22 So what we're saying here is that it's --
23 it's not black and white. One (1) type of industry comes
24 here strictly because of electricity prices and everybody
25 else for other reasons.

1 There are gradations in there, but we're
2 saying that energy-intensive industry is more influenced
3 than other industry and more influenced than other
4 customer classes by the price of -- of electricity.

5 And over time, I think, this has become a
6 greater concern because I don't think there's anybody
7 here in the room who hasn't been reading in the
8 newspapers or seeing through the media about what's
9 happen to the price of all types of commodities,
10 including energy commodities.

11 And so there is, we believe, what would be
12 an intensified look by energy-intensive industry at
13 locations that have lower energy costs. And in terms of
14 electricity, this is certainly one of those.

15 MR. BYRON WILLIAMS: And especially for
16 energy intensive industry is, I understand your point,
17 it's that the cost of electricity is such an important
18 factor in -- or such an important percentage of their
19 production cost that -- that -- that's what, in
20 particular, makes Manitoba attractive to them.

21 Is that right, sir?

22 MR. ROBIN WIENS: That is correct. Now,
23 again there -- there may be other factors at play at
24 those location decisions.

25 But the greater the percentage of

1 electricity -- the percentage of production costs that
2 electricity makes, the more likely, of course, a low rate
3 is going to be attractive to those customers assuming
4 that other conditions are reasonably conducive as well.

5 MR. BYRON WILLIAMS: Thank you for that,
6 Mr. Wiens. Just again, and we're -- we're moving along I
7 think fairly quickly, I draw your attention to Coalition
8 Exhibit Number 22 which is the excerpt or it was actually
9 the reproduction -- again without express written
10 authority -- of Manitoba Hydro response to the PUB 2-49.

11 Mr. Wiens, first of all this -- what this
12 table purports to do is provide the average industrial
13 price per kilowatt hour for various utilities in -- in
14 Saskatchewan, Ontario, Minnesota, North Dakota and
15 Wisconsin.

16 Is that right, sir? As well --

17 MR. ROBIN WIENS: It -- it may be
18 average, or it may be related to a benchmark load. It's
19 -- it's -- both of those are present in this table.

20 MR. BYRON WILLIAMS: Thank you for that
21 clarification. And what I understand Manitoba Hydro has
22 done, in terms of -- for comparison purposes, is present
23 the industrial price per kilowatt hour for -- for
24 Manitoba, and it's kind of merged in the proposed rate
25 for new and expanding loads as well.

1 Is that what it's done in -- in this
2 response?

3 MR. ROBIN WIENS: Yes, it's looking --
4 it's looking at the forecast total revenue and dividing
5 by the sales.

6 MR. BYRON WILLIAMS: And just -- the --
7 the graph speaks for itself, but I'm correct in
8 suggesting to you that the rates for the US utilities are
9 derived from the Edison Electric Institute Survey, is
10 that right, sir?

11 MR. ROBIN WIENS: Yes, that's correct.

12 MR. BYRON WILLIAMS: And I don't know if
13 you wait with as much bated breath as I do for the new
14 results from -- from Edison, but I think they're out
15 yesterday or -- or today.

16 So they're -- the Edison 2008, sir, are --
17 are out. Were you aware of that, Mr. Wiens?

18 MR. ROBIN WIENS: No, we weren't.

19 MR. BYRON WILLIAMS: What I -- I've got
20 the -- the book just next door. What I was wondering is
21 whether it would be possible to update this table just to
22 reflect the -- the most recent results from Edison?

23 Would you be able to do that, Mr. Wiens?
24 I'll lend you my book.

25

1 (BRIEF PAUSE)

2

3 MR. ROBIN WIENS: We're reconsidering our
4 participation in that survey as a result of falling
5 behind Mr. Williams and receiving our copy.

6 MR. ROBERT MAYER: I was going to ask who
7 forgot to pay the subscription?

8

9 CONTINUED BY MR. BYRON WILLIAMS:

10 MR. BYRON WILLIAMS: I may have some more
11 questions about that -- the survey on Monday, but I'll --
12 I'll let you dig it up.

13 Mr. Wiens, and I'm not sure where it
14 appears on the record, but Manitoba Hydro did provide, on
15 the record, a discussion paper about the new or expansion
16 rate, baseline energy consumption level and exemption --
17 the -- the discussion paper.

18 Are you familiar with that document, sir?
19 You've memorized it?

20 MR. ROBIN WIENS: So many documents have
21 been filed in this proceeding, I can't say with
22 certainty, but I -- I would take it you're referring to
23 Appendix 60? And I believe that that also is provided in
24 Mr. Peters' book of documents at Tab 67, if that's the
25 one you're referring to.

1 MR. BYRON WILLIAMS: Mr. Wiens, that's
2 perfect, thank you. If you could turn there.

3

4 (BRIEF PAUSE)

5

6 MR. BYRON WILLIAMS: And again, I don't
7 have a lot of questions here, and I know My Friend, Ms.
8 McCaffrey and her colleague will be exploring this, but I
9 -- I do -- especially given that my client's here, I have
10 a few questions about this.

11 I want to start off, Mr. Wiens, with the
12 balancing act that Manitoba Hydro's striving for. I
13 guess in terms of the concern or in terms of Hydro
14 proposing this rate, it goes back to discussion we've had
15 previously. It's a concern that low price energy
16 consumption by energy intensive industries may be
17 displacing higher priced export opportunities.

18 That's a key reason, correct?

19 MR. ROBIN WIENS: Ultimately it's the
20 effect on Manitoba Hydro's bottom line.

21 MR. BYRON WILLIAMS: And going even
22 further than that --

23 MR. ROBIN WIENS: And -- and --

24 MR. BYRON WILLIAMS: -- the effect on
25 customer bills?

1 MR. ROBIN WIENS: Exactly.

2 MR. BYRON WILLIAMS: At the same time --
3 so recognizing that -- recognizing that the -- the extent
4 that it displaces profitable export sales, there's a
5 bottomline impact for other customers.

6 Hydro also recognize, I'd suggest to you,
7 that in some cases there's -- there's benefits to
8 Manitoba as a whole from expanding industrial load;
9 whether through an increased tax base, increased
10 payrolls, or being able to retain good corporate
11 citizens.

12 Would that be fair, sir?

13 MR. ROBIN WIENS: Yes.

14 MR. BYRON WILLIAMS: And again, to assist
15 my client, in terms of the exemption criteria, my
16 understanding is that Manitoba Hydro may exempt a
17 customer from the higher rates if the economic benefits
18 to the Manitoba economy associated with the customers
19 expansion or additional load exceed a pre-defined
20 threshold.

21 Would that be fair?

22 MR. ROBIN WIENS: Yes.

23 MR. BYRON WILLIAMS: So again, just to
24 rephrase it, the purpose of the exemption criteria is
25 kind of to serve as gatekeeper, recognizing that in some

1 cases the benefit to Manitoba as a -- as a whole, the
2 positive benefit of -- of additional or -- or new load
3 may out weigh the -- the negative impact on customer's
4 bills, is that fair?

5 MR. ROBIN WIENS: It's what we're trying
6 to do is to weigh the provincial benefits, which may in
7 some cases be revenues to government. In other cases may
8 be regional income benefits against the overall cost to
9 the customers who would see rates have to go up because
10 of the expansion of -- of load.

11 MR. BYRON WILLIAMS: Okay. And again, I
12 don't have a lot of questions about this, but -- and I'm
13 going to come to the -- the nearest study later, but
14 you'll recall that in the nearest study on -- that was
15 filed in 2005 addressing inverted rates and time of use,
16 there was some discussion of a proposal by Mr. Jim Lazar
17 for a consumer specific baseline inverted block rate
18 design. Do you recall that?

19 MR. ROBIN WIENS: I recall it.

20 MR. BYRON WILLIAMS: And at a very high
21 level, Mr. -- Mr. Wiens, I'm not asking for elaboration,
22 but conceptually does that have some similarities with --
23 with what -- Manitoba's new proposed rate?

24 MR. ROBIN WIENS: Well, it has some
25 obvious similarities in terms of having a tail block rate

1 which would be at or close to marginal costs. There are
2 also some fairly significant differences as well.

3 And if you'd like me to elaborate on those
4 I can.

5 MR. BYRON WILLIAMS: Yeah, just so --
6 just so -- not too long, but yeah, that would be
7 appreciated.

8 MR. ROBIN WIENS: This type of a rate
9 design along the lines of what Mr. Lazar was thinking,
10 and -- and he probably -- in fact, I think he did have
11 some -- some details that -- that differ from what you
12 would be looking at for a general type of inverted rate
13 structure for large customers.

14 I believe, for example, that he didn't
15 want to give any access to new customers to the first
16 block rate except as it would be phased in over a number
17 of years.

18 I'm not going to deal with that, but the
19 major difference is that -- with a -- with a -- and I'll
20 use BC Hydro as an example, it's a -- it's a particularly
21 good example of this type of rate -- that a certain
22 percentage of a customers baseline, however you would
23 define that -- you could define it as the previous twelve
24 (12) months.

25 You could define it as a longer period

1 than that. In fact, it does, in the end, become one (1)
2 of the more difficult aspects of implementing and
3 administering such a rate as administering the baseline.

4 But typically 90 percent of that baseline
5 would be charged at an embedded cost base rate adjusted
6 to assure revenue neutrality overall, while the other 10
7 percent would be charged out at marginal cost.

8 And over time as loads changed, the
9 details of the provision could differ. But as loads
10 changed, the benchmark would move with them. If a load
11 went down, the benchmark would go down. If the load went
12 up, the benchmark would go up.

13 That would be the significant difference
14 between that type of a general inverted industrial rate
15 and what we're proposing here, which would be that we
16 would propose that the baseline -- or we are proposing,
17 for this type of a rate, that the baseline would not be
18 adjustable.

19 Generally speaking, if -- if circumstances
20 changed and exemp -- exemption issues come into play,
21 that's a possibility, but there would no -- be no general
22 provision for adjustment. So that -- that's a
23 significant difference.

24 Of course, another one is that this is
25 applied to customers of a certain size and that some

1 customers would be eligible for exemption, so tho --
2 those are differences between that and a -- a typical
3 custom-made by customer inverted rate and baseline, as in
4 the BC Hydro type of situation.

5 MR. BYRON WILLIAMS: That's very helpful,
6 and again this is helpful to my client. In terms of the
7 -- the differences you outlined, just so I understand it,
8 one (1) is -- relates to how variable the baseline is, is
9 that correct, sir?

10 MR. ROBIN WIENS: Yes, what provisions
11 are made for varying the baseline.

12 MR. BYRON WILLIAMS: And the other two
13 (2) relate to the -- the Manitoba one is focussed on a
14 certain size of load and also exemptions are available
15 under the Manitoba proposal, is that right?

16 MR. ROBIN WIENS: Yeah, that's -- that's
17 correct, and -- and perhaps I could even add a third one,
18 which is that in the type of inverted rate structure
19 epitomized by the BC Hydro situation, the first block is
20 90 percent of the baseline.

21 There's nothing magic about 90 percent.
22 It could be something different, and you'd want to look
23 at the specific situation. But it's a certain --
24 typically below 100 percent. Where this -- this
25 particular rate, we're saying the lowest the baseline

1 would be would be the existing load, and in fact, there
2 could be some allowance for growth and some allowance for
3 other factors including previous Power Smart Program
4 implementation.

5 MR. BYRON WILLIAMS: And again, this is
6 helpful, and I -- I recognize others more versed in the
7 issue will follow it up, but why -- why this approach
8 rather than a more BC Hydro type approach, sir?

9 MR. ROBIN WIENS: Because, Mr. Williams,
10 our -- our principal focus was on our concern about the
11 growth of this type of load in Manitoba. We recognize
12 that there -- there are some issues and some arguments
13 for a more generalized type of inverted rate.

14 We simply had not arrived at being in the
15 position where we were ready to design and implement that
16 type of a rate, but we were definitely concerned about
17 the impact of the growth of energy intensive industry in
18 the province.

19 MR. BYRON WILLIAMS: Thank you. And
20 again I'm sure others will address this at -- at greater
21 length.

22 In preparing the -- the new proposed rate
23 -- rate schedule or the -- accompanied by the development
24 of the baseline and the proposed exemption criteria --
25 and I think you answered this question in discussion with

1 Mr. Peters yesterday, but would I -- would I be correct
2 in suggesting that you did not solicit the advice of --
3 or input of NERA on -- on this proposed rate.

4 Would that be fair?

5 MR. ROBIN WIENS: That would be fair.

6 MR. BYRON WILLIAMS: Okay. And also
7 again, based on your discussion with Mr. Peters
8 yesterday, you -- you've not retained any other outside
9 consultant to assist in the design of the rate, the
10 exemption, or the baseline.

11 Would that be fair?

12 MR. ROBIN WIENS: That's fair.

13 MR. BYRON WILLIAMS: It is Friday
14 afternoon with me missing my mic like that. I -- I want
15 to turn to page 7 of the -- the discussion paper,
16 specifically to the dispute resolution process.

17 Do you see that, Mr Wiens?

18 MR. ROBIN WIENS: I do.

19 MR. BYRON WILLIAMS: And my understanding
20 of this section is that in the event that there's a
21 dispute between Hydro and a customer around the --
22 surrounding either the calculation of the -- the baseline
23 or any exemption application, it's proposed that the
24 Public Utilities Board would act as an arbitrator.

25 Is that right, sir?

1 MR. ROBIN WIENS: That's what we're
2 proposing.

3 MR. BYRON WILLIAMS: And the information
4 provided by the customer to Manitoba Hydro in terms of
5 the baseline information would be treated as confidential
6 and not shared with any other party except for the Public
7 Utilities Board on a confidential basis.

8 Is that right, sir?

9 MR. ROBIN WIENS: That would be the
10 general rule, yes.

11 MR. BYRON WILLIAMS: Okay. To assist my
12 clients, one (1) of the questions I was going to -- I'm
13 -- I'm posing to you is what happens in the event that
14 there's not a dispute; the -- the Manitoba Hydro and the
15 customer agree on -- that it's -- that there is an
16 exemption and that the -- that there is no -- no dispute
17 about the baseline?

18

19 (BRIEF PAUSE)

20

21 MR. ROBIN WIENS: I'm sorry, Mr. Williams
22 and Mr. Chairman. We've been through a number of
23 iterations of this, and I'm just trying to -- just trying
24 to recall -- make use of additional memories other than
25 my own.

1 Yes, if Manitoba Hydro and the customer
2 agree on these matters then the customer gets placed in
3 the relevant class on the relevant rate and we proceed.

4 MR. BYRON WILLIAMS: And again I
5 recognize there have been various iterations, but what
6 I'm trying to get my head around for the benefit of my
7 client is it anticipated that when a particular customer
8 is being exempted from the higher rate that there will be
9 some sort of approval by the -- the Public Utilities
10 Board for these more beneficial rates?

11

12 (BRIEF PAUSE)

13

14 MR. ROBIN WIENS: That's not currently
15 contemplated.

16 MR. BYRON WILLIAMS: And that's
17 presumably -- I guess the Corporation's position would be
18 that the rate's already been approved. It's the class
19 that's been -- to which a customer's been assigned that
20 is of -- that is within its own decision.

21 Is that right?

22 MR. ROBIN WIENS: That would be correct.

23

24 (BRIEF PAUSE)

25

1 MR. BYRON WILLIAMS: What I'm -- how is
2 it -- and again trying to -- in terms of the public's
3 interest in knowing how will -- in terms of firms that
4 are exempted from the -- the higher rates, is it
5 anticipated they'll be published or how -- how will it be
6 reported?

7

8 (BRIEF PAUSE)

9

10 MR. ROBIN WIENS: It's -- it's likely,
11 Mr. Williams, that we would indicate in a succeeding rate
12 application the number of -- number of customers for whom
13 that type of a decision had been made, and that would
14 trigger the ability for the Board to request further
15 information.

16

17 (BRIEF PAUSE)

18

19 MR. BYRON WILLIAMS: And would it be
20 anticipated -- and I'm trying to work this through for my
21 clients. It would be anticipated that the Board would
22 receive that information in terms of testing the merits
23 of an exemption on a confidential basis?

24

25 MR. ROBIN WIENS: If it involved
individual customers I would anticipate that it would

1 receive it on a confidential basis or certainly that
2 would be our proposal.

3 MR. BYRON WILLIAMS: You could -- given
4 the -- the -- the bill impact implications of an
5 exemption, you could understand how that information
6 would be of -- of interest to ratepayers as a whole, Mr.
7 Wiens?

8 MR. ROBIN WIENS: Yes.

9 MR. BYRON WILLIAMS: And I guess you'd
10 also be able to understand how if -- if you were from a
11 firm that didn't receive the exemption, that information
12 would also be of -- of interest.

13 MR. ROBIN WIENS: It could be, yes.

14 MR. VINCE WARDEN: Well, Mr. Williams,
15 that firm would know why they didn't receive the
16 exemption. So that would be of interest to them, but
17 they would certainly know that.

18 I do again want to reiterate that the
19 numbers of customers that this new rate will apply to,
20 will be so small that I -- I don't see this as being a
21 significant issue for this Board in terms of the number -
22 - numbers of exemptions that are granted going forward.

23 MR. BYRON WILLIAMS: Could you understand
24 how the merits of particular exemptions might be of
25 concern, Mr. Warden?

1 MR. VINCE WARDEN: Not totally sure what
2 you mean by the merits of a particular exemption.

3 MR. BYRON WILLIAMS: Well we've agreed
4 that this is an important program because it's going to
5 have an impact on the bottomline of the Corporation and
6 on customer's bills, correct?

7 MR. VINCE WARDEN: It will do that, yes.

8 MR. BYRON WILLIAMS: We -- and you'll
9 also agree with me that to the extent that exemptions are
10 granted, that will put upward pressure on -- on customer
11 bills, correct?

12 MR. VINCE WARDEN: It will.

13 MR. BYRON WILLIAMS: And so from a
14 customer perspective -- and would you agree that to the
15 extent that exemptions are granted, it may have a
16 significant impact on customer bills?

17 MR. VINCE WARDEN: I could agree with
18 that as well.

19 MR. BYRON WILLIAMS: So to the extent
20 that it might have a significant impact on customer
21 bills, customers -- general ratepayers as a whole --
22 would have an interest in making sure that the exemptions
23 were meritorious and within the -- within the rules,
24 correct?

25 MR. VINCE WARDEN: I guess -- upon

1 reflection I might just backup on that previous response.
2 Significant is somewhat subjective.

3 We don't see, in the future, going forward
4 with the -- with the assumptions that have been made in
5 the integrated financial forecast.

6 We do not see significant increases to
7 customer's bills under any scenario.

8

9 (BRIEF PAUSE)

10

11 MR. VINCE WARDEN: That -- by that
12 puzzled look, maybe I'll elaborate. Under a scenario of
13 whether or not there are multiple exemptions or few
14 exemptions, the assumptions that we have in our forecast,
15 as I've stated before, is that there will be very few
16 customers to which this new rate will apply.

17 And therefore, because that assumes there
18 will be a large number of exemptions, and it only applies
19 to a few numbers of customers, even with those
20 assumptions, the rate increases that we've projected
21 going forward are very modest.

22 So the reference to significant impacts on
23 rates, I would say would not be the case.

24 MR. BYRON WILLIAMS: And, Mr. Warden,
25 just help me and my client sitting in the back row trying

1 to figure out how important this is or not.

2 In terms of this new proposed rate then,
3 is the primary benefit you see as -- as a deterrent for -
4 - to deter new load from coming?

5 I'm trying to understand --

6 MR. VINCE WARDEN: No, we don't see it as
7 a deterrent. We -- we just see it more as a -- as a
8 revenue protection rate that we're -- we're proposing to
9 this Board.

10 MR. BYRON WILLIAMS: But not a
11 significant one?

12 MR. VINCE WARDEN: I don't think that was
13 wha -- the context under which we referred to significant
14 in our previous discussion. We were talking about the
15 impact on ratepayers generally of the -- of the new rate
16 and the potential for a large number of exemptions and
17 what that impact might be.

18 And I was only making the point that in
19 that scenario where there were a large number of
20 exemptions the impacts on other customers will not be
21 significant.

22 MR. BYRON WILLIAMS: Okay. And on that
23 point, and then -- then we'll leave this, what would you
24 define as significant, sir?

25 MR. VINCE WARDEN: Well, I think that is

1 probably my -- the point I was making before when I
2 probably agreed -- agreed too readily to your -- your
3 question as to whether or not the impacts may be
4 significant on ratepayers. We have to define
5 significant.

6 And when we look at our -- our financial
7 forecast going forward, the magnitude of rate increases
8 are in the order of 2.9 percent per year which given the
9 rate of -- projected rates of inflation going forward, I
10 would say that the real price of electricity is not going
11 to go up by a significant amount.

12 MR. BYRON WILLIAMS: I understand your
13 point. I do want to just -- in terms of where the Public
14 Utilities Board is acting in -- as the arbitrator in
15 terms of a dispute -- and I'd like some insight from the
16 Corporation on how it sees the Public Utilities Board
17 acting.

18 For example, if there is a -- a consumer
19 comes forward and there is a -- a -- the Board acts as
20 mediator, does it expect that the Board's decision will
21 take the form of an order?

22 MR. ROBERT MAYER: This looks like
23 reading point -- or Item 5, Dispute Resolution Process.
24 This looks very much like a private arbitration.

25 MR. BYRON WILLIAMS: And I'm --

1 MS. PATTI RAMAGE: We're getting a little
2 bit on the legalistic side, but I think Mr. Mayer has it
3 correct. It's -- it's more along the lines of a private
4 arbitration where Manitoba Hydro would be -- agree to be
5 bound by the Board's decision.

6 MR. BYRON WILLIAMS: And again, I -- I'm
7 -- it may be in the legal area, but I think it's
8 important for my clients to understand. Is the customer
9 agreeing to be bound by the -- the Board's decision as
10 well? Is that the proposal? May --

11 MS. PATTI RAMAGE: I think I probably
12 have to answer this for the Corporation. The customer
13 implicitly would have to agree to be bound if they wanted
14 to be changed. It's in Manitoba Hydro's discretion where
15 a customer cla -- a customer assignment to a class is, so
16 if they wanted someone else to change that, they would
17 have to agree to be bound by the PUB.

18 There's no one else who would have
19 authority to do that.

20 MR. BYRON WILLIAMS: And again and I
21 apologize for this, but it's important for my clients to
22 understand, is the expectation then that there would be
23 no appeal from -- from the -- the Board's decision?

24 MS. PATTI RAMAGE: Mr. Williams, this
25 might be something better put offline 'cause it's getting

1 into the legalities of it all 'cause I'd have to be
2 pulling out the Manitoba Hydro Act and looking at what is
3 it -- within the exclusive jurisdiction of the
4 corporation, but I believe this is one (1) of those
5 items, so, no, I don't think there would be a further
6 appeal.

7 But it isn't something that I've looked at
8 in any detail.

9

10 (BRIEF PAUSE)

11

12 CONTINUED BY MR. BYRON WILLIAMS:

13 MR. BYRON WILLIAMS: Is Manitoba Hydro
14 aware of other examples where the Public Utilities Board
15 fulfills this role?

16 MR. ROBIN WIENS: Not in any detail, Mr.
17 Williams, but I understand that the Public Utilities
18 Board in British Columbia has a role in the issue of
19 final determination of baseline amounts.

20 MR. BYRON WILLIAMS: And we may be able
21 to have this discussion offline. I'll talk -- I'll chat
22 -- chat about this with Ms. Ramage on the break, but I --
23 I may -- my clients certainly might benefit from a
24 further description of this process in -- in writing.

25 Is Manitoba Hydro aware of what, if any,

1 dispute resolution process there is in place in Quebec
2 and the role that the regulator plays?

3

4

(BRIEF PAUSE)

5

6 MR. ROBIN WIENS: In Quebec? Can you
7 elaborate on -- this is with respect to the -- the Order
8 in Council from the Government saying that Hydro Quebec
9 is exempt from providing -- my understanding no, that's a
10 decision that's made by the Government of Quebec, and
11 they -- they may have some internal review processes that
12 I'm not aware of that would allow for further
13 consideration. But that's -- my understanding is that
14 the government has the final say.

15

16 MR. BYRON WILLIAMS: Thank you for that.
17 I'll ask you to turn to Exhibit COALITION-23. We're
18 moving to another subject related but -- which is the PUB
19 Interrogatory to Manitoba Hydro Number 1-57.

19

20 And I wonder if you can confirm for me
21 that what this table does is look at average US and
22 Canadian export prices as compared to domestic,
23 residential, and general service customer groups and it
24 does so in Canadian cents per kilowatt hour.

24

Is that right?

25

MR. ROBIN WIENS: That's right.

1 MR. BYRON WILLIAMS: And I just want to
2 draw your attention to the years 2002/'03 through
3 2006/'07.

4 Would it be fair to say to you that the
5 average US and Canadian export rates are at or in some
6 cases slightly above the combined residential and general
7 service rates?

8 Would that be sir?

9 MR. ROBIN WIENS: Yes.

10 MR. BYRON WILLIAMS: And I guess if we
11 look at '04/'05 in particular it looks like the average
12 US and Canadian exports were somewhere around five point
13 five (5.5) cents per kilowatt hour. Is that right?

14 MR. ROBIN WIENS: That's what the graph
15 would be illustrating, yes.

16 MR. ROBERT MAYER: Is that word at the
17 top "water average export price"? Is that -- or is that
18 "weighted average export price"? What's the word "water"
19 in there about?

20 MR. ROBIN WIENS: I -- I do believe it's
21 intended to be "average export." It may be "weighted."
22 I don't think "water" was intended to be there. I can
23 think of some.

24

25 CONTINUED BY MR. BYRON WILLIAMS:

1 MR. BYRON WILLIAMS: I'd ask you to flip
2 over one (1) more exhibit, Coalition Number 24 which is
3 the -- you'll agree with me is the -- a graph of domestic
4 prices separately for residential and general service.

5 Do you see that?

6 MR. ROBIN WIENS: I do.

7 MR. BYRON WILLIAMS: And focusing first
8 on the General Service line, I wonder if you'd agree with
9 me that between '92/'93 and 2006/'07, it stayed in that
10 range between four (4) and four point five (4.5) cents
11 per kilowatt hour.

12 Would that be fair?

13 MR. ROBIN WIENS: That's what it's
14 showing.

15 MR. BYRON WILLIAMS: And the graph is
16 also showing that for residential customers --

17

18 (BRIEF PAUSE)

19

20 MR. ROBIN WIENS: Sorry.

21 MR. BYRON WILLIAMS: It's okay. When the
22 back row's that close, Mr. Wiens, it's not a problem.
23 I'm the one who has to apologize.

24 When we look at residential, you'll agree
25 with me that it shows in '92/'93 you're -- they're at a -

1 - at or about five point five (5.5) cents a kilowatt
2 hour. By 2006/'07, they're a bit above six (6) cents per
3 kilowatt hour?

4 That's what the graph displays, sir?

5 MR. ROBIN WIENS: Yes.

6 MR. BYRON WILLIAMS: Staying with this
7 graph for a second, if I were to plot the prices for
8 general service large in excess of a hundred (100) --

9 MR. ROBIN WIENS: Yes.

10 MR. BYRON WILLIAMS: -- would I be
11 correct in suggesting to you that those would be lower
12 than general service?

13 Would that be fair, sir?

14 MR. ROBIN WIENS: Yes, you would. The
15 line that's shown here is all general service customers
16 from the very smallest to the very largest are all rolled
17 up into this average rate.

18 MR. BYRON WILLIAMS: So if I went to GSL
19 large, greater than a 100 kV, I'd be -- would I be
20 correct in suggesting to you that that line, its plot on
21 the graph would be somewhere between three (3) and three-
22 fifty (350) for -- for this time period? Would that --

23 MR. ROBIN WIENS: Yeah, it would -- it
24 would be -- it would probably be tighter than that, but
25 it would certainly be within that -- that rate. It may

1 be a little below three (3) in the early years.

2 MR. ROBERT MAYER: My suggestion at this
3 -- at this table was it might not hit the graph.

4 MR. ROBIN WIENS: It would hit it in some
5 years.

6

7 CONTINUED BY MR. BYRON WILLIAMS:

8 MR. BYRON WILLIAMS: I'm going to come
9 back to this in -- in just one second but I -- I just
10 want to -- and Hydro can just confirm this if it would
11 and this is not in the material before you -- but would
12 you accept, subject to check, based upon your response to
13 PUB-1-57 that the average gross export rate forecast for
14 fiscal '07/'08 was four point seven (4.7) cents per
15 kilowatt hour?

16 Would you accept that?

17 MR. ROBIN WIENS: Are you talking about
18 what we looked at previously, Mr. Williams?

19 MR. BYRON WILLIAMS: No, I'm not. I'm --
20 I'm referring to its -- the forecast for '07/'08 of --
21 from the IFF.

22 MR. ROBIN WIENS: Well we'll accept that,
23 subject to check. We will check that one, yeah.

24 MR. BYRON WILLIAMS: And would you also
25 agree, subject to check, based upon the IFF-07-1 that the

1 average gross export rate forecast for fiscal '08/'09 is
2 five point six (5.6) cents per kilowatt hour, subject to
3 check?

4 MR. ROBIN WIENS: Sure.

5

6 (BRIEF PAUSE)

7

8 MR. BYRON WILLIAMS: How am I doing, Mr.
9 Wiens?

10 MR. ROBIN WIENS: Okay, from where I sit,
11 Mr. Williams.

12 MR. BYRON WILLIAMS: Going back --

13 MR. ROBIN WIENS: We're looking at an IR
14 response here, Mr. Williams, PUB to Manitoba Hydro Round
15 One Number 57C: five point four (5.4) for '07/'08; five
16 point six (5.6) for '08/'09.

17 MR. BYRON WILLIAMS: Thank you, Mr.

18 Wiens, for that and clearly I missed that. Going back to
19 the graph portrayed at COALITION-23, Mr. -- Mr. Wiens.

20 I wonder if Hydro would undertake to -- I
21 love graphs. I wonder if Hydro would undertake to expand
22 this graph in three (3) ways.

23 First of all by including the -- either
24 the results or the forecast average export price for
25 '07/'08 and the forecast for '08/'09.

1 And also if it would undertake to
2 separately depict the domestic prices for residential
3 customers on this graph and the domestic prices for GSL
4 greater than a hundred (100) kV on this graph?

5

6 (BRIEF PAUSE)

7

8 MR. ROBIN WIENS: We'll undertake to do
9 that, Mr. Williams.

10

11 --- UNDERTAKING NO. 80: Manitoba Hydro will expand
12 for Coalition graph at
13 COALITION-23 to provide the
14 forecast average export price
15 for '07/'08, and the forecast
16 for '08/'09; and will also
17 depict separately the
18 domestic prices for
19 residential customers and the
20 domestic prices for GSL
21 greater than a 100 kV

22

23 CONTINUED BY MR. BYRON WILLIAMS:

24 MR. BYRON WILLIAMS: Mr. Wiens and Mr.
25 Chairman, I'm going to beg your indulgence. I'm just

1 going to step down for a second to get a glass -- some
2 water.

3

4 (BRIEF PAUSE)

5

6 MR. BYRON WILLIAMS: Thank you and I
7 apologize for the delay. I'm going to be turning to
8 Exhibit COALITION-25, which is the excerpt -- excerpt
9 from NERA. And...

10

11 (BRIEF PAUSE)

12

13 MR. BYRON WILLIAMS: Mr. Wiens, I'm going
14 to be bouncing around this -- this document a fair bit,
15 so I apologize for that.

16 But my understanding is that in terms of
17 any studies in the -- in the Corporation's possession, in
18 terms of a residential inverted rate, the big one,
19 perhaps the sole one is the -- this NERA report.

20 Is that right, sir?

21 MR. ROBIN WIENS: That's right.

22

23 (BRIEF PAUSE)

24

25 MR. BYRON WILLIAMS: And it says some

1 interesting things, so I'm going to get your comments on
2 -- and the Corporation's position on a number of points.

3 I -- I wonder if you could move, first of
4 all, to page 14 -- not Roman numeral, but the actual
5 number 14 -- to the section, "Manitoba Hydro's Marginal
6 Cost."

7 Do you see that, Mr. Wiens?

8 MR. ROBIN WIENS: Yes.

9

10 (BRIEF PAUSE)

11

12 MR. BYRON WILLIAMS: And just directing
13 your attention to the -- the first paragraph, I'm going
14 to suggest to you that the thrust of it is that
15 efficiency and conservation reasons for inverted rates
16 require that those rates be based on some version of
17 marginal costs.

18 Is that right, sir?

19 MR. ROBIN WIENS: Yes.

20 MR. BYRON WILLIAMS: And NERA, for the
21 purposes of the this study, as I understand the -- the
22 second sentence in this paragraph, was looking at -- at
23 the generation transmission and higher voltage distr --
24 distribution marginal costs for the purposes of giving
25 insight into an efficient tailblock rate for inverted

1 rates.

2 Is that right, sir?

3 MR. ROBIN WIENS: Yeah, you're going to
4 be testing my memory a bit on this as we go through it,
5 but that -- that would seem to be right.

6 MR. BYRON WILLIAMS: Okay. And -- and
7 just where I'm going with this, Mr. Wiens, and it's not a
8 big point, but if you go to the second paragraph here on
9 this page, NERA is -- appears to be suggesting that for
10 the purposes of inverted rates, two (2) elements of the
11 marginal costs of electric service play a -- a more
12 peripheral role, customer margi -- marginal costs and
13 local distribution facilities costs.

14 Would you -- would you agree with my
15 characterization of their statement?

16 MR. ROBIN WIENS: Yes.

17 MR. BYRON WILLIAMS: And in your view, is
18 -- is that appropriate to assume, that -- that these two
19 (2) play a more peripheral role, sir?

20

21 (BRIEF PAUSE)

22

23 MR. ROBIN WIENS: Well, everything has
24 some degree of importance when you're trying to design
25 rates, because we have to recover the costs of these

1 facilities as well as any of the others. But relative to
2 the big items, energy and capacity or energy expressed
3 through time of use periods or capacity through time of
4 use periods, these are relatively small compared to those
5 items.

6 Is -- is that what you're getting at?

7 MR. BYRON WILLIAMS: Well, that's part of
8 what I'm getting at.

9 I guess the other point though is NERA
10 seems to be suggesting that because marg -- customer
11 marginal costs are not a function of the customer's
12 electricity use, that they're more peripheral in the
13 design of -- of the -- the tailblock rate.

14 And I'm wondering if you agree with that
15 statement, sir?

16 MR. ROBIN WIENS: In terms of the design
17 of the tailblock, certainly, yes.

18 MR. BYRON WILLIAMS: And likewise,
19 they're suggesting that the -- that -- that local
20 distribution facilities, in terms of the design of the
21 tailblock, are less relevant.

22 Is -- is that something you would accept
23 as well, sir?

24 MR. ROBIN WIENS: Yes. Again, and this
25 goes back to the discussion I had with Mr. Peters earlier

1 today about what items are more and which items are less
2 relevant in terms of the effect on -- on customer usage -
3 - of customer usage.

4 MR. BYRON WILLIAMS: They're less driven
5 by customer usage? Is that your point, Mr. -- Mr. Wiens?

6 MR. ROBIN WIENS: Yes. And the way that
7 they are recovered is typically less elastic, in terms of
8 customer response.

9 MR. BYRON WILLIAMS: Thank you. Now,
10 directing your attention to page 43 of this study...

11

12 (BRIEF PAUSE)

13

14 MR. BYRON WILLIAMS: And it's towards the
15 bottom of this -- the page, under Roman numeral number
16 VII. NERA asserts that the -- a key factor in their
17 evaluation of inverted rates is the likely response of
18 customers to the rate structure, and it describes that
19 responsiveness as price elasticity.

20 Do you -- first of all, if I characterized
21 that right, and do -- do you believe that they're correct
22 in this statement, sir?

23 MR. ROBIN WIENS: Well, that's the --
24 price elasticity is the factor that mediates between the
25 price and the effect on the customer's response.

1 MR. BYRON WILLIAMS: And before you get
2 to -- to the definition, this is the -- in -- in terms of
3 evaluating these programs, it's -- a key measure is the
4 likely -- responsive customers to the new rate structure.

5 Is that fair, sir?

6 MR. ROBIN WIENS: Yes.

7 MR. BYRON WILLIAMS: And you and I have
8 had this discussion before, so I -- I apologize for it.

9 But in terms of defining price elasticity,
10 if I suggested to you it was the -- you could quantify
11 it, for relative purposes, as the percent change in
12 quantity demanded divided by the percent change in price.

13 Would you accept that, sir?

14 MR. ROBIN WIENS: Yes.

15 MR. BYRON WILLIAMS: And just to
16 elaborate on it just for a couple more seconds, and it's
17 -- it's not certainly in -- in the discussion on -- on
18 this page.

19 But they're typ -- price elasticities are
20 typically in the negative range, indicating that demand
21 falls as price increases, typically?

22 MR. ROBIN WIENS: Yeah, if you want to
23 get deep into economic theory, there are some caveats
24 around that, but that is the normal condition.

25 MR. BYRON WILLIAMS: I'm not sure I'm

1 that at a high level, economic theory suggests that
2 consumers' demand for energy is less sensitive to price
3 changes than the demand from any other commodities?

4 Would you agree with that as a broad
5 general statement, sir?

6

7 (BRIEF PAUSE)

8

9 MR. ROBIN WIENS: Well, if we broadened
10 our discussion of theory, I think you might be able to
11 relate the theory to the relative inelasticity. It has
12 generally been found in studies of price elasticity of
13 customers that -- there are some exceptions, but
14 typically that they're inelastic, that the response is
15 inelastic.

16 MR. BYRON WILLIAMS: And you're referring
17 to energy customers, sir?

18 MR. ROBIN WIENS: Yes, I am.

19 MR. BYRON WILLIAMS: Okay. I just want
20 to turn you to the table on page 44, "Own Price
21 Elasticities by TOD [period]. in Season."

22 Do you see that, Mr. Wiens?

23 MR. ROBIN WIENS: I do.

24 MR. BYRON WILLIAMS: And I'm going to
25 start with residential. And just to make sure I

1 understand the concept, move over to the -- the summer
2 column shoulder, and you see a figure there for
3 residential, minus zero point zero two eight (0.028).

4 Do you see that, Mr. Wiens, on the first
5 line?

6 MR. ROBIN WIENS: Yes, I do.

7 MR. BYRON WILLIAMS: If I read that
8 correctly, does that suggest that for a 10 percent
9 increase in price, you might anticipate a .28 percent
10 decrease in use?

11 Would that be right, Mr. Wiens?

12 MR. ROBIN WIENS: That would be right.

13 MR. BYRON WILLIAMS: Okay. And that
14 would be -- we've been discussing inelasticity.

15 That would be relatively inelastic, would
16 you agree, sir?

17 MR. ROBIN WIENS: That would be highly
18 inelastic.

19

20 (BRIEF PAUSE)

21

22 MR. BYRON WILLIAMS: Just on this -- if I
23 could draw your attention down to general service large,
24 kV greater than a hundred (100), again, the summer.

25 Maybe we'll look at the peak, here. You

1 see the figure of minus zero point one five zero (0.150),
2 sir?

3 MR. ROBIN WIENS: Yes.

4 MR. BYRON WILLIAMS: And as I understand
5 that, that means for a 10 percent increase in price,
6 there would be 1.5 percent decrease in use?

7 MR. ROBIN WIENS: Yes.

8 MR. BYRON WILLIAMS: Am I right in
9 suggesting that that's still pretty inelastic, but it's
10 much more elastic than residential, sir?

11 MR. ROBIN WIENS: That would be a fair
12 characterization.

13 MR. BYRON WILLIAMS: So that category, at
14 least according to this table, would be -- their
15 consumption decisions would be much more responsive to
16 price than residential.

17 Would that be fair?

18 MR. ROBIN WIENS: Yes, but still quite an
19 inelastic response.

20

21 (BRIEF PAUSE)

22

23 MR. BYRON WILLIAMS: Are we okay?

24

25 (BRIEF PAUSE)

1 MR. BYRON WILLIAMS: Thank you.

2 MR. ROBIN WIENS: We're okay, Mr.
3 Williams.

4 MR. BYRON WILLIAMS: Yeah. No, the -- we
5 want to make sure we're right.

6 Mr. Wiens, I'm going to spend a couple
7 more minutes on this -- this document. Maybe --

8 MR. ROBERT MAYER: Before you go any
9 further, I've done some economics, probably not past two-
10 o (20) something or other.

11 But if this graph on page 44 is correct
12 and each of these elasticity stuff is showing a 10
13 percent increase and a -- virtually no drop, am I right
14 in assuming that no matter what we set at the prices at,
15 we're not going to lose any customers, virtually not
16 going to lose any customers?

17 And if so, does it put lie to the
18 argument of a number of people, including TREE/RCM, who
19 will argue that pricing those will in fact reduce your
20 consumption?

21 MR. ROBIN WIENS: Okay, Mr. Mayer,
22 there's a lot in that question. I'm going to try to
23 remember to address it all.

24 First of all, the numbers, as depicted
25 here, Mr. Williams has been talking in terms of 10

1 percent price change. The numbers shown in here relate
2 to 1 percent price change. And he's just trying to gross
3 them up in order to make them, perhaps, more accessible,
4 in terms of general discussion.

5 So when you see a -- a point one five
6 (.15), that is .15 percent response to a 1 percent change
7 in price. And Mr. Williams was using 10 percent, so it
8 would be a 1.5 percent response to 10 percent.

9 MR. ROBERT MAYER: Does that follow
10 necessarily?

11 MR. ROBIN WIENS: Yes. Yes, it does. It
12 -- well, like all things mathematical, it depends on the
13 shape of the curve, but it approximately follows.

14 Now, at the next level you're asking,
15 Well, are these significant enough that we should be even
16 worrying about price?

17 And my response would be, Well, this is
18 some of the type of discussion that we've had all along,
19 that we've had with Mr. Peters and with -- with Mr.
20 Williams.

21 NERA is showing here what is
22 representative types of elasticities. These folks would
23 have -- and let me tell you, I haven't -- I've only
24 looked at a small fraction of the number of elasticity
25 studies that have been done in this field alone -- energy

1 and -- and electricity. And that -- that would be
2 getting up close to fifty (50).

3 NERA, I'm sure ,they sent me a list once.
4 And there well over two hundred (200) studies on it. And
5 -- and they would have access to this. So they're --
6 they're trying to boil this all down and make it simple
7 and understandable. There are wide ranges around this.

8 For the general service large over 100 kV,
9 this is supposed to represent some sort of typical. It
10 would not, in my opinion, represent an energy intensive.
11 There would be a significant higher elasticity than that
12 and a significant lower elasticity to some other types of
13 -- of industry.

14 And similar with residential. It's -- it
15 is very low here, but some uses will be higher, some
16 residential uses will be higher, and some will be
17 virtually zero.

18 Now the other thing that I believe this is
19 representing, and I'm -- I'm inferring this from NERA's
20 general perspective, but it is representing short-term
21 elasticity. So it's the response that would occur within
22 a relatively short period of time where the price goes up
23 10 percent.

24 Well, I -- I can't -- I can't stop
25 refrigerating my goods, so maybe I will be able to look

1 at some of my more highly discretionary uses and cut
2 back. But over five (5) years, I'm going to replace that
3 refrigerator, I'm going to replace that freezer in
4 response to those prices. So these elasticity numbers
5 will go up.

6 But typically, the general consensus, the
7 conventional wisdom, is that they're still going to be
8 inelastic. You're still not going to get a response to
9 price that is, in terms of quantity demanded, that is as
10 great as the change in price.

11 And so in -- in some situations you might
12 say it matters less. And -- and that's why we talk about
13 some elements of the rate structure having -- making more
14 sense to get the right price signal, because they are
15 more elastic than others.

16 You -- you used the term, Mr. Mayer, does
17 it mean we're have customers dropping off? Well
18 virtually, that's not going to happen. There may be a
19 few, but over -- over a -- a population of five hundred
20 thousand (500,000) customers in Manitoba's case, or 5
21 million in Ontario, it's not going to be very many
22 customers who are going to stop using electricity. But
23 they may use less. It'll be the quantities that we're
24 talking about.

25 THE CHAIRPERSON: So on that note, I

1 think we will take our break now, Mr. Williams.

2

3 --- Upon recessing at 2:34 p.m.

4 --- Upon resuming at 2:53 p.m.

5

6 THE CHAIRPERSON: Okay, welcome back
7 everyone. Ms. Ramage, you have got a couple more
8 undertakings to turn into exhibit?

9 MS. PATTI RAMAGE: Yes, we do. We have
10 Manitoba Hydro Undertaking Number 76, which I suggest be
11 marked Exhibit MH-69.

12

13 --- EXHIBIT NO. MH-69: Response to Undertaking 76

14

15 MS. PATTI RAMAGE: And Undertaking Number
16 71 dealing with the -- it's referred to as a carbon tax
17 in the question, and I suggest that be marked as MH
18 Number 70.

19

20 --- EXHIBIT NO. MH-70: Response to Undertaking 71

21

22 THE CHAIRPERSON: Yes, thank you.

23

24 (BRIEF PAUSE)

25

1 THE CHAIRPERSON: Very interesting, both
2 of them.

3 Mr. Williams...?
4

5 CONTINUED BY MR. BYRON WILLIAMS:

6 MR. BYRON WILLIAMS: Yes, we were on the
7 -- the subject of the NERA 2005 Study. And we may come
8 back implicitly to the question posed by the Vice Chair
9 just before the break.

10 Mr. Wiens, I just want to -- I'm going to
11 take you just for a couple of seconds to Roman numeral
12 number IV. It's right near the front of the study.

13 And just in -- in terms of the NERA
14 analysis, I just want to, at a very high level, run you
15 through Steps 1 through 4.

16 Do you have that in front of you, Mr.
17 Wiens?

18 MR. ROBIN WIENS: I do.

19 MR. BYRON WILLIAMS: And as I understand
20 it, through Steps 1 through 4, the first step was to
21 develop revenue neutral rates using the generic rate
22 structures under study and in the case of inverted block
23 rates with -- using a runoff rate set close to marginal
24 costs.

25 Is that right, sir?

1 MR. ROBIN WIENS: Yes.

2 MR. BYRON WILLIAMS: The second stage,
3 and I guess this goes back to our elasticity discu --
4 discussion, was to estimate the change in consumption for
5 the class using estimates of demand elasticity.

6 Is that fair, sir?

7 MR. ROBIN WIENS: Yes.

8 MR. BYRON WILLIAMS: And, Mr. Wiens, just
9 to go perhaps to the caveat you expressed to the Vice
10 Chair, these estimates were -- were not used to predict
11 changes in demands, but to evaluate the relative shifts
12 which might occur in -- with the various tel -- tariff
13 structures.

14 Is that -- that right, sir?

15 MR. ROBIN WIENS: Yes.

16 MR. BYRON WILLIAMS: The third step was
17 to estimate the changes in Hydro's costs resulting from
18 the change in consumption, correct?

19 MR. ROBIN WIENS: Yes.

20 MR. BYRON WILLIAMS: And then finally, to
21 adjust the class revenue requirement by the amount of
22 Manitoba Hydro's change in -- in cost, is that right?

23 MR. ROBIN WIENS: Yes.

24 MR. BYRON WILLIAMS: And I wonder if you
25 could -- if you'd turn to pages 46 to 48 of -- of NERA,

1 please?

2

3

(BRIEF PAUSE)

4

5 MR. BYRON WILLIAMS: Do you have that,
6 Mr. Wiens?

7

MR. ROBIN WIENS: I do.

8

9 MR. BYRON WILLIAMS: And you'll see,
10 starting at the -- the bottom of page 46 and then moving
11 all the way through to the bottom of page 48, there are
12 some -- what purports to be an evaluation of the
13 effective TOD and inverted rates on Manitoba Hydro's
14 revenue requirement.

15 Is that correct at a broad level, sir?

16 MR. ROBIN WIENS: If I -- if I recall
17 correctly, there were a number of rate scenarios that
18 were examined in utilizing those steps. We've just gone
19 through describing NERA, made a determination of the
20 impact of those types of rate design, yes.

21 MR. BYRON WILLIAMS: Thank you, Mr.
22 Wiens. And of course, you did it much better than --
23 than I could have, and I appreciate that.

24 So they -- they looked at a -- a couple of
25 scenarios for residential, and would I be correct in
suggesting to you that for residential the change in

1 revenue requirement after the low response was minus 2
2 percent under those two (2) scenarios?

3 MR. ROBIN WIENS: Yes.

4 MR. BYRON WILLIAMS: And I won't go
5 through all of them, but just for illustrative purposes,
6 if we go to -- we'll see four (4) -- let's go to medium
7 general service at the bottom of page 47.

8 You'll agree with me that they look at
9 four (4) scenarios, with the highest revenue response
10 being the response to Scenario 2, which is a minus 8.4
11 percent change in revenue requirement after the
12 load response, sir?

13 MR. ROBIN WIENS: Yes.

14 MR. BYRON WILLIAMS: And if we go to the
15 bottom of page 48, we see the large general service
16 greater than 100 small "k" big "V."

17 And again, they go through -- you'll agree
18 with me -- four (4) scenarios, with the -- the highest
19 response being the response to Scenario 1, with a change
20 in revenue requirement after load response of minus 13.3
21 percent, sir?

22 MR. ROBIN WIENS: Yes.

23 MR. BYRON WILLIAMS: And, Mr. Wiens, just
24 in terms of looking at this information, and I guess the
25 contrast I'll draw is the change in residential under the

1 NERA scenario of minus 2 percent versus the change in
2 large general service greater than 100 kV at the -- the
3 largest scenario of minus 13.3 percent.

4 What analysis or what -- what does this
5 tell us about -- about these -- these classes?

6 And I guess I'm going to -- are the
7 results a function, to some degree, of elasticity and
8 also the difference between the rates and marginal costs,
9 sir?

10 MR. ROBIN WIENS: They are indeed a
11 function of the differences in elasticity. And without
12 trying to get into any detail, some of these scenarios
13 have different rate structures described, and I'd have to
14 refamiliarize myself with all of them. But there are
15 differences among them. In some cases your -- you will
16 be looking at a rate structure that is likely to have a
17 greater impact than in other cases.

18 So those are the two (2) factors,
19 principally, that are driving this.

20 MR. BYRON WILLIAMS: Okay. And by the
21 two (2) factors just one was elasticity and the -- again,
22 looking at the residential versus large general service,
23 relatively speaking, there is more elasticity in terms of
24 large general service, sir?

25 MR. ROBIN WIENS: That would -- I would

1 think that would be the bigger factor at play here.

2 MR. BYRON WILLIAMS: Okay. And the --
3 the other factor I believe you mentioned, and -- and if
4 I'm incorrect, you -- was it rate structure?

5 MR. ROBIN WIENS: Yes, and I'm -- I'm
6 going to be taxing my memory again here. But if -- if
7 you -- if you look at, say, the large general service,
8 you have four (4) scenarios that were examined.

9 And you'll see that two (2) of them
10 involve what they've labelled as "CBL," which is customer
11 baseline. That's code. There's inverted rates at play
12 here. And you'll see that they have the biggest impact
13 relative to the other two (2), which say "unblocked."

14 So I'm taking it that you've got -- you've
15 got an inverted price signal in the first two (2) but not
16 in the second two (2), and you'll see there is a -- a
17 fair difference between the two (2) groups. So that's
18 the rate structure aspect of it.

19 MR. BYRON WILLIAMS: And I may be being
20 dense, in terms of just following up on the rate
21 structure issue, and you'll forgive me for that.

22 In terms of the relative reduction in
23 revenue requirement, residential compared to large
24 industrial greater than 100 kV, would the -- the gap
25 between the -- the current prices charged and marginal

1 costs also be a -- a factor in the -- the relatively
2 larger impact for large industrial, sir?

3 MR. ROBIN WIENS: Good work, Mr.
4 Williams. That's -- that's correct.

5 MR. BYRON WILLIAMS: I hate to say -- use
6 the word "significant." Would -- would it be a
7 significant factor?

8 MR. ROBIN WIENS: You know, without going
9 back and looking at these again, I -- I wouldn't want to
10 say. But there is a difference, and that would -- that
11 would be one -- another factor that would be in play
12 here.

13 MR. BYRON WILLIAMS: Mr. Wiens, I'm --
14 I'm probably torturing your memory, but if you'll turn to
15 page 26 and footnote 33 of that, sir?

16
17 (BRIEF PAUSE)

18
19 MR. ROBIN WIENS: Well, I'm going to have
20 to look at both of those footnotes, because I can't
21 decipher the number, but okay.

22 MR. BYRON WILLIAMS: There's a reference
23 in -- in footnote 33, which indeed is the top one on this
24 page, to a -- a term, "equiproportional marginal cost
25 approach to class revenue allocations."

1 And I wonder, Mr. Wiens, if you're -- are
2 you familiar with that term, at least in a -- in a
3 general sense, sir?

4 MR. ROBIN WIENS: It must have been while
5 you were away yesterday that I actually discussed it with
6 Mr. Peters.

7 MR. BYRON WILLIAMS: I apologize for
8 that. Did you define it for Mr. Peters?

9 MR. ROBIN WIENS: I can't recall.

10 MR. BYRON WILLIAMS: Could you do that
11 for me?

12 MR. ROBIN WIENS: But -- yes, I think I
13 did. I think I did define it, actually.

14 MR. BYRON WILLIAMS: I apologize, Mr.
15 Wiens, for that, but could you define it again?

16 MR. ROBIN WIENS: We were looking at --
17 let's -- let's take a look at MH Number 68, if you will.
18 This is just for the purposes of definition, so I -- I
19 don't care if you look at the top or at the bottom. But
20 if you look at -- let's -- let's look at the top.

21 Under the "total" line, you can see a
22 revenue-to-cost ratio of 62.4 percent. If you were
23 setting class revenue requirement on the basis of equal
24 proportion of marginal cost, you know that for classes,
25 all the classes combined, setting the revenue requirement

1 at 62.4 percent will provide it.

2 If you would set it at the same level for
3 every class, that is what's referred to as
4 equiproportional marginal cost, and that's what's being
5 referred in the footnote here.

6 MR. BYRON WILLIAMS: And, Mr. Wiens, just
7 -- again, I apologize for -- for missing this discussion.

8 If I could simplify that, if -- if for
9 example I wanted to, again, go into that table in
10 Manitoba Hydro Exhibit Number 68.

11 If I wanted to figure out the -- the
12 relative percentage of residential to -- to 100 percent,
13 would I divide that by -- the 72.8 percent of residential
14 by 62.4 percent?

15 Is that what you're -- you're talking
16 about, sir?

17 MR. ROBIN WIENS: You're talking simply
18 about translating it to a base of a hundred (100), and
19 that -- that would be what you'd do.

20 MR. BYRON WILLIAMS: Staying with this --
21 this point -- and I know you did discuss this with Mr.
22 Peters yesterday, because thanks to the excellent
23 briefing of Mr. McLaren -- one of the points you -- you
24 discussed with Mr. Peters is -- and I'll refer you to the
25 paragraph just above sub (c) on page 26, the fourth line.

1 Since marginal cost revenues would be
2 signif -- for example, a scenario where you were looking
3 at moving to more marginal cost -- cost of service format
4 rather than embedded costs.

5 "Since marginal cost revenues would be
6 significantly higher than actual rever
7 -- revenue requirement for all classes,
8 some mechanism would be required to
9 eliminate the marginal cost revenue
10 gap."

11 Do you see that, sir?

12 MR. ROBIN WIENS: Yes, I do.

13 MR. BYRON WILLIAMS: And in the rest of
14 this paragraph, NERA is discussing, I'm going to suggest
15 to you, two (2) approaches that might be taken.

16 One would be to reduce the revenue
17 requirement for those aspects of usage that have the
18 least elastic response, such as customer related costs.

19 Do you see that, sir?

20 MR. ROBIN WIENS: Yes, I do.

21 MR. BYRON WILLIAMS: And an alternative,
22 what they describe as a simple and fair approach, used in
23 other jurisdictions would be to set class revenue
24 requirements to an equal percentage of class marginal
25 cost revenue.

1 Do you see that, sir?

2 MR. ROBIN WIENS: Yes, I do.

3 MR. BYRON WILLIAMS: And that's what we
4 were discussing -- I was discussing inelegantly the
5 equiproportional marginal cost approach.

6 Is that right?

7 MR. ROBIN WIENS: That's correct.

8 MR. BYRON WILLIAMS: Between the -- the
9 two (2), do you have any preferences or -- or thoughts,
10 Mr. Wiens?

11 MR. ROBIN WIENS: Well in principle,
12 economists like NERA would probably tend to prefer the
13 elasticity related approach.

14 In other words, you -- you -- depending on
15 whether your revenue -- target revenue exceeds or falls
16 short of marginal cost, you would either reduce or
17 increase the revenue requirement of the class and inverse
18 proportion to their elasticity. You can see that that
19 may be somewhat difficult to apply. It may -- may
20 require a lot of work and perhaps a lot of discussion
21 about elasticities.

22 The person looking to apply something that
23 is relatively less complex would prefer the equal portion
24 of marginal cost.

25 MR. BYRON WILLIAMS: And --

1 MR. ROBIN WIENS: You know, I assume that
2 you were going this direction in the first place.

3 MR. BYRON WILLIAMS: And I'm not -- but
4 this is instructive, Mr. Wiens, and I'm not supposing
5 anything.

6 But I -- and -- and in terms of any
7 preferences you might have, both as an economist, but
8 someone experienced in the complexities of these, do you
9 -- do you have a preference at a conceptual level?

10

11 (BRIEF PAUSE)

12

13 MR. ROBIN WIENS: Balancing a number of
14 factors, I think overall my preference -- again, assuming
15 we were going with this approach -- would be the equal
16 portion of marginal cost.

17 It's perhaps theoretically less correct,
18 but in terms of other factors that you might consider, I
19 -- I believe it would be more appropriate.

20 MR. BYRON WILLIAMS: Thanks, Mr. Wiens. I
21 just appreciate your assistance. Just a couple of more
22 questions about NERA.

23 And I'm going to direct your attention
24 back to the Roman numerals, Roman numeral number VI in
25 the bottom right-hand corner. Do you have that, Mr.

1 Wiens?

2 MR. ROBIN WIENS: I have the page.

3 MR. BYRON WILLIAMS: You're looking for a
4 reference.

5 At the top, you'll see NERA'S commentary
6 that it evaluated two (2) types of inverted block rates
7 for residential customers.

8 Do you see that, Mr. Wiens?

9 MR. ROBIN WIENS: Yes.

10 MR. BYRON WILLIAMS: And I wonder if
11 you'll confirm for me that the one scenario they
12 evaluated was the separate non-seasonal first blocks
13 being defined for both standard customers and electric
14 space heating.

15 Is that correct, sir?

16 MR. ROBIN WIENS: Yes.

17 MR. BYRON WILLIAMS: So as I understand
18 that, they -- in that scenario they were looking at a --
19 a all-electric block, which was different and presumably
20 higher in terms of kilowatt hours per month, versus a
21 standard customer block.

22 Is that right, sir?

23 MR. ROBIN WIENS: That -- that's
24 certainly my recollection. If you wanted to go into this
25 in many considerable detail, I would want to refresh

1 myself with the -- the details of the analysis.

2 MR. BYRON WILLIAMS: Yeah, and I'm not
3 really looking for much detail, Mr. Wiens. I -- I don't
4 see that. But certainly if you feel the need to refresh
5 yourself, please -- please do so.

6 The -- the other scenario that they looked
7 at was having the same block sizes applied to residential
8 customers but having them vary by season.

9 Do you see that, sir?

10 MR. ROBIN WIENS: Yes.

11 MR. BYRON WILLIAMS: And just for
12 clarification purposes for my -- for my client, first of
13 all, in terms of the proposal that's currently before the
14 -- the Board by Manitoba Hydro, would I be correct in
15 suggesting to you it -- it is different from --
16 conceptually from both of -- of these approaches, sir?

17 MR. ROBIN WIENS: Yes, you'd be correct.

18 MR. BYRON WILLIAMS: It's different from
19 Scenario 1 in that it doesn't have a -- a different block
20 size for standard versus all-electric.

21 Is that right?

22 MR. ROBIN WIENS: That's right.

23 MR. BYRON WILLIAMS: And it's different
24 from Number 2 in that it doesn't have block sizes that
25 vary by season.

1 Is that right?

2 MR. ROBIN WIENS: Again, that's right.

3 MR. BYRON WILLIAMS: And if we could turn
4 to Roman numeral number XIV of the executive summary of
5 this report.

6 And at the top you'll see the reference to
7 residential customers, Mr. Wiens?

8 MR. ROBIN WIENS: Yes.

9

10 (BRIEF PAUSE)

11

12 MR. BYRON WILLIAMS: And as I understand
13 the analysis of -- of NERA, in comparing the -- the two
14 (2) proposed rate structures for residential customer
15 inverted rates, they preferred the Scenario Number 2,
16 which is the same first block varying by season, as
17 opposed to a first block defined by whether or not one
18 was all-electric.

19 Is that right, sir?

20 MR. ROBIN WIENS: Yes.

21 MR. BYRON WILLIAMS: And just in terms of
22 understanding the NERA analysis, they rec -- my sense is
23 that they, at the end of the day, they came down on that
24 side because of concerns about administrative problems.

25 Would that be fair? If I'm

1 oversimplifying that, just correct me, sir.

2 MR. ROBIN WIENS: I think NERA was saying
3 a couple of things here, and I'm -- I'm -- the cursory
4 reading that I have today is -- is maybe -- I'm not,
5 maybe, going to be able to draw as much out of it as I
6 would be able to if I had a chance to go back and refresh
7 myself with it.

8 But they're saying, first of all, that the
9 structure, the alternative, which does not distinguish
10 between all-electric and standard customers but does
11 provide some benefit to large users in the winter in the
12 form of a larger first block, but that it applies to all
13 customers rather than specifically to electric heat
14 customers.

15 They're saying, first of all, it produces
16 higher welfare gains. And by that they mean it is a
17 better allocation of resources. There is a higher --
18 now, it doesn't say anything about who benefits and who
19 loses, but it says there is a higher overall benefit. So
20 I would say that is probably the primary basis on which
21 they're saying that that would be better.

22 A secondary basis is that there is an
23 issue with trying to, first of all, make sure that you
24 have all the electric heat customers identified in a
25 separate rate schedule; second, making sure that you

1 don't have anybody that isn't an electric heat customer
2 in that schedule; and then maintaining that distinction
3 for billing on an ongoing basis, which is
4 administratively difficult.

5 And -- and the reason that they believe
6 that there are more economic benefits is that you are
7 moving electricity to a marginal cost, which is going to
8 alter the choice of electricity as a fuel between that
9 and other available fuels based on -- this is all
10 subsumed in their elasticity argument.

11 So it's -- it's, I think, primarily the --
12 the economic efficiency argument and secondarily the --
13 the administrative cost argument that's at play here.
14 But it's important to say that they do recognize the
15 equity argument as well, and -- and that this is the
16 consultant report. As Manitoba Hydro, we have to deal
17 with all of them.

18 MR. ROBERT MAYER: That -- that raises an
19 issue then, at least Board Member Proven and I have been
20 kicking around the last little while, is I take it you
21 have no way of telling from the base -- from -- from your
22 base of operations which of us may or may not be heating
23 with space heat as opposed to using our outdoor hot tub?

24 MR. ROBIN WIENS: Well we -- we could
25 examine consumption of different customers and make an

1 inference, but we can't be precise. In fact, we may be
2 very wrong in some cases.

3 MR. ROBERT MAYER: I know that when I
4 went to electric heat back in the '70s, I had to upgrade
5 my service. And very fortunately for everybody, I
6 suppose, I had to get a building permit because I was
7 also renovating the basement and of course, there was a
8 Hydro inspector who inspected the upgrade.

9 And I sort of assumed that's how you did
10 everything. I have since found out that you can just
11 hire an electrician to upgrade your service. Are -- are
12 they telling anybody?

13 MR. ROBIN WIENS: This is getting outside
14 my area of responsibility, Mr. Mayer. I do believe that
15 at the time that a customer -- certainly at the time that
16 a new customer is signed up, we make an effort to
17 understand and quote our billing system accordingly; not
18 that it affects how they're billed today, but just for
19 our own understanding.

20 But we don't go back and check on those
21 year after year and make sure that they're still in
22 place. And -- and things change over time.

23 MR. ROBERT MAYER: So -- so there is a
24 real issue of being able to determine exactly who is
25 heating electrically and who is just wasting electricity?

1 MR. ROBIN WIENS: Who is heating
2 electricity and who -- with electricity, and who is using
3 it for other uses.

4 MR. ROBERT MAYER: Yes, but --

5 MR. ROBIN WIENS: It's further
6 complicated. I believe, again, and the back row could
7 maybe correct me if I'm wrong, but I do believe that we -
8 - if somebody has the capability to heat with
9 electricity, they have sufficient baseboards installed,
10 for example, they would be quoted as electric heat.

11 But they may not use the electricity in
12 that way. They may -- they may -- they may have other
13 uses. They may have supplementary heat from other
14 sources. The electricity may be supplementary to some
15 other source.

16 You can see that -- that we -- we have an
17 issue with being accurate about who has and who hasn't
18 electric heat when we're talking about something in the
19 order of four hundred and twenty thousand (420,000)
20 residential customers.

21 MR. ROBERT MAYER: Quite frankly, sir, I
22 didn't see that until now. Thank you.

23 MR. ROBIN WIENS: You're welcome.

24

25 CONTINUED BY MR. BYRON WILLIAMS:

1 MR. BYRON WILLIAMS: Mr. Wiens, and --
2 and we'll probably come back to the inverted rate
3 discussion a little bit on -- on Monday, but just while
4 I'm on your -- would it be -- in the last little while,
5 I'm going to suggest to you, we've discussed three (3)
6 different approaches to inverted rates in terms of the
7 blocks for residential customers.

8 One (1) is that current Hydro proposal
9 which is no seasonal differentiation and no
10 differentiation between standard and all-electric.
11 Secondly, a seasonal differentiation, but only one with
12 standard and all-electric in the same block. And then
13 third, a differentiation based upon a all-electric block
14 and a -- and a standard block, is that fair, sir?

15 MR. ROBIN WIENS: Sure.

16 MR. BYRON WILLIAMS: And my clients,
17 we've got the -- certainly have the able advice of Mr.
18 Harper, and recognizing right now that we're just talking
19 about a relatively small difference, but going forward,
20 do you have some advice or -- for my clients in terms of
21 the optimal way to balance the economic efficiency, the
22 equity, and the administrative complexity issues?

23 MR. ROBIN WIENS: How's my chain back
24 there? We haven't resolved that, so that's why I'm --
25 I'm hesitant. No, if we had a good strong answer to

1 that, we probably would have included it in our
2 application.

3 So we don't, as of yet. We recognize that
4 we have to deal with all three (3) of them. We certainly
5 recognize that there is an issue with respect to
6 Manitobans who do not have access to -- or reasonable
7 access to substitutes to electric heat.

8 And we -- we know that we have to deal
9 with that. I think if -- if it were -- the simplest way
10 to deal with it is probably to do the same thing that
11 Hydro One has done, which is to have a -- a low first
12 block in the summer months and a higher one in the winter
13 months. That could take care of a substantial part of
14 the equity concern.

15 I don't know that it would take care of
16 all of it. Clearly, the -- if you -- what Ontario Hydro
17 has -- or Hydro One has is a summer season which they
18 define as being May the 1st to October the 31st in which
19 the first block is 600 kilowatt hours a month, and a
20 winter season in which the first block is 1,000 kilowatt
21 hours a month.

22 They are trying to saw off between the
23 same issues as we are. They -- they probably -- or they
24 may not have the same degree of concern with regard to
25 electric space heating customers as we may have here. I

1 haven't ascertained that, by the way, but they do have
2 some degree of concern.

3 And the higher you make in this type of
4 structure, the -- the higher you raise that breakpoint in
5 the winter, the greater certainty you have that you're
6 having -- you're having -- you're minimizing the impact
7 on people who have difficulty finding another source and
8 certainly would have to incur greater costs; in -- in
9 capital costs terms, perhaps significantly greater costs.

10 So the higher you move that up, the -- the
11 greater certainty you have that -- that you're being
12 reasonable in terms of your treatment there. But
13 conversely they -- you know, you're giving up -- there's
14 a tradeoff here -- and you're giving up some of the
15 economic efficiency benefit.

16 And it's a tradeoff between those. It's a
17 tradeoff that Manitoba Hydro has to make, and it's
18 presuming that we bring, at some point, a -- a proposal
19 before this Board. It's a tradeoff that this Board will
20 have to make that there's an economic dimension and
21 there's a policy -- there's a cost dimension -- there's a
22 policy dimension to it.

23 We weren't prepared to make that
24 determination at this stage, and that's why we brought
25 forward the fairly modest proposal that we have. We

1 wanted to signal that this is the direction to go. We
2 did not have a complete proposal to make.

3 MR. BYRON WILLIAMS: And -- and we're
4 certainly not criticizing you for that, Mr. Wiens. Just
5 in terms of the -- what you've, I think, described as the
6 -- the -- what might be, administratively, more simple
7 seasonal variation approach, are there, administratively,
8 currently with Manitoba Hydro, any barriers to
9 implementing that that -- that you can think of, sir?

10 MR. ROBIN WIENS: I believe that it is --
11 I believe that it is doable. There are certain costs
12 that have to be incurred. There are certain changes that
13 have to be incurred. I wouldn't want to go on the record
14 as saying, you know, that it's -- it's -- it couldn't be
15 done tomorrow. That's - those are discussions that have
16 to be held with the people that are responsible for
17 making sure we can bill those rates.

18 I believe it can be done within -- within
19 the context of our existing billing system. I just don't
20 know exactly the extent of the reprogramming and changes
21 that have to be done to do it.

22 MR. BYRON WILLIAMS: Just a last followup
23 question on this -- this point. And I realize it's --
24 it's premature. Are the -- does Hydro have any sense of
25 the magnitude of -- of the costs involved in -- for

1 example, if you went to a -- a seasonal approach akin to
2 Hydro 1, the -- the administrative costs, sir?

3 If not, that's fine.

4 MR. ROBIN WIENS: You know, probably
5 somewhere, somebody has an idea of it. I'm not that
6 person.

7 MR. BYRON WILLIAMS: Would that be hard
8 to get that idea, sir?

9 Mr. Wiens, let me leave it at this. If you
10 could make inquiries -- if it's something that's going to
11 take a lot of hours, don't do it, but I'm not asking for
12 an undertaking -- I'm just asking if you can give some
13 insight into it, we'd appreciate it.

14

15 (BRIEF PAUSE)

16

17 MR. ROBIN WIENS: I -- I'm just being
18 reminded here that there's a lot of policy decisions that
19 have to be made before we actually get into -- into
20 costs, but we can -- we can make a preliminary inquiry,
21 if -- if you'd like.

22 MR. BYRON WILLIAMS: Thanks, Mr. Wiens.
23 Last reference in Nera, I'll ask you to turn to page 31
24 at the bottom.

25

1 (BRIEF PAUSE)

2

3 MR. BYRON WILLIAMS: Mr. -- Mr. Wiens,
4 you can see that there's a discussion at the bottom of
5 31, page 31, of the -- of this exhibit, in terms of Mr.
6 Lazar's -- some of his thoughts in terms of a -- defining
7 a first block of an inverted structure for commercial
8 industrial customers.

9 Do you see that, sir?

10 MR. ROBIN WIENS: I do.

11 MR. BYRON WILLIAMS: And about halfway
12 through the paragraph, there's a reference after footnote
13 -- the number of footnote 41, to -- perhaps tying
14 inverted rates tied to factors like employment, but NERA
15 appears to be referencing some concerns that -- that
16 doing so might have an even greater distortionary effect
17 in terms of the customers' competitive positions, and
18 that it -- such mechanisms could add incentives to add
19 employers -- employees or to rent more spaces in areas
20 with lower rental costs.

21 And I realize that I'm paraphrasing a high
22 level but did -- did I get the thrust of the concerns
23 expressed by NERA, sir?

24 MR. ROBIN WIENS: I think so.

25 MR. BYRON WILLIAMS: And just to assist

1 my client, do -- do you see these criticisms of Mr. Lazar
2 by NERA having any applicability or offering any insight
3 into the new industrial rates for -- for new or expanded
4 loads being presented by Manitoba Hydro?

5 MR. ROBIN WIENS: I can agree that
6 directionally that those types of incentives might be
7 present. I -- I think the nature of the -- of the
8 criteria that we're recommending is such that the
9 likelihood is not high that this would happen.

10 You know, I understand that we're going to
11 be spending some time in the future reviewing those
12 criteria, but I think the way that they stand right now,
13 it -- it's a possibility but it's likely to only happen
14 in very borderline cases, which, I would think -- and I'm
15 going a bit on a limb here speculating, but I think would
16 not be sort of the mainstream situation.

17 MR. BYRON WILLIAMS: Okay. I like it
18 when you speculate, Mr. Wiens, so I appreciate that.
19 Cautiously though.

20 MR. ROBIN WIENS: You may be the only
21 one.

22 MR. BYRON WILLIAMS: Mr. Chair -- Mr.
23 Chair, I'm moving to another subject, but I wonder if I
24 could stand down for just a couple of minutes. I want to
25 just discuss with my client.

1 THE CHAIRPERSON: Yes, sir.

2

3 --- Upon recessing at 3:28 p.m.

4 --- Upon resuming at 3:35 p.m.

5

6 THE CHAIRPERSON: Okay, Mr. Williams.

7

8 CONTINUED BY MR. BYRON WILLIAMS:

9 MR. BYRON WILLIAMS: Yes, thank you. I'm
10 going to briefly refer to PUB Exhibit Number 13 which is
11 the -- their second book of documents at Tab 54.

12

13 (BRIEF PAUSE)

14

15 MR. BYRON WILLIAMS: And -- and, Mr.
16 Wiens, I -- I understand that you've updated -- first of
17 all this -- this document is Appendix 11.2, is that
18 right, sir?

19 MR. ROBIN WIENS: Yes, it is.

20 MR. BYRON WILLIAMS: And you've updated
21 this document -- and I'm going to talk about that in just
22 one (1) second, sir. But my understanding is, and again
23 I missed this conversation but Mr. McLaren's given me an
24 excellent briefing, you had some discussion with Mr.
25 Peters yesterday about Appendix 11.2 as it appears in --

1 in front of you.

2 Is that right, sir?

3 MR. ROBIN WIENS: Yes, it is.

4 MR. BYRON WILLIAMS: And is my -- just to
5 make sure my understanding of your discussion with Mr.
6 Peters is correct, in terms of -- would I be correct in
7 suggesting that in your conversation with Mr. Peters, in
8 terms of some of the estimated marginal costs, in terms
9 of, for example, customer costs you suggested to Mr.
10 Peters that they might be overstated?

11 MR. ROBIN WIENS: Well, it's a
12 possibility that -- that they could be. These -- these
13 are average costs forecasts. If you're looking at the
14 bottom group of numbers, the transmission O&M,
15 subtransmission O&M, these are our forecast costs for
16 2007/2008, and if you divide them by the number of
17 kilowatt hours they -- they are the average costs. These
18 are the types of costs that if -- if we add a customer
19 during the course of the year, that -- that is not likely
20 to change our -- our costs, certainly not to the same
21 degree as the average. So it could be an overstatement.

22 On the other hand, you know, some of them
23 may be understated as well. These are our best guesses,
24 our best ability to say what marginal operating costs are
25 at this stage, and without going and doing a detailed

1 study of it.

2 MR. BYRON WILLIAMS: And that's fair, Mr.
3 Wiens. Just to -- to be -- to be -- hone in just a
4 little bit though, with regards to customer service costs
5 as captured on the bottom part of this -- this table
6 would you -- would you agree that it's more likely that
7 they're overstated than -- than understated, in terms of
8 marginal cost?

9 MR. ROBIN WIENS: I -- I would say it's
10 likely, although there are some elements in there that
11 the reverse may be true.

12 MR. BYRON WILLIAMS: And again, referring
13 to distribution costs on the bottom part of this table,
14 would it also be reasonably likely that the marginal
15 costs of distribution are overstated, sir?

16 MR. ROBIN WIENS: In the short term they
17 probably are. As you moved out in the longer term, that
18 -- that gap is likely to close.

19 MR. BYRON WILLIAMS: Thank you for that.
20 I'd ask you to turn to Hydro Exhibit Number 68, which is
21 the update to Appendix 11.2 which you filed yesterday.

22 Is that correct, Mr. Wiens?

23 MR. ROBIN WIENS: It is.

24 MR. BYRON WILLIAMS: And in terms of the
25 -- the discussion we just had in -- in terms of the

1 possibility of customer service costs being overstated in
2 the -- in terms of marginal costs in the short term in
3 Appendix 11.2, would that same statement hold true for
4 the update, Manitoba Hydro Exhibit Number 68?

5 MR. ROBIN WIENS: Yes, it would, because
6 it's based on the same information.

7 MR. BYRON WILLIAMS: And again, for
8 distribution costs that -- that would be, as well, sir?

9 MR. ROBIN WIENS: Yes, although I'm
10 qualifying this. I suspect if -- if we're wrong in any
11 direction, that -- that would be where it goes.

12

13 (BRIEF PAUSE)

14

15 MR. BYRON WILLIAMS: Mr. --

16 MR. ROBIN WIENS: And I -- I might add as
17 well, if you look at the quantum of these operating and
18 maintenance costs on the bottom compared with the
19 marginal costs on the top, if we're in error with respect
20 to that, a 10 percent error is going to have or 20
21 percent error is going to be -- have a lot less impact
22 than if we're in error on the top.

23 MR. BYRON WILLIAMS: And I -- I accept
24 that and, Mr. Wiens, that's helpful. To the extent that
25 you're in error, would you agree that those errors would

1 be disproportionately borne by the residential class on
2 the bottom part of that table?

3 MR. ROBIN WIENS: They would be --
4 because we're talking about the bulk of these costs
5 relates to costs below the transmission level, they are
6 going to have a disproportionate effect to the extent
7 they -- they occur on residential general service small
8 and to a lesser extent, medium.

9 MR. BYRON WILLIAMS: Mr. Wiens, thank you
10 for that and I want -- if you could keep near at hand
11 Hydro Exhibit Number 68, and we're going to be referring
12 to Coalition Exhibit 26 in just a second.

13 And perhaps if your counsel could provide
14 you with your -- or if you have it near at hand, your
15 rebuttal evidence; in particular, page 37 and 38 of 65 in
16 my version.

17 Ms. Ramage, I apologize for not providing
18 you with this reference earlier. I'm referring to the
19 rebuttal evidence of Manitoba Hydro. My version it's
20 page 37 and 38 of 65, and the subheading is Manitoba
21 Hydro GRA Proposed Class Revenue Requirement Increases.

22 Do you have that, Mr. Wiens?

23 MR. ROBIN WIENS: I do.

24 MR. BYRON WILLIAMS: And, Mr. Wiens, as I
25 understand it, your discussion on both page 37 and 38 of

1 your rebuttal evidence is you're responding to a proposal
2 by Mr. Bowman and Mr. McLaren to differentiate rate
3 increases in order to bring class RCC's in the Embedded
4 Cost of Study -- Embedded Cost of Service Study to within
5 the zone of reasonableness at a high -- high level,
6 that's correct, sir?

7 MR. ROBIN WIENS: It is responding to
8 parts of the evidence provided by Mr. Bowman and Mr.
9 McLaren.

10 MR. BYRON WILLIAMS: And it's responding
11 to evidence regarding differential rate increases, is
12 that right, sir?

13 MR. ROBIN WIENS: That's correct.

14 MR. BYRON WILLIAMS: And as I understand
15 your response, starting at line 21, Hydro makes the point
16 that from its perspective that it -- it believes it's
17 premature to differentiate among classes for at least two
18 (2) reasons, correct, sir?

19 MR. ROBIN WIENS: That's correct.

20 MR. BYRON WILLIAMS: And I want to focus
21 for the -- I guess the remainder of the afternoon on that
22 second reason which I understand to be that -- that Order
23 117/'06 specifically noted factors other than embedded
24 cost allocation should be considered.

25 Is that right, sir?

1 MR. ROBIN WIENS: Yes, that's right.

2 MR. BYRON WILLIAMS: And the point that
3 you're making on the next page, page 38 of 65 in my
4 version, is that when you take the perspective of
5 marginal costs, that might provide a very different set
6 of recommendations with respect to differential class
7 rate increases.

8 Is that right, sir?

9 MR. ROBIN WIENS: Yes. Although not
10 wanting to -- not wanting to take a prior view on where
11 the Board might be with respect to weighting of that, we
12 did -- did want to display what the consequences would be
13 of accepting a significant weighting for that.

14 MR. BYRON WILLIAMS: And the -- again,
15 not wanting to preempt the Board but in terms of
16 providing that additional insight and perspective, you
17 present that in the table MH-10 at the bottom of page 38
18 of 65, correct?

19 MR. ROBIN WIENS: Yes, that's correct.

20 MR. BYRON WILLIAMS: Now is -- I
21 understand this table and -- and you'll correct me if I'm
22 wrong, but you've drawn it from Appendix 11.2, the non-
23 updated version.

24 Is that right, sir?

25 MR. ROBIN WIENS: That's correct.

1 MR. BYRON WILLIAMS: And I wonder if you
2 would undertake to refile this table reflecting the
3 updated version presented in Manitoba Hydro Exhibit
4 Number 68?

5 Could you do that, sir?

6 MR. ROBIN WIENS: Yes, we can.

7

8 --- UNDERTAKING NO.81: Manitoba Hydro to refile for
9 Coalition table MH-10
10 reflecting the updated
11 version presented in Manitoba
12 Hydro Exhibit Number 68

13

14 CONTINUED BY MR. BYRON WILLIAMS:

15 MR. BYRON WILLIAMS: Mr. Wiens, although
16 I always stumble over pronouncing it, you'll recall when
17 we were discussing the NERA Report we discussed the
18 equiproportional marginal cost approach to class revenue
19 allocations used in jurisdictions such as California and
20 New York, sir?

21 MR. ROBIN WIENS: Yes.

22 MR. BYRON WILLIAMS: What I'm going to
23 present to you, or wish to discuss with you, I guess
24 pulling from Exhibit Number 68, I'm going to draw your
25 attention to Coalition Exhibit number 26, sir, if -- do

1 you have that?

2 MR. ROBIN WIENS: Yes.

3

4 (BRIEF PAUSE)

5

6 MR. BYRON WILLIAMS: And you'll agree
7 with me -- I'll draw your attention first of all to the -
8 - the second Coalit -- second column in Coalition Number
9 26. You'll agree with me that the -- the numbers
10 represented in that table are drawn directly from the top
11 upper right-hand of Exhibit Number 68, sir?

12 MR. ROBIN WIENS: Yes.

13 MR. BYRON WILLIAMS: And you see a
14 description -- or a title one (1) column over of
15 normalized marginal costs, I wonder if you'd agree with
16 me that -- that what we've done is simply, for example,
17 take -- lets take the number -- the residential from the
18 -- the second column, the figure being zero point seven
19 two eight (0.728)? We've normalized that by dividing it
20 by zero point six two four (0.624) to yield the -- a --
21 the figure of one point one six seven (1.167).

22 Is -- is that right, sir?

23 MR. ROBIN WIENS: Yes.

24 MR. BYRON WILLIAMS: And likewise we've
25 done that with the rest of the column to bring it to a

1 total of a one (1).

2 Is that right? On average?

3 MR. ROBIN WIENS: Yes.

4 MR. BYRON WILLIAMS: And you'll agree
5 with me that the -- the fourth column in, Marginal Costs,
6 RC Capital, and OM&A, the last line of that really is
7 drawn from the last line of Manitoba Hydro Exhibit Number
8 68.

9 Is that right, sir?

10 MR. ROBIN WIENS: Yes.

11 MR. BYRON WILLIAMS: And again, what
12 we've done in the final column is normalized that, for
13 example, using the residential again; dividing the zero
14 point six one four (0.614) by zero point five five eight
15 (0.558) to yield the figure of one point one (1.1).

16 Is that right, sir?

17 MR. ROBIN WIENS: Yes.

18 MR. BYRON WILLIAMS: And again, if I'm
19 wrong you'll correct me, but if one were setting rates
20 based upon an approach like this, would this at least
21 analytically be somewhat akin to the equiproportional
22 marginal cost approach of -- to class revenue allocation
23 of some other jurisdictions, sir?

24 MR. ROBIN WIENS: Yes.

25 MR. BYRON WILLIAMS: And again, if one

1 took that approach, one would see that, for example,
2 residential customers would be at 1.1 percent and GSL
3 greater than 100 KV would be at zero point eight one five
4 (0.815).

5 Would that be right, sir?

6 MR. ROBIN WIENS: The math is correct.

7 MR. BYRON WILLIAMS: Okay. Conclusions
8 we draw from it is -- is another question, is that right,
9 Mr. Wiens?

10 MR. ROBIN WIENS: Yes.

11

12 (BRIEF PAUSE)

13

14 MR. BYRON WILLIAMS: We may come back to
15 that.

16 Mr. Chairman, I'm moving to another
17 subject. It will take me about a half an hour. It's --
18 I'm at your disposal.

19 THE CHAIRPERSON: I think then we will
20 close for the week, Mr. Williams.

21 MR. BYRON WILLIAMS: Okay.

22 THE CHAIRPERSON: So we will be back
23 again on Monday. So I wish you all a good weekend.

24

25 (WITNESSES RETIRE)

1 --- Upon adjourning at 3:50 p.m.

2

3

4

5 Certified correct,

6

7

8

9

10 Cheryl Lavigne

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25