

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MANITOBA PUBLIC UTILITIES BOARD

Re: 2008/'09 GENERAL RATE APPLICATION  
MANITOBA HYDRO

Before Board Panel:

- Graham Lane - Board Chairman
- Robert Mayer - Board Member
- Susan Proven - Board Member

HELD AT:

Public Utilities Board  
400, 330 Portage Avenue  
Winnipeg, Manitoba  
March 5th, 2008  
Pages 471 to 690

## APPEARANCES

1  
2  
3 Bob Peters )Board Counsel  
4  
5 Doug Buhr )City of Winnipeg  
6  
7 Byron Williams )Coalition  
8  
9 Jennifer Scott (np) )TransCanada Keystone  
10 Tamara Trull (np) )Pipeline  
11  
12 Tamara McCaffrey )MIPUG  
13 John Landry (np) )  
14  
15 Michael Anderson (np) )MKO  
16  
17 Patti Ramage )Manitoba Hydro  
18 Odette Fernandes )  
19  
20 Bill Gange )RCM/TREE  
21 Dan Rempel (np) )  
22 Peter Miller )  
23  
24  
25

1	TABLE OF CONTENTS	
2		PAGE NO.
3	List of Exhibits	474
4	Undertakings	475
5		
6	MANITOBA HYDRO REVENUE REQUIREMENT AND DEMAND SIDE MANAGEMENT	
7	PANEL RESUMED:	
8	VINCE WARDEN, Resumed	
9	WILLY DERKSEN, Resumed	
10	IAN PAGE, Resumed	
11	HAROLD SURMINSKI, Resumed	
12	LLOYD KUCZEK, Resumed	
13		
14	Continued Cross-Examination by Mr. Bob Peters	480
15		
16		
17	Certificate of Transcript	690
18		
19		
20		
21		
22		
23		
24		
25		

1	LIST OF EXHIBITS		
2	EXHIBIT NO.	DESCRIPTION	PAGE NO.
3	MH-9	Response to Undertaking 9	478
4	MH-10	Sticker shock article	648
5			
6			
7			
8			
9			
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

UNDERTAKINGS		
NO.	DESCRIPTION	PAGE NO.
10	Manitoba Hydro to supply Board debt-to-equity calculations related to the Wuskwatim Power Limited Partnership	482
11	Manitoba Hydro to indicate to Board how it arrived at \$94 million on the WPLP operating statement	484
12	Manitoba Hydro to indicate to Board where the seven (7) agreements can be found: Limited Partnership, Management, Project Financing, Construction, Power Purchase, Operation, and Maintenance Agreements	498
13	Manitoba Hydro to refile for Board, the schedule from PUB/Manitoba Hydro Second Round 77	517
14	Manitoba Hydro to indicate to the Board what the capital coverage ratio target would be after the PUB/Manitoba Hydro Second Round 77 chart is revised	518
1		
2		
3		
4		
5		
6		
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

	UNDERTAKINGS (Con't)	
1		
2	NO.	PAGE NO.
3	15	Manitoba Hydro to provide the Board
4		with a chart that would contain the
5		export sales information from the '06/'07
6		fiscal year, on a cost per kilowatt hour,
7		which identifies the categories of
8		generation, transmission, water rentals,
9		taxes, OM&A. And also show the same
10		information on a cost per kilowatt hour
11		basis for Wuskwatim for the revenues,
12		as well as the expenses using the second
13		year of Wuskwatim's production
		555
14	16	Manitoba Hydro to provide Board an
15		explanation as to why the thermal
16		generation figures in the power resource
17		plant are not the same as they are in PUB
18		First Round 85. Also, explain why the
19		dependable thermal generation quantity is
20		different from what's in the Power
21		Resource Plan
		570
22	17	Manitoba Hydro to provide the Board with
23		approximate capital cost of the
24		fiberoptic system
		597
25		

	UNDERTAKINGS (Con't)		
1			
2	NO.	DESCRIPTION	PAGE NO.
3	18	Manitoba Hydro to indicate to Board	
4		whether or not there are throwaway costs	
5		or expended costs for your studies on	
6		the east side that are now going to be	
7		no longer necessary	615
8			
9			
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1 --- Upon commencing at 9:09 a.m.

2

3 THE CHAIRPERSON: Okay, good morning,  
4 everyone.

5 Mr. Peters...?

6 MR. BOB PETERS: Thank you. I think I'll  
7 be passing the microphone right away to Ms. Ramage for  
8 some matters to tidy up the record and provide an answer  
9 to an undertaking from yesterday.

10 THE CHAIRPERSON: Ms. Ramage...?

11 MS. PATTI RAMAGE: Thank you, Mr. Chair.  
12 This morning we've distributed the financial statements  
13 of Wuskwatim Power Limited Partnership.

14 This has been distributed in response to  
15 Undertaking 9, number 9 on the record, and we're  
16 suggesting it be entered as Manitoba Hydro Exhibit Number  
17 9.

18

19 --- EXHIBIT NO. MH-9: Response to Undertaking 9

20

21 MS. PATTI RAMAGE: Also another  
22 undertaking was given but doesn't show up in the  
23 transcript numbering system as an undertaking. So I  
24 thought I would just put on the record that Mr. Peters  
25 had asked about the -- the Wuskwatim Partnership

1 Agreement itself and we were not sure whether it was  
2 confidential or not.

3                   Apparently it's not confidential and, in  
4 fact, it can be found on Manitoba Hydro's website if  
5 anyone wants to look at it, which is probably the best  
6 place to find it.

7                   THE CHAIRPERSON:   Okay. Well we'll take  
8 it off the website then and introduce it as an exhibit.  
9 Very good.

10                   MS. PATTI RAMAGE:   Well it -- it's not a  
11 short document so I thought it would probably be best for  
12 the environment if we just -- those who want to scroll  
13 through it can just scroll.

14                   THE CHAIRPERSON:   I think we'll have to  
15 look at it.

16                   Okay, Mr. Peters.

17

18 MANITOBA HYDRO REVENUE REQUIREMENT AND DEMAND SIDE

19 MANAGEMENT PANEL RESUMED:

20                   VINCE WARDEN, Resumed

21                   WILLY DERKSEN, Resumed

22                   IAN PAGE, Resumed

23                   HAROLD SURMINSKI, Resumed

24                   LLOYD KUCZEK, Resumed

25

1 CONTINUED CROSS-EXAMINATION BY MR. BOB PETERS:

2 MR. BOB PETERS: Yes, thank you, Mr.  
3 Chairman. Mr. Warden, Mr. Page, I'd like to continue and  
4 finish up with some questions on the Wuskwatim Power  
5 Limited Partnership that come from yesterday.

6 First of all, thank you for the unaudited  
7 interim financial statements. Mr. Warden, when I see  
8 "unaudited" and the word "interim" on financial  
9 statements, what does that mean?

10 MR. VINCE WARDEN: Mr. Peters, it just  
11 means that these are interim; this is for January 31st as  
12 indicated. So the -- the March of 2007 were audited as  
13 will the March of 2008 statements be audited. But the IR  
14 asked for the most recent available statements and these  
15 are the most recent.

16 MR. BOB PETERS: All right. And when the  
17 -- when the -- the audited statements are signed after  
18 March 31st, can the Corporation undertake to file a copy  
19 of those with the Board?

20 MR. VINCE WARDEN: Yes, we can do that.

21 MR. BOB PETERS: And, Mr. Warden, is  
22 there any significance to the document being marked as  
23 Manitoba Hydro Exhibit 9 this morning, not being signed  
24 by anybody?

25 MR. VINCE WARDEN: There's really no

1 significance to that. The -- the statements are in the  
2 same format as the year end statements. We don't change  
3 the format from month to month so they will be signed at  
4 March 31st.

5 MR. BOB PETERS: All right. Thank you  
6 for that. I believe also I've asked of the panel to --  
7 and I'm not sure if it was in the Information Request or  
8 yesterday -- but to file the balance sheet, the cash flow  
9 statement and the debt-to-equity ratios related to the  
10 operating statements.

11 And I understand that's information that's  
12 still being produced?

13 MR. WILLY DERKSEN: Mr. Peters, could you  
14 please repeat that question?

15 MR. BOB PETERS: We'll just check for the  
16 source but I think it was PUB/Manitoba Hydro Second Round  
17 Question 4. We were looking for some details that we  
18 thought would be coming with a balance sheet; a cash flow  
19 statement and maybe the debt-to-equity calculations  
20 related to the WPLP, Wuskwatim Power Limited Partnership.

21 MR. VINCE WARDEN: Mr. Peters, there may  
22 have been some misunderstanding with respect to that  
23 undertaking. The -- the debt-to-equity ratio calculation  
24 is -- is, I think, fairly evident from the statement  
25 themselves.



1 Board -- and let's pick, for example -- in looking at the  
2 revenue line, 2013 is now -- is projected on this  
3 statement to be the second year of operation, correct?

4 MR. IAN PAGE: That's -- that's correct.

5 MR. BOB PETERS: And it's fully up and  
6 running in 2013, according to this statement?

7 MR. IAN PAGE: Yes. There's three (3)  
8 units and they all come in -- they come in -- in-service  
9 in stages in the previous year.

10 MR. BOB PETERS: And that can be seen on  
11 the average generation line where in the previous year  
12 there's only five hundred and fifty-six (556) gigawatt  
13 hours generated, compared to the fifteen fifteen (1,515)  
14 that is full capacity?

15 MR. IAN PAGE: Yes.

16 MR. BOB PETERS: Is that number shown at  
17 \$94 million calculated on the basis of average export  
18 revenues, times the one thousand five hundred and fifteen  
19 (1,515) gigawatt hours of mean flow scenario?

20 MR. IAN PAGE: There's a formula that Mr.  
21 Surminski referred to yesterday, the -- there's an on-  
22 peak portion -- or a firm portion which is given the  
23 average on-peak price and then there's the balances is  
24 given the average of all the unfirm price.

25 MR. BOB PETERS: Can you file that

1 calculation with the Board and show how you arrived at  
2 \$94 million?

3 MR. IAN PAGE: Yes, we can provide that.

4

5 --- UNDERTAKING NO. 11: Manitoba Hydro to indicate to  
6 Board how it arrived at \$94  
7 million on the WPLP operating  
8 statement

9

10 CONTINUED BY MR. BOB PETERS:

11 MR. BOB PETERS: And just so the Board is  
12 clear, yesterday, Mr. Surminski, you and I talked about  
13 expected values and that's what Mr. Page has referred to  
14 as the -- when you deal with on-peak you're taking the  
15 average of your firm prices or your firm expected values?

16

17 (BRIEF PAUSE)

18

19 MR. IAN PAGE: There -- there may be an  
20 issue in providing that calculation in terms of -- it --  
21 embedded in that is going to be Manitoba Hydro for --  
22 expected price forecast for those years and that may be -  
23 - so I'm not sure if -- if we can provide the calculation  
24 without revealing that number, but we will have a look at  
25 it.



1 is the more appropriate term for that.

2 MR. BOB PETERS: And that's 53 percent of  
3 the time?

4 MR. HAROLD SURMINSKI: Yes.

5 MR. BOB PETERS: And that's -- and that's  
6 regardless of whether Manitoba Hydro is exporting any of  
7 the required generation from Wuskwatim to the United  
8 States?

9 MR. HAROLD SURMINSKI: The formula does  
10 also include import. If -- if we are not exporting, we  
11 use import as the proxy for -- for the value of the  
12 power.

13 MR. BOB PETERS: But the value of the  
14 power, as I understood from yesterday, Mr. Surminski, is  
15 determined once and only once in this agreement?

16 MR. HAROLD SURMINSKI: It's -- it's  
17 indexed to the price in every year as -- in every month  
18 as -- as exports are being made in the future.

19 The -- the methodology -- the ratios were  
20 determined only once, the ratios of the products. But,  
21 over time, as export prices change, the -- the power  
22 purchase agreement pays in accordance with the variations  
23 in -- in market prices.

24 MR. BOB PETERS: So the actual price paid  
25 under the agreement to purchase power by Manitoba Hydro

1 from the Wuskwatim Power Limited Partnership will change  
2 year over year?

3 MR. HAROLD SURMINSKI: Yes, and that is  
4 why Mr. Page said by indicating exactly the formula and  
5 the prices, it is Manitoba Hydro's view of -- of what the  
6 firm prices and opportunity prices will be in the future.

7 If we -- if we provide that, we are --  
8 we're not in accordance with our confidentiality, where  
9 we've stated that we do not want to provide our view of  
10 future export prices.

11 MR. BOB PETERS: But if you post it on  
12 the Internet, then surely you'll provide it to the Board?

13

14 (BRIEF PAUSE)

15

16 MR. HAROLD SURMINSKI: Right, we do not  
17 post the -- the prices on the Internet. It's just the  
18 contract itself. The prices unfold in the future as --  
19 as they will, and our projections of revenues are based  
20 on our forecast. So this is only our forecast.

21 What actually happens will be dependent on  
22 prices in -- in the months, in the days the contract is  
23 in place.

24 MR. BOB PETERS: But that formula will be  
25 publicly available?

1                   MR. IAN PAGE:    The formula is -- is  
2 available on -- in the -- on the power purchase agreement  
3 as part of the whole Wuskwatim Project Development  
4 Agreement.  But it won't indicate what the actual price  
5 would be at any one (1) time, because that -- that would  
6 be base -- it's a -- it's a function of the average price  
7 that Manitoba Hydro is realizing in any one (1) month.

8                   MR. BOB PETERS:   In looking at the  
9 expenses shown on the operating statement, Tab 47, page 7  
10 of the PUB's book of document, which was marked in the  
11 first day as PUB Exhibit 12, are those finance expenses  
12 including depreciation?

13                   MR. IAN PAGE:    Sorry, I didn't catch the  
14 question.

15                   MR. BOB PETERS:    Can you tell the Board  
16 how those finance expenses are calculated?

17                   MR. IAN PAGE:    The finance expense is  
18 based on the -- the interest costs associated with the --  
19 the debt that's being attributed to the project.  And the  
20 -- the Partnership -- the interests -- interest rate on  
21 the debt that's essentially assigned to the Partnership  
22 is based on -- on what Manitoba Hydro's borrowing costs  
23 would be on the dates that those debt issues were made.

24                   It's -- there will not -- we will not  
25 actually be tracking exactly -- we won't be making --

1 going to the market specifically to borrow on any one (1)  
2 day for the Wuskwatim Partnership. The -- Manitoba Hydro  
3 will borrow for -- for its needs -- needs on an aggregate  
4 basis.

5 And so they'll be -- we will test -- test  
6 the market on -- on certain points and time when the --  
7 when the Partnership requires advances, determine what  
8 that interest rate will be, and that interest will then  
9 be assigned to the Partnership.

10 MR. BOB PETERS: Does Manitoba Hydro add  
11 a risk premium to that?

12 MR. IAN PAGE: Not on the -- not on the  
13 debt portion. Only on the equity advances to -- to TCP  
14 (sic).

15 MR. BOB PETERS: All right. And -- and  
16 the advances to TPC are debt to Manitoba Hydro?

17 MR. IAN PAGE: Yes.

18

19 (BRIEF PAUSE)

20

21 MR. BOB PETERS: Is the agreement in  
22 which the equity advances are set out also appended on  
23 the Internet, to your knowledge?

24 MR. IAN PAGE: They're all -- they're all  
25 sub-agreements to the project development agreement.

1 MR. BOB PETERS: They're all linked  
2 together?

3 MR. IAN PAGE: I believe that they're all  
4 on their website.

5 MR. BOB PETERS: And is depreciation and  
6 interest on transmission included in either the operating  
7 costs or the finance expense on the expense statement?

8

9 (BRIEF PAUSE)

10

11 MR. IAN PAGE: The annual charge for the  
12 transmission is -- is included in the operating expense  
13 line.

14 MR. BOB PETERS: Can you help the Board  
15 understand the annual transmission charge, as to how  
16 that's calculated?

17 MR. IAN PAGE: I believe yesterday we saw  
18 the estimate for the transmission facilities was about  
19 \$320 million. The \$320 million, Manitoba Hydro will be  
20 making advances on behalf of the -- of the Partnership to  
21 the T & D side of Manitoba Hydro who will be building the  
22 facility.

23 And then that -- then on in-service, that  
24 \$320 million loan is then amortized. And -- and then  
25 there's a blended principal and interest payment is made

1 from the Partnership back to Manitoba Hydro.

2 MR. BOB PETERS: And when does that  
3 payment start -- when does it start to get repaid?

4 MR. IAN PAGE: It -- it starts on -- on  
5 the in-service date of the project.

6

7 (BRIEF PAUSE)

8

9 MR. BOB PETERS: In the expense -- the  
10 operating expense calculations, Mr. Page, is the  
11 inflation assumption 2 percent?

12 MR. IAN PAGE: Yes.

13 MR. BOB PETERS: Does it include water  
14 rentals?

15 MR. IAN PAGE: Water rentals are included  
16 in there, and there's no -- and there's no escalation on  
17 the water rentals.

18 MR. BOB PETERS: But that's the same as  
19 your regular IFF-07-1, correct?

20 MR. IAN PAGE: Yes, the same rates are  
21 used in both.

22 MR. BOB PETERS: And how many equivalent  
23 full-time employees will Wuskwatim Power Limited  
24 Partnership employ?

25 MR. IAN PAGE: I don't know that offhand.

1                   MR. BOB PETERS:   Well let's start off  
2 with, will it have -- will it have any employees?

3

4                                   (BRIEF PAUSE)

5

6                   MR. IAN PAGE:    There will be...

7

8                                   (BRIEF PAUSE)

9

10                   MR. IAN PAGE:    We can check but, the --  
11 the plant is actually operated by Manitoba Hydro under a  
12 contract.  So there -- it won't be WPLP employees on the  
13 daily operations of the plant.

14                                   But there may be some admin -- admin  
15 functions performed by WPLP employees.  So we can check  
16 into what the estimate is for that.

17                   MR. BOB PETERS:    Okay, if you would.  But  
18 in looking at the operating expenses, are you telling the  
19 Board that the charge-back from Manitoba Hydro to  
20 Wuskwatim Power Limited Partnership will include a cost  
21 for the employees that are operating the generating  
22 station?

23                   MR. IAN PAGE:    Yes.

24                   MR. BOB PETERS:    And 100 percent of those  
25 costs are included in the operating costs on the

1 financial statement here of WPLP?

2 MR. IAN PAGE: Yes. Any incremental  
3 costs associated with the operation of that facility are  
4 included in there.

5 MR. BOB PETERS: Are costs split between  
6 generation and transmission?

7 MR. IAN PAGE: The -- yeah, there's  
8 different groups of people doing -- doing the different  
9 tasks. The generation station operating costs would be -  
10 - would be charged directly under the -- there's a system  
11 operating agreement that would -- those costs would be  
12 charged under. The -- under the interconnection and  
13 operating agreement, there's the transmission --  
14 transmission people have -- have means to charge for  
15 their costs, so they'd be -- they'd be tracked quite  
16 separately.

17 MR. BOB PETERS: Tracked separately, but  
18 still included in the operating expenses?

19 MR. IAN PAGE: Well, they're -- they're  
20 all ultimately the responsibility of the -- of the  
21 Partnership. So, yes, they'll -- they'll all come  
22 together there, but they would originate from different  
23 sources.

24 MR. BOB PETERS: And taxes, are they  
25 including capital taxes? Is that included in operating

1 expense?

2 MR. IAN PAGE: No. And the reason for  
3 that is that it's corporation capital tax. Manitoba  
4 Hydro will pay -- each -- each partner in this limited  
5 partnership will be taxed on their own tax situ -- based  
6 on their own tax situation, and -- and Manitoba Hydro, as  
7 a corporation, would pay capital tax. But, as far as I  
8 know, the other partner would not be responsible to pay  
9 capital tax.

10 So it's -- it's not a cost of the  
11 partnership, it's a cost borne by the individual  
12 partners.

13 MR. BOB PETERS: Is Wuskwatim Power  
14 Limited Partnership a Crown Corporation?

15 MR. IAN PAGE: No, it's not.

16 MR. BOB PETERS: And because it's a  
17 limited partnership and not a corporation, you're  
18 indicating that the taxes -- the capital taxes will flow  
19 back to the limited partner, Manitoba Hydro, as a  
20 corporation?

21 MR. IAN PAGE: Yes. Manitoba Hydro would  
22 be responsible for its share of the capital taxes on the  
23 project.

24 MR. BOB PETERS: And -- and TPC, your  
25 understanding, will not face exposure for those taxes

1 because they'd be tax exempt?

2 MR. IAN PAGE: I don't have detailed  
3 information on their tax situation.

4 MR. BOB PETERS: Okay, that's fair.  
5 Yesterday I -- yes...?

6 MR. BOB MAYER: Before -- before you  
7 leave that issue. Firstly, my apologies for being late.  
8 I had to deal with some of Mr. Buhr's people at the place  
9 they call "The Parking Store" down the street. I -- I  
10 was treated very fairly. I don't understand how those  
11 people put up with people bitching at them every day, but  
12 okay.

13 In any event, I'm looking at the diagram  
14 we have on -- for the Wuskwatim project. And we've heard  
15 now about an agreement between NCN and Manitoba Hydro,  
16 and I'm thinking there are a number of other agreements.

17 I am assuming that there is an agreement  
18 between the Wuskwatim Limited Partnership and the -- the  
19 holding company that Hydro owns that will own .01 percent  
20 of the shares.

21 Am I correct in that, that Hydro has a --  
22 that Wuskwatim Partnership and the holding company have  
23 an agreement -- and Hydro's holding company?

24 What I'm trying to determine is just how  
25 many agreements there are, how many have we seen and how

1 many are accessible to us. I know there's an agreement  
2 between Manitoba Hydro and NCN. I have to believe  
3 there's an agreement of some kind between NCN and  
4 Taskinigahp Power Corp., which is their holding company.  
5 I gotta believe that there is an agreement between their  
6 holding company and possibly NCN with the Wuskwatim  
7 General Partnership.

8 I'm seeing a number of possibilities for  
9 agreements, and I just really would like to know how many  
10 there are involved, and how many are accessible to us?

11 MR. IAN PAGE: As -- as far as I know,  
12 the Wuskwatim Project Development Agreement, which is --  
13 I understand is now on our website. That's the umbrella  
14 agreement and -- and it includes a number of additional  
15 agreements that are -- that are in integral part of it  
16 and they -- and there's -- and there's a gre -- there's  
17 contracts for financing the debt, financing equity,  
18 operating the plant, dispatching the plant, building the  
19 plant, maintaining it, and -- and so forth. And -- and  
20 they're all part and parcel of that.

21 Manitoba Hydro act -- it's not using the  
22 general partner I don't believe as a holding company but  
23 it's actually Manitoba Hydro. So Manitoba Hydro would be  
24 the general partner, directly. So there is no separate  
25 agreement that way.

1 As far as --

2 MR. BOB MAYER: I think Ms. Ramage might  
3 be disagreeing with you on that, or me.

4 MS. PATTI RAMAGE: No.

5 MR. BOB MAYER: Okay.

6 MS. PATTI RAMAGE: I'm just concerned. I  
7 don't want to be giving evidence, but the schedules to  
8 the agreement -- and the agreement has multiple parties -  
9 - the agreement on the website we described include the  
10 Limited Partnership Agreement, the Management Agreement,  
11 the Project Financing Agreement, the Construction  
12 Agreement, the Power Purchase Agreement, the Operation,  
13 and Maintenance Agreement.

14 They're all listed in that Agreement as  
15 schedules and that might be of assistance in --

16 MR. BOB MAYER: That would probably solve  
17 my problem. Thank you very much.

18

19 CONTINUED BY MR. BOB PETERS:

20 MR. BOB PETERS: And I thank Ms. Ramage  
21 for assisting the Board on that. In Note 10 to the  
22 financial statements, Mr. Page and Mr. Warden, there's  
23 related party transactions and it does reference the WPLP  
24 and it lists seven (7) agreements.

25 And unless you tell us otherwise from what

1 Ms. Ramage has now indicated, can the Board then assume,  
2 or the Board will assume that all seven (7) of these  
3 agreements are also publicly available on the -- on the  
4 website?

5                   Would that be a fair position, Mr. Warden?  
6 And if that's not correct, you'll notify us as to where  
7 can locate those documents?

8                   MR. VINCE WARDEN: Yes, Mr. Peters, we --  
9 we will do that for sure.

10

11 --- UNDERTAKING NO. 12: Manitoba Hydro to indicate to  
12 Board where the seven (7)  
13 agreements can be found:  
14 Limited Partnership,  
15 Management, Project  
16 Financing, Construction,  
17 Power Purchase, Operation,  
18 and Maintenance Agreements

19

20 CONTINUED BY MR. BOB PETERS:

21                   MR. BOB PETERS: That -- that will  
22 hopefully assist the Board. Mr. Warden, you and I  
23 yesterday talked -- and I -- I looked a little bit on the  
24 transcript this morning but perhaps didn't have enough  
25 time -- Manitoba Hydro has already loaned money to NCN's

1 limited partner which we've called "TPC", that's correct?

2 MR. VINCE WARDEN: Yes.

3 MR. BOB PETERS: And from yesterday, it  
4 appears it was initially \$1 million and then another \$14  
5 million?

6 MR. VINCE WARDEN: Well no. The \$1  
7 million was put up by NCN, the \$14 million is the amount  
8 that -- that Manitoba Hydro has advanced by way of loans.

9 MR. BOB PETERS: And Manitoba Hydro, if  
10 we assume that the Wuskwatim generating station has a  
11 capital cost of \$1.2 billion, Manitoba Hydro would also  
12 be prepared to extend a loan to NCN's limited partner,  
13 TPC, to help TPC put up its portion of the overall equity  
14 required for the project?

15 MR. VINCE WARDEN: That's correct.

16 MR. BOB PETERS: And according to my  
17 rough calculations, at a \$1.2 billion total cost,  
18 approximately \$300 million of equity would be needed.

19 MR. VINCE WARDEN: Yes, 25 percent of the  
20 total capital cost, that's correct.

21 MR. BOB PETERS: And of the \$300 million  
22 of equity needed, TPC would put up one-third (1/3) of  
23 those, or 33 percent of those, and Manitoba Hydro, as a  
24 limited partner, would put up the other two-thirds (2/3s)  
25 -- the other thirty (30) -- 66 percent -- 67 percent?

1 MR. VINCE WARDEN: Correct.

2 MR. BOB PETERS: That suggests to me, Mr.  
3 Warden, that the maximum amount that Manitoba Hydro --  
4 well, first of all \$34 million of the total \$100,  
5 approximate, million coming from TPC was going to be  
6 sourced by NCN, other than from Manitoba Hydro.

7 Would I be correct in that understanding?

8 MR. VINCE WARDEN: I believe that's  
9 correct, Mr. Peters, subject to check. But I think that  
10 -- that sounds right.

11 MR. BOB PETERS: I actually have \$34  
12 million written down here, but I -- I don't have my  
13 source but -- so 34 million is coming from NCN, or TPC is  
14 sourcing it other than from Manitoba Hydro, that would be  
15 subject to check, correct?

16 MR. VINCE WARDEN: Yes.

17 MR. BOB PETERS: So that means \$68  
18 million would be the maximum amount to be loaned to TPC  
19 from Manitoba Hydro?

20 MR. VINCE WARDEN: Based on the -- the  
21 1.2 billion capital cost, yes.

22 MR. BOB PETERS: And that \$1.2 billion  
23 capital cost may move and if it moves these numbers also  
24 move as well?

25 MR. VINCE WARDEN: Correct.

1                   MR. BOB PETERS:    Is there a maximum  
2 amount that Manitoba Hydro has agreed to loan to TPC for  
3 the TPC investment in Wuskwatim Power Limited  
4 Partnership?

5                   MR. IAN PAGE:     The maximum isn't a dollar  
6 value, it's -- it's a ratio. Manitoba Hydro will provide  
7 financing of four dollars (\$4) -- a four dollar (\$4) loan  
8 for every dollar that -- that NCN or TPC invests, up to a  
9 25 percent equity in the project. If -- if NCN chooses  
10 to go beyond 25 percent then Manitoba Hydro will not loan  
11 any of that money.

12                   So it depends on the level of equity --  
13 the percentage that -- that Manitoba Hydro will loan.

14                   MR. BOB PETERS:    Mr. Page, you appear  
15 quite familiar with the -- the intricacies of the  
16 agreements, but my understanding is there's a project  
17 financing agreement that's posted on your website, signed  
18 in June of '06, where there's a \$200 million limit on  
19 financing available.

20                   Are you familiar with that agreement?

21                   MR. IAN PAGE:     The \$200 million limit is  
22 the -- there's -- short-term financing during  
23 construction is used and then once -- once the -- once  
24 the short-term financing hits 200 million then that 200  
25 million is -- is rolled over to what Manitoba Hydro's

1 long-term debt rate would have been at that time, and --  
2 and it's treated by the partnership as if it was a long-  
3 term debt. But that's not -- but then -- then after the  
4 \$200 million limit is set then we'll start over again  
5 with more short-term -- short-term financing.

6 So it's -- it's -- the 200 million is the  
7 point at which short-term switches to long, it's not the  
8 absolute limit.

9 MR. BOB PETERS: All right. And that's  
10 financing for the overall project, not just for one (1)  
11 of the limited partnerships?

12 MR. IAN PAGE: Yes.

13 MR. BOB PETERS: And --

14 MR. IAN PAGE: Well, that -- that's for  
15 the debt portion of the project, is the 75 percent.

16 MR. BOB PETERS: Yes, on the debt  
17 portion. And -- and there's a fifty (50) year term on  
18 the repayment of that debt?

19 MR. IAN PAGE: Yes.

20 MR. BOB PETERS: And the repayment year  
21 starts twenty-five (25) years after in-service?

22 MR. IAN PAGE: No. Repayment -- well  
23 interest -- interest begins -- interest is charged  
24 immediately and the -- and the partnership is required to  
25 start setting aside essentially a sinking fund towards

1 debt retirement. So it -- it's treated exactly the way  
2 Manitoba Hydro treats its own debt.

3 MR. BOB PETERS: All right. Thank you.

4 Mr. Warden, yesterday there was a point  
5 that I want to make sure is clear: Manitoba Hydro has  
6 already advance 14 million, and from Mr. Page's evidence  
7 to the Board there is a formula prescribed where -- where  
8 Manitoba Hydro will loan additional monies to TPC.

9 And I'm wondering, from what you said  
10 yesterday, is there an absolute requirement for TPC to  
11 repay that money?

12 MR. IAN PAGE: If NCN were to elect not  
13 to participate in the project they wouldn't have to repay  
14 the -- the loans, Manitoba Hydro would essentially just  
15 take possession of their shares and it would be as if  
16 Manitoba Hydro built the plant entirely on its own  
17 without a partner.

18 MR. VINCE WARDEN: I think that's pretty  
19 much what we said yesterday, Mr. Peters.

20 MR. BOB PETERS: It's probably exactly  
21 what you said yesterday, Mr. Warden. But -- but what I  
22 don't understand is you -- you're paying TPC \$14 million  
23 already, and they can walk away with your \$14 million and  
24 no further responsibilities or obligation with respect to  
25 Wuskwatim Power Limited Partnership?

1                   MR. IAN PAGE:    The 14 million isn't in  
2 their hands, it's a -- it's a payment made to the  
3 partnership on their behalf.

4                   MR. BOB PETERS:   And is there security  
5 for that, Mr. Page, in the Limited Partnership Agreement?

6                   MR. IAN PAGE:    Throughout the Agreement,  
7 in the event of any number of reasons for default,  
8 Manitoba Hydro can -- can seize the units held by TPC.

9                   MR. BOB PETERS:   And the security or the  
10 taking possession of the units is the -- is the ultimate  
11 remedy for Manitoba Hydro in case of default?

12                  MR. IAN PAGE:    Yes.  I mean, some -- some  
13 depending on the nature of the default, some provide us a  
14 short period in time for TPC or NCN, depending on which  
15 party it is to remedy the problem.

16                  But gener -- but ultimately if -- if  
17 there's a default, Manitoba Hydro would seize the units,  
18 and its -- and they would -- Manitoba Hydro would end up  
19 being in the same position as if it had built the project  
20 on its own.

21                  MR. BOB PETERS:   Okay, and that last  
22 phrase, Mr. Page, I wanted to come back on that is, so  
23 you've structured this in such a way that if there is a  
24 default, Manitoba Hydro keeps itself whole, because  
25 they'll be no worse off than if they would've built the

1 project themselves without the WPLP being involved?

2 MR. IAN PAGE: Yes, that was our goal  
3 from the outset.

4 MR. BOB PETERS: And is there any  
5 sureties or guarantees that extend beyond the limited  
6 partner, TPC, back to NCN?

7

8 (BRIEF PAUSE)

9

10 MR. IAN PAGE: I -- I'm not familiar with  
11 the details or the arrangements between TPC and NCN. I  
12 understand that there's -- maybe I'll just leave that. I  
13 -- I don't know exactly how it works there.

14 MR. BOB PETERS: Manitoba Hydro's  
15 remedies only go back as far as TPC. They don't go  
16 beyond that?

17 MR. IAN PAGE: There's some arrangements  
18 -- or some of the agreements NCN is a party to and other  
19 agreements that's TPC.

20 So the -- the remedy, whoever -- well,  
21 TPC's holding the units, so -- so Manitoba Hydro -- so  
22 that would be where Manitoba Hydro would -- would --  
23 would enforce its security.

24 MR. BOB PETERS: Mr. Warden, you're  
25 familiar with Manitoba Hydro either allocating or

1 directly assigning some of its operating costs through to  
2 subsidiaries such as Centra Gas?

3 MR. VINCE WARDEN: Yes.

4 MR. BOB PETERS: And in the Centra Gas  
5 example, which we won't dwell on here, you have various  
6 unit prices developed and various methodologies created  
7 for the allocation of the costs incurred that should be  
8 assigned or allocated back to the -- to the gas company?

9 MR. VINCE WARDEN: Well, we have a system  
10 of activity rates that are being used to allocate costs  
11 along with applicable overheads.

12 MR. BOB PETERS: There's various cost  
13 drivers that help you determine how to do that?

14 MR. VINCE WARDEN: Correct.

15 MR. BOB PETERS: And are the very same  
16 and exact cost drivers, activity rates, and overheads  
17 being charged through to the Wuskwatim Power Limited  
18 Partnership?

19 MR. VINCE WARDEN: Yes.

20 MR. BOB PETERS: In exactly the same  
21 fashion as with the gas company?

22 MR. VINCE WARDEN: To the extent that we  
23 have employees dedicated to the project. The bulk of the  
24 work being done at the project, though, is through  
25 contractors. So there's -- there's not a lot of Manitoba

1 Hydro employees at the -- at the site.

2 MR. BOB PETERS: And that -- and that may  
3 be obvious from the operating expense line that we're  
4 going to get broken down.

5 But for those employees of Manitoba Hydro  
6 that are providing service to WPLP, they will be treated  
7 exactly the same as if they would have been working for  
8 Centra Gas?

9

10 (BRIEF PAUSE)

11

12 MR. BOB MAYER: Am I correct in assuming  
13 that all this information is in that list of agreements  
14 that Ms. Ramage told us about earlier?

15 MR. IAN PAGE: Yes, it's all laid out  
16 there. Essentially, if a Manitoba Hydro employee is  
17 working for the Wuskwatim Partnership, they would be time  
18 carding to that Wuskwatim Partnership. And then the  
19 costs would be charged in the same manner they'd be  
20 charged to any other function that they provide.

21 MR. VINCE WARDEN: We do, though, Mr.  
22 Peters -- maybe just to answer your question a little  
23 more directly as to whether or not they're identical --  
24 there are some specifically developed overhead rates for  
25 the Wuskwatim site that -- that are slightly different

1 than the -- what we would otherwise charge to Centra Gas.

2

3

(BRIEF PAUSE)

4

5 CONTINUED BY MR. BOB PETERS:

6 MR. BOB PETERS: Mr. Warden, yesterday  
7 you told the Board that the WPLP Wuskwatim Partner --  
8 sorry -- WPLP was going to be the template for other  
9 developments in the North.

10 Do you remember that discussion?

11 MR. VINCE WARDEN: I think we probably  
12 modified that somewhat in our subsequent discussion that  
13 it won't be the identical template. We will be,  
14 certainly, based on the experience of the Wuskwatim  
15 Partnership, we will be structuring agreements with  
16 Keeyask and possibly Conawapa. But they won't be  
17 identical to what they were for the Wuskwatim  
18 partnership.

19 MR. BOB PETERS: All right. And those  
20 subsequent agreements that are being contemplated by the  
21 Utility, would it be fair to say that there -- there's  
22 already planning studies and negotiations underway on  
23 those?

24 MR. VINCE WARDEN: Yes.

25 MR. BOB PETERS: And in each of those

1 instances are the negotiations being held with either  
2 First Nations or First Nation communities?

3 MR. VINCE WARDEN: They are.

4 MR. BOB PETERS: Are they being held with  
5 any non-First Nation communities?

6

7 (BRIEF PAUSE)

8

9 MR. VINCE WARDEN: No, none to my  
10 knowledge.

11 MR. BOB PETERS: Would the agreement that  
12 you're contemplating for other northern development, it's  
13 refine -- it's constricted to and restricted to  
14 generating stations as opposed to any other type of  
15 development?

16

17 (BRIEF PAUSE)

18

19 MR. VINCE WARDEN: The -- there have been  
20 some discussions with respect to a transmission line  
21 allowance. No -- no equity ownership in transmission,  
22 but there has been some discussions with respect to a  
23 benefit-sharing formula for the transmission lines that  
24 may arise from -- from new generation.

25 MR. BOB PETERS: And that's still in the

1 negotiation stage?

2 MR. VINCE WARDEN: Yes, very preliminary.

3 MR. BOB PETERS: What about for wind  
4 development? Any wind development planned for Northern  
5 Manitoba?

6 MR. VINCE WARDEN: No, not at this time.

7 MR. BOB PETERS: Only Southern Manitoba?

8 MR. VINCE WARDEN: Yes.

9 MR. BOB PETERS: And does the Corporation  
10 envision using the Wuskwatim Power Limited Partnership  
11 agreements as a template for their wind development in  
12 Southern Manitoba?

13 MR. VINCE WARDEN: No.

14 MR. BOB PETERS: Is it not suitable for  
15 that?

16 MR. VINCE WARDEN: No.

17 MR. BOB PETERS: Can you tell the Board  
18 why?

19 MR. VINCE WARDEN: Well, the wind -- so  
20 far, the St. Leon Wind is not -- Man -- Manitoba Hydro  
21 has no ownership in that facility. We are only -- have --  
22 - we have a long-term agreement to purchase the output of  
23 that -- of the St. Leon Wind Facility, but there's no  
24 ownership by Manitoba Hydro.

25 MR. BOB PETERS: Simply a power purchase

1 arrangement?

2 MR. VINCE WARDEN: It is, yes.

3 MR. BOB PETERS: And with -- with  
4 Manitoba Hydro now posting the Wuskwatim Power Limited  
5 Partnership and related agreements publicly, how does  
6 Manitoba Hydro expect to negotiate something that may be  
7 different or may be not as favourable to the other party  
8 with that information being in the public domain?

9

10 (BRIEF PAUSE)

11

12 MR. VINCE WARDEN: I guess, Mr. Peters,  
13 the simple answer is that despite the fact that those  
14 agreements are posted on our website, the -- the details  
15 -- or perhaps not the details, but the principles of  
16 those agreements were well known before they were posted  
17 anyway. So I don't think there is anything really  
18 secretive about the -- the deal that was struck with --  
19 with NCN.

20 MR. BOB PETERS: Manitoba Hydro believes  
21 it can, you know, separate and distinguish the Wuskwatim  
22 project from any subsequent project just based on the --  
23 on the facts surrounding each separate project?

24 MR. VINCE WARDEN: I think that's fair to  
25 say, yes.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

(BRIEF PAUSE)

MS. SUSAN PROVEN: Can I -- can I just interject at this point? I'd like to go back to that wind comparison, when you were talking about -- you viewed them as different.

And I'm wondering if they're not similar in a sense in that there's a resource base that you are getting in exchange for the agreement, right?

You have the -- the opportunity to work with Native people in their area and build the dam and -- and the generating station. And then, hopefully, those people will, over time, be able to put money into the project and then have an ownership.

That's the case, right? That's the ultimate hope?

MR. VINCE WARDEN: That is the case with Wuskwatim, yes.

MS. SUSAN PROVEN: Right. So, I'm thinking of my area where, right now, wind development is, you know, there are lots of private -- private -- I'm in Western Manitoba, so there's lots of private concerns moving in, because they're the only people with money to be able to develop wind power.

1                   But they -- they are not really paying  
2 much for the resource that we hold as landowners. And  
3 there doesn't appear to be any way for farm people to  
4 actually -- what would you say -- have any part of the  
5 development.

6                   So I'm thinking, here we have Crown  
7 Corporation money being put up to allow Native people to  
8 be able to participate in development, but we're not  
9 doing the same thing for agricultural producers.

10                  That's a question, I throw -- I throw that  
11 out to you. Why would that be?

12                  MR. VINCE WARDEN: It's a good question,  
13 one I personally have not heard before. I -- my  
14 understanding is that the farmers that were able to  
15 participate in the existing farm around St. Leon were --  
16 were very pleased with the arrangement; that they were  
17 able to generate some additional revenues from having  
18 those facilities on their properties. I have -- I must  
19 honestly say I've never heard of a desire by any other  
20 farmer to have an equity ownership in -- in any of the  
21 wind facilities.

22                  So there are people that are a lot closer  
23 to that discussion than I am, or any of the panel members  
24 are, and we can certainly undertake to -- to see whether  
25 or not that has been an issue with people that are

1 involved in those negotiations.

2 MS. SUSAN PROVEN: Well, I'm just  
3 suggesting it to you because St. Leon is totally private  
4 and land owners have benefitted because some have gotten  
5 the wind development on their property and some haven't,  
6 obviously. But Somerset is another example of where it's  
7 a community that benefits.

8 And I think what you're talking about in  
9 the north is a community benefitting, because it's a  
10 group of Native people, right, that will share, share in  
11 the revenues?

12 MR. VINCE WARDEN: Yes.

13 MS. SUSAN PROVEN: Yes. And I'm -- I'm  
14 just suggesting that maybe some thought should be given  
15 to community development in agricultural areas. Or --  
16 I'm just asking why there's sort of a two (2) -- it's a -  
17 - it's a little -- it would seem like there hasn't been  
18 enough thought given to -- to doing that. But it's just  
19 a thought.

20 MR. LLOYD KUCZEK: Mr. Warden, maybe I  
21 can add a little to this. We are looking at doing a -- a  
22 community-based, or at least exploring the opportunities  
23 with community-based wind generation, and our people in  
24 power supply are currently in discussions with the  
25 Government on that. So I know there is an initiative

1 that is being discussed right now.

2 So there might be something that's coming  
3 out in the next few years on that but maybe even earlier.  
4 But it is being discussed, at least in the office.

5 MS. SUSAN PROVEN: Thank you very much.

6

7 (BRIEF PAUSE)

8

9 CONTINUED BY MR. BOB PETERS

10 MR. BOB PETERS: Mr. Warden, also  
11 yesterday you and I had a discussion about the financial  
12 targets of the Company. And in Tab 8 of the PUB book of  
13 documents there were, first of all, a schedule and then  
14 some charts showing the different financial targets of  
15 the Corporation.

16 You'll recall that?

17 MR. VINCE WARDEN: Yes, I do.

18 MR. BOB PETERS: And the debt/equity  
19 ratio includes -- that's an all-in ratio, that's -- that  
20 includes Wuskwatim, Conawapa or Keeyask expenditures, it  
21 includes possible expenditures for Bipole 3, it even  
22 includes head office expenditures, correct?

23 MR. VINCE WARDEN: It does.

24 MR. BOB PETERS: But when we get to the -  
25 - and the interest coverage ratio, that's all in as well?

1 That's all your major capital expenditures?

2 MR. VINCE WARDEN: Yes.

3 MR. BOB PETERS: But when we get to  
4 capital coverage ratio, you've excluded, and we may have  
5 used the words "major capital expenditures" or  
6 "extraordinary capital expenditures", and that's not  
7 included in that category, is it?

8 MR. VINCE WARDEN: No, it's not. And  
9 that might appear to be an inconsistency, however, I  
10 think it does get back a little bit to the discussion I  
11 may have had with Mr. Mayer on good debt/bad debt. The -  
12 - so what this is intending to -- the capital coverage  
13 ratio is attempting to segregate the debt that is good --  
14 that is, the -- the good debt for long-term capital  
15 investments -- would be separated out of -- out of this.  
16 And this capital coverage ratio is not intended to -- to  
17 capture that.

18 MR. BOB PETERS: Could I ask for an  
19 undertaking from the Corporation then, to -- to refile  
20 that schedule which comes from PUB/Manitoba Hydro Second  
21 Round 77 with the capital coverage ratio numbers and even  
22 the chart being revised all in with, Mr. Warden, in your  
23 words good debt and bad debt.

24 So the total -- the total capital  
25 expenditures of the Corporation which include the new

1 headquarters, new generation facilities, new transmission  
2 facilities of a major kind are also included in there.

3 MR. VINCE WARDEN: We can do that, Mr.  
4 Peters. It I -- I guess my only hesitation and -- and  
5 what that conclusions that might be drawn therefrom it --  
6 it might be somewhat misleading to -- to do that, but why  
7 don't we -- why don't we put it together then we can  
8 perhaps talk about it.

9

10 --- UNDERTAKING NO. 13: Manitoba Hydro to refile for  
11 Board, the schedule from PUB/  
12 Manitoba Hydro Second Round

13 77

14

15 CONTINUED BY MR. BOB PETERS:

16 MR. BOB PETERS: All right. and  
17 certainly if the Corporation has any -- any comments or  
18 assumptions it wants to make and add to the -- to the  
19 answer, please include those in your response.

20 MR. VINCE WARDEN: Fair enough.

21 MR. BOB PETERS: What you're probably  
22 looking ahead through -- through your glasses, Mr.  
23 Warden, is that that chart's going to look a lot  
24 different than it does right now with that capital  
25 coverage ratio being very low.

1                   MR. VINCE WARDEN:    The -- the capital  
2 coverage ratio would be very low and it wouldn't be  
3 appropriate, I don't think, to include a target on that  
4 particular chart because there, we don't have a target --  
5 a target for -- for that particular ratio that you're  
6 asking for.

7                   MR. BOB PETERS:    With -- with those  
8 qualifications from you I think the Board would  
9 appreciate your undertaking to do that and present it.

10                  MR. VINCE WARDEN:    We'll do that.

11

12 --- UNDERTAKING NO. 14:       Manitoba Hydro to indicate to  
13                                   the Board what the capital  
14                                   coverage ratio target would  
15                                   be after the PUB/Manitoba  
16                                   Hydro Second Round 77 chart  
17                                   is revised

18

19 CONTINUED BY MR. BOB PETERS:

20                  MR. BOB PETERS:    And when we were talking  
21 about the Wuskwatim matter earlier, there was a  
22 Information Request, PUB/Manitoba Hydro First Round 35(d)  
23 and (e), which was seeking additional information, which  
24 -- which I think is still perhaps outstanding or it will  
25 be developed. And we can discuss that at the breaks with

1 your counsel if there's anything further on that.

2 I'd like to turn with this panel to the  
3 book of documents, Tab 11. Mr. Surminski, you and I have  
4 talked about this, I don't want to duplicate it, but what  
5 I believe from one (1) of your previous answers on the  
6 second page of the document at PUB book -- book of  
7 documents, Tab 11, in response to PUB/Manitoba Hydro  
8 First Round 55, there's a chart and it has export revenue  
9 assumptions contained in it.

10 Those assumptions include wind?

11 MR. HAROLD SURMINSKI: Wind energy is --  
12 is part of our total generation, and so part of our total  
13 exports would -- would be derived including that, yes.

14 MR. BOB PETERS: On the line item for  
15 "Import Energy" do you include any factor for wind in  
16 that line item?

17 MR. HAROLD SURMINSKI: Yes, it's -- it's  
18 totally included in -- in that row.

19 MR. BOB PETERS: If it's included on the  
20 top part of the -- part of the page, in terms of gigawatt  
21 hours of production, then the "Import Energy Costs" line  
22 in the bottom half of the schedule would also include  
23 your wind purchases?

24 MR. HAROLD SURMINSKI: Yes, that would be  
25 right.



1 was a higher cost option, that's one (1) of the reasons  
2 it wasn't -- didn't have to be brought on stream?

3 MR. HAROLD SURMINSKI: Yes, it's very  
4 high cost.

5 MR. BOB PETERS: Mr. Surminski, I have a  
6 little bit of confusion with understanding.

7 When does Manitoba Hydro say the coal  
8 plant is going to be decommissioned?

9

10 (BRIEF PAUSE)

11

12 MR. HAROLD SURMINSKI: We do not plan to  
13 decommission the plant. We have a date for operation and  
14 it could be a licence review to -- to continue operation  
15 indefinitely.

16 MR. BOB PETERS: Maybe those were poor  
17 words on my part.

18 When you say you will have the coal plant  
19 indefinitely, Manitoba Hydro is not planning on shutting  
20 down the coal plant in any time in the planning horizon  
21 of the IFF.

22 Would that be correct?

23 MR. HAROLD SURMINSKI: Yes, that is  
24 Manitoba Hydro's view, that the plant physically is -- is  
25 in good enough condition to -- to operate, and there is

1 no reason from that perspective to shut it down.

2 MR. BOB PETERS: And if in your previous  
3 answer you said operated indefinitely, you're making that  
4 consideration without regards to, perhaps, environmental  
5 issues, correct?

6 MR. HAROLD SURMINSKI: Yes, that's  
7 correct.

8 MR. BOB PETERS: Has the Province of  
9 Manitoba provided guidance to Manitoba Hydro as to when  
10 that coal plant should be shut down and no longer used  
11 for generation purposes?

12 MR. VINCE WARDEN: Not to our knowledge  
13 on the panel, Mr. Peters. The -- we are going ahead on  
14 the assumption that the coal plant will continue  
15 operating until at least 2018/'19.

16 There have been some references to the  
17 Brandon coal plant, however, and we are aware of that.  
18 And we have provided within our integrated financial  
19 forecast what the implications -- the cost implication  
20 would be, should it be shut down before that date.

21 MR. BOB PETERS: And -- and I believe the  
22 MIPUG analysis includes some of that information.

23 What you're telling the Board is that if  
24 you're not able to use the Brandon coal plant, there is a  
25 financial cost to the system by generating or purchasing

1 electricity elsewhere?

2 MR. VINCE WARDEN: Yes.

3 MR. BOB PETERS: And in the drought year,  
4 am I correct in recalling in your evidence that the  
5 Brandon coal plant in the drought year saved Manitoba  
6 Hydro and its consumers approximately \$50 million?

7 MR. HAROLD SURMINSKI: Yes, we did  
8 provide...

9 MR. BOB PETERS: And, Mr. Warden, you  
10 referred to the impacts of not using the coal generation  
11 in the IFF.

12 Can you approximate the annual cost to  
13 impacts to the Board if the coal plant was not available  
14 as it presently is utilized in the IFF?

15 MR. VINCE WARDEN: Yes, Mr. Peters. We -  
16 - we've indicated that the cost will be in the order of  
17 \$20 million per year.

18 MR. BOB PETERS: And that's telling the  
19 Board and others that without the coal, replacing that  
20 electricity will cost consumers \$20 million more?

21 MR. VINCE WARDEN: Yes.

22 MR. BOB PETERS: And, Mr. Warden, we may  
23 talk about it later, but in terms of environmental  
24 impacts, you will acknowledge that the Brandon coal plant  
25 is the one (1) facility operated by Manitoba Hydro that

1 causes the most greenhouse gas emission?

2 MR. VINCE WARDEN: Yes.

3 MR. BOB PETERS: And can you indicate to  
4 the Board, at this time, what your plans are in terms of  
5 lowering those emissions or making it more  
6 environmentally friendly?

7 MR. HAROLD SURMINSKI: There is no means  
8 that we have to reduce greenhouse gas emissions. If --  
9 if coal is burned, the emissions are released. We don't  
10 have the means of sequestering those.

11 MR. BOB PETERS: Is there any opportunity  
12 or has there been any opportunity investigated to use a  
13 different grade of coal or a different technology in the  
14 emissions control?

15 MR. HAROLD SURMINSKI: We are already  
16 using a coal that is very efficient, the most efficient  
17 that we can get. So I don't think there is any room in  
18 that direction to -- to improve things.

19 MR. BOB PETERS: Mr. Surminski, also in  
20 the book of documents, Tab -- Tab 11, the third page in  
21 contains some export revenue assumptions. And I should  
22 indicate at the outset that those assumptions were not  
23 published by Manitoba Hydro, but they were derived from  
24 some of the responses from Manitoba Hydro, including  
25 responses to PUB/Manitoba Hydro First Round 55.



1 seen, you don't see any material errors in the -- in what  
2 is calculated to what is the Corporation's in fact  
3 prices?

4 MR. HAROLD SURMINSKI: These are average  
5 prices, so it's -- it's a grouping of -- of many  
6 products. So on average, those are the numbers.

7 MR. BOB PETERS: One (1) thing noted, Mr.  
8 Surminski, was that the average prices and the assumed  
9 prices from IFF-07-1 appeared to be lower than what was  
10 assumed by the Corporation in IFF-06-4.

11 Was that correct?

12

13 (BRIEF PAUSE)

14

15 MR. HAROLD SURMINSKI: I don't recall  
16 exactly, but it's -- it's a race between the export  
17 prices going up from forecast year to forecast year and  
18 the currency exchange rate cancelling that out. So it --  
19 it is possible the -- the '07 is less because of the  
20 exchange rate.

21 MR. BOB PETERS: And the assumed exchange  
22 rate was the Canadian dollar being eighty-five (85) cents  
23 American?

24 MR. HAROLD SURMINSKI: In which case?

25

1 (BRIEF PAUSE)

2

3 MR. BOB PETERS: In the earlier IFF.

4

5 (BRIEF PAUSE)

6

7 MR. HAROLD SURMINSKI: Can you tell me if  
8 it's specific years that you're looking at as opposed to  
9 the later years in the period?

10 MR. BOB PETERS: All right, let's not get  
11 quite that deep then. Let me approach it this way.

12 To the extent that the export prices that  
13 are assumed are lower in the IFF-07-1 than they would be  
14 in 06-4, if that is the case, your explanation would be  
15 that the only thing that could do that would be the  
16 change in the exchange rate?

17 MR. HAROLD SURMINSKI: Yes. Although we  
18 did in -- in early years of the forecast, there may have  
19 been a small reduction in export prices.

20 But in the longer term we had an increase  
21 in the order of 10 to 15 percent, so that's why I find it  
22 surprising that there's actually a decrease.

23 MR. BOB PETERS: All right. And I -- I  
24 did preface my question that if -- if there was if the  
25 Board find there was, that would be the only thing to

1 which you could attribute it?

2 MR. HAROLD SURMINSKI: Yes, other than in  
3 the early years it -- they could have been the forecast  
4 quite almost equal, and then the exchange rate would  
5 bring it down.

6 MR. BOB PETERS: Mr. Surminski, have --  
7 has Manitoba Hydro adjusted the value of greenhouse gas  
8 -- gas reduction emissions and credits in its assumed  
9 export prices downward in the last three (3) years?

10 MR. HAROLD SURMINSKI: I think we went  
11 downward, and then we went up again.

12 MR. BOB PETERS: And that's based on  
13 forecasts from independent proprietary forecasts?

14 MR. HAROLD SURMINSKI: Yes, that's right.

15 MR. BOB PETERS: Is the assumed export  
16 rate used today the same or higher than it was forecast  
17 three (3) years ago?

18

19 (BRIEF PAUSE)

20

21 MR. HAROLD SURMINSKI: It's a  
22 combination. From three (3) years ago there's a drastic  
23 change in the currency exchange rate. So the two (2) --  
24 the two (2) almost cancelled each other out.

25 MR. BOB PETERS: Make no mistake, Mr.

1 Surminski, it's to Manitoba Hydro's benefit if there is a  
2 carbon tax or a similar charge on industries,  
3 organizations, and even utilities that emit greenhouse  
4 gases, correct?

5 MR. HAROLD SURMINSKI: To Manitoba  
6 Hydro's advantage?

7 MR. BOB PETERS: Yes.

8 MR. HAROLD SURMINSKI: Yes.

9 MR. BOB PETERS: Can you tell the Board  
10 approximately how much of a sanction would have to be  
11 applied -- and maybe it's dollars per ton -- before  
12 Manitoba Hydro would be motivated financially to change  
13 its Brandon coal plant to something other than coal or  
14 find electricity elsewhere?

15

16 (BRIEF PAUSE)

17

18 MR. HAROLD SURMINSKI: It would be very  
19 significant, in the order of, I would guess, a hundred  
20 dollars (\$100) a ton for CO2.

21 MR. BOB PETERS: You'd need a carbon tax  
22 of a hundred dollars (\$100) a ton before financially that  
23 it would eat up that \$20 million that Mr. Warden told the  
24 Board was the advantage of using coal over other sources?

25

1 (BRIEF PAUSE)

2

3 MR. BOB PETERS: Mr. Surminski, let me  
4 interrupt before you answer, because I -- it's not my  
5 practice to ask a question when I have an answer at hand.  
6 And my colleague here provided me a copy of  
7 MIPUG/Manitoba Hydro First Round 5(g).

8 And it seems to be an indication that for  
9 Unit 5, it's producing about one point seven (1.07) tons  
10 of greenhouse gases per megawatt hour. And the cost to  
11 avoid greenhouse gas emissions utilizing gas conversion  
12 is approximately a hundred and forty dollars (\$140) a  
13 ton.

14 And I wondered if that then would be the  
15 equivalent number for what the carbon tax would have to  
16 be.

17

18 (BRIEF PAUSE)

19

20 MR. BOB PETERS: Are -- are you waiting  
21 for me or am I waiting for you, Mr. Surminski?

22 MR. HAROLD SURMINSKI: I'd like -- yes,  
23 well, I see the -- the reference here, and there are some  
24 qualifications about the -- the capital cost of  
25 converting to -- and this is a comparison to -- to

1 operating on natural gas.

2                   Is that the -- the question here? Is that  
3 -- it's not quite clear what the -- the context of this  
4 is.

5                   MR. BOB PETERS: Well, the -- the cost --  
6 the carbon tax, if we can assume there would be a carbon  
7 tax, would have to be, probably, at least a hundred  
8 dollars (\$100) a -- a ton before Manitoba Hydro would be  
9 financially motivated to switch out the Brandon  
10 Generating Station.

11                   Would you agree with that?

12                   MR. HAROLD SURMINSKI: Well, the  
13 alternative has to be looked at also. And so it's not  
14 that clear if we require a diverse supply, a thermal type  
15 of supply, for -- for emergency purposes cost may not be  
16 the -- the primary driver if it's sitting there for --  
17 for short-term emergency use. So there are, you know,  
18 different factors that come into play other than just  
19 economics.

20                   MR. BOB PETERS: And I grant you that,  
21 sir. But in terms of just being an economic decision --  
22 and I appreciate that may not be all the factors the  
23 Corporation considers -- but it would need a very  
24 significant carbon tax, in the range of a hundred dollars  
25 (\$100) per ton, to motivate Manitoba Hydro financially?

1 MR. HAROLD SURMINSKI: Yes, from the  
2 economic perspective.

3 MR. BOB PETERS: All right. And Mr.  
4 Warden, what Mr. Surminski is telling the Board is that  
5 there are other factors to be considered.

6 And presumably social and environmental  
7 concerns would also be one (1) of those factors  
8 considered as to what to do with the Brandon plant,  
9 correct?

10 MR. VINCE WARDEN: Yes.

11 MR. BOB PETERS: And at this point in  
12 time would it be correct for the Board to assume that  
13 Manitoba Hydro is not motivated to discontinue the use of  
14 coal for environmental or social reasons?

15

16 (BRIEF PAUSE)

17

18 MR. VINCE WARDEN: Well, Mr. Peters, I  
19 think it's an issue we're going to have to deal with. So  
20 I wouldn't say we're not motivated, but I think we'll  
21 have to -- we recognize there are those issues are there  
22 and it's something we're going to have to deal with in  
23 the future.

24 MR. BOB PETERS: All right, fair enough.

25 Mr. Surminski, looking forward and

1 thinking backward to yesterday's questions, did you  
2 disclose to the Board your prospective view on CO2 tax  
3 that you would embed in your export prices?

4 Or did you claim confidentiality of that?

5 MR. HAROLD SURMINSKI: I did claim  
6 confidentiality, yes.

7 MR. BOB PETERS: All right, so you do  
8 develop a number as to what it may be going forward?

9 MR. HAROLD SURMINSKI: Yes, and we use  
10 our consultants as -- as a guide for that.

11 MR. BOB PETERS: Is there an assumed  
12 carbon tax included in each of the years on the IFF? Can  
13 you disclose that?

14 MR. HAROLD SURMINSKI: There is, yes, a  
15 consideration of greenhouse gas, environmental, and -- it  
16 is built in -- into our export price forecast.

17 And it gradually builds up. It's a  
18 ramping over time. It's not very significant before  
19 2011. It -- it builds up after that.

20 MR. BOB PETERS: And that coincides with  
21 an assumption as to when you believe legislation will be  
22 in place or some other requirements for sanctions against  
23 greenhouse gas emission?

24 MR. HAROLD SURMINSKI: Yes, that's the  
25 basis for it.

1                   MR. BOB PETERS:    Would it -- would the  
2 process used by Manitoba Hydro be similar to the process  
3 that Manitoba Hydro used in its submission to the Clean  
4 Environment Commission?

5                   MR. HAROLD SURMINSKI:   Yes, it's very  
6 similar to that.

7                   MR. BOB PETERS:    And that was included in  
8 the filing of this case in Appendix 13?

9                   MR. HAROLD SURMINSKI:   Of that submission  
10 -- I don't remember the number, but it could be there.

11                  MR. BOB PETERS:    All right, Mr.  
12 Surminski, let's briefly turn to the book of documents,  
13 Tab 12.

14                  And I don't want to cover ground that  
15 we've already addressed, but these schedules on the first  
16 page of Tab 12 are ones that we've seen before. And I  
17 reflected on an answer that you gave, either to myself or  
18 the Vice-Chair, about why export prices were falling.

19                  And I want to draw your attention to two  
20 (2) of the -- two (2) of the price listings on the bottom  
21 half of the chart. And they're coded as EPE-155, and  
22 they're coded as EPE-224.

23                  Do you see those -- those numbers?

24                  MR. HAROLD SURMINSKI:   Yes, I do.

25                  MR. BOB PETERS:    And those are coded

1 because you don't want to disclose who the counterparty  
2 is with whom you have this agreement?

3 MR. HAROLD SURMINSKI: I would assume  
4 that's the case. I am not very familiar with this  
5 reporting. It's an obligation we have to the National  
6 Energy Board to report it.

7 MR. BOB PETERS: And in any event, you  
8 don't want to disclose the contracts that underlie these  
9 codes.

10 MR. HAROLD SURMINSKI: Yes, that's right.  
11 We -- we do not break out individual contracts in our  
12 reporting.

13 MR. BOB PETERS: I understand that some  
14 of your contracts -- and I understand from PUB/Manitoba  
15 Hydro Second Round Question 57 -- that they're not tied  
16 to time of use for some of your contracts.

17 Would you be able to confirm that to the  
18 Board?

19 MR. HAROLD SURMINSKI: I don't know what  
20 you mean by "time of use."

21 MR. BOB PETERS: In terms of whether  
22 they're on-peak or off-peak for the user.

23 MR. HAROLD SURMINSKI: Yes, we need a  
24 clarification on that, because often, the terms --  
25 different contracts do have different periods of when

1 they're effective. Like, some are only five (5) by  
2 sixteen (16) hours or -- or two (2) by sixteen (16) or,  
3 you know, different terms.

4 MR. BOB PETERS: I'm going to make the  
5 assumption that EPE-155 and EPE-224 are not five (5) by  
6 sixteen (16) or similar contracts, that there's no  
7 restriction on price based on time of day and time of  
8 use.

9 Can you make that assumption with me?

10

11 (BRIEF PAUSE)

12

13 MR. HAROLD SURMINSKI: We could make the  
14 assumption, but it would not be correct.

15 MR. BOB PETERS: Well, I -- then, let's  
16 not go there.

17 But let's -- can we -- can we make the  
18 assumption that there is -- there is no pricing in those  
19 arrangements for off-peak generated power from Manitoba  
20 Hydro?

21 MR. LARRY KUCZEK: Some of those  
22 contracts could have arrangements for off-peak pricing.  
23 And, for example, one (1) of the contracts might have  
24 pricing that includes 75 percent capacity factor, which  
25 would include some -- probab -- likely all on-peak hours,

1 but not necessarily, because the contract might also  
2 specify that the purchaser has the right to schedule up  
3 to 75 percent any time he wants.

4           And the prices could be set within the  
5 contract. And then they can also schedule, upon mutual  
6 agreement, maybe above that, and those prices might be  
7 negotiated at the time that there are scheduled.

8           MR. BOB PETERS: All right. And without  
9 identifying specific contracts, are there also contracts  
10 that -- that have no off-peak pricing?

11           MR. LLOYD KUCZEK: We do have some  
12 contracts that are five (5) by sixteen (16), which would  
13 mean no off-peak pricing. But the contracts almost  
14 always have provisions for going beyond that, upon mutual  
15 agreement.

16           So if the parties agreed to do that within  
17 those contracts the numbers that would be filed with the  
18 National Energy Board would include -- they're all unit  
19 prices as I mentioned before, so they would include --  
20 include those prices that were off-peak as well.

21           MR. BOB PETERS: So then, Mr. Surminski,  
22 maybe you can explain to the Board again why and -- those  
23 two (2) examples that I have taken out, EPE-155 and EPE-  
24 224, why the Corporation believes the pricing declines  
25 over the months from April through to September of '07?

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

(BRIEF PAUSE)

MR. HAROLD SURMINSKI: There are at least two (2) factors at play here. Exchange rate, as I had mentioned previously is -- is a factor, the -- the dollar declining -- or increasing -- the Canadian dollar increasing in value, and a secondary factor is that there are some off-peak sales likely in -- in these numbers.

And we do -- I have checked on it and found that there are -- there's more additional off-peak energy later in -- in that summer period, as opposed to April had very little, and -- and later on there were some -- some significant off-peak energy, so they would bring down the total overall average price.

MR. BOB PETERS: Thank you, Mr. Surminski.

Mr. Kuczek, in -- in your indicating to the Board what some of the agreements may or may not contain, do some of the long-term agreements contain pricing adjustments that are tied to the pricing and generation available from other fuel sources?

Let me reword that in a way -- are some of your pricing tied to coal or gas generated electricity?

MR. LLOYD KUCZEK: Yes.

MR. BOB PETERS: Can you explain to the

1 Board in general terms what that -- what that means and  
2 how the Corporation deals with that?

3 MR. LLOYD KUCZEK: Well, when I say yes,  
4 I just know that we did negotiate some contracts that  
5 have escalators in them, if not all of them. And when  
6 you're trying to come up with an escalator, one of the  
7 options is, is to tie it to an index, a gas index. And  
8 so I, in one (1) particular case I know we did do that.  
9 Another particular case I think we used inflation.

10 So we use a variety of -- it's a  
11 negotiated agreement and how you're going to escalate the  
12 prices as you move forward.

13 MR. BOB PETERS: Would -- I gather from  
14 your answer, Mr. Kuczek, that to your knowledge, that  
15 none of the pricing of Manitoba's exports is tied to the  
16 price of coal generated electricity?

17 MR. LLOYD KUCZEK: I haven't worked in  
18 that area since 2000, so I couldn't say that for  
19 certainty, but I don't recall the contracts that were  
20 existing at the time I left being tied to coal, but I  
21 couldn't say for certain.

22 MR. BOB PETERS: Mr. Surminski, can you  
23 bring us more current than that as to whether there's  
24 coal as a denominator of any of the contracts?

25 MR. HAROLD SURMINSKI: We don't believe

1 there's any currently.

2 MR. BOB PETERS: At Tab 13 of the book of  
3 documents there's a listing of some of the current  
4 agreements and I'm not going to go into them in any  
5 depth, but my understanding from what's filed is that  
6 69 percent of Manitoba Hydro's export sales are  
7 opportunity sales in the IFF forecast.

8 Is that correct?

9 MR. HAROLD SURMINSKI: Is that  
10 information that we have provided?

11

12 (BRIEF PAUSE)

13

14 MR. BOB PETERS: I think it might be in  
15 PUB/Manitoba Hydro First Round 58. And I see that part  
16 of that is attached at the back, in the later pages, in  
17 Tab 13 of the book of documents, Mr. Surminski.

18

19 (BRIEF PAUSE)

20

21 MR. HAROLD SURMINSKI: The ratio would  
22 depend on -- on the flow year also in -- in a lower flow  
23 year more of the sales would be long term dependable and  
24 -- and less opportunity. I'm surprised at the high  
25 number, I thought it's -- it's closer to the 50/50 or...

1 MR. BOB PETERS: Let -- we'll check  
2 further and if -- I'll just indicate that I was of the  
3 understanding that it was 69/31 weighted in favour of  
4 opportunity sales as opposed to firm sales in the IFF  
5 planning horizon, but we'll look at that further.

6 In the sales that are listed there's a new  
7 arrangement that was announced, and I think the press  
8 release is also the last document in the book of  
9 documents, Tab 13.

10 This is a prospective arrangement with  
11 Minnesota Power. Is that correct?

12 MR. HAROLD SURMINSKI: Yes, that's  
13 correct.

14 MR. BOB PETERS: And while it's a -- it's  
15 a firm sale that would only come into play in about 2020,  
16 as I recall.

17 MR. HAROLD SURMINSKI: Yes, that's  
18 correct.

19 MR. BOB PETERS: But it also allows you  
20 to do opportunity sales before then?

21 MR. HAROLD SURMINSKI: Yeah. Surplus  
22 sales are up to, or before that period, are a part of  
23 this.

24 MR. BOB PETERS: But you're doing surplus  
25 sales to them in any event?

1 MR. HAROLD SURMINSKI: Yes, this gives  
2 Minnesota Power the right to -- to be first in -- in  
3 getting the sales.

4 MR. BOB PETERS: Does it advance any  
5 construction in northern Manitoba?

6 MR. HAROLD SURMINSKI: The surplus  
7 portion does not.

8 MR. BOB PETERS: No, but the -- the firm  
9 portion assumes there will be major construction in  
10 northern Manitoba.

11 Is that correct?

12 MR. HAROLD SURMINSKI: Yes, it's in fact  
13 con -- contingent on -- on new construction.

14 MR. BOB PETERS: And it's either Conawapa  
15 or Keeyask?

16 MR. HAROLD SURMINSKI: Yes.

17 MR. BOB PETERS: Does this advance  
18 transmission facility requirements in Manitoba?

19

20 (BRIEF PAUSE)

21

22 MR. HAROLD SURMINSKI: The  
23 interconnection, one (1) of the requirements of -- of  
24 this is -- is a new interconnection.

25 MR. BOB PETERS: Yes. But in terms of

1 transmission inside Manitoba is there a requirement to  
2 advance transmission to facilitate this sale?

3 MR. HAROLD SURMINSKI: No, because Bipole  
4 3 is -- is planned for -- for -- is planned prior to this  
5 new generation, either Keeyask or Conawapa, coming on.

6 MR. BOB PETERS: And you'd referenced  
7 that there will be a new interconnection required with --  
8 with Minnesota Power?

9 I'll just repeat that, Mr. Surminski,  
10 unless you had something you wanted to add at this point?

11 MR. HAROLD SURMINSKI: No, please repeat.

12 MR. BOB PETERS: A new interconnection is  
13 going to be needed with Minnesota Power to be able to  
14 provide the energy that you're hoping to sell to them in  
15 2020.

16 MR. HAROLD SURMINSKI: Yes, that's right.

17 MR. BOB PETERS: And when you say  
18 "interconnection", this is a -- physical facilities  
19 located at or near the Canadian/Minnesota border -- the  
20 Manitoba/Minnesota border.

21 MR. HAROLD SURMINSKI: Crossing the  
22 border. And yes, we have a portion in Manitoba and there  
23 would be a portion in -- in the US to their major load  
24 centres.

25 MR. BOB PETERS: And who pays for the

1 portion in Manitoba?

2 MR. HAROLD SURMINSKI: Manitoba Hydro is  
3 responsible for that.

4 MR. BOB PETERS: And who will pay for the  
5 portion in Minnesota?

6 MR. HAROLD SURMINSKI: Yes, the  
7 counterparties in Minnesota would be responsible for  
8 that, or Wisconsin; it could be a share between Minnesota  
9 and Wisconsin.

10 MR. BOB WARDEN: These interconnections  
11 are what we've been referring to as tie-lines?

12 MR. HAROLD SURMINSKI: Yes. Tie-lines is  
13 another term for that.

14

15 CONTINUED BY MR. BOB PETERS:

16 MR. BOB PETERS: Is this a new tie-line  
17 or is this an upgrade of an existing one?

18 MR. HAROLD SURMINSKI: It is very -- a  
19 brand new one.

20 MR. BOB PETERS: All right. Has Manitoba  
21 Hydro quantified the cost for the -- developing the tie-  
22 line or interconnection on its side of the border?

23 MR. HAROLD SURMINSKI: It's under study  
24 and there are several proposals for -- for the type of  
25 line, AC or DC, and where it terminates. So there's a --

1 a range of possibilities but we -- we definitely do not  
2 have a specific estimate of that.

3 MR. BOB PETERS: Those capital costs are  
4 not included in the IFF?

5 MR. IAN PAGE: No, they're not.

6 MR. BOB MAYER: Did you say DC?

7 MR. HAROLD SURMINSKI: Yes.

8 MR. BOB MAYER: I'm assuming you could  
9 dispatch out of Riel, but would that then not require a  
10 converter station in the place of destination of the  
11 power?

12 MR. HAROLD SURMINSKI: Yes, but there is  
13 efficiency in -- in high voltage DC. If -- if you have a  
14 large quantity of energy there's efficiency from the loss  
15 point of view.

16 MR. BOB MAYER: And I understand, as the  
17 distance gets farther, that becomes more efficient?

18 MR. HAROLD SURMINSKI: Yes.

19

20 CONTINUED BY MR. BOB PETERS:

21 MR. BOB PETERS: I'd like to just finish  
22 up before the morning recess, Mr. Chairman, on the same  
23 topic but the -- the US counterparty or parties with  
24 which -- with whom you'll be dealing, Mr. Surminski, they  
25 likewise have an obligation to upgrade their

1 interconnection or their tie-line?

2 MR. HAROLD SURMINSKI: Yes, it's -- it's  
3 in their interest since they will be getting the green  
4 power from Manitoba Hydro.

5 MR. BOB PETERS: And the arrangement is -  
6 - the arrangement with the US counterparties is  
7 contingent on their upgrading their tie-line and if they  
8 don't, this deal is off?

9 MR. HAROLD SURMINSKI: Yes. It's -- it's  
10 a package deal: transmission, interconnection and -- and  
11 a power sale.

12 MR. BOB PETERS: And when you said "green  
13 power" from Manitoba, Mr. Surminski, at the third page --  
14 sorry, the fourth page in, in Tab 13 of the book of  
15 documents, is a response to PUB/Manitoba Hydro First  
16 Round 58.

17 Can the Board take from that, that when  
18 you are selling your green power you are valuing it as  
19 replacing natural gas volumes, not coal production, down  
20 in the States?

21 MR. HAROLD SURMINSKI: It's a combination  
22 of -- it's not something that we target. It's the  
23 counterparty that is displacing their own generation,  
24 whatever source that may be.

25 MR. BOB PETERS: You're not aware of any

1 coal plants shutting down in the United States as a  
2 result of Manitoba Hydro's exports?

3 MR. HAROLD SURMINSKI: No, we are not.  
4 There are even plans to -- to build coal plants in some  
5 areas of the US.

6 MR. BOB PETERS: Including South Dakota?

7 MR. HAROLD SURMINSKI: Yes.

8 MR. BOB PETERS: That will become a  
9 competitor of Manitoba Hydro in terms of exporting into  
10 the MISO region?

11 MR. HAROLD SURMINSKI: Yes, any coal  
12 plant that's built would be.

13 MR. BOB PETERS: The last topic before  
14 the morning recess that I'll suggest, Mr. Surminski, is  
15 the export capacity capabilities and we find at Tab 14 of  
16 the book of documents the import and export capabilities  
17 on the various interconnections that Manitoba Hydro has.

18 Would it be correct for the Board to  
19 assume that there is a limitation that Manitoba Hydro has  
20 in exporting due to interconnection constraints?

21 MR. HAROLD SURMINSKI: Yes, there's a  
22 physical line flow limit.

23 MR. BOB PETERS: And in the summer months  
24 Manitoba Hydro has the tie-lines and the interconnections  
25 fully loaded and, therefore, there -- there is a

1 restriction in the summer months?

2 MR. HAROLD SURMINSKI: Yes. It's -- it's  
3 more -- more critical in the summer months, because our  
4 loads are low, and we have a lot more to export.

5 MR. BOB PETERS: And during the peak  
6 hours, you can't export any more electricity, even if you  
7 wanted to, because the tie lines are -- are full?

8 MR. HAROLD SURMINSKI: Yes. Often that's  
9 the case.

10 MR. BOB PETERS: And, so, what you are  
11 left to do is export it only in the off-peak hours?

12 MR. HAROLD SURMINSKI: Yes, that's  
13 correct.

14 MR. BOB PETERS: And when you export in  
15 the off-peak hours, we've seen that the price may not be  
16 as attractive as on-peak hours?

17 MR. HAROLD SURMINSKI: Yes.

18

19 (BRIEF PAUSE)

20

21 MR. BOB PETERS: And when we say "off-  
22 peak pricing," the Board has seen, in the surplus energy  
23 pricing orders, that the cost of some of the off-peak can  
24 be down around to two (2) and three (3) cents a kilowatt  
25 hour?

1 MR. HAROLD SURMINSKI: Yes, that's right.

2 MR. BOB PETERS: And on -- maybe on rare  
3 occasions, but on some occasions, it even drops lower  
4 than that?

5 MR. HAROLD SURMINSKI: Yes.

6 MR. BOB PETERS: Can you indicate to the  
7 Board what Manitoba Hydro's plans are in terms of  
8 upgrading these interconnection ties and maybe why it  
9 hasn't been done already?

10

11 (BRIEF PAUSE)

12

13 MR. HAROLD SURMINSKI: An upgrade would  
14 require a counterparty on the other side to -- to  
15 cooperate. So it's -- it's definitely a -- an agreement  
16 that has to be done on both sides of the border.

17

18 (BRIEF PAUSE)

19

20 MR. LLOYD KUCZEK: This activity of  
21 upgrading the transmission lines is ongoing, but it's --  
22 it's not something that happens every year. Back in the  
23 '90s, when we negotiated a contract with NSP -- Northern  
24 States Power -- we -- part of that deal was to upgrade  
25 the 500 kV line, so we upgraded it back then.

1                   Subsequent to that, we actually added a  
2 fourth line. And I forget exactly where that is, but  
3 it's on the western part of the province. And, so,  
4 that's effectively an upgrade -- it was a new line, but  
5 it upgrades the capacity between the -- the two (2)  
6 regions.

7                   So the transmission people on both sides  
8 are in discussions. But, generally speaking, to -- to  
9 embark on a project like that, you need some sort of sale  
10 that's usually tied to it so there's economic benefits  
11 from both sides to provide the -- the benefits associated  
12 with the costs.

13                   MR. BOB PETERS:     Would you agree with me,  
14 Mr. Surminski, that the tie line restriction that  
15 currently exists will limit the pricing of new export  
16 capabilities of Manitoba Hydro?

17                   MR. HAROLD SURMINSKI:   Yes. Tie line is  
18 always a constraint on -- on getting maximum revenues.

19                   MR. BOB PETERS:     Well, let's put it in  
20 dollars and cents terms.

21                   If you're already maxed out in the summer  
22 months, any additional production from, say, a Wuskwatim  
23 or a Conawapa or a Keeyask, you may not be able to get  
24 peak pricing for -- for all of that power, because your  
25 tie line capabilities are maxed out?

1                   MR. HAROLD SURMINSKI:    Yes.  But you have  
2 to consider, at the time, that Manitoba load growth is --  
3 can consume some of that additional power from these  
4 plants.

5                   MR. BOB PETERS:    No, I understood, but  
6 I'm just talking the export side.

7                   MR. HAROLD SURMINSKI:    Yes.

8                   MR. BOB PETERS:    Now, when we say "tie  
9 line restrictions," you've told us that you're restricted  
10 in -- in exporting to the United States, correct?

11

12   (BRIEF PAUSE)

13

14                   MR. HAROLD SURMINSKI:    Yes, but our  
15 Canadian counterparties do not -- do not request a lot of  
16 power from us.  So it's difficult to say whether it's --  
17 it's a market limit or -- or a physical tie line limit  
18 that governs the Canadian counterparties.

19                   MR. BOB PETERS:    So the home of the Grey  
20 Cup Champions isn't lining up to buy our power?

21                   MR. HAROLD SURMINSKI:    No, that's right.

22                   MR. BOB PETERS:    Has Manitoba Hydro  
23 investigated why that's the case?

24                   MR. HAROLD SURMINSKI:    They have a lot of  
25 low-cost thermal coal generation.  And it seems like they

1 have a desire for self-sufficiency. They do not want to  
2 be dependent on external parties.

3 MR. BOB PETERS: And what about our --  
4 our friends and neighbours to the east in Ontario?  
5 They're not asking for or offering to pay for additional  
6 interconnection capabilities?

7 MR. HAROLD SURMINSKI: That is the  
8 difficulty getting power from Northwestern Ontario to --  
9 to the southern areas that -- that really require the  
10 power. So yes, it's the interconnection that's the  
11 difficultly.

12 MR. BOB PETERS: And last question, are  
13 there any capital costs in the IFF that are for upgrades  
14 or new interconnection capabilities with either the  
15 United States, Saskatchewan, or Ontario?

16 MR. IAN PAGE: No, there's no new  
17 interconnections in the IFF.

18 MR. BOB PETERS: Mr. Chairman, this might  
19 be the appropriate time for the morning break from my  
20 questioning if that suits the Board.

21 THE CHAIRPERSON: That is fine with us.

22

23 --- Upon recessing at 10:47 a.m.

24 --- Upon resuming at 11:13 a.m.

25

1 THE CHAIRPERSON: Okay, Mr. Peters.

2

3 CONTINUED BY MR. BOB PETERS:

4 MR. BOB PETERS: Thank you, Mr. Chairman.

5 A couple of matters to -- before I move on to a new topic  
6 of energy supply.

7 But Mr. Warden, I think it would be of --  
8 of value to the Board if you could provide a chart -- and  
9 I sketched it out very roughly and left it on Ms.  
10 Ramage's chair -- that would contain the export sales  
11 information from the '06/'07 fiscal year on a cost per  
12 kilowatt hour as best the Corporation can determine and  
13 reveal, which identifies the categories of generation,  
14 transmission, water rentals, taxes, OM&A.

15 And then also show the Board the same  
16 information on a cost per kilowatt hour basis for  
17 Wuskwatim for the revenues as well as the expenses. And  
18 I would ask you to use the second year of Wuskwatim's  
19 production, which is the year that I understood from the  
20 witnesses was the first full year when it was going to  
21 produce one thousand five hundred and fifteen (1,115)  
22 gigawatt hours.

23 Is that something the Corporation could  
24 undertake to provide and advise the Board as to whether  
25 it's going to be able to calculate that?

1 (BRIEF PAUSE)

2

3 MR. VINCE WARDEN: Just for  
4 clarification, Mr. Peters, on the 2006/'07 export sales,  
5 you're only looking at the cost and not the revenue side,  
6 is that right?

7 So for -- for every kilowatt hour of sale  
8 -- or -- or sorry, every kilowatt hour that was exported,  
9 you're looking for what cost was included in that  
10 kilowatt hour in terms of generation transmission, water  
11 rentals, taxes?

12 MR. BOB PETERS: Yes, you're correct.

13 MR. VINCE WARDEN: And, similarly, then,  
14 for Wuskwatim, just comparable to what -- what was in  
15 2006/'07. Yeah, I think we can -- I think we can do  
16 that.

17 MR. BOB PETERS: Thank you, and if  
18 there's any further questions or issues we can -- we can  
19 discuss that amongst counsel and --

20 MR. VINCE WARDEN: I'm -- I'm sorry, Mr.  
21 Peters?

22 MR. BOB PETERS: Oh, if there are any  
23 issues that arise, please notify your counsel, and we'll  
24 try to sort them out and advise the Board if there's any  
25 issues with that.

1                   MR. VINCE WARDEN:    Just for one (1) point  
2 -- further point, you're talking about actual costs,  
3 actual embedded costs.

4                   MR. BOB PETERS:    Correct.

5                   MR. VINCE WARDEN:    Yes, okay.

6  
7 --- UNDERTAKING NO. 15:       Manitoba Hydro to provide the  
8 Board with a chart that would  
9 contain the export sales  
10 information from the '06/'07  
11 fiscal year, on a cost per  
12 kilowatt hour, which  
13 identifies the categories of  
14 generation, transmission,  
15 water rentals, taxes, OM&A.  
16 And also show the same  
17 information on a cost per  
18 kilowatt hour basis for  
19 Wuskwatim for the revenues,  
20 as well as the expenses using  
21 the second year of  
22 Wuskwatim's production  
23

24 CONTINUED BY MR. BOB PETERS:

25                   MR. BOB PETERS:    Mr. Surminski, yesterday

1 we had some discussion about the failures, the  
2 hypothetical failures of Bipoles 1 and 2. And I know you  
3 were going to be reviewing that further.

4                   And I thought this might be of assistance  
5 to you, that if the Board would appreciate if you could  
6 provide the economic impact, and by that I mean on  
7 retained earnings in the IFF planning cycle, of the loss  
8 of Bipoles 1 and 2 for a four (4) month period in the  
9 summer and then also in the winter under the following  
10 three (3) different scenarios.

11                   The first would be without having Bipole 3  
12 available.

13                   The second would be having Bipole 3 on the  
14 west side of the Interlake.

15                   And the third scenario would be having  
16 Bipole 3 on the east side of the winter -- of the  
17 Interlake.

18                   MR. BOB MAYER: Is there any possibility,  
19 Mr. Peters, you would want to consider the third option  
20 that is now, that at least appears to be being discussed,  
21 and that's under Lake Winnipeg? Under Lake Winnipeg.

22                   MR. BOB PETERS: Well, I --

23                   MR. BOB MAYER: I'm sure those  
24 projections haven't been done, but I -- I just like to  
25 keep that one out there.

1

2 CONTINUED BY MR. BOB PETERS:

3 MR. BOB PETERS: Perhaps I could turn to  
4 Mr. Warden for assistance to the Board on -- and I  
5 believe this arises as a result of options being advanced  
6 by engineers and others who -- who are encouraging the  
7 Corporation to pursue that option of submerging the  
8 transmission cable for part of its journey from Northern  
9 Manitoba.

10 Can you update the Board at this time, Mr.  
11 Warden, as to where the Corporation is in consideration  
12 of the option of submerging the cable?

13 MR. VINCE WARDEN: Well, yes. Subsequent  
14 to the articles appearing in the Free Press, Mr. Brennan  
15 met with Mr. Ryan (phonetic), I believe it was.

16 And they concluded -- they had,  
17 apparently, a very productive meeting and they concluded  
18 that we would engage an outside consultant to have a  
19 closer look at this. So that's where it is.

20 MR. BOB PETERS: I won't include that in  
21 my undertaking, but thank you for the update on -- on  
22 that information.

23 Mr. Surminski, can you refresh the Board's  
24 memory on how long the Quebec's electrical system was out  
25 of commission after a major ice storm some approximate

1 ten (10) years ago?

2 MR. HAROLD SURMINSKI: No, I -- I do not  
3 have that in my memory bank.

4 MR. BOB PETERS: And I -- I certainly was  
5 advised and notified by Ms. Ramage that Mr. Page would --  
6 had to attend another matter this morning and will be  
7 away.

8 But Mr. Warden, are you able to indicate  
9 if Manitoba Hydro's economic forecast is going to be  
10 updated soon, and if so, when?

11 MR. VINCE WARDEN: Yes, the forecast is  
12 updated once per year, or at least once per year, and  
13 provided to executive committee for approval in either  
14 April or May of each year, with a further update just  
15 prior to the IFF being prepared. So we do get to look at  
16 it at least twice per year, and with the next one being  
17 April or May.

18 MR. BOB PETERS: Would you agree, Mr.  
19 Warden, that many of the assumptions or the -- much of  
20 the information contained in the current economic  
21 forecast appears to be incorrect, or at least outdated,  
22 as a result of events of the past year?

23 MR. VINCE WARDEN: No, I wouldn't  
24 necessarily agree with that. The -- the long-term  
25 outlook is pro -- probably still very relevant. And I

1 don't expect it's going to change much from last year's.

2                   The short-term, of course, events affect  
3 the short term -- they always do -- and probably more  
4 dramatically in the past year than they have in years  
5 gone by.

6                   MR. BOB PETERS:    A question that,  
7 probably, Mr. Page was the one I should have asked, but  
8 perhaps Mr. Surminski or Mr. Derksen can help the Board.

9                   The Board looked at this morning the  
10 Wuskwatim Power Limited Partnership projected operating  
11 statement found at Tab 47, page 7 of the book of  
12 documents, and I had asked some questions about it.

13                   Can -- can Manitoba Hydro confirm whether  
14 the assumptions in that operating statement are exactly  
15 the same assumptions that are derived from the IFF-07-1  
16 that the Board has seen?

17                   MR. VINCE WARDEN:    Yes, we can confirm  
18 that with the one exception on the overhead rate that I  
19 think we talked about earlier.

20

21   (BRIEF PAUSE)

22

23                   MR. BOB PETERS:    The overhead rate, Mr.  
24 Warden, I'm -- I'm drawing a blank on that. What was the  
25 differences between the assumptions made?

1                   MR. VINCE WARDEN:    I think what we talked  
2 about was the -- the Manitoba Hydro employees that charge  
3 directly to the Wuskwatim project.  There was a special  
4 overhead rate derived for that purpose which is different  
5 from the corporate overhead rate.

6

7   (BRIEF PAUSE)

8

9                   MR. BOB PETERS:    And, Mr. Warden, the  
10 provincial debt guarantee fee, which is one of the  
11 payments made to a government by Manitoba Hydro, that  
12 attaches to not only long-term debt but also to short-  
13 term debt?

14                   MR. VINCE WARDEN:    Yes.

15                   MR. BOB PETERS:    And the short-term debt  
16 rate is approximately how much at this time?  Are you  
17 aware?

18                   MR. VINCE WARDEN:    Well, we're currently  
19 borrowing short-term at approximately 3.5 percent.

20                   MR. BOB PETERS:    And in addition to that  
21 3.5 percent, the provincial debt guarantee fee is added  
22 on top?

23                   MR. VINCE WARDEN:    Yeah, that's right.

24                   MR. BOB PETERS:    And it's one (1) full  
25 percentage point?

1 MR. VINCE WARDEN: Yes, it is.

2 MR. BOB PETERS: And the -- the  
3 provincial debt guarantee fee doesn't change whether it's  
4 short-term debt or long-term debt?

5 MR. VINCE WARDEN: That's right.

6 MR. BOB PETERS: Thank you.

7

8 (BRIEF PAUSE)

9

10 MR. VINCE WARDEN: Mr. Peters, maybe just  
11 a -- a point of clarification with respect to my last  
12 answer.

13 The calculation of the debt guarantee fee  
14 is based on March 31st balances of long- and short-term  
15 debt. Therefore, if we are borrowing short term  
16 within the year -- which we do. We borrow for one (1)  
17 month or -- or less. We often borrow just for a few  
18 days.

19 So if -- if those monies are borrowed at 3  
20 1/2 percent and repaid within the year, then there will  
21 be no debt guarantee fee applied to that -- to that  
22 transaction.

23 MR. BOB PETERS: Okay, thank you for that  
24 clarification. And -- and, Mr. Warden, I'd understood  
25 from discussions about the Wuskwatim Power Limited

1 Partnership there was also some short-term borrowing, I  
2 thought it was sixty (60) days in duration.

3 But as long as that money is -- if it was  
4 borrowed and -- and then converted to long-term debt,  
5 there wouldn't be a provincial debt guarantee fee  
6 attached to it until it's on the books after a fiscal  
7 year end?

8

9 (BRIEF PAUSE)

10

11 MR. VINCE WARDEN: Yes, the way the --  
12 the agreement is structured, the debt guarantee fee would  
13 be added each month to the outstanding balance at that  
14 time.

15 So on every advance there would be --  
16 that's made, there would be a calculation -- the numbers  
17 -- the number of days that -- that advance is  
18 outstanding. And the debt guarantee fee would be added  
19 to that amount.

20 MR. BOB PETERS: All right. Because the  
21 way the provincial debt guarantee fee is calculated,  
22 being on a fiscal year-end balance, that -- that amount  
23 is charged whether it's outstanding as a short-term debt  
24 obligation or a long-term debt obligation on March 31st?

25 MR. VINCE WARDEN: That's right.

1                   MR. BOB PETERS:    And therefore, is it  
2 part of the strategy of the Corporation to minimize the  
3 short-term debt outstanding by the end of the fiscal year  
4 to minimize the short-term debt guarantee fee?

5                   MR. VINCE WARDEN:    Well we -- we do  
6 whatever we can to minimize that -- that cost, yes.

7

8                                       (BRIEF PAUSE)

9

10                   MR. BOB PETERS:    Thank you for that, Mr.  
11 Warden. I'd like to turn with the panel to energy  
12 supply. And at Tab 15 of the book of documents there's a  
13 copy of the -- some information from the power resource  
14 plan.

15                                    Can -- can you tell the Board how Manitoba  
16 Hydro defines "dependable flow"?

17                   MR. HAROLD SURMINSKI:    Dependable flow  
18 corresponds to our most extreme low flow period. And so  
19 dependable flow is -- is one (1) item, but dependable  
20 energy that corresponds to lowest flow is the -- the more  
21 critical item that shows up in these tables.

22                                    It's -- the dependable energy is based on  
23 not just the one (1) year, but it's based on several  
24 years and the storage that you have coming into that  
25 lowest flow year.

1                   So it's -- it's a combination of previous  
2 flows and the storage that you have at that point where  
3 the lowest flow actually hits you.

4

5   (BRIEF PAUSE)

6

7                   MR. BOB PETERS:    In terms of gigawatt  
8 hours, Mr. Surminski, it's twenty-one thousand one  
9 hundred and twenty (21,120)?

10                   MR. HAROLD SURMINSKI:   Yes, that the  
11 total system hydraulic generation.

12                   MR. BOB PETERS:    But that's the -- is  
13 that also the dependable -- is that the dependable  
14 energy?

15                   MR. HAROLD SURMINSKI:    It is the  
16 dependable energy, yes, the lowest single year of energy  
17 production.

18                   MR. BOB PETERS:    Has that definition  
19 changed in the last five (5) years or that quantification  
20 changed?

21                   MR. HAROLD SURMINSKI:    Definition has not  
22 changed for many years, like, thirty (30) years.

23                   MR. BOB PETERS:    And in what year is this  
24 dependable energy come from?

25                   MR. HAROLD SURMINSKI:    I believe it's the

1 '39/'40 flow year.

2

3

(BRIEF PAUSE)

4

5 MR. BOB PETERS: You can, perhaps, help  
6 the Board, Mr. Surminski, that if we -- if we look at the  
7 twenty-one thousand one hundred and twenty (21,120)  
8 gigawatt hours in the Power Resource Plan -- and I think  
9 if we flip ahead to the next tab in the book of  
10 documents, Tab 16, and look at PUB/Manitoba Hydro First  
11 Round 85, there appears to be dependable energy showing  
12 up as nineteen thousand six hundred and ninety-nine  
13 (19,699) gigawatt hours. That would be on the second  
14 page of Tab 16 of the book of documents.

15 Can you reconcile those two (2) for the  
16 Board?

17 MR. HAROLD SURMINSKI: Yes. These are  
18 actually the generation in the lowest generation year in  
19 each of these load years.

20 As I mentioned just a few minutes ago,  
21 it's the storage in the year before that is a factor.  
22 And if we don't have to supply a particular target of  
23 energy -- like, if we're over-installed -- we do not have  
24 to use the full storage capability.

25 So we can actually have a lower generation

1 in any year just because we did not -- we were not forced  
2 to -- we did not have to force our storage to be high and  
3 to be at maximum.

4 So dependable energy -- also, I guess, the  
5 further qualification of it is, whenever your system is  
6 tight to the point of generation being short, that's --  
7 that's what dependable energy is calculated on.

8 So, for those tables -- the Power Resource  
9 Plan tables -- we assume that the load has grown to the  
10 point of just making the system tight in terms of demand,  
11 just being at the point where hydraulic generation can  
12 meet that load with maximum storage use.

13 So in these cases you see the -- the  
14 numbers actually go up over time, because the load is  
15 growing and making the system tighter in terms of supply.

16 MR. BOB PETERS: Does that same answer  
17 hold true when you flip to the fifth page at the book of  
18 documents, Tab 16, where another dependable flow number  
19 is nineteen thousand seven hundred and fifty (19,750)  
20 gilowat -- gigawatt hours?

21 MR. HAROLD SURMINSKI: I cannot find that  
22 page. Can you direct me, please?

23 MR. BOB PETERS: I have it as the fifth  
24 page in, and I apologize for not numbering.  
25 Unfortunately, the bottom right-hand corner refer --

1 references page 2 of 2 --

2 MR. HAROLD SURMINSKI: Yes, I have it,  
3 sir.

4 MR. BOB PETERS: -- page 2 of 2 of  
5 Manitoba Hydro First Round 85.

6 And, again, that number is different than  
7 the twenty-one thousand one hundred and twenty (21,120),  
8 Mr. Surminski, for the very same reason you gave in your  
9 last answer?

10 MR. HAROLD SURMINSKI: Yes, this was  
11 related to a particular load year that we were providing  
12 the information for, not a critical load year where  
13 supply is just sufficient to meet demand.

14

15 (BRIEF PAUSE)

16

17 MR. BOB PETERS: And when the Board looks  
18 at the Power Resource Plan here, Table 8.1 found at Tab  
19 15 -- first page at Tab 15 of the book of documents -- it  
20 sees that Wuskwatim is coming in-service in 2012/'13.

21 And we've heard that that may or may not  
22 be correct, Mr. Surminski?

23 MR. HAROLD SURMINSKI: Yes. At the time  
24 we initiated the resource plan, it was assumed to be  
25 '12/'13. It was only later -- and this was earlier in

1 the spring of '07. It was only in the summer of '07 that  
2 we had the possibility forwarded that plan could be  
3 earlier.

4 MR. BOB PETERS: And so now you're  
5 planning and protecting it to come on-stream earlier?

6 MR. HAROLD SURMINSKI: Yes, there is the  
7 possibility, depending on -- on the contracts.

8 MR. BOB PETERS: And also on this, it  
9 shows that Bipole 3 provides some positive resource  
10 gains. And I think Mr. Warden referred the Board to this  
11 yesterday but here's a quantification of it: Whereby  
12 putting Bipole 3 in-service there's actually a gain in  
13 the available energy that's coming of four hundred and  
14 forty-two (442) gigawatt hours, at least in 2017.

15 MR. HAROLD SURMINSKI: Yes, it is the  
16 loss saving.

17 MR. BOB PETERS: And that's an  
18 interesting way to describe it. It's -- there is less  
19 transmission loss, lower transmission losses, as a result  
20 of three (3) Bipoles than if there was two (2)?

21 MR. HAROLD SURMINSKI: Yes, exactly.

22 MR. BOB PETERS: And that's simply a  
23 function of physics?

24 MR. HAROLD SURMINSKI: Yes.

25 MR. BOB PETERS: All right. I didn't

1 mean to use the word "simply" in that question. Nothing  
2 is simple about that.

3                   But in terms of the thermal production  
4 that is shown, again at -- in the book of documents,  
5 Tab 15, we get thermal production, if I add up those  
6 sources of four thousand two hundred and ninety-seven  
7 (4,297) and I get different values in Tab 16 of the book  
8 of documents, can you explain why that would be showing  
9 differently?

10                   MR. HAROLD SURMINSKI: Yes. This is the  
11 maximum capability if each of these plants were running  
12 at -- at their maximum, independently.

13                   MR. BOB PETERS: Are you saying that in  
14 terms of the power resource plant at Tab 15, that's the  
15 maximum, the four thousand two hundred and ninety-seven  
16 (4,297)?

17                   MR. HAROLD SURMINSKI: Yes.

18                   MR. BOB PETERS: And -- and -- but then  
19 if you look ahead, please to Tab 16, in response to  
20 PUB/Manitoba Hydro First Round 85(a), on the second page,  
21 there appears thermal generation, and dependable --  
22 dependable thermal is as high as -- is four thousand six  
23 hundred and ninety-seven (4,697) gigawatt hours in the  
24 '07/'08 year.

25                   And I'm wondering why there's four hundred

1 (400) gigawatt hours of additional energy available from  
2 the thermal source?

3

4 (BRIEF PAUSE)

5

6 MR. HAROLD SURMINSKI: Actually, I'd have  
7 to check on that. I -- we sometimes report at  
8 generation, as opposed to -- but I don't think that is  
9 the reason. I -- I would have to really take that back  
10 if you wanted an answer to that.

11 MR. BOB PETERS: If you could undertake  
12 to provide an explanation as to why the thermal  
13 generation figures in -- in the power resource plant  
14 aren't the same as they are in PUB First Round 85, the  
15 Board would appreciate that answer, Mr. Surminski.

16

17 --- UNDERTAKING NO. 16: Manitoba Hydro to provide  
18 Board an explanation as to  
19 why the thermal generation  
20 figures in the power resource  
21 plant are not the same as  
22 they are in PUB First  
23 Round 85. Also, explain why  
24 the dependable thermal  
25 generation quantity is

1 different from what's in the  
2 Power Resource Plan  
3

4 CONTINUED BY MR. BOB PETERS:

5 MR. BOB PETERS: While we're still  
6 looking at the power resource plant at Tab 15, the  
7 Brandon coal plant surfaces yet again, and much of the  
8 forecast that the Board has seen terminate in the IFF  
9 after approximately 2018. Mr. Warden, the power resource  
10 plan shows that the Brandon plant stops after 2018/'19,  
11 and I think one of the witnesses earlier today said there  
12 are plans to run it indefinitely.

13 Can you explain why it wouldn't show up  
14 then on the power resource plan, indefinitely?  
15

16 (BRIEF PAUSE)  
17

18 MR. VINCE WARDEN: Mr. Peters, I think  
19 the earlier comment, with respect to Brandon running  
20 beyond 2018/'19, was referring to the physical capability  
21 of the plant itself.

22 Our expectation -- our best estimate at  
23 this point in time, is that 2018/'19 will be the final  
24 year of operation, But depending on conditions. And at  
25 that time physically, I believe it is possible for the

1 plant to operate beyond that. But for purposes of  
2 forecasting, an assumption was made that 2018/'19 would  
3 be the final year of operation.

4 MR. BOB PETERS: I think, Mr. Surminski,  
5 corrected me earlier. While it may be the final year of  
6 operation, it will be at best mothballed but not  
7 decommissioned?

8 MR. HAROLD SURMINSKI: That would likely  
9 be the case, yes. We did it -- we had a similar  
10 mothballing of the Brandon Units 1 to 4. We -- we kept  
11 them for -- for several years before we decided what we  
12 would do with them.

13 MR. BOB PETERS: And what you're saying  
14 to the Board, Mr. Surminski, is by mothballing them  
15 you're keeping your options open, that you could use it  
16 again if needed?

17 MR. HAROLD SURMINSKI: Yes.

18 MR. BOB PETERS: And if needed, say in a  
19 drought year, or say in an emergency situation?

20 MR. HAROLD SURMINSKI: Yes, although that  
21 would require maybe a -- a different approach in terms of  
22 -- of keeping it in -- in a state where it could be run  
23 on -- on a short notice as opposed to mothballing  
24 indefinitely.

25 You -- you would treat those two (2)

1 differently.

2 MR. BOB PETERS: Understood, and thank  
3 you for that.

4 Back to the gas turbines, Mr. Surminski.  
5 You've told the Board that they were -- while they were  
6 available to be run they probably weren't used for any  
7 production in 2007/'08 for the Corporation. And going  
8 forward again, you're simply indicating that they're  
9 available to be part of the dependable base load if -- if  
10 required.

11 MR. HAROLD SURMINSKI: Yes, these  
12 definitely are -- are maintained and in a state ready to  
13 operate for extended durations.

14 MR. BOB PETERS: Have you calculated, Mr.  
15 Surminski, what would have to be the cost of natural gas  
16 to make the coal plants financially economic to run?

17 MR. HAROLD SURMINSKI: I have not but,  
18 you know, could do an -- an approximate ratioing. With -  
19 - with gas in the six (\$6) or seven dollar (\$7) range  
20 it's a hundred dollars (\$100) a megawatt hour. You would  
21 need half that in order to make it more like fifty  
22 dollars (\$50) a megawatt hour, to be in the money.

23 MR. BOB PETERS: So you'd need natural  
24 gas at between three (3) and three fifty (3.50)?

25

1 (BRIEF PAUSE)

2

3 MR. HAROLD SURMINSKI: Yeah. In order to  
4 -- to meet a market price of about fifty dollars (\$50).  
5 but on-peak prices could be higher than that so it's --  
6 it's -- but based on the assumption of -- of fifty  
7 dollars (\$50) a megawatt hour or five (5) cents that we  
8 use as an average.

9 MR. BOB PETERS: Mr. Surminski, Indeed  
10 your assistance on the unit of measure of that  
11 approximation.

12 Is it three dollars (\$3) to three fifty  
13 (3.50) a gigajoule for gas or is it a different measure?

14 MR. HAROLD SURMINSKI: It is that, yes.

15 MR. BOB PETERS: All right, thank you.

16 And, Mr. Surminski, you'll also see on  
17 again Tab 16 of the book of documents, the second page,  
18 the dependable thermal generation quantity gets up to  
19 five thousand seven hundred and sixty-four (5,764)  
20 gigawatt hours, which is again different from what's in  
21 the Power Resource Plan.

22 And when you respond to that previous  
23 undertaking, if you could maybe explain why those  
24 differences exist I think the Board would appreciate  
25 that.

1 MR. HAROLD SURMINSKI: Yes.

2 MR. BOB PETERS: It's not shown on the  
3 power resource plan, but it somewhere else in the  
4 materials -- if you'll take that subject to check, Mr.  
5 Surminski -- that your forecast of diesel generation for  
6 the four (4) northern communities was approximately  
7 thirteen (13) gigawatt hours.

8 Is that right for the -- for the '07/'08  
9 fiscal year, if you can take that subject to check?

10 The Board will note that it increases --  
11 it actually doubles over the planning horizon of out to  
12 twenty-six (26) gigawatt hours by 2026 and 2027.

13 Are you aware of that, sir?

14 MR. HAROLD SURMINSKI: I have not -- it's  
15 not part of our integrated system, so it's not in -- in  
16 my resource plan.

17 MR. BOB PETERS: And I appreciate the  
18 second panel may be better equipped to address that.

19 But it -- are you aware that there's a  
20 growth shown in the production from diesel in the remote  
21 diesel communities?

22 MR. VINCE WARDEN: Your question is --  
23 there is, yes, absolutely.

24 MR. BOB PETERS: And -- and maybe -- I've  
25 tried to suggest to Mr. Surminski, and I'll -- I can

1 pursue that further later, but if it's -- if it's  
2 doubling from '07/'08 all the way out to 2026/2027, what  
3 would be the Corporation's rationale for why the diesel-  
4 generated electricity in the four (4) communities that  
5 comprise presently the diesel zone would be increasing so  
6 significantly?

7 MR. VINCE WARDEN: There is a very high  
8 growth rate in those communities.

9 MR. BOB PETERS: That would be population  
10 growth rate or economic development?

11 MR. VINCE WARDEN: Yes, population growth  
12 rate.

13 MR. BOB PETERS: Does that indicate to  
14 the Board, Mr. Warden that in terms of power resources,  
15 the Corporation is not looking further at installing  
16 small hydro plants -- or what somebody taught me were  
17 called "run of the river plants" -- for those  
18 communities?

19 But rather, diesel will be the -- the fuel  
20 of source or the -- sorry, the source of the fuel of  
21 choice?

22 MR. VINCE WARDEN: Mr. Peters, it  
23 probably would be better to defer that question to the  
24 next panel, because we have people that -- that are  
25 closer to this than this panel is.

1                   Various options have been looked at for  
2 providing alternate service to those communities, and  
3 they're in various stages of production.

4                   At this time, again, to be the best of my  
5 knowledge that there's -- nothing has -- has been able to  
6 compete with diesel in terms of cost.

7                   MR. BOB PETERS:    All right.  Well we'll  
8 have Mr. Thomas consider warned for that, and we'll --  
9 we'll approach that with him in the next panel.

10

11                                   (BRIEF PAUSE)

12

13                   MR. BOB PETERS:    In terms of the wind  
14 generation, the Board's been told that St. Leon had  
15 ninety-nine (99) megawatts, but on terms of energy it was  
16 about three hundred and twenty (320) gigawatt hours,  
17 correct?

18                   MR. HAROLD SURMINSKI:   Yes, that average,  
19 that is the estimate.

20                   MR. BOB PETERS:    And that assumes that  
21 St. Leon is online approximately 30 percent of the time?

22                   MR. HAROLD SURMINSKI:    I think it's  
23 closer to 40 percent, thirty-nine (39).

24                   MR. BOB PETERS:    And in that situation  
25 Manitoba Hydro is purchasing electricity from a non-

1 utility generator?

2 MR. HAROLD SURMINSKI: Yes, that's  
3 correct.

4 MR. BOB PETERS: Could that non-utility  
5 generator sell to any other counterparty other than  
6 Manitoba Hydro?

7

8 (BRIEF PAUSE)

9

10 MR. HAROLD SURMINSKI: Yes, a non-utility  
11 generator can -- has the option of -- of seeking  
12 transmission service and -- and selling wholesale  
13 directly.

14 MR. BOB PETERS: Just help me with the  
15 mechanics of that, Mr. Surminski. A non-utility  
16 generator -- let's just say with wind production -- could  
17 then interconnect with Manitoba Hydro's transmission  
18 facilities and then sell it to another party outside of  
19 Manitoba?

20

21 (BRIEF PAUSE)

22

23 MR. HAROLD SURMINSKI: Yes, they could.  
24 They could get transmission service to the border through  
25 our system.

1                   MR. BOB PETERS:    That non-utility  
2 generator could not sell retail within Manitoba?  That's  
3 your understanding?

4                   MR. HAROLD SURMINSKI:    Yes.

5                   MR. BOB PETERS:    And that's because of  
6 provincial legislation?

7                   MR. HAROLD SURMINSKI:    Yes.

8                   MR. BOB PETERS:    But you're telling the  
9 Board that these non-utility generators could sell  
10 outside of the province, provided they paid the  
11 transmission to get it there?

12                   MR. HAROLD SURMINSKI:    Yes.

13                   MR. BOB PETERS:    All right.  Or they had  
14 the purchaser pay the transmission to take it away?

15                   MR. HAROLD SURMINSKI:    Yes.  Somebody  
16 would have to cover that.

17                   MR. BOB PETERS:    Now I take it there's a  
18 -- a significant engineering feat to interconnect the  
19 wind generation to the -- to the Manitoba Hydro grid?

20                   MR. HAROLD SURMINSKI:    Yes, because they  
21 are a significant -- a significant, large entity that --  
22 that just can't feed into some low-voltage areas.  It has  
23 to be in an area that has transmission coming out of it.  
24 And it requires a substation, usually, to -- to tie into  
25 our system.

1                   MR. BOB PETERS:    Who pays for that  
2 substation?

3

4                                   (BRIEF PAUSE)

5

6                   MR. HAROLD SURMINSKI:    Yes, the generator  
7 -- or the non-utility generator pays their -- their full  
8 share of interconnection costs.

9                   MR. BOB PETERS:    Is the full share of  
10 interconnection costs 100 percent of the interconnection  
11 costs?

12

13                                   (BRIEF PAUSE)

14

15                   MR. HAROLD SURMINSKI:    Yes, it would be a  
16 full share of the incremental cost.

17                   MR. BOB PETERS:    Mr. Surminski, does  
18 Manitoba Hydro consider wind as a dependable resource?

19                   MR. HAROLD SURMINSKI:    No.  It is -- it  
20 is very intermittent, and there's no guarantee that it  
21 will be available in any day or hour.

22                                   But over the period of a year, there is  
23 definitely a quantity of energy that -- that you could  
24 count on.  So we consider it as a dependable energy  
25 resource over an extended time period, like a year.

1                   But the capacity aspect -- the capability  
2 of supplying in any hour -- is -- is definitely not  
3 there.

4                   So it is a dependable energy resource, but  
5 not a capacity.

6                   MR. BOB PETERS:    Thank you for explaining  
7 the difference.

8                   What you're telling the Board is that over  
9 the course of a year, you have a fairly high comfort as  
10 to how many gigawatt hours will be produced through wind  
11 generation.

12                   But, at any point in time, you can't be  
13 certain that that capacity is going to be on hand?

14                   MR. HAROLD SURMINSKI:    Yes.

15                   MR. BOB PETERS:    And then do I take it  
16 whenever the wind is blowing and the -- the wind  
17 generators are turning, that Manitoba Hydro is not using  
18 water to generate an equivalent amount of electricity?

19                   MR. HAROLD SURMINSKI:    Not necessarily.  
20 It would be the case if we were limited in our tie line  
21 and -- but if -- if we could export all our hydraulic and  
22 at the same time export the additional wind energy, they  
23 could both go at the same time.

24                   MR. BOB PETERS:    But you've already told  
25 the Board that in your summer months, anyway, your tie

1 lines are full with all of the electricity generated from  
2 your hydraulic sources, in terms of exports.

3 So if you had wind going at the same time,  
4 you couldn't export additional electricity?

5 MR. HAROLD SURMINSKI: I did not -- yes, I  
6 would say it's not all of the time, though, in the summer  
7 months that -- that we are -- are limited to that degree.

8 We often are generation limited also, so  
9 it's -- it's not necessarily the tie line that -- that's  
10 the limit. So during -- during these periods we do -- we  
11 can use the additional wind generation to supplement the  
12 Manitoba Hydro generation.

13 MR. BOB PETERS: How -- have you  
14 disclosed in the filing, Mr. Surminski, what percentage  
15 of the wind generation can be sold on-peak without --  
16 with the savings, then, of hydraulic generation to --  
17 instead of using water for the source, just export the  
18 wind?

19

20 (BRIEF PAUSE)

21

22 MR. HAROLD SURMINSKI: The wind energy  
23 supplies the integrated system. It's -- it's not really  
24 possible to -- to differentiate and -- and back-calculate  
25 what portion is exported and what hours, you know. We

1 re-regulate our reservoirs, so it's -- it's really not --  
2 not possible to trace exactly when -- when the energy is  
3 sold.

4 MR. BOB PETERS: Do you buy energy from  
5 wind generators classified as dependable energy?

6 MR. HAROLD SURMINSKI: Yes, we do. In  
7 fact, I just remembered why you were calculating, maybe,  
8 the 30 percent capacity factor is because the -- it's  
9 dependable energy that's being shown in these tables.  
10 And average energy is actually higher than that,  
11 15 percent higher. So we assume dependable energy is  
12 about 85 percent of average.

13 MR. BOB PETERS: Mr. Surminski, available  
14 on the Internet is some information as to what prices  
15 were achieved from the sale of dependable energy as well  
16 as non-dependable prices.

17 Are you aware of that being in the public  
18 domain?

19 MR. HAROLD SURMINSKI: No, I'm not. But  
20 if you could tell me what the numbers are...

21 MR. BOB PETERS: I'll put them on the  
22 public record but once -- once they're out there -- it's  
23 from the Algonquin Power Income Fund, Annual Information  
24 Form, filed March 31st of 2006.

25 Mr. Chairman, I'm going to withhold that

1 information until the break and maybe speak through  
2 counsel. I just want to be sensitive that if this  
3 information is thought by the Corporation not to be  
4 public and I make it public, that may be detrimental. So  
5 I'll -- I'll discuss that first before I do so.

6 Mr. Surminski, they -- the conceptual  
7 point I want to conclude on is that when the wind is  
8 blowing and the turbines spinning, there may not be the  
9 need for generation through other sources, correct?

10 MR. HAROLD SURMINSKI: Yes, correct.

11 MR. BOB PETERS: And if there's not the  
12 need for generation through other sources, Manitoba  
13 Hydro, from an operations point of view, would hold back  
14 water in one of its reservoirs?

15 MR. HAROLD SURMINSKI: Yes.

16 MR. BOB PETERS: And therefore it's using  
17 hydraulic flows to back up the wind, correct?

18 MR. HAROLD SURMINSKI: Yes, correct.  
19 That's very much an advantage of integrating wind into a  
20 hydraulic system such as ours.

21 MR. BOB MAYER: That's what we call  
22 "firming and shaping"?

23 MR. HAROLD SURMINSKI: That term was  
24 used, yes, as you may remember.

25 MR. BOB MAYER: I was hoping to hear from

1 that gentleman again this time, but I guess Byron's not  
2 calling him.

3

4 (BRIEF PAUSE)

5

6 MS. SUSAN PROVEN: I'm -- I'm just still  
7 left confused about how a private wind developer could  
8 sell this power without, I mean, obviously putting it on  
9 the transmission line. But he wouldn't have the backup  
10 of the hydraulics.

11 So he might have a day when there's  
12 nothing, right?

13 MR. HAROLD SURMINSKI: Yes, but in our  
14 evaluation of value to our system we -- we consider the  
15 ability that we have of -- of reducing flows, turning off  
16 a hydraulic unit, putting into reservoir storage or  
17 taking out of --

18 MS. SUSAN PROVEN: Right.

19 MR. HAROLD SURMINSKI: -- reservoir  
20 storage when they are not there.

21 MS. SUSAN PROVEN: Okay. All right.

22 MR. HAROLD SURMINSKI: So we actually  
23 charge, in -- in effect, we actually charge for this  
24 service that we provide. The wind energy by itself would  
25 be worth a lot less.

1 MS. SUSAN PROVEN: Mm-hm.

2 MR. HAROLD SURMINSKI: But we enhance the  
3 value by using our system.

4 MS. SUSAN PROVEN: Right. And they pay  
5 for that if they're doing a private sale?

6 MR. HAROLD SURMINSKI: Well, we just  
7 charge them less in the first place as compared to a  
8 fully dispatchable, dependable resource.

9 MS. SUSAN PROVEN: Okay.

10 MR. HAROLD SURMINSKI: A dependable  
11 resource would be worth more. We -- we --

12 MS. SUSAN PROVEN: Right.

13 MR. HAROLD SURMINSKI: -- what we accept  
14 or --

15 MS. SUSAN PROVEN: Okay.

16 MR. HAROLD SURMINSKI: -- what we pay is  
17 -- is less than we would for an alternative, more  
18 dispatchable type of resource.

19 MS. SUSAN PROVEN: Okay. Thank you.

20

21 CONTINUED BY MR. BOB PETERS:

22 MR. BOB PETERS: Mr. Surminski, in  
23 Tab 46, page 3 of the book of documents that I hope you  
24 have a copy of, and your counsel certainly does, there's  
25 a -- a chart from Manitoba Hydro looking at the various

1 flow years and the system in-flow as well as the  
2 hydraulic energy produced.

3 And you've told the Board that the  
4 dependable flow of hydraulic generation is twenty-one  
5 thousand one hundred and twenty (21,120) gigawatt hours.

6 I've got that correct?

7 MR. HAROLD SURMINSKI: Yes.

8 MR. BOB PETERS: And when the Board will  
9 look at Manitoba Hydro answer to PUB Second Round  
10 Question 30, which is Tab 46, page 3, there are  
11 alternative scenarios where there's four (4) occasions  
12 where hydraulic generation was under the twenty thousand  
13 (20,000) gigawatt hours.

14 And, if that's the case, why aren't those  
15 years the dependable flow limitation years, as opposed to  
16 the twenty-one thousand one hundred and twenty (21,120)?

17 MR. HAROLD SURMINSKI: Again, this  
18 particular table was derived for a particular load year,  
19 which is not 2010/'11, actually, it -- as described in  
20 the test. It is not the -- a critical load year in terms  
21 of supply. Like it -- 2020 or '21 would be the -- the  
22 critical year in which load grows to the point of  
23 requiring the system to be run harder in order to -- to  
24 maximize the use of the hydraulic energy.

25 But I think also -- maybe I should correct

1 -- I believe I said the worst -- there were the -- the  
2 dependable year was '39/'40. In fact, it's 1940/'41.

3 MR. BOB PETERS: Thank you, Mr.  
4 Surminski.

5 Mr. Chairman, this might be an appropriate  
6 time for the lunch recess, and I'll pick it up right  
7 after lunch.

8 THE CHAIRPERSON: Sounds good. Okay,  
9 we'll see you back at 1:15. Thank you.

10

11 --- Upon recessing at 11:59 a.m.

12 --- Upon resuming at 1:19 p.m.

13

14 THE CHAIRPERSON: Okay, Mr. Peters, any  
15 time you're ready.

16

17 CONTINUED BY MR. BOB PETERS:

18 MR. BOB PETERS: Thank you, Mr. Chairman.

19 I want to complete my questions, panel, on  
20 -- on wind aspects of Power Resource Plan.

21 Mr. Surminski, is wind valued by Manitoba  
22 Hydro as a replacement of imports in peak hours?

23 MR. HAROLD SURMINSKI: No, it is not.

24 MR. BOB PETERS: How does Manitoba Hydro  
25 value wind?

1                   MR. HAROLD SURMINSKI:   In the long term,  
2 wind was valued by -- by considering what -- what could  
3 be achieved, in terms of integrating it into the Manitoba  
4 Hydro system. We go through an evaluation using our  
5 simulation analysis of all flow conditions. We create  
6 the -- the dependable portion of the wind has the ability  
7 to create a new long-term export sale, and the remaining  
8 opportunity part is evaluated as being sold on the  
9 market.

10                   In addition, there is all the  
11 consideration of -- in lower flow conditions the wind  
12 energy supports. It could be used to offset import and  
13 thermal.

14                   In high flow conditions, it has, you know,  
15 different roles in -- in terms of being available for  
16 export.

17                   MR. BOB PETERS:   In the Power Resource  
18 Plan, sir -- it's Tab -- sorry, it's Appendix 45 of this  
19 application, and particularly on page 15 is where I'm  
20 looking. I don't have it in the book of documents, sir.

21                   There's an indication that the levelized  
22 benefit of each incremental one hundred (100) megawatt  
23 block of wind compared to meeting the same loads with  
24 import ranges from fifty-seven dollars (\$57) to fifty-  
25 nine dollars (\$59), per megawatt hour.

1 Are you familiar with those numbers?

2 MR. HAROLD SURMINSKI: This is -- these  
3 are numbers in our Power Resource Plan document?

4 MR. BOB PETERS: Yes, sir.

5 MR. HAROLD SURMINSKI: Yes, I recall  
6 those.

7 MR. BOB PETERS: Doesn't that suggest to  
8 the Board that Manitoba Hydro is valuing wind the same as  
9 it would import energy?

10 MR. HAROLD SURMINSKI: Oh, I'll need --  
11 yes, if import energy has that value. It's coincidental  
12 that -- that the two (2) values may be identical.

13 MR. BOB PETERS: But you'd agree with me  
14 that in absolute terms wind energy is not as valuable as  
15 import energy, because it's not as dependable?

16 MR. HAROLD SURMINSKI: Yes.

17 MR. BOB PETERS: And it's probably one-  
18 third (1/3) as efficient, even if it was available.

19 MR. HAROLD SURMINSKI: One third (1/3) as  
20 efficient as?

21 MR. BOB PETERS: As an import  
22 opportunity.

23 MR. HAROLD SURMINSKI: It's difficult to  
24 -- to answer that by -- what do you mean by efficiency?

25 MR. BOB PETERS: Maybe put another way,

1 if the wind is available 30 percent of the time -- the  
2 wind energy's available 30 percent of the time, it may be  
3 that you only need it in Manitoba Hydro system 30 percent  
4 of the time, but those two (2) 30 percent time intervals  
5 don't often overlap.

6 MR. HAROLD SURMINSKI: No, I do not  
7 understand what you mean by the two (2) 30 percent time  
8 intervals.

9 MR. BOB PETERS: Wind isn't always  
10 available when you want it --

11 MR. HAROLD SURMINSKI: Yes.

12 MR. BOB PETERS: -- and, therefore, when  
13 it is available, you have to alter your resource planning  
14 to take advantage of it, when it is available.

15 MR. HAROLD SURMINSKI: Yes.

16 MR. BOB PETERS: And in some instances if  
17 it's too windy, you can't use the wind.

18 MR. HAROLD SURMINSKI: Yes, it depends on  
19 -- on your hydraulic supply in your system.

20 MR. BOB PETERS: No, I meant if the wind  
21 gets over 72 kilometres an hour, you've got to shut down  
22 the turbines.

23 MR. HAROLD SURMINSKI: That's not -- yes,  
24 that's not our concern, it's the proponent in that case.  
25 We're not -- we're not -- there's nothing for us to buy

1 in that case.

2 MR. BOB PETERS: And likewise if it's too  
3 cold, the proponent can't sell to you.

4 MR. HAROLD SURMINSKI: Yes, that's right.

5 MR. BOB PETERS: Turbines are shut down  
6 when it gets cold.

7 MR. HAROLD SURMINSKI: Yes, extremely  
8 cold.

9 MR. BOB PETERS: Can you tell the Board,  
10 Mr. Surminski, and I'm not gonna use actual numerical  
11 values, but is Manitoba Hydro buying wind energy and  
12 paying more for it than Manitoba Hydro can get by selling  
13 that same energy on the export market?

14

15 (BRIEF PAUSE)

16

17 MR. HAROLD SURMINSKI: In our evaluation  
18 we had -- we had included a risk premium to be built into  
19 -- into the whole value. And I think we -- we have  
20 basically lost that -- that cushion we had, but I think  
21 in the end what we actually are getting is -- is  
22 breakeven. We had -- we wanted really a higher value  
23 with a risk premium built in, but currently we could say  
24 that it's a breakeven.

25 MR. BOB PETERS: And what does that tell

1 Manitoba Hydro and this Board in terms of what you're  
2 going to do with the next three hundred (300) megawatts  
3 that you're seeking to purchase? How are you going to  
4 price that?

5 MR. HAROLD SURMINSKI: All indications  
6 are that it should be priced higher than the existing.

7 MR. BOB PETERS: And in terms of your  
8 proposals, you currently do have proposals out for supply  
9 of additional wind energy?

10 MR. HAROLD SURMINSKI: Yes, we do.

11 MR. BOB PETERS: And in that situation is  
12 Manitoba Hydro offering a price as to what it will pay  
13 for the energy?

14 MR. HAROLD SURMINSKI: No. No, it was a  
15 request for proposals. Prices will be negotiated  
16 depending on -- on the responses.

17 MR. BOB PETERS: so you're asking the  
18 proponents to indicate what price they would be prepared  
19 to sell to Manitoba Hydro?

20 MR. HAROLD SURMINSKI: Yes, that's right.  
21 As well as interconnection costs, location in the system,  
22 other variables also.

23 MR. BOB PETERS: And once you get the  
24 price from the proponents then you're saying that's  
25 subject to a further negotiation with Manitoba Hydro?

1 MR. HAROLD SURMINSKI: Yes, that's right.

2 MR. BOB PETERS: Would it be fair to say  
3 then that the proponents don't have any certainty as to  
4 how much they're going to get for their product at this  
5 point in time?

6 MR. HAROLD SURMINSKI: Yes, that's right.

7 MR. BOB PETERS: Did you indicate  
8 earlier, Mr. Surminski, that wind would have a different  
9 value to the Corporation in times of mean flows perhaps,  
10 compared to times of median flows?

11 MR. HAROLD SURMINSKI: Yes, although it's  
12 -- it's the more extreme. Median and -- what was the  
13 other -- was it minimum you mentioned?

14 MR. BOB PETERS: I think I said mean or -  
15 - or median but --

16 MR. HAROLD SURMINSKI: Yeah, mean and  
17 median are almost identical. It's -- it's more the low  
18 and the high that is the -- where the differential lies.

19 MR. BOB PETERS: Put another way, when  
20 the water flows are at their lowest, the wind value --  
21 wind is valued at its highest?

22 MR. HAROLD SURMINSKI: Yes.

23 MR. BOB PETERS: Does Manitoba Hydro  
24 value wind at more or less than it does the Wuskwatim  
25 energy? MR. HAROLD SURMINSKI: It values it in

1 exactly the same way, given the characteristics of the  
2 product. They are not equal products at all, the wind  
3 being not dispatchable, not dependable, so it's given  
4 appropriate weight in determining its value.

5 MR. BOB PETERS: All right, thank you.  
6 We've covered a number of capital expenditures, I'm not  
7 going to repeat those discussions. There was a question  
8 answered in the Information Request process but probably  
9 struck Manitoba Hydro's as curious.

10 If there had been a media report that  
11 Manitoba Hydro was investing in a -- the capital cost of  
12 the construction of a hospital in Grand Rapids -- Mr.  
13 Warden, to your knowledge that's not happening?

14 And that is an Information Request Second  
15 Round 86 that was asked of the Corporation, and the  
16 answer was: The Corporation had no direct investment in  
17 the construction of a hospital at Grand Rapids.

18 MR. VINCE WARDEN: Yes, I agree with that  
19 response.

20 MR. BOB PETERS: All right. Is Manitoba  
21 Hydro indirectly contributing to a hospital in Grand  
22 Rapids?

23 MR. VINCE WARDEN: Not to my knowledge,  
24 no.

25 MR. BOB PETERS: So if it's from --

1                   MR. BOB MAYER:    Can you tell me where  
2   that -- where that's coming from, Mr. Peters?  I have my  
3   suspicions but --

4                   MR. BOB PETERS:    I think it was in an  
5   airplane information brochure that flies to Northern  
6   Manitoba, Mr. Mayer.  And we'll -- it struck me as  
7   unusual and I kind of filed that and I thought I better  
8   make sure I was asking it the right way.

9                   MR. BOB MAYER:    I -- I would want to be  
10  looking at what kind of deal Mr. Brennan cut with Chief  
11  Mercredi when they wanted to get that water flowing back  
12  down the old pipe.

13

14  CONTINUED BY MR. BOB PETERS:

15                   MR. BOB PETERS:    Okay.  Mr. -- Mr.  
16  Warden, Manitoba Hydro not only has the hydro-lines it  
17  also now has telecommunications lines, as I understand it  
18  from the filing.

19                   You have a fibreoptic system that goes up  
20  Interlake.

21                   MR. VINCE WARDEN:    We do.

22                   MR. BOB PETERS:    And do you know the  
23  approximate capital cost of that -- of that system?  Does  
24  anybody in the panel have that information?

25

1 (BRIEF PAUSE)

2

3 MR. VINCE WARDEN: I think, Mr. Peters, I  
4 prefer to take that as an undertaking rather than try to  
5 find that immediately. Rather than give you an  
6 approximate we'll -- we'll get the exact number.

7 MR. BOB PETERS: All right, that's fair.

8

9 --- UNDERTAKING NO. 17: Manitoba Hydro to provide the  
10 Board with approximate  
11 capital cost of the  
12 fibroptic system

13

14 CONTINUED BY MR. BOB PETERS:

15 MR. BOB PETERS: This is a -- it's own  
16 communications network that Manitoba Hydro has installed?

17 MR. VINCE WARDEN: Yes, it is.

18 MR. BOB PETERS: And is it for anything  
19 other than telephone communication?

20 MR. VINCE WARDEN: It goes beyond  
21 telephone communication, Mr. Peters.

22 MR. BOB PETERS: To include what, sir?

23 MR. VINCE WARDEN: I was afraid you were  
24 going to ask that.

25 MR. BOB PETERS: Well, data? Is it

1 television? Is it an Internet service?

2 MR. VINCE WARDEN: It -- it would be all  
3 of those. And maybe when I get the capital cost number,  
4 I'll -- I'll be more precise with that answer, if I  
5 could?

6 MR. BOB PETERS: Okay, and would that  
7 communication system be -- be only available to Manitoba  
8 Hydro?

9 Or is it - is it allowing subscribers  
10 access to it, other than Manitoba Hydro?

11

12 (BRIEF PAUSE)

13

14 MR. VINCE WARDEN: Part of the -- the  
15 major part of -- of the communication system is dedicated  
16 to Manitoba Hydro. I believe -- again, subject to check  
17 -- there are some, what we call, dark fibre that is  
18 leased out to others. But that would have to -- again,  
19 I'll -- I'll confirm that.

20 MR. BOB PETERS: All right. The capital  
21 amount would be appreciated, if you could provide that.

22 MR. VINCE WARDEN: I will.

23 MR. BOB PETERS: Thank you.

24 In turning to the book of documents, Tab  
25 19, we get into the corporate -- the corporate debt

1 situation. And perhaps that's why Mr. Rainkie has left  
2 the room, although I wondered if he was bring more good  
3 news to Mr. Warden. But I didn't hear any this morning,  
4 so we'll assume that Mr. Warden's latest estimate is the  
5 one that the Board should consider at this time.

6 But, in terms of the long-term debt of the  
7 Corporation, here's the debt of the Corporation, Mr.  
8 Warden.

9 It's grown from \$5.8 million, in terms of  
10 long-term debt, up to thirteen point seven (13.7) over  
11 the planning horizon, correct?

12 MR. VINCE WARDEN: Yes.

13 MR. BOB PETERS: And, of that 13.7  
14 million at the far end of the horizon, new generation is  
15 going to make up approximately \$8 billion of that amount,  
16 and Bipole 2 will be -- billion with a "B" would be, if I  
17 misspoke -- sorry -- 5.8 billion escalating to 13.6  
18 billion.

19 Is that right, Mr. Warden?

20

21 (BRIEF PAUSE)

22

23 MR. BOB PETERS: I'm looking at the 1999  
24 long-term debt closing balance.

25 MR. VINCE WARDEN: Yes, Mr. Peters. I

1 think you referenced new generation making up a component  
2 of that, and I was just looking for that reference.

3 MR. BOB PETERS: Maybe on the next page,  
4 this coming from PUB/Manitoba Hydro Second Round 46(a).

5 MR. VINCE WARDEN: I don't think the time  
6 frames are identical on that -- that second page.

7 So -- so maybe if you could ask your  
8 question, I'll -- I'll try to respond.

9 MR. BOB PETERS: All right, well, let's  
10 then turn to the second page at Tab 19 of the book of  
11 documents.

12 In terms of the new generation and major  
13 transmission, going out to 2017/'18, appears to be about  
14 \$8 billion planned of the total of \$13 billion?

15

16 (BRIEF PAUSE)

17

18 MR. VINCE WARDEN: Mr. Peters, I'm just  
19 attempting to reconcile the first schedule with the  
20 second. The numbers are identical though; the thirteen  
21 (13) -- well, not -- not 100 percent identical. We are  
22 talking different time frames in those two schedules.

23 But as indicated on the schedule on page  
24 2, the total over the period 2003/'04 through to  
25 2017/'18, 13.4 billion, of which 8.1 billion is new

1 generation and major transmission.

2 MR. BOB PETERS: And just so the Board  
3 sees the -- the big picture, and even though it's not  
4 presented -- I think it was in the -- the MIPUG pre-filed  
5 evidence, that there's a potential for \$5 to \$10 billion  
6 more for projects in the three (3) years beyond the cycle  
7 that ends in 2018.

8 And that would include Keeyask, Conawapa,  
9 as well as the Bipole or other transmission?

10 MR. VINCE WARDEN: That's right.

11 MR. BOB PETERS: When the Board looks at  
12 the spending, sir, by project on the third and last page  
13 under the book of documents, Tab 19 -- the last page,  
14 again, taken from PUB Second Round 46(b) -- it's broken  
15 down by projects.

16 And I think we had a discussion that  
17 Manitoba Hydro has not committed one way or the other as  
18 to whether the next major generation past Wuskwatim will  
19 be Conawapa or Keeyask, correct?

20 MR. VINCE WARDEN: Correct.

21 MR. BOB PETERS: Does that mean, sir,  
22 that the expenditures under these line items would be  
23 foregone expenditures -- or we'll call them stranded  
24 costs -- at least until the plant would be resurrected,  
25 if the Corporation went with Keeyask instead of Conawapa,

1 for example?

2                   There'd be 3. -- or \$2.2 billion of  
3 expenditures that wouldn't be necessarily required?

4                   MR. VINCE WARDEN: No, the 2.2 billion  
5 takes us out to 2017/'18. So we -- we'd only look at the  
6 actual expenditures incurred to the end of 2007/'08 in  
7 the case of Conawapa. So it would be the total of,  
8 starting in 2002/'03, going from the .5 million up to and  
9 including 32.6 million under 2007/'08.

10

11                   (BRIEF PAUSE)

12

13                   MR. BOB PETERS: And from Manitoba  
14 Hydro's accounting practice, sir, if a decision was made  
15 to advance one (1) of those over the other, the one (1)  
16 that was not being advanced would end up being  
17 capitalized and kept capitalized until a decision was  
18 made on bringing that plant in-service?

19                   MR. VINCE WARDEN: No, and I -- I just  
20 want to make clear that it's not a necessarily a  
21 tradeoff, one (1) for the other. Both could proceed, in  
22 which case there wouldn't be an accounting issue with  
23 respect to how those costs are handled.

24                   But under the assumption that -- that  
25 you're using -- that Conawapa is the one (1) that doesn't

1 proceed, then those costs would be transferred back to  
2 our -- our planning -- what we call planning studies and  
3 amortized over a period of fifteen (15) years.

4 MR. BOB PETERS: They'll be deferred and  
5 amortized?

6 MR. VINCE WARDEN: Exactly.

7 MR. BOB PETERS: All right. Related to  
8 the long-term debt, Mr. Warden, is an obligation on the  
9 Corporation to maintain a -- a sinking fund?

10 MR. VINCE WARDEN: Yes.

11 MR. BOB PETERS: And there's been a  
12 suggestion in these proceedings that there may be some  
13 benefit to having Manitoba Hydro request the government  
14 to remove the obligation to contribute to the sinking  
15 fund?

16 MR. VINCE WARDEN: Well, I think that  
17 suggestion was probably made by us, by Manitoba Hydro.  
18 We -- we've been looking at that for some time.

19 The sinking fund has served a purpose in  
20 the past. And going forward, that purpose is probably  
21 not as -- as useful as it was in the past. And we -- we  
22 would look at the potential for either eliminating or --  
23 or drawing it down to an absolute minimum.

24 MR. BOB PETERS: What was its -- what do  
25 you believe its useful purpose was in the past?

1                   MR. VINCE WARDEN:   Well, we did to the  
2 extent that we had a statutory requirement to make a -- a  
3 payment into the sinking fund every year, we used that as  
4 part of our exposure management program for -- for  
5 managing foreign currency risks.

6                   MR. BOB PETERS:   And that's the -- the  
7 purpose that you don't feel is needed as much going  
8 forward?

9                   MR. VINCE WARDEN:   No, with the -- with  
10 the changes in the accounting standards that were  
11 effective this year, the -- the sinking fund doesn't play  
12 as large a role as it did in the past in terms of the  
13 hedging program.

14

15                                   (BRIEF PAUSE)

16

17                   MR. BOB PETERS:   Mr. Warden, if I recall  
18 correctly, Mr. Page indicated that there was a sinking  
19 fund established relative to the Wuskwatim Power Limited  
20 Partnership debt.

21                                   Did you understand him to be saying that?

22                   MR. VINCE WARDEN:   It's not specifically,  
23 related to the Wuskwatim Power Limited Partnership debt.  
24 To the extent that Manitoba Hydro borrows on behalf of  
25 the limited partnership, that just forms part of the

1 long-term debt on which the sinking fund calculation is  
2 based. But it's not specifically related to the  
3 Wuskwatim Power Limited Partnership.

4 MR. BOB PETERS: And you're not -- you're  
5 not treating the debt for Wuskwatim Power Limited  
6 Partnership any differently you are -- than you are for  
7 the rest of the corporate debt?

8 MR. VINCE WARDEN: That's right.

9 MR. BOB PETERS: In Tab 20 of the book of  
10 documents there were some documents related to the  
11 finance expense of the Corporation. And in terms of  
12 finance expense interest on debt this chart shows, Mr.  
13 Warden, that it's growing from \$470 million in the 1999  
14 fiscal year, out to \$859 million in 2018, correct?

15 MR. VINCE WARDEN: Yes, that's the -- the  
16 gross interest number on long and short-term debt.

17 MR. BOB PETERS: And that's a function of  
18 many of those capital expenditures that we have talked  
19 about and that are contained in the capital expenditure  
20 forecast?

21 MR. VINCE WARDEN: Yes.

22 MR. BOB PETERS: The growth in the  
23 provincial guarantee fee is a growth simply based on the  
24 increase in debt but not an increase in the rate of the  
25 provincial debt guarantee fee?

1                   MR. VINCE WARDEN: Well, there were some  
2 changes. The last time the provincial debt guarantee fee  
3 increased was, I believe in 2000 -- April the 1st, 2005.  
4 It went to 1 percent, but it was the lesser percent  
5 before that.

6                   MR. BOB PETERS: From point .95 percent?

7                   MR. VINCE WARDEN: One point nine five  
8 (1.95) and then point seven zero (.70), previous --

9                   MR. BOB PETERS: Right.

10                  MR. VINCE WARDEN: -- to that.

11                  MR. BOB PETERS: Okay, sorry. Thank you  
12 for that correction. But from the year we're in now  
13 going forward the debt guarantee fee remains at 1 percent  
14 of the outstanding corporate debt, as of March 31st of  
15 the previous fiscal year?

16                  MR. VINCE WARDEN: That's the assumption  
17 going forward, yes.

18                  MR. BOB PETERS: And it's still the  
19 assumption of Manitoba Hydro that by having the  
20 provincial debt guarantee fee, debt is still cheaper than  
21 if it had to find debt on a stand-alone basis?

22                  MR. VINCE WARDEN: Yeah, there's no  
23 question of that. Yes.

24                  MR. BOB PETERS: On the schedule that  
25 we're looking at in Tab 20 of the book of documents, the

1 second page in, which is the schedule attached to  
2 PUB/Manitoba Hydro First Round 43, there's a line item  
3 called "Capitalized Interest" and can you explain that to  
4 the Board, sir.

5 MR. VINCE WARDEN: Yes, capitalized  
6 interest is charged to all projects during the  
7 construction phase, until such time as that project comes  
8 into service. So the monies that are borrowed to finance  
9 any capital project are capitalized as a part of the cost  
10 of that project and are depreciated over the life of the  
11 project after the project comes into service.

12 MR. BOB PETERS: So that interest will  
13 have to be paid but it will be paid sometime in the  
14 future?

15 MR. VINCE WARDEN: Yes, it will be paid  
16 or -- so to speak, or it will be included in rates in the  
17 years in which the youthful life of that asset is  
18 amortized.

19 MR. BOB PETERS: It's not in rates  
20 currently?

21 MR. VINCE WARDEN: The capitalized  
22 portion is not in rates currently.

23 MR. BOB PETERS: But it's continuing to  
24 attract carrying costs?

25 MR. VINCE WARDEN: The interest is

1 continuing to attract --

2 MR. BOB PETERS: Additional carrying  
3 costs?

4 MR. VINCE WARDEN: Well, interest is  
5 compounded, if that's what you mean, yes.

6 MR. BOB PETERS: So while the total  
7 finance expense will increase when a plant comes in-  
8 service, the offset is any additional revenues that are  
9 sourced from that asset coming in-service?

10 MR. VINCE WARDEN: That's correct.

11 MR. BOB PETERS: And to the extent that  
12 the revenues don't offset the financing costs, there's a  
13 revenue requirement or deficiency that needs to be met --

14 MR. VINCE WARDEN: Yes.

15 MR. BOB PETERS: -- by some other source?

16 MR. VINCE WARDEN: Yes.

17

18 (BRIEF PAUSE)

19

20 MR. BOB PETERS: Back to Bipole 3 and  
21 Tab 18 of the book of documents. Looking at this capital  
22 project, Mr. Warden, as I've understood the purpose and  
23 justification from the evidence, Number 1, it would be  
24 for reliability purposes at -- at a minimum?

25 MR. VINCE WARDEN: Yes.

1 MR. BOB PETERS: And if you did have  
2 additional northern generation, it would be necessary to  
3 bring the electricity from the North down to Southern  
4 Manitoba?

5 MR. VINCE WARDEN: Additional to  
6 Wuskwatim, after Wuskwatim, yes.

7 MR. BOB PETERS: Yes. It would be  
8 addition to the Bipole 1 and 2 that you currently have,  
9 you would absolutely need Bipole 3 to bring down  
10 additional generation?

11 MR. VINCE WARDEN: After Wuskwatim.

12 MR. BOB PETERS: Yes?

13 MR. VINCE WARDEN: Yes. We're agreeing.

14 MR. BOB PETERS: Okay. I'm not sure I  
15 have and I'm not sure I should ask this question, but you  
16 filed your answers to some of the Board questions using  
17 routing on the east side and the west side.

18 Has a final decision been reached on that  
19 matter?

20 MR. VINCE WARDEN: Yes, Manitoba Hydro is  
21 proceeding on the basis that the routing will be down the  
22 west side.

23 MR. BOB PETERS: And not even under the  
24 middle of Lake Winnipeg, submerged, even though it's  
25 doing a study on that?

1                   MR. VINCE WARDEN: Well, as I mentioned  
2 earlier, we are doing that review. And that could affect  
3 the outcome of the -- of the routing.

4                   But at this time we're -- we're not  
5 waiting for that. We are -- there's a lot of preliminary  
6 work that has to be done, and we are moving ahead on the  
7 west side routing.

8

9                   (BRIEF PAUSE)

10

11                   MR. BOB PETERS: Can you explain to the  
12 Board the major escalation in costs from when this first  
13 surfaced in Capital Expenditure Forecast 03-1, and the  
14 Bipole was shown to be is \$346 million, or approximately  
15 \$360 million, to where it escalates to \$2.2 billion?

16                   MR. VINCE WARDEN: Yes, Mr. Peters. I  
17 think -- well that -- that very tab that you referenced,  
18 PUB/Manitoba Hydro Round Two 47 under Tab 18, references  
19 an article that we filed with this proceeding entitled  
20 "Sticker Shock." And it does point to some of the  
21 dramatic cost increases that we've experienced over the  
22 last number of years.

23                   So in addition to the change in the route  
24 of the transmission line, which is longer and more  
25 costly, the -- the prices that we've experienced for --

1 for steel and other input costs have risen quite  
2 dramatically.

3

4 (BRIEF PAUSE)

5

6 MR. VINCE WARDEN: Mr. Peters, I -- I'm  
7 informed that although we've referenced the article,  
8 "Sticker Shock," and we have made reference to excerpts  
9 from that article here and there in our filing, the  
10 article itself has not yet been filed.

11 But we do have now the permission of the  
12 authors to file that, and we could -- we could certainly  
13 undertake to do that if --

14 MR. BOB PETERS: Is that from the  
15 Fortnightly Magazine?

16 MR. VINCE WARDEN: Yes, it is.

17 MR. BOB PETERS: All right. I think it  
18 would be beneficial if you did file it. I do believe,  
19 probably, many people have already referenced it either  
20 in paper or online. But you could file that at your next  
21 opportunity would be fine.

22 MR. VINCE WARDEN: We'll do that.

23 MR. BOB PETERS: And, Mr. Warden, I take  
24 from your answer there will be throwaway costs related to  
25 the planning and the studies done on the east side of the

1 Interlake that will no longer now be required?

2

3

(BRIEF PAUSE)

4

5

MR. VINCE WARDEN: Mr. Peters, just  
6 before I answer your more recent question, I was reminded  
7 that the early estimate for -- for the transmission line  
8 at Bipole 3 eastside did not include converter equipment.

9 So the original estimate -- estimate did  
10 not -- was the line -- transmission line only. And the  
11 more recent estimates have been -- have included the  
12 converter equipment, which is a significant increase --  
13 reason for the increase in costs as well.

14 MR. BOB PETERS: And -- and just before  
15 we proceed further, Mr. Warden, my understanding was that  
16 that converter stations that you reference that'll be  
17 added to the west side costs were costs that may not be  
18 initially needed if the line was on the east side.

19 MR. VINCE WARDEN: That's true. We would  
20 be installing the converter equipment earlier than we  
21 otherwise would have if -- if the transmission had been  
22 on the east -- the line had been on the east side.

23 But it was only -- really only a timing  
24 matter though. Converter equipment would have been  
25 required ultimately.

1                   MR. BOB PETERS:    It would have been  
2 required -- it was advanced but not necessarily  
3 incremental?

4                   MR. VINCE WARDEN:    Yeah, when we were --  
5 were originally planning on building a transmission line  
6 it was solely for reliability purposes, but as we get  
7 closer to new generation that converter equipment will be  
8 required to support that new generation.

9                   MR. BOB PETERS:    And it may assist the  
10 Board and the panel, Mr. Chairman, at Tab 22 of the book  
11 of documents, there was some -- some Bipole costing.

12                   And, Mr. Warden, that converter station is  
13 \$1.2 billion as I understand it, and it contains two (2)  
14 converter stations: one (1) in the north that converts  
15 it from alternating current to direct current, and then  
16 one (1) in the south that will again invert that from DC  
17 to AC.

18                   MR. VINCE WARDEN:    Yes.

19                   MR. BOB PETERS:    And on the east side  
20 that converter station could have waited until, or if  
21 Conawapa was built and, therefore, it has to be advanced  
22 if it's gonna be put on the west side.

23                   MR. VINCE WARDEN:    Yes, either Conawapa  
24 or Keeyask.

25                   MR. BOB PETERS:    And it's an engineering

1 reason as to why you would need a converter station when  
2 you go on the west side, as compared to the east? It's  
3 ...

4 MR. VINCE WARDEN: That is correct.

5 MR. BOB PETERS: But the \$1.2 billion  
6 needs to be spent immediately -- the \$1.2 billion needs  
7 to be spent immediately if the converter station goes on  
8 to the west side, when the line goes down the west side.

9 MR. VINCE WARDEN: I'm just looking for  
10 your reference to one point two (1.2).

11 MR. BOB PETERS: If you look in the book  
12 of documents, Tab 22, and look in approximate middle of  
13 page under "Estimated Capital Cost", there's a capital  
14 cost of converters.

15 MR. VINCE WARDEN: Oh, yes, I'm -- I'm  
16 sorry. You're referring to the converters alone. So,  
17 yes, that would have to be spent immediately, that's  
18 right.

19 MR. BOB PETERS: The question that I  
20 asked and that I've almost forgotten, I hope you haven't,  
21 was whether or not there were throwaway costs or expended  
22 costs for your studies on the east side that are now  
23 going to be no longer necessary.

24 MR. VINCE WARDEN: Mr. Peters, if there  
25 are any such costs, excuse me, they are very minimal. We

1 didn't spend a lot of money on investigations into the  
2 east side, or negotiations on the east side, so the costs  
3 that were incurred would be quite small. I don't have an  
4 immediate number for that. I -- again, I can get that  
5 number but it would be quite minimal.

6 MR. BOB PETERS: If the Corporation could  
7 undertake to provide that information to the Board it  
8 would be helpful.

9 MR. VINCE WARDEN: Okay.

10

11 --- UNDERTAKING NO. 18: Manitoba Hydro to indicate to  
12 Board whether or not there  
13 are throwaway costs or  
14 expended costs for your  
15 studies on the east side that  
16 are now going to be no longer  
17 necessary

18

19 CONTINUED BY MR. BOB PETERS:

20 MR. BOB PETERS: And while I'm comparing  
21 or compiling the list, Mr. Warden, from -- from Tab 18 of  
22 the PUB book of documents, it appears the capital cost of  
23 the line is \$410 million more, at the time this answer  
24 was prepared, down the west side than the east side.

25

You'd agree with that?

1 MR. VINCE WARDEN: Yes.

2 MR. BOB PETERS: And in addition the line  
3 losses are greater when the line runs on the west side by  
4 about \$107 million of additional losses?

5 MR. VINCE WARDEN: Yes.

6 MR. BOB PETERS: And Mr. Surminski is  
7 going to provide an answer to an undertaking some time --  
8 that also deals with the question of whether there are  
9 capacity limitations, as to whether the line is routed on  
10 the west side, that it wouldn't have if it was on the  
11 east side, that would become operative in the event that  
12 the Bipoles 1 and 2 were not operational. So we'll wait  
13 for that answer.

14

15 (BRIEF PAUSE)

16

17 MR. BOB PETERS: And I'm not sure, Ms.  
18 Ramage may -- may direct you on this, but there was a  
19 request to provide a report that had been commissioned by  
20 Manitoba Hydro, in terms of the routing on the east side  
21 or the west side. I believe it was a CMC Consulting  
22 report, which I now understand is also posted on the  
23 Corporate internet.

24 MR. VINCE WARDEN: That's right, Mr.  
25 Peters.

1                   MR. BOB PETERS: All right. Mr. Warden,  
2 if you went for a lunch walk, you probably walked in the  
3 shadow of the new Manitoba Hydro headquarters.

4                   MR. VINCE WARDEN: As a matter of fact, I  
5 did.

6                   MR. BOB PETERS: How's your office  
7 looking?

8                   MR. VINCE WARDEN: I had to change a few  
9 things around while I was there.

10                  MR. BOB PETERS: Mr. Warden, this -- this  
11 new headquarters probably has a fair bit of excitement  
12 within the Corporation. It also has some financial  
13 implications that this Board needs to -- to ensure it  
14 understands.

15                  When you and I first talked about this  
16 headquarters, and it was a gleam in your eye, you  
17 introduced a new word to me called "placeholder." And it  
18 was a \$75 million placeholder you put in the capital  
19 expenditure forecast.

20                  Do you recall that?

21                  MR. VINCE WARDEN: Yes, I do recall that.

22                  MR. BOB PETERS: And that was for a small  
23 400,000 square foot bungalow that you were contemplating,  
24 but didn't -- didn't know where it was going to be sited,  
25 correct?

1                   MR. VINCE WARDEN:    At the time of the 75  
2 million, that's -- that's correct.  We didn't know where  
3 it was going to be sited and -- sited, and we expected  
4 the -- or the size to be approximately 400,000 square  
5 feet.

6                   MR. BOB PETERS:    And, in any event, that  
7 75 million doubled shortly thereafter, once -- once  
8 things became serious.  And then that \$150 million even  
9 increased to two hundred and fifty eight (258) in the  
10 CEF-06-1 that this Board, I think, last saw.

11                  MR. VINCE WARDEN:    Yes, Mr. Peters.  The  
12 -- the doubling was just in recognition that the 75  
13 million was, by far, understated.  We had, by no means --  
14 when we doubled it, we still did not have any real  
15 conception what the building was going to look like at  
16 that point in time.

17                  MR. BOB PETERS:    That's fair.  And by the  
18 time you did have some parameters and you were talking to  
19 architects and designers and the like, the number 258  
20 million was a bit more refined and used in one of the  
21 capital expenditure forecasts.

22                  MR. VINCE WARDEN:    Right.

23                  MR. BOB PETERS:    That 258 million grew to  
24 268 million in May of 2007 when you were before the Board  
25 at your gas hearing.  And that 268 million is now 278

1 million in the Hydro capital expenditure forecast.

2 Would that be correct?

3 MR. VINCE WARDEN: Actually, I -- I  
4 thought it went from two fifty-eight (258) to two  
5 seventy-eight (278) at one time. I do not recall  
6 referencing a two sixty-eight (268) number.

7 MR. BOB PETERS: Okay, thank you. I man  
8 be incorrect in -- in my memory on that, but I do have a  
9 little scribbled note here: "Public Utilities Board  
10 Centra [looks like] 146(c)." I don't know if we would  
11 have asked that many Information Requests, but we can  
12 check that if it becomes an issue.

13 In any event, it's now planned to be a  
14 695,000 square foot office tower in downtown Winnipeg?

15 MR. VINCE WARDEN: Yes.

16 MR. BOB PETERS: You've updated the Board  
17 on some good news and bad news in the Corporation, in  
18 terms of escalation costs.

19 Is the \$278 million number still a valid  
20 number?

21 MR. VINCE WARDEN: Yes, it is.

22 MR. BOB PETERS: It's not expected to be  
23 beyond that with any cost overruns?

24 MR. VINCE WARDEN: No, we're still  
25 satisfied that two seventy-eight (278) is a good number.

1                   MR. BOB PETERS:    In Tab 24 of the book of  
2 documents, you're ex -- you're explaining to the Board  
3 how this building is going to be paid for, and while you  
4 may have provided some information to the Board and some  
5 panel members at a -- at a gas hearing, I see also  
6 included in Tab 24 of your book of documents -- will be  
7 an Information Response the Corporation gave at Centra's  
8 2009 GRA.  I wanted you to have that with you as well.

9                   The upshot of it is the Corporation  
10 expects it will be able to construct this tower without  
11 having any impact on consumer rates.

12                   Have I got that right?

13                   MR. VINCE WARDEN:    Yes.  Our expectation  
14 is the -- the cost -- it will be cost-neutral to the  
15 Corporation.

16                   MR. BOB PETERS:    And in terms of being  
17 cost-neutral, I think at the gas hearing, you were  
18 expecting it could cost as much as -- financing costs of  
19 \$21 million a year, but in this hearing, in the IFF-07-1,  
20 those -- those financing costs are down to 18.75 million  
21 or \$18 million a year.

22                   Is that still your expectation?

23

24                   (BRIEF PAUSE)

25

1                   MR. VINCE WARDEN:    Yes, Mr. Peters, the  
2   21 million -- a bit of a different calculation here.  The  
3   21 million was simply the amount amortized a -- a debt of  
4   \$278 million over sixty (60) years at 7 1/2 percent.

5                   If you look at the schedule provided on  
6   the first page under Tab 24, the finance expense was  
7   calculated at eighteen point three (18.3) but you would  
8   have to add to that the 4.6 million of depreciations so -  
9   - to make them rough -- roughly comparable.

10                  MR. BOB PETERS:    So can you tell the  
11   Board how Manitoba Hydro expects to pay for this new head  
12   office without having to come to this Board for  
13   additional revenue in consumer rates?

14                  MR. VINCE WARDEN:    Yes.  What we've --  
15   our position on this is that we will reduce the current  
16   lease costs that we're incurring but in addition to that  
17   there will be significant productivity improvements by  
18   having all of the staff working together in one (1)  
19   location, rather than dispersed as we are today.  Or the  
20   majority of the staff.  Not all the staff, but the  
21   majority of the staff will be in one (1) location.

22                  MR. BOB PETERS:    And it'll take \$18.75  
23   million of incremental revenue a year to -- to pay for  
24   the building?

25

1 (BRIEF PAUSE)

2

3 MR. VINCE WARDEN: Mr. Peters, could you  
4 just give me your reference to the \$18.7 million?

5 MR. BOB PETERS: Yes. Second page in Tab  
6 24 of the book of documents.

7

8 (BRIEF PAUSE)

9

10 MR. VINCE WARDEN: Mr. Peters, I think  
11 all this PUB Second Round 42(d) is referring to is the  
12 difference between an earlier estimate at 7.5 percent,  
13 versus the updated rate of 6.6 percent.

14 So a reduction in interest rates resulted  
15 in -- in a reduction of the amount that would be required  
16 to extinguish that debt of 278 million over that same  
17 time period.

18 MR. BOB PETERS: When -- the expectation  
19 now is that it'll take \$22.8 million a year to attend to  
20 the cost and cover the costs of a new tower?

21 MR. VINCE WARDEN: Including all of the  
22 operating costs of the building, yes, that's correct.

23 MR. BOB PETERS: And that \$22.8 million  
24 is incremental monies that the Corporation has to find,  
25 and you're hoping to find it primarily through

1 productivity improvement?

2

3

(BRIEF PAUSE)

4

5

MR. VINCE WARDEN: Yes, Mr. Peters,  
6 that's fair to say, that the twenty-two point eight  
7 (22.8) is incremental.

8

MR. BOB PETERS: And you're not asking  
9 this Board, and you won't ask this Board, to recover that  
10 incremental money in consumer rates?

11

MR. VINCE WARDEN: Based on our  
12 assumption of productivity increases, that's correct.

13

14

(BRIEF PAUSE)

15

16

MR. BOB PETERS: And in rough terms,  
17 \$20 million a year is the potential productivity savings  
18 that the Corporation expects on a \$200 million payroll,  
19 related to that tower?

20

MR. VINCE WARDEN: Yes.

21

MR. BOB PETERS: In general terms can you  
22 explain to the Board how it is -- how it is productivity  
23 will increase by moving to downtown Winnipeg from 820  
24 Taylor?

25

MR. VINCE WARDEN: Well, we do base this

1 on the experience that a lot of it, somewhat anecdotal  
2 perhaps, but the experience of others that have gone  
3 through similar amalgamation exercises with staff,  
4 bringing staff together so they're working in closer  
5 proximity. They aren't having to travel every day to  
6 meetings, that they -- they can -- can meet with -- with  
7 each other on a regular basis, working in a more  
8 efficient environment than we are today.

9                   So the information that we've been  
10 provided is that we can expect productivity savings  
11 between 10 and as high as 20 percent.

12                   So we -- we are relying on that to cover  
13 the costs of -- of -- the incremental costs of the  
14 building.

15                   MR. BOB PETERS: In -- in addition to the  
16 productivity savings you're also indicating potential  
17 cost reduction factors of up to 10 percent, if I  
18 understand the evidence both in this Hearing and the last  
19 -- in the gas hearing.

20                   Is that your understanding, sir?

21                   MR. VINCE WARDEN: No, the cost  
22 reductions that we referenced, I believe, Mr. Peters, are  
23 one and the same.

24                   MR. BOB PETERS: All right, thank you.  
25 Are there any update to those figures, Mr. Warden?

1 Or they remain the same?

2 MR. VINCE WARDEN: They remain the same  
3 at this time, yes.

4 MR. BOB PETERS: And does the Corporation  
5 have any written reports or analysis verifying the  
6 attainability of those numbers?

7 MR. VINCE WARDEN: We do have some  
8 documentation that -- that does provide the experiences  
9 of others that have gone through similar exercises that  
10 does provide us with some information to go on, yes.

11 I might also mention too that I was  
12 talking earlier about attraction/retention of staff as  
13 being a major issue going forward. We do see the new  
14 building as being key for attracting and retaining staff  
15 at Manitoba Hydro that want to work in a professional  
16 environment.

17

18 (BRIEF PAUSE)

19

20 MR. BOB PETERS: When property taxes were  
21 last discussed on this new tower, Mr. Warden, there  
22 seemed to be some uncertainty, if I can.

23 Is that a more certain number that you've  
24 put forward in the book of documents, Tab 24, the first  
25 document?

1 (BRIEF PAUSE)

2

3 MR. VINCE WARDEN: Mr. Peters, my  
4 understanding is the property taxes are still somewhat  
5 uncertain. They are still under negotiations, so it's --  
6 it's the best information we have available at this time.

7 MR. BOB PETERS: Mr. Warden, at the gas  
8 hearing, if I read the Board order correctly -- Order  
9 99/07 -- the Board basically gave Centra two (2)  
10 options, in terms of how to deal with the new office, on  
11 the understanding that there would be no incremental  
12 costs attributed to the gas side of the business.

13 Has the Corporation concluded as to how it  
14 will proceed on -- on that side, in terms of  
15 demonstrating to the Board that no additional incremental  
16 costs are being added to the gas side?

17 MR. VINCE WARDEN: Yes, we -- we know  
18 what's being incurred today for space costs for gas-  
19 related operations. And we have committed to not  
20 increasing those costs on the gas side of the business  
21 beyond what they are today.

22 MR. BOB PETERS: And when it comes to  
23 tracking the costs -- excuse me.

24 When it comes to tracking the costs on the  
25 electric side, how will Manitoba Hydro demonstrate to

1 this Board the next time you are before it that it is  
2 paying this \$22.8 million out of improved efficiencies?

3 MR. VINCE WARDEN: Well, we do have  
4 within the information that has been filed in this  
5 proceeding, we do have charts of accounts that break down  
6 our costs into various categories. I would expect the  
7 Board and -- and Manitoba Hydro, as well, to be  
8 scrutinizing those costs in the future and making sure  
9 that they don't go up beyond or don't go up for reasons  
10 of the new building that can't be explained with offsets  
11 and -- and productivity.

12 MR. BOB PETERS: So Manitoba Hydro will  
13 be keeping track of the costs and demonstrating where the  
14 productivity is?

15 MR. VINCE WARDEN: Yes, we would expect  
16 to do that. We would expect we would have to demonstrate  
17 at a future proceeding that we have met our productivity  
18 targets.

19 MR. BOB PETERS: Does this include the  
20 Corporation establishing a baseline out of the OM&A costs  
21 that it incurs?

22 MR. VINCE WARDEN: That would seem  
23 reasonable, Mr. Peters.

24 MR. BOB PETERS: And approximately 75  
25 percent of the Corporates OM&A is related to payroll or

1 labour costs, is it not, Mr. Warden?

2 MR. VINCE WARDEN: It is.

3 MR. BOB PETERS: And you did indicate  
4 earlier that the Corporation has some challenges in  
5 attracting or filling positions that are becoming vacant.

6 Does the efficiencies attributed to the  
7 head office include a reduction in equivalent full-time  
8 positions?

9 MR. VINCE WARDEN: Compared to what they  
10 would otherwise be, yes.

11 MR. BOB PETERS: Okay, let me understand  
12 that. How many vacant EFTs do you have currently? You'd  
13 given that number before, I think.

14 MR. VINCE WARDEN: Yes, close to two  
15 hundred (200).

16 MR. BOB PETERS: And will any additional  
17 positions become vacant that will not be filled just to  
18 find the efficiencies related to the new building?

19

20 (BRIEF PAUSE)

21

22 MR. VINCE WARDEN: Well, kind of  
23 difficult to answer that question in a -- in a general  
24 way. We -- we are looking at all functions. The  
25 functions that different divisions, different departments

1 that are moving into the new head office, some will be  
2 experiencing growth for a number of different reasons.

3 For example, the power supply business  
4 unit will be experiencing quite significant growth  
5 because of the new generation projects -- new generation  
6 projects that are being planned. So the growth will  
7 occur naturally in that area.

8 Having said that, there will be  
9 productivity improvements by power supply people working  
10 together in one (1) location so that the increases in  
11 EFTs will not be as great as they would otherwise be. So  
12 we really do have to look at each division and determine  
13 where the productivity savings will be relative to, as  
14 you indicated earlier, a baseline that will be  
15 established.

16 MR. BOB PETERS: You -- are you in a  
17 position to indicate to the Board how many fewer EFTs  
18 there will be in the Corporation when the new building  
19 opens compared to how many there are today?

20 MR. VINCE WARDEN: Well the \$20 million  
21 in productivity savings equates to approximately two  
22 hundred (200) EFTs. So we are talking about two hundred  
23 (200) equivalent full-time employees.

24 MR. BOB PETERS: And, in terms of these  
25 two hundred (200) full-time employees, is there any plans

1 for a -- a voluntary termination incentive package, or is  
2 this a matter of attrition?

3 MR. VINCE WARDEN: Attrition is -- is  
4 probably more of a problem for us than -- than it is an  
5 opportunity. So, there will not be a problem in terms of  
6 identifying two hundred (200) positions or meeting that  
7 two hundred (200) position target.

8 MR. BOB PETERS: And would any of those  
9 two hundred (200) positions in the target be left vacant  
10 in any event?

11 MR. VINCE WARDEN: The -- the two hundred  
12 (200) positions that are vacant today are, to some  
13 extent, not being filled in -- in anticipation of moving  
14 in to the new head office.

15 Some others, though, are -- are urgently  
16 required to be filled, and we are -- we are attempting to  
17 fill those as quickly as possible.

18 MR. BOB PETERS: Thank you. I'd like to  
19 turn with the panel to some discussion on OM&A or  
20 operating, maintenance, and administrative costs --  
21 administration costs.

22 And Tab 25 of the book of documents  
23 contains a schedule where the operating costs have been  
24 functionalised.

25

1 (BRIEF PAUSE)

2

3 MR. BOB PETERS: And it shows a total  
4 functionalised operating costs of \$658 million.

5 MR. WILLY DERKSEN: Yes, we have that,  
6 sir.

7 MR. BOB PETERS: And that's only for the  
8 electric operations, Mr. Derksen?

9 MR. WILLY DERKSEN: Yes, that's correct.

10 MR. BOB PETERS: What you're answering  
11 when you say that is that, as I've discussed with Mr.  
12 Warden, there's an opportunity for the Corporation to  
13 incur OM&A costs.

14 But it either assigns or allocates some of  
15 those costs over to the subsidiaries, including Centra  
16 Gas, for example?

17 MR. WILLY DERKSEN: It certainly does  
18 allocate some of those costs to its operating  
19 subsidiaries, yes.

20 MR. BOB PETERS: And, Mr. Derksen, in the  
21 last PUB Order 99/'07 related to the gas side of the  
22 business, the Board requested Centra propose terms of  
23 reference for a review of cost development and allocation  
24 as between Hydro and Centra.

25 Do you recall that?

1 MR. WILLY DERKSEN: Yes, it did sir.

2 MR. BOB PETERS: And do you know the  
3 status of where that report is or how it's being  
4 considered?

5 MR. WILLY DERKSEN: I would expect that  
6 we would have the terms of reference proposed to the  
7 Board later on this month. It is under -- it's being  
8 worked on right now, sir.

9 MR. BOB PETERS: And in the -- in the GRA  
10 that's before this Board, you're not proposing any change  
11 in terms of allocating costs to the subsidiaries than  
12 what was proposed in the gas hearing?

13 MR. WILLY DERKSEN: That's correct.

14 MR. BOB PETERS: In the IFF, back on Tab  
15 10 of the book of documents -- and that was page 38 --  
16 the O&A -- OM&A costs were around \$360 million, Mr.  
17 Derksen.

18 I'm wondering if the items that have been  
19 cir -- circled on the page in Tab 25 are the items that  
20 would be removed to come to the approximate \$360 million  
21 shown on the IFF?

22 MR. WILLY DERKSEN: Sir, this -- the  
23 representation in Tab 25 is a cost allocation rate design  
24 approach to looking at costs. And it's not consistent  
25 with an operating cost view of -- of the same company.

1                   So, the 360 million and the 657 million  
2 are essentially apples and oranges. They are not  
3 comparative.

4

5                                   (BRIEF PAUSE)

6

7                   MR. WILLY DERKSEN:    Just to add to that,  
8 sir, like, in the total of \$657 million there are things  
9 like water rental costs and depreciation costs and fuel  
10 costs and those sorts of things.

11                   MR. BOB PETERS:    And I was suggesting you  
12 -- you remove those from the functionalised list and  
13 you'd end up with the \$360 million that you show on your  
14 IFF, but that's not how you would go about preparing it?

15                   MR. WILLY DERKSEN:    No, sir, that  
16 wouldn't be it.

17

18                                   (BRIEF PAUSE)

19

20                   MR. BOB PETERS:    All right. If we flip  
21 ahead to Tab 27 of the book of documents, Mr. Derksen, we  
22 see another spreadsheet containing some operating and  
23 administrative costs by element.

24                   MR. WILLY DERKSEN:    Yes, sir.

25                   MR. BOB PETERS:    And I had said earlier

1 to Mr. Warden that the labour costs were about 74,  
2 75 percent.

3 And that's borne out in this information  
4 as the -- by far the -- the highest percentage of costs  
5 incurred in OM&A?

6 MR. WILLY DERKSEN: Yes, sir.

7 MR. BOB PETERS: And in terms of  
8 capitalized OM&A we see that down near the bottom quarter  
9 of the page, capitalized order activities and capitalized  
10 overheads.

11 Can you explain to the Board what that  
12 represents?

13 MR. WILLY DERKSEN: Yes, sir. The  
14 capitalized activities represents the cost of company  
15 employees working directly on capital construction  
16 activities.

17 So, for example, if we have people working  
18 on the Wuskwatim Generating Station and they spend, let's  
19 say, in one (1) time period, one hundred (100) hours  
20 working on that, we calculate an activity rate. And that  
21 is intended to cover all of the costs of -- of that,  
22 employees working for the company. And we multiply the  
23 hours worked on Wuskwatim -- on that Wuskwatim facility -  
24 - times that activity rate to determine capital  
25 activities.

1                   MR. BOB PETERS:    And are those  
2 capitalized OM&A expenses presently recovered in rates?

3                   MR. WILLY DERKSEN:    Once the related  
4 facilities go into service, they -- costs are then  
5 recovered through rates through financing expense and  
6 through depreciation expense.

7                   MR. BOB PETERS:    But until then, they're  
8 not?

9                   MR. WILLY DERKSEN:    That's correct.

10                  MR. BOB PETERS:    In Tab 26 in the book of  
11 documents there's some graphical depictions of the OM&A  
12 expenses from the various IFFs of the Corporation.  And  
13 the source data is listed.

14                  And, Mr. Derksen, does the Corporation  
15 take any issue with the way those matters are depicted?  
16 And subject to the numbers coming from the IFFs, you're  
17 satisfied that they're appropriately depicted?

18                  MR. WILLY DERKSEN:    I -- I believe  
19 they're correct, yes.

20                  MR. BOB PETERS:    And it does show that  
21 the IFFs are -- are tren -- are trending the OM&A costs  
22 upward?

23                  MR. WILLY DERKSEN:    Yes.  And we have  
24 discussed that in our materials at this Hearing, that  
25 there are a number of -- of cost pressures that are

1 causing that to happen.

2 MR. BOB PETERS: And I believe it was Mr.  
3 Harper who had indicated that the compounding of OM&A  
4 escalation appears to be in the neighbour -- in the  
5 neighbourhood of 4 percent from 2003 through to 2007.

6 And you don't disagree with that?

7 MR. WILLY DERKSEN: No, I agree with  
8 that.

9 MR. BOB PETERS: And in terms of the  
10 pressures that you talk about, it's primarily wage and  
11 overtime pressures that deal with 75 percent of the  
12 costs?

13 MR. WILLY DERKSEN: Well, there are other  
14 things as well, but certainly wage and overtime pressures  
15 are significant factors for us. But it's not only  
16 wages.

17 I might add, that we are increasing the  
18 amount of work that's required out of the company in that  
19 same time frame. For example, the power supply unit has  
20 added substantial numbers of employees to deal with extra  
21 provincial requirements, as has T&D. There are also  
22 additional environmental monitoring requirements, and  
23 there's new facilities being placed into service.

24 All of these do require more staff than  
25 had originally been contemplated. So the wage pressures

1 are both related to higher wages and also to additional  
2 work requirements.

3 MR. BOB PETERS: Mr. Derksen, MIPUG will  
4 certainly speak for themselves with their counsel, but  
5 there was a recommendation contained that the OM&A  
6 expenses could be filed in a format that allows  
7 consideration by function -- that is, OM&A by generation  
8 by transmission distribution, customer service and  
9 administration.

10 MR. WILLY DERKSEN: We do provide that  
11 information.

12 MR. BOB PETERS: And in providing that,  
13 it will allow this Board, then, to follow it over the  
14 years in terms of how the trends are proceeding?

15 MR. WILLY DERKSEN: Well we have been  
16 providing that all along, Mr. Peters. We -- we provide  
17 that in our schedules and our application and in various  
18 schedules throughout the -- throughout the Information  
19 Request process, because the company is broken up into  
20 business units which generally provide that information.

21 MR. BOB PETERS: And in terms of  
22 forecasting it for the future, though, Mr. Derksen?

23 MR. WILLY DERKSEN: It is provided that  
24 way as well.

25 MR. BOB PETERS: And how far out into the

1 future?

2 MR. WILLY DERKSEN: It -- this  
3 application provides that until 2008/'09 but not beyond  
4 that point.

5 MR. BOB PETERS: Is the Corporation  
6 capable, though, of filing that forecast out to the same  
7 duration as the IFF?

8 MR. WILLY DERKSEN: I -- I think if we  
9 did that, sir, it would just be a very simple  
10 extrapolation. I think our IFF, in terms of operating  
11 expenses, has presumed that the escalation of operating  
12 expenses will be similar to CPI over the further years,  
13 with -- with in addition to that it would include  
14 significant known additional operating items. For  
15 example, the -- when the Wuskwatim generating station  
16 goes into service, there will be additional operating  
17 requirements at that point in time.

18 So on a consistent basis, I would think  
19 extrapolating the business units by that 2 percent,  
20 except adding most of the additional costs for Wuskwatim  
21 into the power supply area, would be -- what -- the  
22 response that you'd get out of that.

23

24

(BRIEF PAUSE)

25

1                   MR. BOB PETERS:    In the breakdown of OM&A  
2 by cost element found at Tab 27 of the book of documents,  
3 Mr. Derksen, there's a line item on contingency planning.

4                   Mr. Warden spoke to the Board about this  
5 earlier on in some answers to some questions I posed, but  
6 contingency planning only gets added for the '08 and the  
7 '09 years in the forecast.

8                   Is that related to the cost pressures that  
9 you weren't otherwise able to reflect in the escalation  
10 rate?

11                  MR. WILLY DERKSEN:   Yes, that would be  
12 correct.

13

14                                       (BRIEF PAUSE)

15

16                  MR. BOB PETERS:    At the time you set them  
17 up, are you able to identify which other cost element  
18 they will relate to?

19                  MR. WILLY DERKSEN:   No, sir.  It's part  
20 of process, I guess, that we have and other utilities  
21 have as well, where we do top-down budgets in the fall.  
22 And the targets are set at that time by EC and approved  
23 by the Board of Directors.

24                  Subsequently, detailed budgets are sorted  
25 out later on in the year.  And to the extent that some of

1 these cost pressures are -- are better known at that  
2 point in time, they will embed themselves into plans and  
3 therefore into the appropriate related cost elements.

4 MR. BOB PETERS: Turning the page in that  
5 -- in that Tab 27, Mr. Derksen, is it correct that the  
6 capitalized OM&A costs are approximately 40 percent of  
7 the -- the total?

8 MR. WILLY DERKSEN: It looks to be about  
9 right, sir, yes.

10

11 (BRIEF PAUSE)

12

13 MR. BOB PETERS: And so for what you  
14 answered just a few minutes ago, for every dollar you  
15 spend on OM&A, you're also spending an extra forty cents  
16 (\$.40) that will be capitalized and recovered at some  
17 future date?

18 MR. WILLY DERKSEN: I -- I think that's a  
19 little bit simplified. The capital requirements and the  
20 OM&A requirements are really dealt with quite separately.  
21 Capital requirements would be based upon the capital  
22 program that was in place at the time. So year over  
23 year, those things could change and that relationship  
24 could change.

25

For example, Wuskwatim and other new

1 generation will increase the requirements for capital  
2 construction EFTs, but it will not have any current  
3 impact on the operating requirements. So to say that for  
4 every dollar we spend on operating we'll spend forty (40)  
5 cents on -- on capital would not hold true in the long  
6 run.

7 MR. BOB PETERS: You want the Board to be  
8 aware that it would be project specific?

9 MR. WILLY DERKSEN: That's correct.

10 MR. BOB PETERS: Turning to Tab 28, when  
11 we look at the EFT analysis, I didn't refer this to Mr.  
12 Warden earlier, but based on the equivalent full-time  
13 positions the Corporation has reported in the materials -  
14 - I think it's PUB/Manitoba Hydro Second Round Question 5  
15 -- the business units in the Corporation were reporting  
16 on their employee levels.

17 And, Mr. Warden, do these levels reflect a  
18 reduction in what was otherwise expected due to the  
19 difficulty in recruiting people and the number of  
20 retirements that are forth -- forthcoming?

21 MR. VINCE WARDEN: That's right, Mr.  
22 Peters.

23 MR. BOB PETERS: These are a net number?

24 MR. WILLY DERKSEN: Mr. Peters, I think  
25 the numbers that you're shown in here are not directly

1 taken from our responses. The numbers in here are the  
2 total EFTs less, I believe, the Centra direct EFTs  
3 calculated in a different IR. And so they are a  
4 manufactured set of numbers that we're not specifically  
5 familiar with.

6                   And as -- as well, as I think we responded  
7 in an Information Request -- to an Information Request,  
8 the Centra direct calculations would not be performed on  
9 an equivalent basis to the total EFT numbers, because the  
10 Centra direct calculations would be the hours worked on  
11 Centra activities -- the direct hours worked -- divided  
12 by nineteen hundred and sixteen (1,916).

13                   And so if we had a -- an employee that was  
14 focused on Centra activities and we paid them for  
15 nineteen hundred and sixteen hours (1,916), they would be  
16 one (1) EFT on the overall corporate statistics. But  
17 because of things like vacation and sick time and  
18 statutory holidays and administrative time and training  
19 time, they might only spend fourteen hundred (1,400)  
20 hours working on Centra activities. And so they would  
21 only be represented as fourteen-nineteenths (14/19ths) of  
22 an EFT in that particular schedule.

23                   MR. BOB PETERS: You're saying then that  
24 when we derived the schedule, we didn't give enough  
25 weight to the EFTs that are assigned Centra duties?

1 MR. WILLY DERKSEN: That's correct.

2 MR. BOB PETERS: Do you have suggested  
3 revisions, or is that criticism one that we'd have to go  
4 back and analyze further?

5 MR. WILLY DERKSEN: Well, depending upon  
6 your -- your -- the representation that you're trying to  
7 make, I think it would be best to look at the total  
8 employees of the company.

9

10 (BRIEF PAUSE)

11

12 MR. BOB PETERS: Put another way, Mr.  
13 Derksen, you're not accepting that there were five  
14 thousand six hundred and ninety-five (5,695) EFTs on the  
15 electric side at year ending 2007?

16 MR. WILLY DERKSEN: That's correct.

17 MR. BOB PETERS: And you're saying the --  
18 the numerical calculation is flawed, because it didn't  
19 give full weight to the hour -- to the services provided  
20 on the gas side?

21 MR. WILLY DERKSEN: That's correct.

22

23 (BRIEF PAUSE)

24

25 MR. BOB PETERS: Do you forecast EFTs,

1 Mr. Warden, on the electric side as compared to the gas  
2 side?

3

4 (BRIEF PAUSE)

5

6 MR. VINCE WARDEN: Inasmuch as we have  
7 integrated operations, EFTs are forecast in total for the  
8 Corporation.

9 MR. BOB PETERS: All right. And we have  
10 those numbers, so thank you for that.

11 In terms of OM&A growth, found at Tab 29  
12 of the book of documents, there were a couple of plot-  
13 lines developed, Mr. Derksen, based on OA and expense  
14 from IFF-07-1. And that's compared with CPI on the --  
15 the bottom line. Whether it's red -- I'm not sure if  
16 it's in colour.

17 And then a five (5) year trend line has  
18 been just superimposed on top of the -- the last five (5)  
19 years of what we believe actual data to show.

20 And does this represent an accurate  
21 depiction of the OA -- OM&A expenses, relative to CPI  
22 first of all?

23 MR. WILLY DERKSEN: Well, I note the  
24 caption on this one says, "OM&A Per Customer Based on  
25 CPI," and I just want to clarify that this calculation

1 takes the electric OM&A, increases it by CPI, and then  
2 divides it by an increasing number of customers.

3                   So it's not the OM&A per customer  
4 increased by CPI, it is having a base 1999 OM&A that  
5 increases by CPI, but then divided by an increasing  
6 number of customers. When, in fact, the OM&A per  
7 customer is increased by a much lower amount than CPI in  
8 this chart.

9                   So there are some concerns we have with  
10 that as well.

11                   I think in the response to Appendix 12-12,  
12 we provided a chart that showed our OM&A per customer  
13 increasing by the level of CPI over this same timeframe.  
14 And, at the end of the day, the -- over this same time  
15 period, I think the OM&A per customer at year 2017 was  
16 something higher than our forecasted results.

17                   Let me just see if I've got my numbers  
18 here.

19                   Yes, it shows seven hundred and forty-two  
20 (742) in this chart for our actual number. And if you  
21 increased OM&A per customer by CPI, you would come up  
22 with seven hundred and fifty-two (752) at the end of  
23 2017.

24                   And so, the -- the flaws or the  
25 differences that I might find in this is that it doesn't

1 take into account some of the real cost pressures, again,  
2 that have been incurred, especially in -- in the past few  
3 years and right now. And so, we've talked about things  
4 like fuel costs doubling and -- and other things, and  
5 those are not taken into consideration here.

6 MR. BOB PETERS: In terms of the numbers  
7 coming from your data, Mr. Derksen, with the sources  
8 listed on the page, you don't disagree that the data was  
9 provided by Manitoba Hydro?

10 MR. WILLY DERKSEN: Yes, the data was  
11 provided, but I think, upon reflection, if we would have  
12 known how it was going to be used to compare, we might  
13 have provided some qualifications as to what this data is  
14 telling you and -- and how -- what cautions should be  
15 used when using this -- the data prepared in this manner.

16  
17

18 (BRIEF PAUSE)

19

20 MR. BOB PETERS: You've now put those  
21 qualifications on the record, Mr. Derksen?

22 MR. WILLY DERKSEN: Yes, sir.

23 MR. BOB PETERS: All right, thank you.

24 Mr. Chairman, I would like to turn to demand-side  
25 management questions, and this might be an opportunity

1 for an afternoon recess, if it suits the board.

2 THE CHAIRPERSON: Very good, Mr. Peters.

3

4 --- Upon recessing at 2:40 p.m.

5 --- Upon resuming at 3:01 p.m.

6

7 THE CHAIRPERSON: Okay, Mr. Peters.

8 MR. BOB PETERS: Mr. Chairman, a couple  
9 of housekeeping matters, one (1) by Ms. Ramage, one (1)  
10 by myself just to alert the parties that my intention is  
11 to stop questioning by 3:55 p.m. today, complete next  
12 Monday morning before I hand the microphone over to my  
13 colleague Mr. Williams.

14 And with that, Ms. Ramage has another  
15 undertaking she would like to have marked as an exhibit.

16 MS. PATTI RAMAGE: Yes, Mr. Warden  
17 referenced earlier, I believe this afternoon, the sticker  
18 shock article. We've distributed that article and I  
19 would suggest it be identified as Exhibit MH-10.

20

21 --- EXHIBIT NO. MH-10: Sticker shock article

22

23 MS. PATTI RAMAGE: Also on day 1 of the  
24 Hearing an undertaking was provided by Mr. Surminski at  
25 page 239 of the transcript and he's able to put that

1 answer on the record right now, if we could -- if I could  
2 just turn the mic over to him.

3 THE CHAIRPERSON: Sure.

4 MR. HAROLD SURMINSKI: I could reference  
5 the book of references, Tab 12, the NEB prices, National  
6 Energy Board prices.

7 The question -- the undertaking was to  
8 explain why import prices were high in those summer  
9 periods, particularly June to September.

10 And if we go the second page of that tab  
11 and -- and the answer, for example, at the bottom right-  
12 hand column: Imports US dollars in June five point seven  
13 (5.7), and then it goes to thirteen point one dollars  
14 (\$13.1) -- or cents per kilowatt hours -- seven point  
15 five (7.5) cents and nine point three (9.3) cents.

16 All those import prices seem like they're  
17 very high numbers. We have investigated and can explain  
18 why these numbers are this high.

19 There are two (2) components that make up  
20 these imports. One (1) is emergency calls. There are  
21 times when we were short of energy and we had to call  
22 what we -- what they're -- in the market they're called  
23 emergency calls for power and we pay the cost, whatever  
24 it is at the time. There were probably sales, on-peak  
25 sales, that we had to make and we needed this power to --

1 to meet our obligations.

2 And these calls are cost based and they  
3 could also include startup costs of -- of the energy that  
4 we're purchasing. So they could be very extremely high.

5 For example, July had a cost of a hundred  
6 and thirty-five dollars (\$135) a megawatt hour for -- for  
7 this emergency call. So it's a portion of that total.

8 So the emergency calls are a portion of  
9 the total imports. The other portion is imports at  
10 market prices. So there's a weighting taking place of  
11 these high cost emergency calls and imports at market  
12 prices. And other months also had a hundred dollars  
13 (\$100), hundred and ten dollars (\$110) a megawatt hour  
14 for these emergency calls.

15 And volumes are very small, in the order  
16 of two hundred (200) megawatt hours to four hundred (400)  
17 megawatt hours. It's -- it's like four hundred (400)  
18 megawatts for one (1) hour, so it's really small volumes  
19 for short periods of time but high cost.

20 And because we were in good flow  
21 conditions our total imports were -- were not very large.  
22 So all this -- all these imports are based on small  
23 volumes and weighted heavily by these emergency calls.

24 THE CHAIRPERSON: Thank you.

25

1 CONTINUED BY MR. BOB PETERS:

2 MR. BOB PETERS: Thank you, Mr.  
3 Surminski, you just conceptually help the Board  
4 understand if you are in good flow conditions, why would  
5 you be needing these emergency calls?

6 MR. HAROLD SURMINSKI: For those  
7 particular hours there were -- there could have been  
8 outages, there could have been specific reasons that we  
9 were short of -- of the capacity and the energy and those  
10 short-term hours.

11 MR. BOB PETERS: You may have sold  
12 opportunity -- made opportunity sales and therefore  
13 didn't have it available?

14 MR. HAROLD SURMINSKI: Yeah. We had  
15 obligations. It could have been opp -- the combination  
16 of opportunity and long-term.

17 MR. BOB PETERS: In that instance if it  
18 was an -- if you had opportunity sales that you had  
19 committed to and your choice would be either to make the  
20 emergency call or to cancel the opportunity sale, would  
21 it be cheaper to cancel the opportunity sale?

22 MR. HAROLD SURMINSKI: Yeah. We -- we  
23 don't always have that option to cancel an obligation  
24 that we made, a day ahead.

25 MR. BOB PETERS: You have the opportunity

1 to buy your way out of it though?

2 MR. HAROLD SURMINSKI: That's in fact  
3 what this is. At the last hours we find out we don't  
4 have it so we -- we put out the call and pay whatever is  
5 required to get out of it.

6 MR. BOB PETERS: All right. Thank you.

7 Mr. Derksen, I am going to ask you and me  
8 -- you to be brief with me here. Looking on Tab 29 of  
9 the book of documents, I sensed your concern with the --  
10 with the chart that was presented, and I wonder if we  
11 could start with the red line. And I'm not sure if it's  
12 colour on yours, I think it is.

13 The bottom line, the OM&A per customer  
14 based on CPI. That's information that the Corporation  
15 provided?

16 MR. WILLY DERKSEN: Yes, it is.

17 MR. BOB PETERS: And you don't take issue  
18 with it demonstrating an inflation of the CPI -- I'm  
19 sorry, inflation of OM&A by CPI per customer?

20 MR. WILLY DERKSEN: I do take issue with  
21 that. What it does is inflates OM&A itself and then  
22 divides it by the number of customers which keep on going  
23 up. So the OM&A per customer is not inflated by CPI in  
24 this depiction.

25 MR. BOB PETERS: I'm having trouble

1 understanding that because the OM&A is inflated by CPI  
2 sequentially, is it not, in this exa -- in what you've  
3 provided?

4 MR. WILLY DERKSEN: I'll try to be short-  
5 winded. If we started with a -- a cost per customer of,  
6 well, let's say we had ten thousand dollars (\$10,000) of  
7 costs and a thousand (1,000) customers, that would be ten  
8 dollars (\$10) per customer. And if we had a very high  
9 inflation factor of, let's say, 10 percent, the OM&A per  
10 customer, if that was inflated by 10 percent, it would go  
11 from ten dollars (\$10) to eleven dollars (\$11).

12 But -- but if in the second year we had a  
13 high inflation of -- of that 10 percent but we also  
14 increased our customers, and I'll exaggerate on this one  
15 by, let's say, 50 percent, we would have eleven hundred  
16 (1,100) in operating costs, but we would have a hundred  
17 and fifty (150) customers, so it would give you a cost  
18 per customer in the order of seven dollars (\$7), rather  
19 than eleven dollars (\$11).

20 So instead of -- of showing a cost per  
21 customer increase of going from 10 -- plus 10 percent  
22 equals eleven (11), it would go from ten (10) down to  
23 seven dollars (\$7) or something like that in this  
24 depiction. Now, of course, that's an exaggerated view,  
25 but that's what's happening throughout this period.

1                   MR. BOB PETERS: All right. I think I  
2 now understand your concern. When we deal with the --  
3 with the blue line or the OM&A expense actual or forecast  
4 in IFF-07, do you have any concerns with the way that is  
5 depicted?

6                   MR. WILLY DERKSEN: No, sir, that is our  
7 information.

8                   MR. BOB PETERS: And you would expect  
9 then that the bottom OM&A per customer, based on CPI,  
10 would -- would track a bit closer to -- to the blue line  
11 than what I have depicted here?

12                   MR. WILLY DERKSEN: That's right. And in  
13 fact by year 2017 it -- it goes above the blue line.

14                   MR. BOB PETERS: And maybe for the  
15 record, just to conclude on this point, PUB/Manitoba  
16 Hydro Second Round Number 7 was a chart that was provided  
17 by the Corporation and it demonstrates what you've just  
18 indicated to the Board, that by 2017 or actually 2015 the  
19 -- the lines would again converge?

20                   MR. WILLY DERKSEN: Yes, sir, that's  
21 correct.

22                   MR. BOB PETERS: I think we've got your  
23 point.

24                   The other point is in terms of the trend  
25 line, that's simply an indication of the last five (5)

1 years, approximately, of where the OM&A is trending. And  
2 you're indicating to the Board in the IFF that you think  
3 that's going to level off. But in the last five (5)  
4 years, it hasn't.

5 MR. WILLY DERKSEN: Yes, sir. That's our  
6 evidence, that we expect it will level off in the future.

7 I might also add, the way that it's  
8 depicted here with the base axis starting at five hundred  
9 (500), it exaggerates the -- the slope of that line.

10 If it were done with an axis of zero, it  
11 would be a much gentler line, but --

12 MR. BOB PETERS: All right, that's a fair  
13 comment as well.

14

15 (BRIEF PAUSE)

16

17 MR. BOB PETERS: Thank you. Mr. Kuczek,  
18 if we can talk some demand-side management in the time we  
19 have this afternoon. Suffice it to say, in terms of the  
20 two (2) sides of the electricity consumption equation, I  
21 guess there's a supply side, which we've talked about,  
22 where millions and billions of dollars can be spent on  
23 generating stations and, perhaps, transmission to meet  
24 the load.

25 And, on the other side, there can be

1 initiatives to control the demand and try to influence  
2 consumer behaviour so as not to consume as much  
3 electricity, correct?

4 MR. LLOYD KUCZEK: Correct. or, in our  
5 case, we -- our primary objective is to pursue the  
6 efficient use of energy.

7 MR. BOB PETERS: And pursuing the  
8 efficient use of energy includes incenting customers to  
9 make choices of using less electricity.

10 MR. LLOYD KUCZEK: Correct.

11 MR. BOB PETERS: Why don't consumers  
12 reduce consumption voluntarily, without the inducements  
13 or incentives?

14 MR. LLOYD KUCZEK: Some actually do.

15 MR. BOB PETERS: All right. other than  
16 Dr. Miller, why don't people voluntarily reduce their  
17 consumption?

18 MR. LLOYD KUCZEK: There's -- there's a  
19 variety of reasons. I think I went through this once  
20 before, and I was somewhat reluctant to use my family to  
21 explain it, but it -- it seemed to have worked last time,  
22 so I'll go through that again.

23 But my -- my parents are in their late  
24 70s, so their incentive to spend money on something that  
25 may have a payback period of eight (8) years or longer

1 isn't -- isn't too exciting for them.

2 I have a fairly wealthy brother, and he  
3 really isn't too concerned about energy efficiency  
4 either. He's -- he's more interested in just enjoying  
5 his life.

6 And I have a sister that's a low-income  
7 Manitoban, and she is interested, but she doesn't have a  
8 lot of money to spend on these sort of initiatives.

9 And, so, then there's me, and I'm very  
10 efficient.

11 So there's all sorts of people out there.  
12 So the problem is you need -- through the use of  
13 incentives, you can encourage some of these individuals  
14 to use these energy-efficient technologies.

15 MR. BOB PETERS: In your, we'll say,  
16 hypothetical family example, Mr. Kuczek, the motivation  
17 for each is financial or economic, correct?

18 MR. LLOYD KUCZEK: No, there -- there's -  
19 - the motivation varies. As I mentioned, my rich brother  
20 -- I can't entice him with incentives.

21 MR. BOB PETERS: Well, that's what I'm  
22 saying, is that each of the family members will have  
23 their own economic or financial reasons as to whether  
24 they do or they do not partake of energy efficiency.

25 MR. LLOYD KUCZEK: Correct.

1                   MR. BOB PETERS:    Your wealthy brother  
2 would rather burn it in the fireplace than spend it on  
3 the insulation.

4                   MR. LLOYD KUCZEK:    I don't even want to  
5 talk about where he spends his money.

6                   MR. BOB PETERS:    All right.  All right.  
7 Well, thank you for that levity.

8                   The -- the DSM that we're going to talk  
9 about is promoted, not only by Manitoba Hydro, but also  
10 by the Federal Government, the Provincial Government, and  
11 perhaps other organizations, correct?

12                  MR. LLOYD KUCZEK:    Yes.  There's many of  
13 us.

14                  MR. BOB PETERS:    And all of that can make  
15 it confusing for the consumer to figure out where to go  
16 to -- to get on this energy efficiency initiatives?

17                  MR. LLOYD KUCZEK:    Yes.

18                  MR. BOB PETERS:    And in the book of  
19 documents at Tab 30, there's a -- a chart that was copied  
20 from the Power Smart Review from Appendix 9.2 of page 60,  
21 of Manitoba Hydro's filing.  And the dark green line --  
22 again, it may have come out almost blue, I guess, in the  
23 -- in the production.

24                  But the -- the dark green parts of the bar  
25 graphs represent the incentive savings that are going to

1 assist in getting energy efficiency, sir?

2 MR. LLOYD KUCZEK: The dark green and  
3 dark blue in my case is the -- it's what we've achieved  
4 to-date and also what we plan to achieve to-date through  
5 our incentive based programs.

6 MR. BOB PETERS: All right. I'm looking  
7 at -- it should say in the top "Exhibit 4.4.2-C", and I'm  
8 just not sure if that's the first or second page in your  
9 book of documents, sir.

10 MR. LLOYD KUCZEK: I have it.

11 MR. BOB PETERS: And on 4.4.2-C, the  
12 incentive based efficiency gains are those that are going  
13 to be paid for by Manitoba Hydro?

14 MR. LLOYD KUCZEK: Not quite, actually.  
15 To capture those incentives, measures have to be into  
16 place. We offer incentives but that is only a portion of  
17 the cost of implementing the measure.

18 The other part of the cost is paid for  
19 either just by the participating customer or possibly by  
20 other grants available, such as through the Federal  
21 Government's eco-energy grants.

22 MR. BOB PETERS: Okay. Thank you for  
23 that clarification. What you're indicating is that over  
24 and above Manitoba Hydro's incentives, there's either  
25 additional incentives or costs incurred by the

1 participant?

2 MR. LLOYD KUCZEK: Correct.

3 MR. BOB PETERS: When we get to the --  
4 the lighter shading of the -- the graph, the bars, it  
5 represents in mine light green, maybe yours light blue,  
6 it's the codes and standards.

7 Can you explain to the Board what you're  
8 meaning by energy efficiency through codes and standards?

9 MR. LLOYD KUCZEK: Yes. I can explain  
10 that. We -- we do a number of things to try to transform  
11 the market to use energy more efficiently, and one of the  
12 areas that we work on is through efforts to try to  
13 incorporate these measures being implemented through  
14 codes and standards.

15 And so -- the -- these efforts are a  
16 little more difficult to claim per se, because usually  
17 they're the result of an aggregate group of individuals  
18 or entities that are working towards making these  
19 changes. It's more of a national effort.

20 And so what we're re -- we're reporting  
21 here is the results of four (4) efforts -- the results of  
22 four (4) efforts that Manitoba Hydro made an investment  
23 towards achieving, and those are the results that we're  
24 achieving in the marketplace, due to the implementation  
25 of codes and standards associated with those four (4)

1 initiatives.

2 MR. BOB PETERS: It's not a question of  
3 who gets credit for it though is it, Mr. Kuczek? It's  
4 just who's participated perhaps in the final achievement  
5 of the efficiency?

6 MR. LLOYD KUCZEK: All we're doing with  
7 the codes and standards is reporting it.

8 MR. BOB PETERS: But you do also  
9 participate in the formation of the codes and the  
10 standards and the discussions and perhaps you influence  
11 where those codes and standards are approved?

12 MR. LLOYD KUCZEK: We definitely have an  
13 influence, yes.

14 MR. BOB PETERS: And those codes and  
15 standards are predominantly governmental approve --  
16 regulated or approved standards?

17 MR. LLOYD KUCZEK: Codes and standards  
18 are a -- a government -- fall under government authority,  
19 yes.

20 MR. BOB PETERS: On the codes and  
21 standards, at some point don't they -- don't they plateau  
22 or maximize? Why -- why do you show them and depict them  
23 as ever increasing?

24 MR. LLOYD KUCZEK: We're reporting what  
25 we think is happening as a result of the -- the codes

1 taking place. And as there's more and more of these  
2 measures implemented as you move out in time, there's  
3 more savings that eventually result due to these -- the  
4 implementation of those codes and so that's why it  
5 increases over time.

6 MR. BOB PETERS: But at some point,  
7 doesn't it plateau? Everybody's got the energy efficient  
8 washers, dryers, refrigerators.

9 MR. LLOYD KUCZEK: The marketplace is  
10 growing, I guess is the -- the reason for that. Growing.

11 MR. BOB PETERS: Just wondering, Mr.  
12 Kuczek, if the -- if there's any other reason other than  
13 population growth?

14 MR. LLOYD KUCZEK: Replacement growth, as  
15 well. As you move out into the future there's more and  
16 more replacements of the specific technologies.

17 MR. BOB PETERS: And again at some point  
18 it just -- you don't see it plateauing? Not everybody's  
19 got the energy efficiency, the latest...

20 MR. LLOYD KUCZEK: Yeah, due to the  
21 replacement that eventually plateaus.

22 MR. BOB PETERS: All right. If we flip  
23 to the last page in Tab 30 of the book of documents, sir,  
24 we again have some graphical depictions of the efficiency  
25 aspects. And what's of interest is this T12 lighting,

1 which appears to be a -- a fairly significant, it's  
2 supposed to be the lightly shaded just above the darkest  
3 shaded portion of the -- of the graph. And I'm not sure  
4 it came out very well for most people.

5 But T12 lighting is the major energy  
6 efficiency offered to commercial premises?

7 MR. LLOYD KUCZEK: That's correct.

8 MR. BOB PETERS: And it represents 60  
9 percent of the energy savings for commercial customers as  
10 you forecasted?

11 MR. LLOYD KUCZEK: I'll -- I'll take your  
12 word for it, that that's the number.

13 MR. BOB PETERS: Would you agree with me,  
14 Mr. Kuczek, that there are energy efficiencies being  
15 developed for both codes and standards as well as on the  
16 incentive side?

17 There's -- what I mean by that is, both  
18 Manitoba Hydro is incenting people to buy energy  
19 efficient appliances and then on the codes and standard  
20 side there are energy efficiencies being mandated for the  
21 same appliance.

22 MR. LLOYD KUCZEK: We don't offer  
23 incentives for technologies or appliances that are coded.

24 MR. BOB PETERS: Okay, let me understand  
25 that. If there is -- if -- if a -- an appliance is the

1 subject matter of the latest code or standard, there  
2 would be no incentive available on that appliance?

3 MR. LLOYD KUCZEK: That's generally how  
4 we apply -- offer our programs, yes.

5 MR. BOB MAYER: Somebody was buying back  
6 old refrigerators. That sounds like an incentive.

7 MR. LLOYD KUCZEK: Are you talking in  
8 Manitoba?

9 MR. BOB MAYER: I thought so.

10 MR. LLOYD KUCZEK: That would have been  
11 in the '90s, I think. I was selling power in the '90s.

12 MR. BOB PETERS: There also was a -- I'll  
13 call it a pilot project as opposed to a promotional  
14 project that Manitoba Hydro, as reported in page 5358 of  
15 their annual report, where they had a refrigerator  
16 contest to see who had the oldest operating refrigerator.  
17 And one of Byron Williams neighbours from Souris was the  
18 ultimate winner. That may be what the Vice-Chair is  
19 referring to. I doubt I'll locate it quickly, but --

20 MR. BOB MAYER: Roger suggested it was my  
21 refrigerator, but...

22 MR. LLOYD KUCZEK: Nonetheless we did  
23 have a little contest not that long ago.

24

25 CONTINUED BY MR. BOB PETERS:

1 MR. BOB PETERS: All right. And -- and  
2 it is page 58 of the annual report.

3 But it's -- but that was simply a  
4 promotional campaign or a pilot, I guess where two  
5 thousand (2,000) contestants came forward and Manitoba  
6 Hydro was trying to prove an efficiency point?

7 MR. LLOYD KUCZEK: Yes. Educational and  
8 awareness, as well.

9 MR. BOB PETERS: If you could turn with  
10 the Board and myself, Mr. Kuczek, to Tab 31 of the book  
11 of documents, you've shown here -- and again I -- I don't  
12 enjoy apologizing for the quality of the production, but  
13 there's some numbers in red that traditionally have an --  
14 a minus sign in front of them, which makes Mr. Rainkie  
15 and Mr. Warden very nervous.

16 But this is a -- this is showing how the  
17 Power Smart Plan changed from when the Board last saw it,  
18 correct?

19 MR. LLOYD KUCZEK: Well, it certainly is  
20 a change from the '04/'05 plan to the '06 plan and I -- I  
21 just don't recall the last plan that the Board's seen.

22 MR. BOB PETERS: All right, fair enough.  
23 For example, under "Energy Star Appliances" you're  
24 showing the Board that there's going to be some reduction  
25 in expenditures related to the various programs. And in

1 that one in particular it looks like \$21 million.

2 MR. LLOYD KUCZEK: That's correct.

3 MR. BOB PETERS: Can you explain why  
4 that's the case.

5 MR. LLOYD KUCZEK: When we developed the  
6 '04/'05 plan, we were ramping up a number of our  
7 programs. It was right after we did the market potential  
8 study to see what -- what opportunities were available in  
9 the marketplace.

10 We were ramping up the -- or hire --  
11 increasing the number of resources working on our  
12 programs. We decided to pursue all those opportunities.  
13 We did need more resources, and those resources were  
14 required to assess the market and design programs and  
15 implement those programs.

16 At the time of developing the '04/'05  
17 plan, we didn't have all those resources yet in place,  
18 and we -- and in some areas we did, but well they didn't  
19 have time -- the time to do the detailed market analysis.  
20 So some programs that with -- estimates for the savings  
21 as well as the costs, were fairly high level, and this  
22 would have been one (1) of them.

23 And so the reason for the change was  
24 during that -- that period of time when the two (2) plans  
25 were developed, we had time to do more market research

1 and we got better information and that was reflected into  
2 the updated plan.

3 MR. BOB PETERS: On a net basis, the  
4 bottom right-hand corner shows that your expenditures on  
5 a cumulative basis will go down \$17.8 million as a result  
6 of your revision to the Power Smart Plan?

7 MR. LLOYD KUCZEK: That was our best  
8 estimate at the time, yes.

9 MR. BOB PETERS: And does it remain that?

10 MR. LLOYD KUCZEK: I believe we might be  
11 lowering it more, as well.

12 MR. BOB PETERS: Can you indicate in  
13 which areas, over and above those depicted here on Table  
14 1, found in Tab 31 of the book of documents.

15 MR. LLOYD KUCZEK: Again, it's an  
16 aggregate of some pluses and minuses, but it's a  
17 refinement of the -- what we think the -- the best  
18 estimate of what the cost would be to achieve our planned  
19 targets.

20 MR. BOB PETERS: All right. Just picking  
21 on a couple of the programs, Mr. Kuczek, the geothermal  
22 heat pump project also has been downsized, correct?

23 MR. LLOYD KUCZEK: Yes.

24 MR. BOB PETERS: And the annual gigawatt  
25 hours of efficiency gains is down -- it looks like 14.6

1 gigawatt hours on an annual basis?

2 MR. LLOYD KUCZEK: Correct.

3 MR. BOB PETERS: Is that due to Waverley  
4 West being downsized?

5 MR. LLOYD KUCZEK: No, I don't believe  
6 so. I don't believe we had Waverley West in the '04  
7 plan, so it wouldn't have been due to that.

8 MR. BOB PETERS: And it was never added  
9 to the '05/'06 plan?

10 MR. LLOYD KUCZEK: I do recall it being  
11 in the plan. I just -- I've not seen it identified here  
12 in the -- in the '06 plan, so...

13 MR. BOB PETERS: Can you explain, then,  
14 if we move down to the Hard To Reach Program, what that  
15 is and why -- why that's changed from what was previously  
16 presented in the '04/'05 Power Smart Plan.

17 MR. LLOYD KUCZEK: Again, you know, it  
18 really comes down to the same reason that we -- that I  
19 mentioned before for some of the changes. The Hard To  
20 Reach Program was really a placeholder. Probably even  
21 with the '06 plan, we were trying to develop -- we were  
22 working on developing plans, and it was at the  
23 preliminary stages at that point.

24 I think with the '06 plan, there was a  
25 Federal Government low-income program that had been

1 announced. It was fairly aggressive and we thought we  
2 could achieve energy savings by piggybacking with that  
3 program.

4 And so that was included in the '06 plan,  
5 but that certainly wouldn't have been in the -- I don't  
6 believe it was in the '04 plan.

7 MR. BOB PETERS: All right. thank you.  
8 If we turn to the second page in book of documents, Tab  
9 31, what you're telling the Board on this page is that  
10 the cumulative expenditures planned by the Corporation  
11 for demand-side management activities will be \$401  
12 million over the next eleven (11) years?

13 MR. LLOYD KUCZEK: That was the plan in -  
14 - that was the numbers in the '06 plan, yes.

15 MR. BOB PETERS: And when do you do the  
16 '07 plan, or did you do one?

17 MR. LLOYD KUCZEK: We did do an '07 plan.

18 MR. BOB PETERS: And you'll be doing an  
19 '08 plan, as well?

20 MR. LLOYD KUCZEK: We're trying to work  
21 on it currently.

22 MR. BOB PETERS: What is the date of the  
23 '07 plan?

24 MR. LLOYD KUCZEK: We developed an  
25 interim -- in-house working document for the '07 plan.

1 And it's not a public document, it's just a working  
2 document that we're using, which is a refinement to the  
3 '06 plan.

4 MR. BOB PETERS: And it's not filed in  
5 these proceedings, is it, sir?

6 MR. LLOYD KUCZEK: It's not an approved  
7 document.

8 MR. BOB PETERS: All right. And when was  
9 it prepared internally, or what was the completion date?

10 MR. LLOYD KUCZEK: Well, it was being  
11 worked on from the summer of '07, and we kept holding off  
12 because we were hoping to finalize our low-income program  
13 and include it in that document, but we -- the final  
14 version actually was -- has a date of January '07 --  
15 January '08 on it.

16 But most -- most of the work had been done  
17 prior to May of that year. It was just a couple of  
18 programs that we refined.

19 MR. BOB PETERS: And then going forward,  
20 maybe we can turn the page to Schedule A -- A5, which  
21 should be in the top right-hand corner in Tab 31 you'll  
22 find Schedule A5.

23 MR. LLOYD KUCZEK: Correct.

24 MR. BOB PETERS: And it's either the last  
25 or the second last document in the book of documents for

1 you.

2                   Would the Board be correct in interpreting  
3 this document is to show them that in the '08/'09 test  
4 year, the Corporation plans to spend \$38.3 million on  
5 demand-side management activities?

6                   MR. LLOYD KUCZEK:   That was our plan at  
7 the time.

8                   MR. BOB PETERS:   All right.  And -- and  
9 your answers to me, sir, are suggesting that that plan is  
10 no longer the corporate plan.

11                   MR. LLOYD KUCZEK:   We -- we've made some  
12 minor revisions, and I -- I say minor because I'd have to  
13 look at what the current numbers are exactly to see what  
14 they are in that year.  But we have made some changes  
15 since then.

16                   MR. BOB PETERS:   Can you check right now  
17 to see how that \$38.35 million number changes, if at all?

18

19   (BRIEF PAUSE)

20

21                   MR. LLOYD KUCZEK:   For '08/'09 -- and  
22 this will be in '07 dollars now -- the number I have is  
23 34 million or -- '08/'09?  Sorry, it's 43 million.

24                   MR. BOB PETERS:   So it's approximately \$5  
25 million more than what's in the Schedule A5 or --

1                   MR. LLOYD KUCZEK:    Yes, and the  
2   subsequent year is actually lower by about 4 million, so  
3   we've made some adjustments in terms of the timing of the  
4   programs, I see.

5                   MR. BOB PETERS:    And, Mr. Warden, I  
6   suppose over to you, that if -- if Mr. Kuczek is  
7   indicating that the program expenditures may be \$5  
8   million more, that doesn't change your request before  
9   this Board in terms of the rate increase being sought,  
10   does it?

11                  MR. VINCE WARDEN:   No, actually the \$5  
12   million more -- the \$43.1 million that Mr. Kuczek  
13   referred to in '08/'09 is the number that's in the  
14   capital expenditure forecast that's before this Board.

15                  MR. BOB PETERS:    But on a program by  
16   program for the DSM concepts, it's -- it's not been  
17   updated?   Looking at Tab 31, Schedule A5.

18                  MR. VINCE WARDEN:   Well I think Mr.  
19   Kuczek said that he has updated that now to a -- to a  
20   higher number for '08/'09 and a lower number for '09/'10.

21                         But those numbers are consistent with  
22   what's in the filing.

23                  MR. BOB PETERS:    All right, thank you.

24                         And then on a cumulative basis, Mr.  
25   Kuczek, the Board will see that the Corporation plans to

1 spend \$571 million cumulative to 2017?

2 MR. LLOYD KUCZEK: Correct.

3 MR. BOB PETERS: And one of your answers  
4 suggested to me that you -- do you report these in  
5 constant dollars, or do you inflate them?

6 MR. LLOYD KUCZEK: They're in -- in '06  
7 dollars.

8 MR. BOB PETERS: So, for every year  
9 they're in constant '06 dollars?

10 MR. LLOYD KUCZEK: Correct.

11 MR. BOB PETERS: All right. When we look  
12 at Tab 32 of the book of documents, there's some  
13 information taken from the DSM reporting by program, and  
14 it would appear that the commercial program is the  
15 beneficiary of the greatest expenditure going forward  
16 from 2003 onward.

17 Would that be correct, Mr. Kuczek?

18 MR. LLOYD KUCZEK: You can characterize  
19 it that way. We are spending more money in the  
20 commercial sector, yes. And we're also ramping up in the  
21 residential.

22 MR. BOB PETERS: Not to say other ones  
23 aren't ramping up, as it were, but the residential  
24 increased from .3 million to 8.3, and the commercial went  
25 from 3.4 million up to 20.4 million, correct?

1 MR. LLOYD KUCZEK: That's correct.

2 MR. BOB PETERS: And -- and why is it  
3 that the commercial one is increasing greater than the  
4 other ones?

5 MR. LLOYD KUCZEK: The -- the dollars  
6 that are allocated -- we usually do a bottom-up approach  
7 and we look at the opportunities and what it -- what we  
8 judge as the -- the proper design for each program,  
9 regardless of whether it's in either sector.

10 And then we get the -- we pursue those  
11 opportunities based on that. And when you add them up,  
12 the result was that the commercial sector is -- has a  
13 higher expenditure than the residential sector.

14 MR. BOB PETERS: Is it that the greatest  
15 efficiency gains are made from the commercial sector at  
16 this point in time?

17 MR. LLOYD KUCZEK: There is -- I think,  
18 based on the '06 plan, if I recall, there is double the  
19 opportunities there.

20 MR. BOB PETERS: Maybe put another way in  
21 the vernacular and not meant to be derogatory, but it's  
22 the low-hanging fruit that's easiest to get at, at this  
23 point in time?

24 MR. LLOYD KUCZEK: Generally speaking,  
25 that's true; moving from the industrial sector to the

1 commercial to the residential sector.

2 MR. BOB PETERS: The industrial sector is  
3 largely self-motivated to find demand-side management  
4 improvements?

5 MR. LLOYD KUCZEK: I think that's true.

6 MR. BOB PETERS: And that's because it  
7 affects their bottom line perhaps to a -- to a higher  
8 degree than it would on some of the residence customers?

9 MR. LLOYD KUCZEK: Yeah. Business is  
10 generally driven by economics and so if there was  
11 economic benefits, and usually they are significant there  
12 for them, they would be pursuing them.

13 MR. BOB PETERS: On a previous schedule -  
14 - I think it was A-5, found at Tab 31 -- Mr. Kuczek, you  
15 indicated that approximately half a billion dollars will  
16 be spent on demand-side management over the planning  
17 horizon to 2018, correct?

18 MR. LLOYD KUCZEK: Sorry, where are you  
19 at?

20 MR. BOB PETERS: Well, I just -- the  
21 total that you were going to be spending on demand-side  
22 management programs up to 2018 was about half a billion  
23 dollars -- \$571 million, --

24 MR. LLOYD KUCZEK: Correct.

25 MR. BOB PETERS: -- to be exact? And one

1 (1) of the reasons you expend that amount of money is  
2 to, perhaps, give the Corporation flexibility in terms of  
3 delaying the bringing into service certain generating  
4 assets, correct?

5 MR. LLOYD KUCZEK: That would be one (1)  
6 of the benefits, yes.

7 MR. BOB PETERS: Can we conclude from  
8 this that even though there's a half a billion dollars  
9 being spent DSM, it will not delay the in-service date of  
10 Wuskwatim?

11 MR. LLOYD KUCZEK: Can you repeat for Mr.  
12 Surminski?

13 MR. BOB PETERS: Certainly.

14 Mr. Surminski, from our previous  
15 discussions, what year is it now that Wuskwatim has  
16 planned to come in-service?

17 MR. HAROLD SURMINSKI: It's either 2011  
18 or 2012, depending on when the contracts can be secured.

19 MR. BOB PETERS: Initially, it was  
20 planned to be 2012, was it not?

21 MR. HAROLD SURMINSKI: That's right.

22 MR. BOB PETERS: And the Corporation is  
23 prepared to advance the in-service date of Wuskwatim if  
24 it can?

25 MR. HAROLD SURMINSKI: Yes. It was

1 actually the contractors who -- who provided us the  
2 opportunity. They found efficiency in -- in speeding up  
3 the construction.

4 MR. BOB PETERS: But you don't have a  
5 contractor.

6 MR. HAROLD SURMINSKI: Yes, that was the  
7 -- the former contractor we had.

8 MR. BOB PETERS: All right.

9 But from where I'm headed here, Mr.  
10 Surminski, you were thinking of Wuskwatim for 2012, you  
11 are now thinking you'll protect 2011, you'll bring it  
12 forward.

13 Your bring it forward is not because it's  
14 needed for domestic energy consumption, correct?

15 MR. HAROLD SURMINSKI: With our -- we  
16 actually do have requirement for domestic and contract  
17 purposes earlier than in the past. The load forecast is  
18 -- in '07 was -- was a significant increase, and we  
19 showed dependable energy deficits in those early years  
20 and they probably show up on our -- our resource plan  
21 tables.

22 MR. BOB PETERS: But you were  
23 demonstrating to the Board in those tables, Mr.  
24 Surminski, not only firm requirement domestically, but  
25 also for export -- export load, correct?

1 MR. HAROLD SURMINSKI: Yes. That's  
2 correct.

3 MR. BOB PETERS: Would it be parsing  
4 words to say that Wuskwatim's coming in-service earlier  
5 would be primarily motivated by export opportunity?  
6

7 (BRIEF PAUSE)

8  
9 MR. HAROLD SURMINSKI: Mr. Peters, are we  
10 talking about the advancement to 2011 only, or  
11 advancement from, say 2020 to 2012?

12 MR. BOB PETERS: Let's start at the far  
13 end and keep working back towards the current time, Mr.  
14 Surminski.

15 Advancement from 2020 coming back to 2012  
16 would be for what reason?

17 MR. HAROLD SURMINSKI: It was for export  
18 purposes at the time that the decision was being made.

19 MR. BOB PETERS: And then from -- from  
20 2012 to, possibly, 2011 would be an advancement for what  
21 reason?

22 MR. HAROLD SURMINSKI: It -- it would be  
23 an advantage to Manitoba Hydro, but it was also an  
24 advantage in the construction process to -- to get it on  
25 earlier, just in shortening the construction schedule and

1 taking extra measures to -- to speed up the in-service  
2 date.

3 MR. BOB PETERS: Certainly, and if it  
4 could be done cheaper, there might be a reason to do it  
5 earlier, even if it's not needed for domestic use?

6 MR. HAROLD SURMINSKI: Yes, certainly.

7 MR. BOB PETERS: And then if it was done  
8 a year earlier, you may as well use it, so you would use  
9 it for export purposes?

10 MR. HAROLD SURMINSKI: Yes.

11 MR. BOB PETERS: All right. And Mr. Page  
12 and I had some discussion, and I see you and I probably  
13 did, about the Power Resource Plan at Tab 15 of the book  
14 of documents where Wuskwatim is shown as coming on in-  
15 service in 2013.

16 But that's no longer accurate, as far as  
17 you're concerned?

18 MR. HAROLD SURMINSKI: Fully on in  
19 2013/'14, is that what you mean?

20 MR. BOB PETERS: No. The first units  
21 were going to come in on 2013, not 2012, under the Power  
22 Resource Plan.

23

24

(BRIEF PAUSE)

25

1 MR. VINCE WARDEN: Mr. Peters, maybe I'll  
2 just jump in here.

3 I think we indicated earlier that the best  
4 estimate we have now for Wuskwatim first power in-service  
5 is May 2012, which is consistent with the '12/'13 date  
6 shown in this schedule.

7 MR. BOB PETERS: All right. Thank --  
8 thank you, Mr. Warden. I understand you're saying the  
9 first units will come in, and the last units will come in  
10 the following year?

11 MR. VINCE WARDEN: Yes.

12 MR. BOB PETERS: Can I take from -- from  
13 the answers we've had, Mr. Surminski and Mr. Warden, that  
14 new generation has not been delayed due to DSM?

15 MR. HAROLD SURMINSKI: Yes, that's  
16 correct. Our -- our generation has been determined by --  
17 advancement of generation has been determined by  
18 economics, and it was an advantage to advance generation.  
19 We didn't need a resource until 2020.

20 MR. BOB PETERS: And in -- in theory,  
21 that economics is that when you spend money on DSM, you  
22 are helping the consumer save money, but freeing up  
23 electricity for the Corporation to export and gain  
24 additional revenues.

25 MR. LLOYD KUCZEK: Yes. And I -- I'm not

1 sure if you mentioned it, but there's the benefits of  
2 deferred transmission and distribution costs as well.

3

4 (BRIEF PAUSE)

5

6 MR. HAROLD SURMINSKI: Mr. Peters, just  
7 to -- to clarify further. There's a difference between  
8 when Wuskwatim was committed, when -- when we had  
9 surpluses on the system, and now with a new load forecast  
10 the deficiencies do show up.

11 And as you see in 2011 there is a  
12 deficiency -- it would have been a larger deficiency in  
13 2012 as load is growing and Wuskwatim is -- is helping to  
14 -- to meet our domestic require -- domestic and firm  
15 export.

16 MR. BOB PETERS: It's a combination of  
17 exports as well? If you didn't have those firm exports,  
18 you may have that deficiency, correct?

19 MR. HAROLD SURMINSKI: That's correct.

20 MR. BOB PETERS: All right. And when we  
21 look at the cost per kilowatt hour for the demand-side  
22 management savings, I turn back to Tab 31 of the book of  
23 documents and see that there's \$571 million going to be  
24 expended, and it appears that the total savings to-date,  
25 also from Tab 31 but schedule, I think it's A3, we do the

1 math of thirty-thousand nine hundred and forty-three  
2 (30,943) gigawatt hours, it comes out to a cost per  
3 kilowatt of about a dollar eighty-five (\$1.85), Mr.  
4 Kuczek.

5 Do you take issue with that?

6 MR. LLOYD KUCZEK: I'd have to do my own  
7 calculation to feel comfortable with that. What -- what  
8 did you use for energy saved?

9 MR. BOB PETERS: I used the information  
10 you provided in Schedule -- sorry, from the book of  
11 documents, number 30, the gigawatt hours of savings from  
12 1989 to 2006. So six thousand nine hundred and forty-  
13 seven (6,947).

14 And then from Table A3 in thirty-one (31)  
15 of the book of documents, I took another twenty-three  
16 thousand nine hundred and ninety-six (23,996) gigawatt  
17 hours, added them together, and divided them into the  
18 \$571 million of expenditures.

19 MR. LLOYD KUCZEK: And the number you  
20 came up with?

21 MR. BOB PETERS: One point eight five  
22 (1.85) cents per kilowatt hour.

23 MR. LLOYD KUCZEK: Usually we do a  
24 levelized cost for determining what it's costing us for -  
25 - to get the savings and the -- I'm comfortable with a

1 number that's between one (1) and two (2) cents so I -- I  
2 know you're in the range. Whether or not that's the  
3 right number or not I'm not sure.

4 MR. BOB PETERS: The number that I've  
5 given you is from 1989 DSM savings brought forward, and  
6 con -- and contains a lot of that -- we'll call it the  
7 "low-hanging fruit."

8 MR. LLOYD KUCZEK: Right. But are you  
9 just using the energy that you saved in one (1)  
10 particular year and -- when you get energy savings, you  
11 get energy savings for the life of the product so it's an  
12 aggregate, so that's why we use a levelized calculation  
13 to determine what the cost is. You make the expenditure  
14 usually once to get that measure so...

15 MR. BOB PETERS: All right. In -- in  
16 fairness to your position if we look at Tab 33 of the  
17 book of documents, we'll find a levelized cost  
18 calculation coming in at about one point one (1.1) cents,  
19 up until -- I guess for 2005?

20 MR. LLOYD KUCZEK: That calculation was  
21 done for that year I believe, yes -- or up to that year.

22

23

(BRIEF PAUSE)

24

25

MR. BOB PETERS: When we're looking at

1 that -- that year's specific results does that indicate  
2 that the cost to get a kilowatt hour of savings from a  
3 new home is seven point two (7.2) cents?

4 MR. LLOYD KUCZEK: Yeah, one has to use  
5 these numbers with caution. We've had some discussion  
6 about how we should report these numbers. For programs  
7 that are just launched you have your -- your sunk costs,  
8 your design costs -- upfront costs, I guess would be the  
9 way to put it.

10 So the trouble with doing this analysis  
11 the way we're doing it and reporting it right now, is  
12 that it shows a very high levelized cost for programs  
13 that have just been launched. Those costs really need to  
14 be allocated across the entire life of the program.

15 And so what you see for the New Homes  
16 Program there is seven point two (7.2) cents but the --  
17 the -- well, there's two (2) issues with that particular  
18 program, but one (1) is it hadn't -- it had been recently  
19 launched and also it wasn't quite as successful as we had  
20 hoped.

21 The following year that number will drop  
22 down to four point five (4.5) cents, just to illustrate  
23 my point. And if you look at the other one, the LED  
24 lighting program, that one had just been launched as  
25 well, and it has a high cost of six point six (6.6)

1 cents, and the -- the evaluation in the following year  
2 will -- that number will drop down to two point six (2.6)  
3 cents.

4 So I caution you with the use of those  
5 numbers.

6 MR. BOB PETERS: All right. Well, thanks  
7 for the explanation on that.

8 And if we turn to the next document, still  
9 in the same tab, there's a chart and it's taken from  
10 Appendix 9.1, page 6.

11 It's a chart showing approximately 20  
12 maybe 25 percent of Manitoba Hydro's future growth is  
13 offset by a total DSM.

14 Would that be a correct interpretation by  
15 this Board?

16 MR. LLOYD KUCZEK: Correct.

17 MR. BOB PETERS: So that as the  
18 Corporation goes forward, the demand-side management  
19 programs that it has in place will reduce future growth  
20 by approximately 20 percent?

21 MR. LLOYD KUCZEK: Correct. That's the  
22 effect of it.

23 MR. BOB PETERS: In Tab 34 of the book of  
24 documents, there's an indication from PUB/Manitoba Hydro  
25 First Round 88 of some of the tests that your programs

1 had to -- had to pass.

2 I didn't plan to spend much time on them.  
3 I know some participants have gone through them at some  
4 length. But you run, as a primary test, the total  
5 resource cost test to see if a program is -- is even  
6 worth implementing.

7 Would that be correct?

8 MR. LLOYD KUCZEK: It's to see if it's  
9 cost effective.

10 MR. BOB PETERS: And what you try to  
11 figure out is if you have certain marginal benefits and  
12 you divide those by the total costs, you want the  
13 benefits to exceed the costs.

14 MR. LLOYD KUCZEK: Yes, regardless of who  
15 pays.

16 MR. BOB PETERS: And -- all right,  
17 regardless of who pays, and you want the ratio to be  
18 greater than one point zero (1.0).

19 MR. LLOYD KUCZEK: Well if the ratio's  
20 greater than one point zero (1.0), we -- we think it's  
21 economic to do, and so those are the opportunities that  
22 make sense. Now we just have to figure out how we can  
23 get those opportunities implemented in the marketplace.

24 MR. BOB PETERS: You have to determine  
25 who's going to pay for some of the -- some the

1 efficiencies?

2 MR. LLOYD KUCZEK: Yeah, the benefits are  
3 greater than the cost. Now we've just got to figure out  
4 how -- how we move forward from there.

5 MR. BOB PETERS: When you look at  
6 marginal benefits, are you figuring out what the benefits  
7 are to the Manitoba Hydro, are you looking at benefits to  
8 the consumer, or both?

9 MR. LLOYD KUCZEK: That's the tough one.  
10 When we look at the benefits in this calculation, we're  
11 using avoided cost, which is the -- the benefits to  
12 Manitoba Hydro and -- yeah, so -- so that's -- that's  
13 what's being used, but -- but the -- yeah.

14 MR. BOB PETERS: You assume that if  
15 there's a benefit to Manitoba Hydro, there will also be a  
16 benefit to your consumers?

17 MR. LLOYD KUCZEK: If there's a benefit  
18 to Manitoba Hydro, the consumers will ultimately benefit  
19 through lowering our costs. Or those benefits eventually  
20 get realized through -- through reduced rates or rates  
21 that might not be as high as they would otherwise be,  
22 yes.

23 MR. BOB PETERS: The other measure that  
24 you -- you run your DSM program through is the rate  
25 impact measure test as a secondary test, correct?

1 MR. LLOYD KUCZEK: Yes.

2 MR. BOB PETERS: And you want to see if  
3 rates to consumers will increase or decrease with the  
4 expenditures planned by Manitoba Hydro for the  
5 initiative?

6 MR. LLOYD KUCZEK: Yeah. We're a little  
7 careful on how we say that though. What the measure does  
8 is give you an indication of whether or not the im -- the  
9 particular program where the result of the program will  
10 have a positive or negative impact on rates.

11 It doesn't mean necessarily rates will be  
12 higher or lower, but it is an indication of either  
13 putting positive or negative pressure on rates and the  
14 magnitude of that pressure.

15 MR. BOB PETERS: And so when we see some  
16 of the rim test scores, on the document in Tab 34, are  
17 below one point zero (1.0), those programs are, in  
18 essence, needing to be cross-subsidized or they're  
19 putting negative pressure on rates.

20 MR. LLOYD KUCZEK: That's correct.

21 MR. BOB PETERS: Lastly -- if I still  
22 have a minute or two (2) of the Vice-Chair's time -- on  
23 the next page in Tab 34, you list some discontinued or  
24 completed programs on Exhibit 4.3.1A.

25 Have you found those, sir?

1 MR. LLOYD KUCZEK: I believe I have them.

2 MR. BOB PETERS: Why do you discontinue a  
3 program?

4 MR. LLOYD KUCZEK: We discontinue a  
5 program -- well, it could be for a few different reasons.  
6 One (1) is that it might not be economic to pursue the  
7 program.

8 Another reason might be we have the market  
9 transformed already and, so, if it's transformed, there's  
10 no need to continue offering incentives for those  
11 particular measures in the marketplace.

12 MR. BOB PETERS: And I think you were  
13 correct here, Mr. Kuczek, we might have to end on that  
14 happy note that the refrigerator/freezer buyback pilot  
15 program was back in 1990/'90 -- sorry -- '91/'92, and it  
16 lasted for two (2) years.

17 MR. LLOYD KUCZEK: Yes.

18 MR. BOB PETERS: None of your programs  
19 here seem to last fifteen (15) years, do they?

20 MR. LLOYD KUCZEK: I'm happy if they  
21 don't last fifteen (15) years.

22 MR. BOB PETERS: But you spread your  
23 costs out of those programs over fifteen (15) years,  
24 don't you?

25 MR. LLOYD KUCZEK: Well, the -- the

1 benefits that result from the programs last longer than -  
2 - when the -- than the duration of the program. So if  
3 you're looking at when the benefits are realized from the  
4 programs, it -- you have to look at what you're  
5 achieving.

6 For example, if you're achieving  
7 insulation being put in a home -- higher level of  
8 insulation -- you'll realize the benefits from that for  
9 fifty (50) years or more.

10 MR. BOB PETERS: But you don't measure,  
11 once you discontinue the program, its effectiveness going  
12 forward, do you?

13 MR. LLOYD KUCZEK: No, we usually measure  
14 the effectiveness of a particular program at the time the  
15 program is either being considered, being implemented or  
16 terminated.

17 MR. BOB PETERS: Thank you.

18 THE CHAIRPERSON: We will have to call a  
19 halt to it now.

20 MR. BOB PETERS: Thank you, Mr. Chairman.

21 THE CHAIRPERSON: Thank you, Mr. Peters.  
22 Thanks to the panel. We'll see you all on Monday. Thank  
23 you.

24

25 (WITNESSES RETIRE)

1 --- Upon adjourning at 3:56 p.m.

2

3

4

5 Certified Correct

6

7

8

\_\_\_\_\_

9

Cheryl Lavigne

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25