

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA HYDRO'S APPLICATION
FOR APPROVAL OF NEW ELECTRICITY RATES
FOR 2010/11 AND 2011/12

Before Board Panel:

- Graham Lane - Board Chairman
- Robert Mayer, Q.C. - Board Member
- Len Evans - Board Member

HELD AT:

Public Utilities Board
400, 330 Portage Avenue
Winnipeg, Manitoba
January 25, 2011
Pages 1893 to 2110

1 APPEARANCES

2 Bob Peters)Board Counsel

3

4 Patti Ramage)Manitoba Hydro

5 Marla Boyd)

6

7 Byron Williams)CAC/MSOS

8 Myfanwy Bowman (np))

9

10 Antoine Hacault)MIPUB

11

12 Michael Anderson (np))MKO

13

14 William Gange)RCM/TREE

15

16 Delanie Coad (np))SCO

17

18 Denise Pambrum (np))City of Winnipeg

19

20 Gavin Wood)Independent Experts

21

22

23

24

25

1	TABLE OF CONTENTS	
2		Page No.
3	List of Undertakings	1896
4		
5	MANITOBA HYDRO PANEL:	
6	VINCE WARDEN, Resumed	
7	DAVID CROMIE, Resumed	
8	HAROLD SURMINSKI, Resumed	
9	LLOYD KUCZEK, Resumed	
10	Continued Cross-examination by Mr. Bob Peters	1899
11		
12	Presentation by Mr. Art Derry on Behalf of Bipole III	
13	Coalition	1987
14	Bipole III Coalition Written Presentation	1997
15	Question Period	2008
16		
17	MANITOBA HYDRO PANEL:	
18	VINCE WARDEN, Resumed	
19	DAVID CROMIE, Resumed	
20	HAROLD SURMINSKI, Resumed	
21	LLOYD KUCZEK, Resumed	
22	Continued Cross-examination by Mr. Bob Peters	2014
23		
24	Certificate of Transcript	2110
25		

	UNDERTAKINGS		
	No.	Description	Page No.
1			
2			
3	31	Manitoba Hydro to file hydrographs from	
4		2006/07 for the Winnipeg River at Seven	
5		Sisters, the Red River at Lockport, the	
6		Saskatchewan River at The Pas, and then	
7		also the Lake of the Woods water levels,	
8		their inflows, and outflow hydrographs	1905
9	32	Manitoba Hydro to quantify the US	
10		opportunity sales in 2004/05 that were	
11		made on-peak. And also, for 2005/06, to	
12		break down the 13,000 gigawatt hours sold	
13		to the US as to what was on-peak and what	
14		was off-peak	1909
15	33	Manitoba Hydro to quantify the effects of	
16		the energy in storage depletion that are	
17		attributable to the actions of the	
18		operator's of reservoirs that are not	
19		controlled by Manitoba Hydro	1928
20			
21			
22			
23			
24			
25			

	UNDERTAKINGS (Con't)		
	No.	Description	Page No.
1			
2			
3	34	Manitoba Hydro to provide a chart	
4		comparable to that on page 106 of Tab 43	
5		of the book of documents, setting out the	
6		April 1st, the peak day, and the October	
7		31st levels of energy in storage on the	
8		three (3) reservoirs, namely Lake Winnipeg,	
9		Cedar Lake, and Southern Indian Lake that	
10		are controlled by Manitoba Hydro	1933
11	35	Manitoba Hydro to file the April 2003	
12		report from Risk Advisory	1953
13	36	Manitoba Hydro to file one (1) page from	
14		the power resource plan that provides	
15		the summary of dependable resources for	
16		2003/04	1959
17	37	Manitoba Hydro to determine the origin of	
18		the opportunity term sales that are shown	
19		on book of documents, Tab 35, page 78, for	
20		the 2003/04 year	2029
21	38	Manitoba Hydro to provide an indication as	
22		to what RSG charges Manitoba Hydro has had	
23		to pay on an annual basis	2044
24			
25			

	UNDERTAKINGS (Con't)	
1	No.	Page No.
2		
3	39	Manitoba Hydro to indicate to the Board
4		if, since Lake Winnipeg Regulation,
5		starting in 1976, whether Manitoba Hydro's
6		hydraulic generation exceeded domestic load
7		in every year except the '03/'04 year 2072
8	40	Manitoba Hydro to advise if there were
9		other factors that contributed to the loss
10		in 1993 2083
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 --- Upon commencing at 9:39 a.m.

2

3 THE CHAIRPERSON: Okay. Good morning,
4 everyone.

5 Mr. Peters...?

6 MR. BOB PETERS: Thank you, and good
7 morning, Mr. Chairman, Board members, ladies and
8 gentlemen. Just a few housekeeping matters this morning,
9 Mr. Chairman.

10 The first is I've notified counsel for
11 Manitoba Hydro that as of yesterday afternoon there's
12 been an arrangement to have a presenter, Mr. Art Derry,
13 present to the Board today at 1:15, and the presentation
14 isn't expected to be lengthy.

15

16 MANITOBA HYDRO PANEL RESUMED:

17 VINCE WARDEN, Resumed

18 DAVID CORMIE, Resumed

19 HAROLD SURMINSKI, Resumed

20

21 CONTINUED CROSS-EXAMINATION BY MR. BOB PETERS:

22 MR. BOB PETERS: Another housekeeping
23 matter, Mr. Cormie, yesterday you indicated that even if
24 Manitoba Hydro knew in 2006/07 that its energy in storage
25 in all of its reservoirs was running at or about average,

1 even though Lake Winnipeg was -- was filling up, Hydro
2 didn't control some of the other water sheds, or water
3 reservoirs, that contribute to Manitoba Hydro's
4 generating capacity. Do you remember that discussion?

5 MR. DAVID CORMIE: Yes.

6 MR. BOB PETERS: One (1) of the points
7 you made was that the Lake of the Woods has its own
8 control mechanisms and body?

9 MR. DAVID CORMIE: Lake of the Woods, Lac
10 Seul, Rainy Lake, Namakan Lake, and Lake St. Joseph are
11 all regulated by others.

12 MR. BOB PETERS: And in -- in particular,
13 the Lake of the Woods has its own control board?

14 MR. DAVID CORMIE: It does.

15 MR. BOB PETERS: Do you know who -- who
16 sits on that control board?

17 MR. DAVID CORMIE: There are two (2)
18 representatives of the province of Ontario, one (1)
19 representative from the province of Manitoba, and one (1)
20 representative from the Government of Canada.

21 MR. BOB PETERS: No representatives from
22 Manitoba Hydro or Ontario Hydro?

23 MR. DAVID CORMIE: The -- I believe one
24 (1) of the Ontario representatives works for Ontario
25 Power Generation, and the board receives representation

1 from specific interest groups of whom one (1) is Manitoba
2 Hydro and one (1) is from Ontario Power Generation
3 amongst the many interest groups that are represented
4 before the Board.

5 MR. BOB PETERS: Is it fair to say that
6 Manitoba Hydro's interests on that control board are
7 represented by the province of Manitoba?

8 MR. DAVID CORMIE: Manitoba Hydro's
9 interests are one (1) of the many interests that are
10 represented by the board representative for Manitoba.

11 MR. BOB PETERS: Who else does the -- the
12 Manitoba representative advocate on behalf of ?

13 MR. DAVID CORMIE: Well, the -- the
14 southwest shore of Lake of the Woods is in the province
15 of Manitoba. The -- there are much cottage development
16 and -- and the like on the Winnipeg River in Manitoba.
17 There's the flood interest all along the river. There's
18 water quality.

19 The -- the board members don't represent a
20 specific area; this is a -- a representation where
21 they're bound by the legislation to provide, I think the
22 words are 'maximum benefits from regulation', and they're
23 not -- Board members aren't there to represent their
24 particular region.

25 MR. BOB PETERS: The mandate then of that

1 Control Board at Lake of the Woods would be to operate
2 Lake of the Woods within prescribed limits?

3 MR. DAVID CORMIE: Yes, as laid down in
4 the Canadian and Ontario and in International Treaty.
5 Yeah, I'm sorry, Canadian and Ontario legislation, and
6 under the International Treaty.

7 MR. BOB PETERS: And in addition to
8 regulating the level of that lake there are -- the Board
9 is also to provide river flows for both Manitoba Hydro
10 and Ontario Hydro's generation?

11 MR. DAVID CORMIE: The hydro power
12 interest is one (1) of many interests.

13 MR. BOB PETERS: Both Manitoba's and
14 Ontario's?

15 MR. DAVID CORMIE: Yes, and there are
16 several private power companies as well.

17 MR. BOB PETERS: In Ontario?

18 MR. DAVID CORMIE: Yes.

19 MR. BOB PETERS: And Manitoba's --
20 Manitoba Hydro's generating interests, would they be, I
21 don't know, order of magnitude, five (5)/seven (7) times
22 larger than those in Ontario or do you have any handle on
23 that?

24 MR. DAVID CORMIE: Manitoba's interests
25 are probably twice as large as the Ontario interests.

1 However, the Board is looking for equity in the treatment
2 of interest, not the -- the -- the big guy on the block
3 doesn't get a -- a preference, Mr. Peters, it's about
4 treating everybody equally.

5 MR. BOB PETERS: Maybe not equally, but
6 equitably?

7 MR. DAVID CORMIE: Equitably, yeah. And
8 I think the Board is very happy when everybody feels that
9 they're all being treated as -- in a similar manner.

10 MR. BOB PETERS: You can confirm to the
11 Board, Mr. Cormie, that in 2006/07, that in ten (10) of
12 the twelve (12) months the Winnipeg River was less than
13 two thirds (2/3) of average flows?

14 MR. DAVID CORMIE: Yes, and that was the
15 critical concern to us. In the winter of '06/'07 we had
16 near record low flows on the Winnipeg River in spite of
17 reservoir levels being at -- at near average levels. And
18 in spite of our -- our -- our concern, the Utility was
19 not effective in -- in -- in getting higher flows to
20 support its power generation.

21 MR. BOB PETERS: Where was it not
22 effective?

23 MR. DAVID CORMIE: Representing -- at --
24 at -- in discussions with the -- with the Board over the
25 regulation of outflows from Lake of the Woods and Lac

1 Seul.

2 MR. BOB PETERS: Because Manitoba Hydro
3 knew in '06/'07 that the Winnipeg River was significantly
4 below average, Manitoba Hydro also knew that the inflows
5 to Lake Winnipeg would be less than average, correct?

6 MR. DAVID CORMIE: I think that's only
7 fair to say in retrospect, Mr. Peters.

8 MR. BOB PETERS: All right. Manitoba
9 Hydro wasn't aware of that in real-time?

10 MR. DAVID CORMIE: We were aware of it
11 day-by-day as the -- as the fall progressed and it --
12 rainfall was very low.

13 MR. BOB PETERS: So again, in retrospect,
14 Hydro wouldn't have to have worried about exceeding the
15 upper limit of 715 feet on Lake Winnipeg?

16 MR. DAVID CORMIE: No, it -- that -- that
17 -- that was absolutely necessary because during the
18 months of April, May and June, inflows that were outside
19 of Manitoba Hydro's control were higher than the outflow
20 capa -- outflow capacity at Jenpeg and Lake Winnipeg was
21 rising. And by the end of July it was approaching the
22 full supply level of Lake Winnipeg.

23 And so there's absolutely nothing that
24 Manitoba Hydro could have done differently in spite of
25 the fact that precipitation had begun to fall below

1 average.

2 MR. BOB PETERS: Mr. Cormie, I think by
3 way of undertaking it would be helpful to the Board if
4 Manitoba Hydro could file hydrographs from 2006/07 for
5 the Winnipeg River at Seven Sisters, the Red River at
6 Lockport, the Saskatchewan River at The Pas, and then
7 also the Lake of the Woods water levels, their inflows
8 and outflow hydrographs.

9 That would be information Manitoba Hydro
10 would have?

11 MR. DAVID CORMIE: Yes, we have that.

12 MR. BOB PETERS: All right. You'd be
13 prepared to file that?

14 MR. DAVID CORMIE: Yes.

15 MR. BOB PETERS: Thank you very much,
16 sir.

17

18 --- UNDERTAKING NO. 31: Manitoba Hydro to file
19 hydrographs from 2006/07 for
20 the Winnipeg River at Seven
21 Sisters, the Red River at
22 Lockport, the Saskatchewan
23 River at The Pas, and then
24 also the Lake of the Woods
25 water levels, their inflows,

1 and outflow hydrographs

2

3 CONTINUED BY MR. BOB PETERS:

4 MR. BOB PETERS: Yesterday, Mr. Cormie,
5 we had a brief discussion about the US tie-line capacity.
6 Do you recall that?

7 MR. DAVID CORMIE: Yes, I -- somehow we
8 got distracted and we never followed up on that.

9 MR. BOB PETERS: I got distracted last
10 evening and I tried to work the numbers. Could you --
11 and the numbers that I -- I took from -- from what you
12 told the Board is that on a quarterly basis the US tie-
13 line capacity is approximately 4,200 gigawatt hours in
14 those three (3) months. Did I interpret that correctly?

15 MR. DAVID CORMIE: Yes, assuming the
16 scheduling limit is around 1,960 megawatts or
17 thereabouts. Multiply that by eight thousand seven sixty
18 (8,760), and then multiply that by 25 percent you get
19 around 4,300 gigawatt hours.

20 MR. BOB PETERS: In the book of documents
21 at Tab 35, page 74, in the top right-hand corner, and
22 we're referring to PUB Exhibit 16, if we look on the
23 bottom half of the page we see the US dependable sales,
24 Mr. Cormie, at 5,633 gigawatt hours for the year.

25 MR. DAVID CORMIE: Which year are you

1 referring to? Is this page 74, Mr. Peters?

2 MR. BOB PETERS: Yes, it -- yes, it is,
3 and I was referring to the 2004/05 year.

4 MR. DAVID CORMIE: Five six three three
5 (5,633); I see that, yes.

6 MR. BOB PETERS: Those sales would be 100
7 percent peak sales, Mr. Cormie?

8

9 (BRIEF PAUSE)

10

11 MR. DAVID CORMIE: I -- I can't say that
12 with a hundred percent certainty, Mr. Peters, but I think
13 that's a fair assumption, yes.

14 MR. BOB PETERS: Mr. Cormie, were there
15 any other additional on-peak sales in the 2004/05 fiscal
16 year?

17 MR. DAVID CORMIE: They -- some of the
18 opportunity sales that are shown in the number in the
19 third column, the four thousand seven hundred and ninety-
20 eight (4,798) would have been during the on-peak hours as
21 well, Mr. Peters.

22 MR. BOB PETERS: Could you just repeat
23 which number you're referring to, please.

24 MR. DAVID CORMIE: There are two (2)
25 tables there, Mr. Peters. Which table are you referring

1 to?

2 MR. BOB PETERS: I was referring to the
3 one at the bottom of the page, which was the US sales.

4 MR. DAVID CORMIE: Oh, I -- I'm sorry, I
5 was referring to the table above. So 2004/05 there were
6 three thousand two hundred and eighteen (3,218) of
7 opportunity sales to the US. Yes, some of those would be
8 in the on-peak as well.

9 MR. BOB PETERS: How do you know that?

10 MR. DAVID CORMIE: Because that's where
11 we sell first, Mr. Peters. We only sell in the off-peak
12 second, so to the extent that there are any off-peak
13 sales, there will be on-peak sales that will take
14 priority because they attract a higher price.

15 MR. BOB PETERS: Are you able to quantify
16 the amount that you also sold on-peak in -- as
17 opportunity sales to the US in 2004/05, Mr. Cormie?

18 MR. DAVID CORMIE: I'm sure we can get
19 you that number if we haven't already done so, Mr.
20 Peters.

21 MR. BOB PETERS: All right. If I'd ask
22 for an undertaking then to quantify the opportun -- the
23 US opportunity sales in 2004/05 that were made on-peak.
24 Is that acceptable, Mr. Cormie?

25 MR. DAVID CORMIE: Yes.

1 MR. BOB PETERS: Thank you, sir.

2

3 --- UNDERTAKING NO. 32: Manitoba Hydro to quantify
4 the US opportunity sales in
5 2004/05 that were made on-
6 peak. And also, for 2005/06,
7 to break down the 13,000
8 gigawatt hours sold to the US
9 as to what was on-peak and
10 what was off-peak

11

12 CONTINUED BY MR. BOB PETERS:

13 MR. BOB PETERS: And if we look on that
14 same table and we go down to 2005/06, still looking at
15 the total US sales, when we add up all the US sales in
16 '05/'06 it's about 13,000 gigawatt hours a year, Mr.
17 Cormie.

18 MR. DAVID CORMIE: Yes.

19 MR. BOB PETERS: And what portion of that
20 do you believe would have been on-peak?

21 MR. DAVID CORMIE: The -- the four
22 thousand and forty-four (4,044) dependable, the major --
23 the vast majority of that would have been on-peak, and
24 then I would suspect that the majority of the eighty-
25 eight seventy-nine (8879) were off-peak, but I'd have to

1 find the breakdown of that as well.

2 MR. BOB PETERS: Then could I add that to
3 the last undertaking, and that is to -- for the year --
4 also for 2005/06, to break down the 13,000 gigawatt hours
5 sold to the US as to what was on-peak and what was off-
6 peak?

7 MR. DAVID CORMIE: Yes.

8 MR. BOB PETERS: Thank you, sir. I'd
9 like to turn, Mr. Chairman and Board members, to a
10 further retrospective look, and it'll take us back to
11 2001, 2002, 2003, and 2004.

12 So in fiscal year 2001/02, Mr. Cormie,
13 Manitoba Hydro started the year with favourable water
14 conditions. Would that be a fair characterization?
15

16 (BRIEF PAUSE)

17
18 MR. BOB PETERS: If it might assist --

19 MR. DAVID CORMIE: Are you --

20 MR. BOB PETERS: -- book of documents 43,
21 page 106.

22

23 (BRIEF PAUSE)

24

25 MR. DAVID CORMIE: You're referring to

1 2001/2002, Mr. Peters?

2 MR. BOB PETERS: Yes, sir.

3 MR. DAVID CORMIE: Yeah. I don't have
4 specific memories of that. I'd have to look into the
5 records, Mr. Peters.

6 MR. BOB PETERS: Well, can we look on
7 page 106 at Tab 43, Mr. Cormie, and see that the energy
8 in storage, which I think came from PUB Manitoba Hydro
9 First Round 82E, you were sitting with 9.3 terrawatt
10 hours energy in storage?

11 MR. DAVID CORMIE: Yes, and Lake Winnipeg
12 was at, from this table, approximately 713.4 feet. I
13 would think that's probably an average starting year.

14 MR. BOB PETERS: It's probably above
15 average, isn't it, in terms of energy in storage, with
16 the average being closer to 8,000 gigawatt hours?

17 MR. DAVID CORMIE: I'll -- I'll accept
18 that.

19 MR. BOB PETERS: And also in 2001/02, Mr.
20 Cormie, it was a high-export year with about 12,300
21 gigawatt hours of energy sold on export?

22 MR. DAVID CORMIE: And you're referring
23 to which table now, Mr. Peters?

24 MR. BOB PETERS: I think that's in
25 CAC/MSOS Manitoba Hydro First Round Question 13D. I'm

1 not sure I put that in the book of documents, Mr. Cormie.
2 Let me just double-check here.

3 MR. BYRON WILLIAMS: It's page 74, I
4 think, Mr. Peters.

5 MR. DAVID CORMIE: Yeah. I'm looking at
6 page 74. The total sales for that year were
7 approximately 12,300 gigawatt hours, so it -- it was a
8 good year, yes.

9
10 CONTINUED BY MR. BOB PETERS:

11 MR. BOB PETERS: And approximately 1,500
12 gigawatt hours would have been sold in the seven (7) by
13 eight (8). I guess that's overnight sales?

14 MR. DAVID CORMIE: Can you provide me
15 that reference, Mr. Peters?

16 MR. BOB PETERS: I was simply doing some
17 math in terms of what wouldn't fit on the seven (7) by
18 sixteen (16), and figured out the rest. That'd probably
19 be overnight.

20 MR. DAVID CORMIE: How -- I -- I don't
21 see how you're getting that number. If you can point to
22 the exhibit that would show that.

23 MR. BOB PETERS: All right, I'll come
24 back to that number with you, Mr. Cormie. In that same
25 year, Manitoba Hydro ended up purchasing or importing or

1 buying back energy in the third and fourth quarter of the
2 year?

3 MR. DAVID CORMIE: I -- I think, Mr.
4 Peters, 2001/2002 looks like it was very similar to what
5 happened in 2005 and '06, or '06/'07, when Lake Winnipeg
6 reached its peak level of around seven fifteen (715) in
7 the summertime.

8 And under those circumstances we would
9 have been managing the reservoir releases from Lake
10 Winnipeg in order to avoid going into the flood zone of
11 the lake, and subject to check, that would require very
12 high releases down the Nelson river and -- and there
13 would have been high volumes of off-peak sales early in
14 the year as a result of the flood control activities that
15 Manitoba Hydro was engaged in.

16 To average it out over the whole year,
17 assuming that somehow we would be able to store water in
18 reservoir storage that we don't have, it's not a -- it's
19 not a conclusion that can be made based on annual
20 numbers.

21 They have to be looked at under the
22 hydraulic conditions of that year, month by month, week
23 by week, and -- and averaging out over a year doesn't
24 work, the same way that averaging out over a five (5)
25 year period wouldn't work.

1 That -- you couldn't say that we should
2 have stored water in a flood year for a drought that was
3 coming four (4) years down -- down the road. You can't -
4 - you can't assume that Manitoba Hydro has infinite
5 storage. We just don't.

6 MR. BOB PETERS: The energy in storage,
7 Mr. Cormie, at year end was reduced down to 6,300
8 gigawatt hours?

9 MR. DAVID CORMIE: In the spring of 2003,
10 yes. Yes.

11 MR. BOB PETERS: That's approximately
12 1,700 gigawatt hours below average?

13 MR. DAVID CORMIE: Yes, and if the water
14 conditions were as diverse in that year as I suspect,
15 high water in the -- in the early part of the year, and -
16 - and lower inflows later on.

17 When inflows are low in the wintertime,
18 more water can be taken out of storage and reservoir
19 storage can be drawn lower than it can be in a -- in a
20 winter when their inflows are high because of the limited
21 outflow capacity of Lake Winnipeg relative to its -- to
22 the inflows.

23

24 (BRIEF PAUSE)

25

1 MR. BOB PETERS: I'm not sure I
2 understood fully that answer, Mr. Cormie. Hydro drew
3 down the energy in storage to below average at the end of
4 the preceding year?

5 MR. DAVID CORMIE: Yes. And -- and in
6 low -- in -- in winters when inflows to the lake are low
7 more of the outflow can come from storage.

8 When inflows are high, most of the outflow
9 capacity out of Lake Winnipeg is used to pass the
10 inflows, and so it's very -- it's not possible to draw a
11 significant amount of water out of storage.

12 So in high inflow years, there will be a
13 lot of carryover, as there is in this current year. In a
14 low inflow year, like it appears in the year that -- in
15 question that you're talking about, it's -- we are able
16 to go to maximum discharge out of Lake Winnipeg, draw
17 more water out of storage because there's less inflow
18 coming in.

19 So for a -- for a given outflow, you can
20 pass more water from storage than you can from inflow.
21 Then a high water year, you -- in effect, you could have
22 the lake rise because there's more water coming in than
23 there's outflow capability.

24 So under higher flow conditions, the
25 reservoir is very ineffective. You can't utilize the

1 storage. You can't exercise the call on the energy
2 that's in storage. It ends up get -- getting carried
3 over.

4 It's a -- it's a property of regulating
5 Lake Winnipeg. You've got the winter discharge, barely
6 is able to pass the average inflow under average flow
7 conditions, and under higher flow conditions the lake
8 will actually go up in the wintertime.

9 MR. BOB PETERS: Mr. Cormie, the -- what
10 was the hydraulic generation in 2001/02? It was about
11 31,000 gigawatt hours?

12 MR. DAVID CORMIE: Can you provide a
13 reference for that, Mr. Peters?

14 MR. BOB PETERS: I only -- I think I took
15 that from one of the annual reports. So subject to
16 check?

17 MR. DAVID CORMIE: Well, subject to
18 check, yes.

19 MR. BOB PETERS: And --

20 MR. DAVID CORMIE: I -- I don't have
21 these numbers in my head, Mr. Peters.

22 MR. BOB PETERS: No, I -- I appreciate
23 that, sir. The thirty-one thousand (31,000) of hydraulic
24 generation is -- is above average?

25 MR. DAVID CORMIE: Yes, that would be

1 above average and probably as a result of high flows
2 early in the year.

3

4

(BRIEF PAUSE)

5

6 MR. BOB PETERS: That's consistent with
7 selling opportunity on the overnight market?

8 MR. DAVID CORMIE: Yes, the -- the
9 reservoir releases are under -- high flow conditions are
10 dictated by the flood management requirements in our
11 licence, which -- which re -- results in flows down the
12 river. And hydraulic generation that results from those
13 flows, it's not a -- it's not something that -- that
14 Manitoba Hydro would like to do, it -- we would -- but
15 we're obligated to do.

16 Release tho -- release that water from
17 storage and -- and then the off-peak sales are a salvage
18 operation where we -- we -- we -- we take that energy to
19 market and get whatever we can for the off-peak energy
20 rather than putting it over to the spilling.

21 MR. BOB PETERS: All right. Still at Tab
22 35 of the book of documents, starting '02/'03, Mr.
23 Cormie, Manitoba Hydro had 6,300 gigawatt hours in
24 storage, and that was on, I believe -- sorry, I stand
25 corrected. That was at Tab 43 of the book of documents.

1 (BRIEF PAUSE)

2

3 MR. DAVID CORMIE: Which year are you
4 referring to now, Mr. Peters?

5 MR. BOB PETERS: '02/'03.

6 MR. DAVID CORMIE: And which number are
7 you referring to now?

8 MR. BOB PETERS: Starting the year April
9 the energy in storage in 2002 was 6,300 gigawatt hours?

10 MR. DAVID CORMIE: Yes, I see that
11 number.

12 MR. BOB PETERS: And from Tab 35 of the
13 book of documents, Manitoba Hydro sold approximately
14 9,700 gigawatt hours that year? From page 74, Tab 35.

15

16 (BRIEF PAUSE)

17

18 MR. DAVID CORMIE: Which table are you
19 referring to on page 74 now?

20 MR. BOB PETERS: I was looking at the top
21 half of the page, sir.

22 MR. DAVID CORMIE: And you're -- what are
23 you adding, the sixty-five forty-four (6,544) to the
24 thirty-one ninety-one (3,191)?

25 MR. BOB PETERS: Yes, sir.

1 MR. DAVID CORMIE: Thank you. Yes.

2 MR. BOB PETERS: And of those exports,
3 approximately sixty-five hundred (6,500) was firm or
4 dependable, as you've called it?

5 MR. DAVID CORMIE: Yes.

6 MR. BOB PETERS: And the balance, thirty-
7 two hundred (3,200), was it opportunity?

8 MR. DAVID CORMIE: Yes.

9 MR. BOB PETERS: And would you conclude
10 that the opportunity included overnight and weekend
11 sales?

12

13 (BRIEF PAUSE)

14

15 MR. DAVID CORMIE: I'm sure there's --
16 there's some of that in there, Mr. Peters, but I --
17 again, I'd have to look at the record.

18 MR. BOB PETERS: And in terms of
19 importing energy in that year, if we turn to page 76 at
20 Tab 35, Manitoba Hydro imported approximately 3,200
21 gigawatt hours, sir?

22 MR. DAVID CORMIE: And which -- which
23 page are you now on, Mr. Peters?

24 MR. BOB PETERS: Page 76.

25 MR. DAVID CORMIE: And where's the 3,200

1 gigawatt hours?

2 MR. BOB PETERS: It would be the -- the
3 summing of the August '02 through to March '03
4 information provided in the middle column.

5

6 (BRIEF PAUSE)

7

8 MR. DAVID CORMIE: Yes, those -- that --
9 that total looks correct, yes.

10 MR. BOB PETERS: Probably at an average
11 price around four (4) cents.

12 MR. DAVID CORMIE: Yes.

13 MR. BOB PETERS: And by quarter we -- the
14 Board could break that down and see about 800 gigawatt
15 hours in the third quarter; maybe 1,500 in the second
16 quarter -- or the fourth quarter, sorry, Mr. Cormie.

17 MR. DAVID CORMIE: Yes.

18 MR. BOB PETERS: And would it be correct
19 that Manitoba Hydro reduced the energy in storage at year
20 end by a further 2,100 gigawatt hours down to 4,200
21 gigawatt hours in total to start the '03/'04 year?

22 MR. DAVID CORMIE: Yes.

23 MR. BOB PETERS: And in 2002/03, the
24 hydraulic generation for that year I noted here was about
25 2,800 gigawatt hours, perhaps slightly below average. Do

1 you accept that?

2 MR. DAVID CORMIE: Not 2,800, no.

3 MR. BOB PETERS: 28,000. Would you...?

4 MR. DAVID CORMIE: Okay, I'll -- that
5 sounds reasonable, subject to check.

6 MR. BOB PETERS: Yeah, thank you for
7 that, Mr. Cormie. I apologize for that.

8 MR. DAVID CORMIE: The drought was bad
9 but not that bad.

10 MR. BOB PETERS: Would it be correct to
11 say that the energy in storage was brought down below
12 average by about 3,800 gigawatt hours on a cumulative
13 basis over those two (2) years?

14 MR. DAVID CORMIE: Yeah, you know, Mr.
15 Peters, you're ref -- keep referring to those energy in
16 storage values. Those are the energy in storage values
17 for all eighteen (18) reservoirs in -- in western Canada,
18 only three (3) of which Manitoba Hydro controls. And the
19 implication of your question is that Manitoba Hydro
20 controlled the draw of all those storage reservoirs down
21 to that level.

22 It -- it would be more appropriate to use
23 the energy and reservoir storage that Manitoba Hydro
24 controls in drawing your conclusions. I -- so I can't --
25 I can't say that that -- that was Manitoba Hydro's

1 responsibility in -- and in -- whi -- which is -- which
2 is really what you're asking me to -- I -- what -- I can
3 tell you that that number is correct, but it's not
4 something that Manitoba Hydro did on its own.

5 MR. BOB PETERS: Oh, I appreciate your
6 qualifications and I certainly welcome you to make them,
7 sir. And I wasn't trying to imply with my questions; I
8 wanted the facts for the Board, and I think you've
9 provided them, so I appreciate that.

10 With hindsight you would see that the
11 3,800 gigawatt hours of energy, that wouldn't be energy
12 that would be available for the '03/'04 year.

13 MR. DAVID CORMIE: Which 3,800 gigawatt
14 hours?

15 MR. BOB PETERS: Well, I think we've
16 agreed that Manitoba Hydro's energy in storage was
17 brought down by about 3,800 gigawatt hours on a
18 cumulative basis from 2001/02 as well as 2002/03.

19 MR. DAVID CORMIE: I -- I -- now, again,
20 Mr. Peters, I would -- would rather draw that conclusion
21 based on the Manitoba Hydro reservoir storage information
22 and not on energy in storage across eighteen (18)
23 reservoirs of which Manitoba Hydro only controls several.

24 MR. BOB PETERS: And your energy in
25 storage tables talk about all eighteen (18) reservoirs

1 though, do they not, in terms of energy that's available
2 to Manitoba Hydro?

3 MR. DAVID CORMIE: Well, we have energy
4 storage tables for different sets of reservoirs, Mr.
5 Peters, but we tend to publish the -- the one for all of
6 them for -- so that there's a broad understanding of how
7 energy in storage across western Canada's being managed,
8 but our responsibility is just for three (3) of them.

9 MR. BOB PETERS: Are you telling the
10 Board that you have the -- the same data as shown on page
11 106 at Tab 43 for the three (3) reservoirs that Manitoba
12 Hydro controls?

13 MR. DAVID CORMIE: Yes, and I think that
14 chart was shown in the rebuttal evidence that Manitoba
15 Hydro filed.

16 MR. BOB PETERS: All right, we'll check
17 that. Is it one (1) chart with -- or do you do it on an
18 individual reservoir basis?

19 MR. DAVID CORMIE: No, it's the -- it's
20 the one (1) chart.

21 MR. ROBERT MAYER: Mr. Cormie, which
22 three (3) reservoirs does Manitoba Hydro control?

23 MR. DAVID CORMIE: They're Lake Winnipeg,
24 the reservoir behind Grand Rapids at Cedar Lake, and we
25 control the reservoir for the Churchill River diversion,

1 Southern Indian Lake, and Notigi forebay.

2 MR. ROBERT MAYER: And we have three (3)
3 big lakes in Manitoba: Winnipegosis and Lake Manitoba.
4 It's my understanding that there's literally only one (1)
5 river that connects the two (2), and that's the Fairford
6 River.

7 Am I correct?

8 MR. DAVID CORMIE: Yes.

9 MR. ROBERT MAYER: Who controls that --
10 what I'll refer to as candy-ass control structure
11 underneath the bridge on Highway Number 6? Because that,
12 as far as I can determine, appears to be the only control
13 structure on the Fairford River.

14 MR. DAVID CORMIE: That control structure
15 is operated by the Province of Manitoba and it regulates
16 the outflows from Lake Manitoba. The outflows from Lake
17 Winnipegosis are not controlled; they're still in a
18 natural state.

19 MR. ROBERT MAYER: But the outflows from
20 Lake Winnipegosis, as I understand it, flow into Lake
21 Manitoba.

22 MR. DAVID CORMIE: They do, they do, but
23 the outflows from Lake Winnipegosis are still
24 uncontrolled.

25 MR. ROBERT MAYER: Okay, but that's a

1 flee -- free-flowing river flowing south of Lake
2 Winnipegosis.

3 MR. DAVID CORMIE: Yes.

4 MR. ROBERT MAYER: And -- and you -- it
5 seems to me -- and -- and perhaps you could explain how
6 it is that, just to all intent and purposes, Lake
7 Manitoba is a reservoir, and somebody is in fact
8 controlling that, and it's not Manitoba Hydro, and that
9 strikes me as strange.

10 MR. DAVID CORMIE: Yes, it is -- it's --
11 it is true that it's not controlled for power purposes;
12 it's controlled for -- for other purposes by the Province
13 of Manitoba, including flood control and agricultural
14 reasons and -- I'm sure they have their -- their reasons,
15 but hydro power is not -- is not one (1) of them, and
16 they are not responsive to our requests for regulation
17 for power purposes.

18 MR. ROBERT MAYER: Well, for your
19 information, just about every time I have driven down
20 this year, that control structure has been flowing water
21 through that, underneath the number 6 highway at what I -
22 - looks like full bore.

23 MR. DAVID CORMIE: Yes, and water
24 conditions in the interlake and up into western Manitoba
25 have been very wet for the last few years, and Lake

1 Winnipegosis is at some very high levels, so that's a
2 very appropriate observation.

3

4

(BRIEF PAUSE)

5

6 CONTINUED BY MR. BOB PETERS:

7 MR. BOB PETERS: Mr. Cormie, is the
8 suggestion that you're making to the Board that the
9 energy in storage information that is contained in PUB
10 Manitoba Hydro First Round 82E, that's not accurate in
11 terms of what's available to Manitoba Hydro?

12 MR. DAVID CORMIE: It's accurate with
13 regard to how much energy is in storage in western
14 Canada; it's not an appropriate indicator of what
15 Manitoba Hydro actually can operate and regulate.

16 MR. BOB PETERS: But it is energy that is
17 in a reservoir that feeds the Manitoba Hydro generation?

18 MR. DAVID CORMIE: Yes, and as we talked
19 about in the winter of 2005/2006, the reservoir operators
20 in Ontario, in spite of very low flows, did not draw
21 their storages to -- they -- they maintained the storages
22 at average -- average levels, in spite of Manitoba
23 Hydro's request to have releases. So it's in storage,
24 but it's not something that Manitoba Hydro has access to
25 on a -- on a guaranteed basis the way it does water out

1 of Cedar Lake or Southern Indian Lake.

2 MR. BOB PETERS: Manitoba Hydro knows
3 that the reservoirs -- that fifteen (15) other reservoirs
4 are controlled by other parties, correct?

5 MR. DAVID CORMIE: Right, and we're in
6 constant contact with those reservoir operators to make
7 sure that we're not surprised by their actions.

8 MR. BOB PETERS: But it sounds like you
9 were surprised, at least on the one (1) occasion that you
10 highlighted.

11 MR. DAVID CORMIE: Yes, and these
12 reservoirs in Ontario have other purposes besides hydro
13 power, and -- and there are risks associated with that,
14 and we plan around -- we -- we plan around that.

15 MR. BOB PETERS: How do you plan around
16 it?

17 MR. DAVID CORMIE: We plan around it by
18 making sure that we're in contact with those reservoir
19 operators and -- and, to the extent that we can
20 influence, we try to, and -- and if they don't provide
21 the water that we would like to see, we have alternate
22 supplies available. And -- and we're always capable of
23 meeting the load but sometimes it costs more than it --
24 we think it should because of upstream reservoir
25 activities.

1 CONTINUED BY MR. BOB PETERS:

2 MR. BOB PETERS: And what you're telling
3 the Board is that it's a significant risk then that these
4 operators of the reservoirs will not act in a manner that
5 is favourable to Manitoba Hydro.

6 MR. DAVID CORMIE: Yes, and I had
7 indicated that yesterday early in the morning when we
8 talked -- I talked about 70 percent of the water supply
9 is controlled by others.

10 MR. BOB PETERS: You drew the Board's
11 attention to the data filed at page 106 in the book of
12 documents, Tab 43 of PUB Exhibit 16.

13 The energy in storage there is shown on a
14 -- I'll call it on a global basis representing all
15 eighteen (18) reservoirs?

16 MR. DAVID CORMIE: Yeah.

17 MR. BOB PETERS: Do you have the data,
18 and then for -- for each of the three (3) reservoirs that
19 Manitoba Hydro controls?

20 MR. DAVID CORMIE: Yes, and that's what's
21 represented on page 81 of Manitoba Hydro's rebuttal
22 evidence.

23 MR. BOB PETERS: And page 81 is a chart
24 that Manitoba Hydro overlays Lake Winnipeg, Cedar Lake,
25 and Southern Indian Lake reservoirs and energy in

1 storage?

2 MR. DAVID CORMIE: yes.

3 MR. BOB PETERS: What is the graph
4 attempting to depict with a lot of the lines in the
5 background? Those are the other reservoirs that Manitoba
6 Hydro doesn't control?

7 MR. DAVID CORMIE: No, Mr. Peters. This
8 is a chart that shows for each year starting in 1977 when
9 Manitoba Hydro began controlling the outflows from Lake
10 Winnipeg and the Churchill River Diversion.

11 So these are the years of history of the
12 operation of those three (3) reservoirs, and for every
13 day of the year for each of those years what the energy
14 in storage was at -- on that day.

15

16 (BRIEF PAUSE)

17

18 MR. BOB PETERS: Mr. Cormie, we're just
19 debating amongst ourselves here whether or not it would
20 be meaningful to provide a breakdown of the three (3)
21 reservoirs that are controlled by Manitoba Hydro for the
22 energy in storage for each of the years as depicted on
23 page 106 of the book of documents.

24 That would be data you would have
25 available?

1 MR. DAVID CORMIE: Yes.

2 MR. BOB PETERS: Could we then ask for
3 those data points for each of the years shown in the
4 document at Tab 43, page 106, to provide the data points
5 separately for each of the three (3) reservoirs
6 controlled by Manitoba Hydro?

7

8 (BRIEF PAUSE)

9

10 MR. DAVID CORMIE: You're asking for the
11 ten thousand (10,000) points for each reservoir? Is that
12 what you're asking?

13 MR. BOB PETERS: No, no, not at all.

14 MR. DAVID CORMIE: So what are -- what
15 are you --

16 MR. BOB PETERS: I was asking for the
17 annual -- the same as depicted in this schedule.

18 MR. DAVID CORMIE: Well, there's one (1)
19 data point for every day of the year, Mr. Peters, so
20 there's three hundred and sixty-five (365) points for
21 thirty-five (35) years for three (3) reservoirs.

22 I'm -- so I just want to know whether you
23 want pages and pages of numbers, or what -- that's why we
24 show it in a graph, Mr. Peters, so that it's -- you can
25 see it all.

1 MR. BOB PETERS: And I wondered if you
2 could provide it -- you'll see on page 106, Mr. Cormie,
3 you'll see that one (1) of the dates picked is the first
4 of April --

5 MR. DAVID CORMIE: We can provide it on
6 the first of April, yes.

7 MR. BOB PETERS: And another one (1)
8 would be the peak day. Would you be able to ascertain
9 from looking at your graph what the peak day was?

10 MR. DAVID CORMIE: Yes, we can do that.

11 MR. BOB PETERS: And then likewise in
12 October, which I take it is your -- the month after which
13 you consider freeze up, I guess, comes along and takes
14 the precipitation away from inflows?

15 MR. DAVID CORMIE: Would you -- do you
16 want that the November 1st date, Mr. Peters?

17 MR. BOB PETERS: The October 31st date
18 would be -- or November 1st would be fine.

19 MR. DAVID CORMIE: Okay. We'll do that.

20 MR. BOB PETERS: Would -- would that --
21 you can pull those dates?

22 MR. DAVID CORMIE: Yeah, and I think that
23 will be much easier to understand than thousands and
24 thousands of numbers, yeah.

25 MR. BOB PETERS: Thank you, Mr. Cormie.

1 (BRIEF PAUSE)

2

3 MR. BOB PETERS: Yes, Mr. Cormie, for the
4 transcript, Manitoba Hydro has agreed to provide a chart
5 comparable to that on page 106 of Tab 43 of the book of
6 documents, setting out the April 1st, the peak day, and
7 the October 31st levels of energy in storage on the three
8 (3) rese -- three (3) reservoirs, namely Lake Winnipeg,
9 Cedar Lake, and Southern Indian Lake that are controlled
10 by Manitoba Hydro.

11

12 (BRIEF PAUSE)

13

14 MR. BOB PETERS: Is that acceptable, Ms.
15 Boyd and Mr. Cormie?

16 MR. DAVID CORMIE: Yes, we understand
17 what is required.

18

19 --- UNDERTAKING NO. 34: Manitoba Hydro to provide a
20 chart comparable to that on
21 page 106 of Tab 43 of the
22 book of documents, setting
23 out the April 1st, the peak
24 day, and the October 31st
25 levels of energy in storage

1 on the three (3) reservoirs,
2 namely Lake Winnipeg, Cedar
3 Lake, and Southern Indian
4 Lake that are controlled by
5 Manitoba Hydro
6

7 CONTINUED BY MR. BOB PETERS:

8 MR. BOB PETERS: All right. I was just
9 putting it on the record again, Mr. Cormie, for ease of
10 location. Mr. Cormie, are there -- you've talked about
11 the operating parameters for Lake Winnipeg. Are there
12 specific operating parameters for Cedar Lake and Southern
13 Indian Lake that Manitoba Hydro has to be mindful of?

14 MR. DAVID CORMIE: Yes, there are. Each
15 project has its own Water Power Act licence, and the
16 licence prescribes certain actions that Manitoba Hydro
17 must undertake when water levels get to certain threshold
18 points. The -- the critical ones from the perspective of
19 public safety and -- mainly it's a public safety issue.
20 It has to do with operation under flood conditions.

21 MR. BOB PETERS: You've provided the
22 Board with a very brief summary of the licensing
23 requirements relative to Lake Winnipeg, Mr. Cormie. Can
24 you do the same for Cedar Lake and Southern Indian Lake,
25 either in writing as an undertaking or on the transcript

1 now?

2 MR. DAVID CORMIE: Well, I'll -- I'll do
3 it verbally, Mr. Peters.

4 MR. BOB PETERS: Certainly.

5 MR. DAVID CORMIE: Southern Indian Lake
6 has a -- a regulated range in which outflows can be
7 operated for the purposes of Manitoba Hydro's sole
8 interest. However, when the -- when the lake level rises
9 above the upper storage level Manitoba Hydro's required
10 to go to maximum discharge at the control structure at
11 Missi Falls.

12 And again, Missi Falls is normally
13 operated at a very low flow and -- and good utility
14 practice and -- and professional practice is that you
15 don't wait until the water level of the lake actually
16 reaches the full supply level before you increase
17 outflows. And so a buffer is maintained on Southern
18 Indian Lake below the full supply level to allow for a --
19 a gradual transition from -- of -- of outflows from those
20 that would normally occur up to the maximum flow. And --

21 MR. BOB PETERS: Could you -- could you
22 provide -- before you go on to the Cedar Lake, can you
23 indicate what that upper storage level is and where it is
24 Manitoba Hydro start its buffer?

25 MR. DAVID CORMIE: Very similar to Lake

1 Winnipeg. There's a 3 inch buffer. Under the terms of
2 the licence and under the augmented flow programs that
3 Manitoba Hydro has with the province, under its interim
4 licence, the fully supply level of Southern Indian Lake
5 is at eight forty-seven and a half (847 1/2), and -- and
6 the top 3 inches or thereabouts is used to transition up
7 to that maximum discharge. Southern Indian --

8 MR. BOB PETERS: Just -- just -- oh, I'm
9 sorry. I want to before -- can I interrupt, Mr. Cormie
10 on -- can you explain to the Board when you're
11 transitioning in this buffer zone, is it a question of
12 zero discharge versus full discharge or is it a gradient
13 somewhere in -- you know, in-between those two (2)?

14 MR. DAVID CORMIE: Well, we -- generally
15 when we get to the -- to the operating maximum, which is
16 the start of the buffer zone, you would -- you would want
17 to be passing -- the outflow should be set to the inflow,
18 and -- so that at that point you're passing inflows. And
19 -- and what you've prepared yourself for is a sudden
20 rainfall event of 3 inches that would cause the lake to
21 jump from the -- its current level up by that 3 inch
22 amount.

23 If that were to occur, the licence would
24 require you to immediately open the dam to avoid the
25 level -- or to get the level back down below the maximum

1 level. And so that the -- the buffer in the top of the
2 reservoir is used to ensure that sudden outflow changes
3 are not necessary. And at times when -- when rainfall
4 events of greater than 3 inches occur and cause sudden
5 levels of changes, we will then communicate with the
6 water stewardship and seek a variance of the licence to
7 avoid having to opening -- open the dam suddenly and
8 cause safety issues for those users of the river
9 downstream. And there will be a -- there will be a
10 period of grace given to -- to en -- so that Manitoba
11 Hydro can notify those users of the river downstream that
12 significantly higher river flows are on their way.

13 MR. BOB PETERS: You were going to put
14 Cedar Lake information on the record as well.

15 MR. DAVID CORMIE: Yes, Cedar Lake has a
16 full supply level of 842 feet. And similar to Lake
17 Winnipeg and -- and Southern Indian Lake, there is a
18 buffer maintained at the top of the operating range so
19 that we don't have to suddenly open the spillway in order
20 to maintain control of reservoir levels.

21 Grand Rapids is especially sensitive to
22 Manitoba Hydro because the river downstream of the
23 spillway is a dry riverbed and we need to be very, very
24 cautious in our reservoir operations near the top of the
25 operating range because there's a community of several

1 thousand people downstream who actively use the dry
2 riverbed -- dry riverbed. And -- and so what -- what
3 this means, Mr. Peters, although we would like to have
4 all this reservoir storage space available for -- for
5 power production purchases, prudent operation requires
6 that as we -- as we get to the full supply level that --
7 that we transition from an energy management perspective
8 into a water management and flood management perspective,
9 given the community concerns and the potential for risk
10 to the public.

11 MR. BOB PETERS: Is the buffer on
12 Southern -- on Cedar Lake also this 3 inch number?

13 MR. DAVID CORMIE: It -- it's
14 approximately that number, Mr. Peters, and the buffer is
15 really dependant upon -- on the -- on the flow
16 conditions. If -- if the reservoir is full and inflows
17 are very low, we have much more flexibility in being able
18 to manage sudden flow changes by just increasing
19 generation. However, if the reservoir inflows are high
20 and they exceed the generating station capacity, that
21 means our only action to respond to sudden changes in
22 water supply is to open the spillway, and -- and that's
23 the risk that we're trying to manage.

24 MR. BOB PETERS: Is the buffer also wind
25 affected?

1 MR. DAVID CORMIE: The buffer is -- it's
2 a wind eliminated level, and -- and wind elimination
3 requires several days of information before you can
4 actually know what the wind eliminated level is. For
5 example, we talked about the level of Lake Winnipeg
6 yesterday, about the 714.6 foot elevation. We wouldn't
7 know the 714.6 elevation until probably a week after the
8 fact when all the wind effects can be removed.

9 So it's not an elevation that you know in
10 real-time. You -- you have to wait for the data.
11 There's a smoothing process that removes the effects of
12 wind, and that adds to the difficulty of managing the
13 reservoir at the full supply level.

14 MR. ROBERT MAYER: Mr. Cormie, you
15 mentioned putting the water through the generators at
16 Grand Rapids, and it came to my attention, and I brought
17 it to Mr. Buhr's attention, that in your reports Grand
18 Rapids appears to be producing less power than Seven
19 Sisters in terms of the percentage of hydro power
20 generated, which didn't make any sense to me in light of
21 the fact that it has about three (3) times the capacity
22 of Seven Sisters.

23 I'm informed that, in fact, very little
24 power is actually generated out of Grand Rapids and I'd
25 be interested in knowing why.

1 MR. DAVID CORMIE: Mr. -- Mr. Mayer, in a
2 -- in a median water year, Grand Rapids will generate
3 around 1,400 gigawatt hours; Seven Sisters will generate
4 around 1,100 gigawatt hours. The head at -- at Seven
5 Sisters is around 60 feet. The head at Grand Rapids is
6 twice that: it's about 125 to 130 feet. The average
7 flow on the Winnipeg River is around 33,000 cubic feet
8 per second; the average flow of the Saskatchewan River is
9 about twenty-two (22).

10 So it's a function of head and flow and
11 the efficiency of the turbines, but -- but Seven Sisters
12 is a smaller plant, both in energy production and in --
13 in head.

14 MR. ROBERT MAYER: But the rated
15 capacities are significantly different.

16 MR. DAVID CORMIE: That's correct, Mr.
17 Peters (sic). We have -- the capacity factor, which is
18 the ratio of the installed capacity to the average
19 production at Grand Rapids is very low. So there's --
20 there's extra capacity installed at that station,
21 designed as a -- as a -- truly as a really peaking plant,
22 something you can bring all -- as much energy, all 500
23 megawatts to market at the -- during peak periods.

24 Seven Sisters has a much higher capacity
25 factor, probably in the order of 80 percent compared to

1 30 percent or thereabouts for Grand Rapids.

2

3

(BRIEF PAUSE)

4

5 CONTINUED BY MR. BOB PETERS:

6

7

8

MR. BOB PETERS: Mr. Cormie, try to clarify one (1) last point on that. Is the size of the buffer dependent on the amount of the inflows?

9

10

11

12

13

14

15

MR. DAVID CORMIE: Yes, it is, Mr. Peters. If the -- and as I explained, if the -- if the inflows are -- are -- are low and the -- and the -- the action to respond to a sudden increase in inflows is to increase generation at -- at -- at the station at Grand Rapids, less of a buffer, the -- the 3 inches would be appropriate.

16

17

18

19

20

21

22

If the -- if the inflows are high and we're already at full output at the generating station, and the response to a sudden change in inflows is to open the spillway, we will require a higher buffer, and again, this is -- this is -- those 3 inches are -- are -- are the minimums that -- that -- that we have accepted as a - - as prudent.

23

24

(BRIEF PAUSE)

25

1 MR. BOB PETERS: I'd like to move to the
2 next fiscal year, 2003/04, Mr. Cormie. Manitoba Hydro
3 started that year with 4,200 gigawatt hours in storage as
4 of April 1st of 2003?

5 MR. DAVID CORMIE: Yes.

6 MR. BOB PETERS: And you see that on page
7 102 of Tab 43 of the book of documents?

8 MR. DAVID CORMIE: Yes.

9 MR. BOB PETERS: Manitoba Hydro also knew
10 in that year that it would need approximately 28,000
11 gigawatt hours of energy to serve its domestic and firm
12 exports for that year?

13

14 (BRIEF PAUSE)

15

16 MR. DAVID CORMIE: The firm load in
17 2003/04 was 27.8 terawatt hours, almost 28 terawatt
18 hours, Mr. Peters, yeah.

19 MR. BOB PETERS: Is it also correct that
20 starting in April of 2003, Manitoba Hydro knew that its
21 inflows would be low?

22 MR. DAVID CORMIE: No, that's not
23 correct, Mr. Peters. We knew that there was a -- a risk
24 that inflows would be low that year, but like happened
25 last year when inflow conditions were very similar, in

1 the vast majority of -- of the time the spring rains will
2 come after April the first and the -- the risk of drought
3 will evaporate.

4 The -- what we -- what we were concerned
5 about though is not that -- not that it -- not there
6 would, but -- but if there were to be a drought did we
7 have adequate resources available, and -- and worrying
8 about, and managing for the worst case, was what was
9 driving our activities, not knowledge of there -- that
10 there would be a -- a drought, just that there is -- had
11 the potential, and the potential was increased because of
12 the snow pack conditions at that time.

13 MR. BOB PETERS: The snow pack
14 conditions, as you're telling the Board, is there was low
15 snow or very little snow back then?

16 MR. DAVID CORMIE: Yes. The same snow
17 pack conditions we had in the spring of -- of this year,
18 2010.

19 MR. BOB PETERS: And in saying -- maybe I
20 was being to definitive.

21 Manitoba Hydro didn't know that the
22 inflows would be low, but you feared the inflows would be
23 low and you were managing to that level.

24 MR. DAVID CORMIE: Yes, as we do each
25 year. As we go into the spring, we protect against the

1 possibility of a drought, and it's only once the -- the
2 spring rains come in -- in April, May, and June that --
3 that the water supply for the year is known.

4

5 It's -- it's not known in April, and the
6 snow pack is only one (1) of the factors that could
7 contribute to a dry year.

8 MR. BOB PETERS: Well, in terms of other
9 factors, there was -- low rains would be another one (1)?

10 MR. DAVID CORMIE: Yes, the failure of
11 the -- of the spring rains was a -- is -- I think that is
12 the most significant factor, and we don't -- we don't
13 know that until we actually experience it day by day.

14 And -- and our response then is -- is
15 gradual -- a gradual implementation of a conservation
16 strategy.

17 MR. BOB PETERS: When you say a gradual
18 implementation, are -- Manitoba Hydro is assuming average
19 flows for the balance of the year until -- until
20 otherwise indicated?

21 MR. DAVID CORMIE: No, Mr. Peters. We --
22 we make the assumption each spring that -- that drought
23 is possible and we make our plans accordingly.

24 And those plans may become mute (sic) as
25 they did on May the 22nd last year when we had monsoon

1 like rains across western Canada.

2 MR. BOB PETERS: Back in 2003/04 you
3 engaged Risk Advisory, who are risk consultants from
4 Calgary, in about January of 2003, is that correct?

5

6 (BRIEF PAUSE)

7

8 MR. DAVID CORMIE: We -- we had them
9 engaged for several assignments during that period. I --
10 I -- subject to check, I'll accept that, yes.

11 MR. BOB PETERS: They provided Manitoba
12 Hydro with a report that was filed in April of 2003?

13

14 (BRIEF PAUSE)

15

16 MR. DAVID CORMIE: Yes.

17 MR. BOB PETERS: Would it be fair to say
18 that Manitoba Hydro was quite concerned that their
19 storage levels were -- were too low for the year?

20 MR. DAVID CORMIE: I don't believe that
21 was the cause of our hiring Risk Advisory though, Mr.
22 Peters.

23 MR. BOB PETERS: What was the cause of
24 hiring then?

25 MR. DAVID CORMIE: Do you have a

1 reference for that report?

2 MR. BOB PETERS: Attached to a letter
3 from Ms. Ramage. It's ex -- it's Exhibit -- if I guessed
4 I'd say it's ex -- Manitoba Hydro Exhibit 13. We'll have
5 to check.

6

7 (BRIEF PAUSE)

8

9 MS. MARLA BOYD: Mr. Peters, are you
10 suggesting it's an exhibit in this proceeding?

11 MR. BOB PETERS: Yes, I think so. Sorry,
12 it might be Manitoba Hydro Exhibit 3-1C.

13

14 (BRIEF PAUSE)

15

16 MR. BOB PETERS: There's another one at
17 Appendix 74, Ms. Boyd. I don't know if it's the same one
18 or not. It's a Risk Advisory report in January. I was
19 looking for the April report, which I think was the
20 earlier exhibit number.

21 THE CHAIRPERSON: Mr. Peters, maybe it
22 would be wise to take the break now.

23 MR. BOB PETERS: Certainly. We could do
24 that, sir.

25

1 --- Upon recessing at 10:44 a.m.

2 --- Upon resuming at 11:12 a.m.

3

4 THE CHAIRPERSON: Okay. Thank you,
5 everyone. Mr. Peters...?

6 MR. BOB PETERS: Yes, sir.

7

8 CONTINUED BY MR. BOB PETERS:

9 MR. BOB PETERS: Mr. Cormie, before the
10 recess we were talking about Manitoba Hydro's engagement
11 of Risk Advisory, they are risk consultants from Calgary,
12 Alberta?

13 MR. DAVID CORMIE: Yes.

14 MR. BOB PETERS: And I think one (1) of
15 your answers was that Manitoba Hydro had them under a
16 retainer for various projects, if I understood your
17 answer?

18 MR. DAVID CORMIE: Yes, both in the
19 electric and the gas side of the business they -- they've
20 worked for the Company, yes.

21 MR. BOB PETERS: And in January of 2003
22 they were working for both the gas and -- working for
23 both the gas and the electric side of the business?

24 MR. DAVID CORMIE: I -- I'm not sure
25 whether they were under contract with Centra at that

1 time.

2 MR. BOB PETERS: All right. Let's --

3 MR. DAVID CORMIE: But they were under
4 contract with Manitoba Hydro Electrics, yes.

5 MR. BOB PETERS: What was their
6 assignment or assignments on the electric side, sir?

7 MR. DAVID CORMIE: We engaged them,
8 having met with them in November of 2002, to talk about
9 the evolving marketplace and the new risks that Manitoba
10 Hydro were exposed to as a result of its activities in
11 the wholesale power markets.

12 And up to that time the major risk that --
13 that the Company had, and it still has, is the volume
14 risk, but that risk was now becoming compounded by other
15 risk -- risks associated with -- with market price,
16 credit, and natural gas risk.

17 We had just put in combustion turbines at
18 -- at Brandon. The electric side was now exposed to
19 managing the risk of fuel procurement for the combustion
20 turbines. Natural gas very -- was very volatile, and we
21 had the price risk in the coal markets, and we had
22 weather risk.

23 And we wanted to -- to meet with them to
24 help us determine how to appropriately measure the
25 combined risk of all those activities to assist us with

1 the instruments that might be available to manage the
2 financial risk in the marketplace and get a good
3 understanding of -- of best practices in that area.

4 MR. BOB PETERS: And how many reports do
5 you recall Risk Advisory preparing, sir, for the electric
6 side of the business?

7 MS. MARLA BOYD: Is there a time frame on
8 that, Mr. Peters?

9

10 CONTINUED BY MR. BOB PETERS:

11 MR. BOB PETERS: Well, was the first
12 engagement, Mr. Cormie, November 2002 on the electric
13 side?

14 MR. DAVID CORMIE: Yes, and they issued
15 their preliminary report in January of 2003, in which
16 they made several suggestions for follow-up.

17 MR. BOB PETERS: And in addition to the
18 January '03 report they filed their final report April of
19 2003?

20 MR. DAVID CORMIE: Yes.

21 MR. BOB PETERS: And have we confirmed --

22 MS. MARLA BOYD: Maybe we could just
23 clarify here. The -- the report that Manitoba Hydro
24 presents at appa -- Attachment 6 of Appendix 74 is a
25 report dated January 17th of 2003. I don't believe that

1 there's a final version. I -- I appreciate Mr. Buhr has
2 provided us with a copy of a report with a different date
3 that's filed in a previous proceeding, but it's not part
4 of this proceeding. So the report that Manitoba Hydro
5 relies on at this point is the January 17th, 2003 report.

6

7 CONTINUED BY MR. BOB PETERS:

8 MR. BOB PETERS: Mr. Cormie, how many
9 reports did Risk Advisory provide for the electric side
10 of the business after November 2nd of -- after November
11 of 2002?

12 MR. DAVID CORMIE: There were two (2)
13 additional reports.

14 MR. BOB PETERS: Can you give me the
15 dates of all the Risk Advisory reports, please, sir?

16

17 (BRIEF PAUSE)

18

19 MR. DAVID CORMIE: The -- the first
20 report subsequent to the 2003 report is the one that's in
21 Tab 13 of Manitoba Hydro's filing, and that's dated
22 January the 18th, 2005. And that was a review of the 200
23 -- or 2002/2004 drought risk management review, and that
24 was the review that Hydro commissioned in the spring of -
25 - of 2004 after the drought was over, and that was

1 subsequently filed with the Public Utility Board.

2 And the second report was dated May the
3 25th, 2005. And that report was dealing with the trading
4 and risk management organizational structure in the Power
5 Sales and Operations Division.

6

7 (BRIEF PAUSE)

8

9 MR. DAVID CORMIE: That's Appendix 74,
10 Attachment 1.

11 MR. BOB PETERS: That report that you
12 just referenced was dealing with the design and the
13 operation of a middle office, Mr. Cormie?

14 MR. DAVID CORMIE: No, it -- it's focus
15 was mainly on looking at both Centra's activity in the
16 markets and Manitoba Hydro electric side activity in the
17 markets. And our -- our assignment to them was is there
18 an organizational structure that could accommodate both
19 organizations in one, and that -- that's what they were --
20 -- they were looking at.

21 And in addition to that, they -- they did
22 then go on to talk about constructing a front, middle,
23 back office relationship consistent with best practices
24 in the organization.

25 MR. BOB PETERS: All right, so you've --

1 you've given us the January 18th of 2005 report. You've
2 also referenced the May 25th, 2005 report, and there were
3 two (2) other reports, correct? January of 2003 and
4 April of 2003?

5 MR. DAVID CORMIE: Well, the -- yeah.
6 We'd -- we'd already talked about the January 17th, 2003
7 report, which was filed in final form in April.

8 MR. BOB PETERS: All right. And your
9 counsel suggests that the April 2003 report has not been
10 filed with the Board, is that correct?

11 MS. MARLA BOYD: In this proceeding.
12 It's been filed with the Board, just not in this
13 proceeding, and in the moments that we've had, we haven't
14 compared the two (2). They appear to be very similar,
15 the font is somewhat different, so I can't comment on the
16 differences between them, but for the purposes of this
17 proceeding the material before the Board is the January
18 17th, 2003 report.

19

20 CONTINUED BY MR. BOB PETERS:

21 MR. BOB PETERS: And, Mr. Cormie, you'll
22 undertake to file the April 2003 report from Risk
23 Advisory in these proceedings?

24 MR. DAVID CORMIE: Yes.

25

1 --- UNDERTAKING NO. 35: Manitoba Hydro to file the
2 April 2003 report from Risk
3 Advisory
4

5 CONTINUED BY MR. BOB PETERS:

6 MR. BOB PETERS: So let's get back to
7 their engagement in -- for the January '03 and the April
8 '03 reports. Would it be correct to say that Risk
9 Advisory was going to develop a hedging strategy to
10 assist Manitoba Hydro with the sales in 2003/04?

11 MR. DAVID CORMIE: No, that wasn't the
12 assignment for 2003/04. That really was not part of the
13 -- the assignment. What we were looking at was --
14 initially was we needed to measure the risks and the
15 development of an appropriate tool that would allow us to
16 measure the combined risk of all the factors that I
17 previously spoke of in a single -- in a single computer
18 model.

19 MR. BOB PETERS: In the spring of 2003,
20 Mr. Cormie, Manitoba Hydro had sold -- according to page
21 74 at Tab 35 of the book of documents, it had committed
22 itself to sell throughout the summer, correct?

23 MR. DAVID CORMIE: Can you provide that
24 reference again?

25 MR. BOB PETERS: Yes. If you can look at

1 Tab 35 of the book of documents, the first page is
2 labelled, top right-hand corner, number seventy-four
3 (74). And if I look at the '03/'04 fiscal year, Manitoba
4 Hydro's dependable sales total that year were 6,231
5 gigawatt hours?

6 MR. DAVID CORMIE: Yes.

7 MR. BOB PETERS: And what did that
8 dependable number include, Mr. Cormie?

9 MR. DAVID CORMIE: That -- that included
10 all the existing commitments that Manitoba Hydro had
11 under its long-term dependable sales contracts.

12 MR. BOB PETERS: Was it only the long-
13 term dependable sales contracts that's depicted there,
14 sir?

15 MR. DAVID CORMIE: Yes.

16 MR. BOB PETERS: There were no summer
17 sales?

18 MR. DAVID CORMIE: To the extent there
19 were -- would have been any summer sales, they would have
20 been opportunity sales, Mr. Peters.

21 MR. BOB PETERS: And we see that there
22 were 735 gigawatt hours of opportunity sales in that year
23 as well?

24 MR. DAVID CORMIE: Yes.

25 MR. BOB PETERS: And that would have been

1 where the summer sales would have been included?

2 MR. DAVID CORMIE: I don't believe there
3 were any term sales, Mr. Peters, but there would have
4 been some arbitrage opportunities on a daily basis that
5 Manitoba Hydro undertook and made a profit at.

6 MR. BOB PETERS: All right. So the 6,231
7 gigawatt hours was all long-term dependable, committed
8 long-term contracts?

9 MR. DAVID CORMIE: Yes, and as we'd
10 talked about yesterday, given the -- the potential for a
11 poor outlook entering into additional longer-term
12 seasonal transactions is not something that we undertook
13 at that time. It just -- it just was not appropriate,
14 and it wasn't under -- they weren't undertaken, but that
15 doesn't mean that on a daily basis there may not have
16 been some opportunities in the Day-Ahead or the Real-Time
17 markets, and over the year they would have resulted in
18 that 735 gigawatt hours of transactions.

19 MR. BOB PETERS: Sorry, when you say
20 arbitrage opportunities, you're -- you're selling into a
21 market and then buying back? Is that what you're
22 indicating is the arbitrage?

23 MR. DAVID CORMIE: Well, we may have been
24 able to buy power from one (1) market and sell it to
25 another, and -- and -- and that would have generated the

1 735 gigawatt hours of sales.

2 MR. BOB PETERS: Would this be a physical
3 arrangement? You physically bought --

4 MR. DAVID CORMIE: Yes. Yes, yes.

5 MR. BOB PETERS: -- in one (1) market and
6 then physically sold into a separate market?

7 MR. DAVID CORMIE: Yes, and then -- and I
8 indicated that, I think last week, where you couldn't be
9 --because Manitoba Hydro can buy from say a company in
10 Saskatchewan and sell it to a company in -- in Minnesota.
11 That would have been an arbitrage from one (1) market to
12 the other.

13 They -- they would not have been mer -- a
14 merchant transaction, but it -- it would have been
15 similar to a merchant transaction.

16 MR. BOB PETERS: That answer included
17 some Canadian content, Mr. Cormie. Are you suggesting
18 that these opportunity sales then related to Canadian
19 transactions?

20 MR. DAVID CORMIE: I think if you look at
21 the table on page 74, Mr. Peters, you'll see that the
22 total is 735 gigawatt hours of which five hundred seventy
23 (570) -- five hundred seven (507) were -- were sold in
24 the US.

25 So the majority of the sales were sunk

1 into the US, but the purchases to support those may have
2 been from a Canadian company.

3

4

(BRIEF PAUSE)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. BOB PETERS: Mr. Cormie, can you or
Mr. Surminski just help me tabulate then the dependable
energy in 2003/04. The hydraulic dependable energy, how
much was that, Mr. Surminski, do you know?

MS. HAROLD SURMINSKI: It would be just
over 21,000 gigawatt hours.

MR. BOB PETERS: All right. And what
source are you relying on?

MS. HAROLD SURMINSKI: You can compare it
to any of the current dependable energies. We -- we did
not modify dependable energy. We just have a -- a
gradual depletion.

For depletion of water of 10 or 15
gigawatt hours, so it's not greatly different in 2003
compared to what it is today.

MR. BOB PETERS: All right. Would --
what -- what would be your thermal dependable energy then
back in '03/'04?

MS. HAROLD SURMINSKI: That's a more
difficult -- more difficult question. I -- you know, I'd

1 have to compare it to, or have to have the -- the
2 resource plan for that year to give you the specifics.

3 It would not be greatly different. The
4 combustion turbines were in service, so it wouldn't be
5 greatly different than it is today.

6 MR. BOB PETERS: I wonder if you could
7 file that one (1) page from the power resource plan that
8 provides the -- the summary of that for 2003/04, Mr.
9 Surminski? Would that be possible?

10 MS. HAROLD SURMINSKI: Yes. Either the -
11 -the actual table or -- or an extraction of it because we
12 did not prepare public versions of the resource plan in
13 that year.

14 MR. BOB PETERS: Was there a reason there
15 was not a public version?

16 MS. HAROLD SURMINSKI: It was never
17 requested.

18 MR. BOB PETERS: So the version you have
19 you're telling -- is the --is the internal verison? You
20 do one (1) every year anyway, don't you?

21 MS. HAROLD SURMINSKI: Yes, we do
22 internal versions, but there is confidential material in
23 that --

24 MR. BOB PETERS: Okay, I -- then
25 certainly if you could undertake to provide either the --

1 the summary table that I had so courteously enlarged for
2 you yesterday, or -- or a summary of that so there's no
3 confidential information disclosed, that would be
4 acceptable, sir.

5 MS. HAROLD SURMINSKI: Yes, I'll -- I can
6 do that.

7 MR. BOB PETERS: And that would be for
8 the 2003/04 year?

9 MS. HAROLD SURMINSKI: Yes.

10 MR. BOB PETERS: Okay. Thank you.

11

12 --- UNDERTAKING NO. 36: Manitoba Hydro to file one
13 (1) page from the power
14 resource plan that provides
15 the summary of dependable
16 resources for 2003/04

17

18 CONTINUED BY MR. BOB PETERS:

19 MR. BOB PETERS: Do you know what the
20 total dependable energy was for that year, or would you
21 have to check that chart to get that, Mr. Surminski?

22 MS. HAROLD SURMINSKI: I would require
23 the plan, yes.

24 MR. BOB PETERS: In 2003/04, Mr. Cormie,
25 Manitoba Hydro purchased or bought back about 2,500

1 gigawatt hours of energy, and I'm looking at the book of
2 documents 35, page 76. And if we look at the months in
3 the '03/'04 year.

4 MR. DAVID CORMIE: Yes, I take your word
5 that that's what the sum is, yes.

6 MR. BOB PETERS: And the distinction on
7 this chart provided at book of documents page 76, which
8 is a response to PUB Manitoba Hydro Risk 115C, Manitoba
9 Hydro is showing the buy-backs, and the buy-backs are
10 financial settlements.

11 Is that how the Board should interpret
12 this chart, sir?

13 MR. DAVID CORMIE: No, they're not what
14 we consider a financial settlement. The -- it is a -- a
15 matching physical purchase that matches the sale that
16 Manitoba Hydro has. So there -- there are actually two
17 (2) transactions. One (1) is a sale of a -- of a certain
18 megawatts and there is a -- a purchase that has the --
19 the identical volume associated with it. So the net
20 change -- the -- the -- the net energy transaction goes
21 to zero, but there is a -- there is a -- there's a
22 purchase and a sale and -- but no physical delivery is
23 required because there's a match between the physical
24 schedules.

25 And -- as opposed to the -- the -- the

1 current financial transactions where there are no
2 physical transactions involved. This is -- it becomes a -
3 - a purely financial arrangement with -- and those are
4 the arrangements that are now possible in the
5 marketplace.

6 MR. BOB PETERS: Thank you for that
7 clarification. What you're telling the Board is back in
8 2003/04, you had to physically purchase the energy and
9 sell it. Manitoba Hydro had to purchase the energy and
10 sell it to the counterparty that it had an agreement
11 with?

12 MR. DAVID CORMIE: Yes, and -- and a --
13 and -- and the buybacks are when the -- the -- the
14 seller, the -- the company that Manitoba Hydro has bought
15 from is the same company that it has -- it has sold the
16 energy to.

17 So the counterparty is the exact -- is the
18 same in both the buy and the sell.

19 MR. BOB PETERS: And the price was
20 greater on the buybacks than it was on the initial -- the
21 initial sales. Would that be correct?

22

23

(BRIEF PAUSE)

24

25 MR. DAVID CORMIE: I -- I think that's a

1 fair assessment, yes.

2 MR. BOB PETERS: The purchase on the
3 buybacks was -- wasn't done by the counterparty at first
4 instance, it was done by Manitoba Hydro who purchased it
5 from the counterparty and then sold it to the
6 counterparty, Mr. Cormie?

7 MR. DAVID CORMIE: Well, the -- the sale
8 would -- would -- was a sale that was made years in
9 advance under a long-term sale contract. The buyback
10 occurred in 2003 as the least expensive way of -- of --
11 of -- of fulfilling the transaction.

12 Manitoba Hydro's alternative would be to
13 run its combustion turbines at -- at Brandon and pay a 40
14 percent premium in order to deliver the energy that it
15 had sold. And so going to the customer and making an
16 arrangement was the -- the -- was -- was the -- fuel
17 buyback arrangement was less expensive than the
18 alternative of -- of -- of running our combustion
19 turbines.

20 MR. BOB PETERS: Would the least
21 expensive option have been not to deliver the energy at
22 all under the contract?

23 MR. DAVID CORMIE: No.

24 MR. BOB PETERS: Was that an option under
25 the contract?

1 MR. DAVID CORMIE: No.

2 MR. BOB PETERS: There was no provision
3 for Manitoba Hydro to not deliver in the year of the
4 drought?

5 MR. DAVID CORMIE: No. Manitoba Hydro --
6 the -- the -- there was no risk to the Manitoba load. We
7 were not in a position where we could exercise our
8 curtailment rights. The river flows were well within the
9 -- the historical range under which we entered into the
10 transaction. We had generation at -- at Brandon. The
11 combustion turbines were sitting idle. They could have
12 been run. And so there was no cause to exercise any
13 curtailment provisions.

14

15 (BRIEF PAUSE)

16

17 MR. DAVID CORMIE: Financial reasons or -
18 - or economic reasons are not reasons for curtailment,
19 Mr. Peters.

20 MR. BOB PETERS: I'm sorry, I missed that
21 last answer, sir.

22 MR. DAVID CORMIE: Financial reasons or -
23 - or economic hardship or what -- whatever you want are -
24 - are not reasons for curtailment of long-term firm
25 contracts. Customers are contracting at a fixed price in

1 order to manage their financial risk. And if in effect
2 Manitoba Hydro could walk away under a situation where it
3 became no longer attractive to continue delivering, then
4 the customer would be exposed to market prices, and that
5 was the original reason that they entered into the long-
6 term fixed price purchase from Manitoba Hydro, to manage
7 their financial risk.

8 That's why I say the economic -- economic
9 reasons are not reasons for curtailment. And that --
10 that would -- that applies when our transactions are seen
11 from the perspect -- from their perspective.

12 We're currently selling electricity to our
13 customers at long-term contract prices that are at least
14 50 percent above the market price, and our con --
15 companies -- our -- our customers don't come to Manitoba
16 Hydro and say, you know, This is not working out for us.
17 Economic reasons apply -- curtailment reasons don't apply
18 to either party depending on what market prices are doing
19 in the short-term.

20 MR. BOB PETERS: Mr. Cormie, on page 74
21 at Tab 35 you identified the 6,231 gigawatt hours of
22 dependable sales in '03/'04. I had understood your
23 previous answer to suggest those were all pursuant to
24 long-term contract arrangements.

25 MR. DAVID CORMIE: Yes.

1 MR. BOB PETERS: Does it also follow that
2 they were also all fixed-price arrangements?

3

4 (BRIEF PAUSE)

5

6 MR. DAVID CORMIE: Mr. Peters, there are
7 some contracts at that time that are -- that are cost-
8 based that would be part of that mix, but the vast
9 majority of the energy that was sold that year were at
10 fixed prices.

11 MR. BOB PETERS: I'm sorry, I was wa --
12 then -- then explain to the Board, if you could, the
13 portion of those 6,231 gigawatt hours that were sold as
14 depen -- from dependable resources in '03/'04 that were
15 not pursuant to a fixed price. Can you explain the
16 nature of those transactions?

17 MR. DAVID CORMIE: Well, under -- under
18 some contracts there is a pricing formula that -- that
19 sets the price rather than a fixed price that's
20 prescribed in advance. Manitoba Hydro is able to charge
21 the incremental cost of -- of providing the energy, and
22 at that time there were some contracts that had those
23 provisions in there.

24 MR. BOB PETERS: Can the Board take your
25 last answer as suggesting that there's no market

1 component in that 6,231 gigawatt hours, no market
2 component of pricing for those sales?

3 MR. DAVID CORMIE: Well, to the extent
4 that -- that Manitoba Hydro may be able to purchase at
5 market price, that becomes the cost of supply and that
6 cost of supply is then transferred back to the company
7 through the pricing mechanism. So to some extent, the
8 market price can flow back to the -- to the customer.

9 MR. BOB PETERS: Well, while the market
10 price can flow back, it's not priced according to the
11 market in the contract is what you're telling the Board.

12 MR. DAVID CORMIE: No, it's Manitoba
13 Hydro's incremental cost of supplying it, and there's a
14 formula that covers those -- determines those costs, and
15 some of that cost may be the cost of Manitoba Hydro
16 purchasing that energy.

17 MR. BOB PETERS: But you wouldn't know
18 that in advance when you signed the contract. You
19 wouldn't know if you'd be buying it at market and then
20 reselling it.

21 MR. DAVID CORMIE: Well, the nature of
22 these contracts -- it's at a hundred -- it -- if our cost
23 is market, the nature of these contracts is that we sell
24 it back to them at 110 percent cost, so, in effect, it's
25 market-based but it's at a profit; the profit is the --

1 is the 110 percent.

2 MR. BOB PETERS: Mr. Cormie, if we step
3 back from the '03/'04 year, can you explain to the Board
4 what -- what lessons, if there were any, that were
5 learned and to be learned in that time frame in managing
6 a drought in Manitoba?

7

8 (BRIEF PAUSE)

9

10 MR. DAVID CORMIE: The -- the -- Manitoba
11 Hydro, through its integrated financial forecasting
12 process, had identified that drought had always been its
13 largest single financial risk and -- and, as part of the
14 IFF process, we -- we clearly identify what the cost of
15 drought can be in each of the years of the forecast.

16 What happened was that we were going
17 through a -- a very rapid period of change in the
18 marketplace where natural gas prices went from, you know,
19 I think in -- in the year 2000, you know, maybe a dollar
20 or two dollars (\$2) per Gj up to, in 2003, where they
21 were eight dollars (\$8), or six (6) to eight dollars
22 (\$8), and potentially as high as twelve dollars (\$12) a
23 Gj, and -- and so the -- I'm not sure that -- that --
24 that we were fully prepared to manage that type of
25 volatility.

1 And -- and so it -- it -- I -- I think
2 what -- what we were concerned about is the -- the -- now
3 the combination of drought risk and -- and market-price
4 risk, additional risk associated by severe weather in
5 Manitoba that increases our costs under drought
6 conditions, the -- you know, the combination of all of
7 those risks, and -- and we -- we -- we needed to ensure
8 that we had sufficient retained earnings to cover off all
9 those risks.

10 But as far as the -- the -- that the --
11 that the -- that the risk of drought existed, that's
12 something that we already knew. We'd been through
13 several droughts in recent memory. When I started in --
14 in Operations in 1977, I'd been through the '77 drought,
15 the '80 drought, the late '80s drought, the drought of
16 the early '90s. Managing drought is part of the
17 business.

18 It's -- it's -- it's -- from my
19 perspective, it's normal, and -- but I think the
20 consequences of drought, the financial consequences of
21 drought were -- starting in -- in the early years of the
22 last decade, were -- were -- were -- were quite -- much
23 more significant than we had anticipated in the past.

24 The other lesson that we found is that, in
25 our bilateral arrangements, when we didn't have access to

1 market-priced energy, we were at a disadvantage, and
2 subsequent to the 2003 drought with the evolution of the
3 Ontario energy market and the MISO market, we've been
4 able to acquire all the finan -- the ability to transact
5 in all the financial instruments that are available so
6 that we can hedge our drought risk without having to deal
7 with -- on a bilateral basis with customers who, in
8 effect, hold all the cards.

9 And -- and so I don't know whether it's a
10 lesson learned, but it's -- it's something that we --
11 that we have taken full advantage of with the evolution
12 of the MISO market, to be able to, rather than purchase
13 back through the types of transactions that we talked
14 about, buybacks, but go and hedge our risk in the
15 marketplace anonymously rather than -- than doing it
16 quite -- only with the customers who control
17 transmission.

18 And then I think the other -- the -- the
19 other lesson is the importance of having -- the important
20 role that transmission has in providing a backup to our
21 resources in Manitoba, and -- and the importance of new
22 transmission, both from a reliability and from a
23 financial perspective.

24 MR. BOB PETERS: Mr. Warden, anything to
25 add to those lessons that Mr. Cormie has shared with the

1 Board?

2 MR. VINCE WARDEN: I think Mr. Cormie has
3 -- has covered the waterfront quite well. The only one
4 (1) area that I would -- might add is -- is with respect
5 to the -- the -- how we're structured internally.

6 That is with a clear distinction between
7 front, middle, back office. The -- the middle office was
8 -- we were in the process of putting the middle office
9 together at that time with -- but it wasn't functioning
10 as effectively as -- as it could have or should have. It
11 wouldn't have changed the outcome at all, but I think we
12 would have all been better informed of -- about what was
13 going on, and what the options were, and how the drought
14 was being managed.

15 I think, in retrospect, the drought was
16 managed very well, but the flow of information that we
17 had at the time could have been improved, and were that
18 to reoccur today, the -- the middle office function would
19 be much more active than it -- than it was back then.

20 MR. BOB PETERS: Mr. Cormie and Mr.
21 Warden, in your -- in your answers would it be safe to
22 say that there are maybe things from an operational
23 perspective that were also learned in those conditions of
24 low-flow?

25 MR. DAVID CORMIE: Are you suggesting

1 something that I might be able to comment on. I don't
2 have anything, Mr. Peters.

3 MR. BOB PETERS: Well, then let me ask it
4 this way. What you're telling the Board is that as a
5 result of -- of the '03/'04 drought, which had the
6 highest financial consequences to Manitoba, there was no
7 operational lessons that were learned?

8 MR. DAVID CORMIE: Mr. Peters, the --
9 when - - when we are protecting against a rare event like
10 a drought of the severity that occurred in 2003, it -- it
11 was a -- a drought that had a frequency of around once
12 every thirty (30) years. At -- at one (1) point in time
13 it appeared to be worse than the historic drought of the
14 1940s. So when you start operating the power system to
15 protect against a severe event that -- that has a,
16 probably -- you know that twenty-nine (29) times out of
17 thirty (30) if the chances are one (1) in thirty (30)
18 that you're going to have -- in retrospect you're going
19 to have spent some money that was unnecessary.

20 And -- and that -- but that's the cost of
21 insuring that there is a reliable supply of electricity
22 to -- to serve load. And -- and so if you were to look
23 at it in an economic perspective, you would say our
24 financial well-view, you know, you -- you spent money
25 that you didn't have to.

1 And that's only -- that's only a
2 perspective that you can have in hindsight. And the
3 reliability of supply doesn't come free, and we know that
4 Manitoba does not have infinite capability to -- to
5 survive any drought that comes along.

6 Droughts of greater severity and duration
7 than are in the historic record have occurred prior to
8 1912. They will occur in the future. And that there is
9 a -- there is a significant risk that the province at --
10 at some point will face an emergency.

11 And my responsibilities at that time in
12 2003 were to ensure that there was no emergency in
13 Manitoba. That we weren't going to put the province's
14 electrical supply at risk. And -- and unfortunately we
15 did all of the things that we needed to do because the
16 drought was of -- of great severity.

17 It was -- it -- it -- like I said, it --
18 it only exceeded our design assumptions, our operating
19 planning assumptions by 3 percent, and so we didn't
20 squeak by by -- there -- there wasn't a lot left on the
21 table at the end of the drought.

22 Those are the same actions that we took in
23 the spring of 2010 when faced with similar circumstances.
24 We don't know what the water supply is going to be,
25 there's no certainty, but you have to do what you have to

1 do so that if things do turn out to be adverse, that
2 you've done everything necessary in preparation. And
3 that's what we did in the drought of 2003, and that's
4 what we did last year.

5 Now, fortunately last year the rains came,
6 but we don't know in advance whether it's going to rain
7 or not. And so we -- we act on the side of caution in
8 the same manner that the province is acting on the side
9 of caution today to deal with the -- the threat of
10 flooding in the Red River.

11 There's no certainty there's going to be a
12 flood but to be -- to do otherwise would be
13 irresponsible. And we did everything that was absolutely
14 necessary and only those things that were necessary to
15 ensure the supply of electricity to our customers in the
16 province.

17 MR. BOB PETERS: Did Manitoba Hydro
18 improve in any way its energy forecasting process as a
19 result of the '03/'04 drought, Mr. Cormie?

20 MR. DAVID CORMIE: We continue to use the
21 same statistically-based forecasting procedure in 2003 as
22 we do today, which is based on the entire history of
23 water flows going back to 1912. It's only by looking
24 back at a record that goes back one hundred (100) years,
25 can you find the full risks that the -- the province

1 faces in its water supply.

2 And the -- the tools that we use today are
3 the tools that were developed in the early '80s and they
4 continue to function as they were designed and -- and
5 they are very effective.

6 MR. BOB PETERS: There have been no
7 changes to those models or tools, Mr. Cormie?

8 MR. DAVID CORMIE: The -- the concepts
9 behind the regression-based water supply forecasting
10 models remain the same as they were originally designed
11 in the mid-'80s.

12 MR. BOB PETERS: When you suggested to
13 the Board that the probability of drought was one (1)
14 every thirty (30) years based on historic information, it
15 would be correct that there have been droughts of lesser
16 consequence more regularly than that. Would that be
17 correct?

18 MR. DAVID CORMIE: What I said, Mr.
19 Peters, that in retrospect the drought of 2003/04 had a
20 return period of once in -- every thirty (30) years. I
21 didn't say that -- I didn't put it the way you had put
22 it, but that was the -- after the fact it was a one (1)
23 in thirty (30) year event.

24 But -- but the -- you can go back in all
25 ninety -- is it ninety-eight (98) years now, Harold?

1 MR. HAROLD SURMINSKI: Ninety-six (96).

2 MR. DAVID CORMIE: Ninety-six (96) years
3 and you can find the worst drought and -- and -- and
4 that's a few percentages more extreme than the drought
5 that we experienced in 2003/04.

6 MR. BOB PETERS: And some of those of
7 lesser severity would be where there wasn't sufficient
8 hydraulic generation to meet Manitoba Hydro's domestic
9 and firm export commitments, say less than 2,500 --
10 25,000 gigawatt hours of hydraulic energy?

11 MR. DAVID CORMIE: Well, Mr. Peters, our
12 system evolves over time. And the portion of our
13 portfolio -- generation portfolio that is made up of
14 Hydro assets changes. Our thermal capability changes.
15 And in 2002 -- or I think 2002, our new combustion
16 turbines came online that gave us additional generating
17 capability approximately 4 terawatt hours of -- of
18 natural gas generation.

19 That's 4 terawatt -- terawatt hours of
20 energy that doesn't have to be kept in reservoir storage.
21 And if we were always to cover off the -- the needs of
22 Manitoba with hydraulic generation there would be much
23 more spillage than is occurring with -- with -- with the
24 reliance on the thermal capability that we have.

25 We don't build assets that we don't intend

1 to use. And having built the assets in 2002 at the
2 combustion turbines, one (1) of the benefits of that is
3 that we were able to operate the hydraulic system more
4 efficiently, which meant that lower reservoirs were --
5 levels were possible and the associated benefits, both
6 financially to Manitoba Hydro and to the environment from
7 the management of the water system, were ach -- were --
8 were now possible.

9 So we don't have an objective of serving
10 our load hydraulically. We -- we have an objective of
11 serving our load with all the dependable resources that
12 are available.

13 MR. BOB PETERS: When you referenced that
14 Manitoba Hydro may be spending money that with hindsight
15 turns out to be money that didn't need to have been
16 spent, are you suggesting that happens on an annual basis
17 as you're planning it in the beginning of April?

18 MR. DAVID CORMIE: What I'm saying is
19 that there are years like occurred last year where we --
20 we spent money by purchasing electricity to serve our
21 load obligations rather than releasing water from
22 reservoir storage. That was necessary. Those
23 expenditures are absolutely necessary. They are -- but
24 in retrospect, if you had known the future, if you'd
25 known that it was going to rain on May the 22nd, you

1 would have operated the system differently.

2 But given that we don't know the future,
3 there's -- that's the cost of having uncertainty.
4 There's costs that you have to incur to ensure the
5 reliability of the supply because the future isn't known.

6 MR. BOB PETERS: Didn't Manitoba Hydro
7 have two and a half times the energy in storage starting
8 the 2010/11 fiscal year compared to the '03/'04 year, Mr.
9 Cormie?

10 MR. DAVID CORMIE: Yes, it did. The
11 energy in reservoir storage last spring on March 31st was
12 11 terawatt hours for the system compared to the 4 that
13 was in -- in 2003. And -- and the -- and the difference
14 that that made was that Manitoba Hydro's response to dry
15 conditions in 2010 could be much more tempered than they
16 would -- they were in 2003.

17 And so it's -- it's looking at all the
18 resources that are available at the time and -- and doing
19 the things that are necessary given that particular
20 situation. Some actions like occurred in the spring of
21 2003 had to be almost immediate and much more dramatic.
22 And -- and last year we had the benefit not only of -- of
23 having more energy in reservoir storage, we also had a
24 lower cost for natural gas, and we also had almost twice
25 the retained earnings so that the effect of the -- of any

1 drought response would be tempered from the customers'
2 perspective.

3 MR. BOB PETERS: And through all of that
4 process and the lessons that there were, Mr. Warden and
5 Mr. Cormie, Manitoba Hydro still has no drought
6 management plan to this day, is that correct?

7 MR. DAVID CORMIE: Manitoba Hydro is
8 constantly planning for drought, from our capital
9 activities to our financial activities to our operating
10 activities. That's part of our business, Mr. Peters, is
11 to always be preparing for drought.

12 Drought management plan is the Manitoba
13 Hydro financial forecast; it's our capital plan.
14 Worrying about drought is what drives the construction
15 and new generation. It -- which is what drives our day-
16 to-day operations. So to say that we don't have a
17 drought management plan simplifies it and assumes that it
18 ignores all the activities that we have. Our -- our
19 drought management plan is the business of the company.

20 MR. BOB PETERS: I was using one (1) of
21 the answers I think Manitoba Hydro gave to one (1) of the
22 Information Requests, Mr. Cormie, where it said it -- it
23 doesn't yet have a drought management plan prepared. Did
24 I misread that?

25 MR. DAVID CORMIE: Well, I -- I think in

1 -- as we've been considering what role a drought
2 management plan -- a specific document would be, we've
3 came -- come to the conclusion that it would be redundant
4 because all the corporate activities are -- have drought
5 as a critical consideration. And so to -- to have these
6 additional documents is -- is -- you know, I don't know
7 what purpose it would serve. Maybe Mr. Warden wants to
8 say something there.

9 MR. BOB PETERS: Well, he's always
10 welcome to, of course. But what you're saying, Mr.
11 Cormie, is that if the information responses suggested
12 that Manitoba Hydro was working on preparing a written
13 drought management plan, things have changed since then
14 because now Manitoba Hydro doesn't see that it needs a
15 written drought management plan.

16 MR. DAVID CORMIE: Well, I think we're
17 still -- still trying to come to a conclusion on whether
18 there is value in having that now. So not having --
19 giving it up, having someone make a suggestion that --
20 where it would by -- provide us additional value, we
21 haven't -- haven't proceeded down that path because it's
22 not clear to us what value it'd bring.

23 If -- if value can be -- can be got from
24 such a document, then we would be happy to know what that
25 value is, but we're still in the process of -- of making

1 that assessment.

2 MR. BOB PETERS: Mr. Warden, did you want
3 to pipe in?

4 MR. VINCE WARDEN: Well, we -- we have
5 been struggling with this issue a little bit. It would
6 seem reasonable for a hydraulic utility like Manitoba
7 Hydro to have a document entitled a drought management
8 plan. But, as Mr. Cormie has been explaining, it really
9 -- every -- everyday management of the Manitoba Hydro
10 system, of -- of the complex system that Mr. Cormie's
11 been describing, takes into account the current
12 conditions, and -- and how the system is managed really
13 depends very much on what those conditions are each and
14 every day.

15 I think there would be value -- having
16 said that, I think there would be value in having
17 documented certain trigger points. If the -- if the
18 level in the lake gets to a certain level, then this is
19 the action that will be taken at that point in time,
20 recognizing that it's -- it's extremely dynamic and --
21 and can change on day -- a day-to-day basis.
22 Nevertheless, I think a drought management plan or plan -
23 - reservoir management plan might be a better way of
24 describing it, rather than a drought management plan, but
25 a document like that we have been certainly

1 contemplating.

2 I don't think there's any risk -- in fact,
3 I'm sure there's no risk to the consumer in Manitoba in
4 the absence of such a document because the system is
5 being managed as it is each and every day.

6 MR. DAVID CORMIE: Mr. Peters, there's
7 one (1) other point that might be important to understand
8 since the drought of 2003, and this is the role of
9 Manitoba Hydro's Export Power Risk Management Committee
10 that's made up of the senior executive of the company.
11 And on a -- at -- at a minimum, on a quarterly basis, we
12 present to the president and -- and the senior vice-
13 president of Power Supply and Mr. Warden our current
14 review of hydraulic conditions and what the potential
15 financial risk to the company is should drought commence
16 at that point in time. And on a quarterly basis, that --
17 that -- that review takes place, and -- and we identify
18 what actions we need to take in order to protect the
19 company -- company's interests.

20 And should conditions deteriorate from
21 what we are -- what we would normally experience, that
22 committee is available to provide guidance to the
23 operations of the company, and -- and -- and they will --
24 they will be kept aware on a -- on a very regular basis,
25 beyond the -- the minimum quarterly meetings that we

1 hold, of -- of the issues that -- that face the company.
2 And -- and that's a significant change from what occurred
3 in 2003, where the reporting was more up the line and we
4 didn't have an intentional executive oversight of -- of
5 the operations.

6 MR. BOB PETERS: Mr. Cormie -- or Mr. --
7 Mr. Warden, just a couple of quick questions, if I might.
8 Would it be a correct understanding that, while the IFF
9 is a -- an integrated financial forecast, the Corporation
10 doesn't manage itself based on the IFF forecasts?

11 MR. VINCE WARDEN: On a day-to-day basis,
12 that -- that's -- that's correct.

13 MR. BOB PETERS: That the Corporation
14 does not manage itself on that basis?

15 MR. VINCE WARDEN: That's right.

16 MR. BOB PETERS: Well, if that's the
17 case, then, Mr. Cormie, you're suggesting that the IFF
18 forms part of the drought management that -- that goes
19 on. At best, the IFF includes a drought assumption every
20 -- is it every ten (10) years?

21 MR. DAVID CORMIE: No, it -- it assumes
22 the drought can occur each year, and the worst case
23 financial results show up in the IFF. We know next year
24 what the cost of drought could be, and -- and that's what
25 drives the whole rate-setting process in Manitoba because

1 of the need to preserve sufficient retained earnings over
2 the long run to cover the costs of the drought.

3 Next year or the year after, we -- through
4 the simulation process that Mr. Surminski uses to develop
5 the forecasts of -- of costs and revenues for the
6 company, it assumes that drought can occur in each and
7 every year, and the IFF identifies the worst case in each
8 year. That information is made very clear in the IFF.

9 That information is well known. It's not a surprise.

10 MR. BOB PETERS: Does the Export Risk
11 Management Committee see more information than what's
12 been filed with the Board in -- in this case in terms of
13 material? Is there confidential material that hasn't
14 been brought forward that the internal committee sees
15 that this Board hasn't?

16 MR. DAVID CORMIE: Yes, they see -- they
17 see much more information.

18 MR. BOB PETERS: For example?

19 MR. DAVID CORMIE: Well, they see an --
20 they see an update to the -- the net interchange revenue
21 on a quarterly basis with the sensitivity of high and low
22 water flows, high and low power prices. They see the
23 specific operational plans that Manitoba Hydro is
24 implementing in -- in times when drought is of a concern.

25 They see a lot more information with

1 regard to the operational risks. In addition, they see
2 the risks of market access, they see the risks associated
3 with our contracts, they -- we -- they see the credit
4 risk, they see legal risk.

5 There are -- there are a whole spectrum of
6 topics that are brought forward to the executive for --
7 to ensure that they understand the issues that are facing
8 the company.

9 MR. BOB PETERS: Just to close then, Mr.
10 Warden, there's no written drought management plan that's
11 capable of being filed before this Board, or even your
12 Export Risk Management Committee, because it hasn't yet
13 been prepared. You'd agree with that?

14 MR. VINCE WARDEN: Yes, there -- there's
15 no formal drought management plan that can be filed.

16 MR. BOB PETERS: And while one (1) of the
17 information requests may have suggested a filing in April
18 of 2011, that's now in doubt? That may not be done, is
19 that what I'm hearing?

20 MR. MARLA BOYD: Do you have a reference
21 for that?

22 MR. BOB PETERS: Sure, start with PUB
23 Manitoba Hydro First Round 147, and Second Round 136.

24

25 (BRIEF PAUSE)

1 MR. DAVID CORMIE: Unfortunately, Mr.
2 Peters, the whole schedule of looking at these items have
3 been delayed because of the delayed na -- the protracted
4 nature of this Hearing. And there are only so many
5 people to -- to work on these items and -- and these
6 activities all get pushed back.

7

8 (BRIEF PAUSE)

9

10 THE CHAIRPERSON: Why don't we come back
11 to this at 1:15, Mr. Peters.

12 MR. BOB PETERS: Yes, and I'll just
13 remind the Board that Mr. Derry will be presenting at
14 1:15, so thank you, Mr. Chairman.

15 THE CHAIRPERSON: Mr. Derry, is he just a
16 member of the public or is he an engineer? Do you -- do
17 you know his background at all?

18 MR. BOB PETERS: I -- I do not, Mr.
19 Chairman. I believe he's just presenting as a member of
20 the public. I don't know that he has any official
21 capacity but I'll find that out for 1:15.

22 THE CHAIRPERSON: Thank you.

23 MR. BOB PETERS: Thank you.

24

25 --- Upon recessing at 12:08 p.m.

1 --- Upon resuming at 1:19 a.m.

2

3 THE CHAIRPERSON: Okay. Welcome back,
4 everyone. And Mr. -- Mr. Derry, welcome to our hearing.
5 We appreciate your attendance. Look forward to your
6 remarks. You have written material.

7 MR. ART DERRY: Yes, I do.

8 THE CHAIRPERSON: Do you plan on -- on
9 reading it, or would you prefer we just put it in the --
10 on the record?

11 MR. ART DERRY: No, I plan on reading the
12 first part.

13 THE CHAIRPERSON: Okay.

14 MR. ART DERRY: And the second part, on
15 questions, I plan on having you put it in as a whatever
16 you call it.

17 THE CHAIRPERSON: We just put it on the
18 record.

19 MR. ART DERRY: Record, yeah. Okay.

20 THE CHAIRPERSON: Okay, Mr. Derry, you
21 can proceed at your own leisure. If you wouldn't mind
22 introducing yourself at first, that would be very
23 helpful.

24 MR. ART DERRY: Okay. I'll do that.

25

1 PRESENTATION BY MR. ART DERRY ON BEHALF OF BIPOLE III
2 COALITION:

3 MR. ART DERRY: Mr. Chairman, Board
4 members, all in attendance, my name is Art Derry. I'm a
5 retired professional engineer who spent twenty (20) years
6 with Manitoba Hydro.

7 A summary of my CV is -- follows here.
8 From 1959 to 1967, I was employed by Saskatchewan Power
9 Corporation in the positions of generation and
10 transmission planning.

11 From 1967 to 1972 I was an HVDC engineer
12 with Atomic Energy of Canada on the Nelson River Bipoles
13 1 and 2 transmission project. From 1972 to 1989 I held a
14 number of different positions in hydro, in both
15 transmission and generation planning, load forecast, and
16 export sale contracts, with my final position title of
17 Vice President of Business Development.

18 In 1989 to 1992 I was a Field Project
19 Manager and System Planning Advisor for Manitoba Hydro
20 International on a SETA project in Zimbabwe, Africa. I
21 ret -- I retired from Manitoba Hydro in 1992, and from
22 1992 to 1998 I was a consultant to the Zimbabwe
23 Electricity Supply Authority as System Planning Advisor.

24 During 2001 and 2002 I was part of a
25 Manitoba Hydro team for Hydro International. I

1 participated as the Contract Specialist to the South
2 China project. Now, thank you for allowing me to make
3 this presentation to the Board on behalf of the Bipole
4 III Coalition, who are promoting the relocation of Bipole
5 3 from the Manitoba western route to an east side of Lake
6 Winnipeg route.

7 The title page of the presentation has the
8 heading, "Eastern Route for Manitoba Hydro's Bipole 3
9 Transmission Line." For the record, there's a map of
10 Manitoba on this page, and on the map there's a red line
11 from the Nelson River down to Winnipeg, on the east side
12 of Winnipeg, and there's a white line from the Nelson
13 River down to Winnipeg.

14 And there's a caption at the top that
15 states, "Costs \$1 Billion More." On the bottom it reads:

16 "Two Routes Considered for Bipole 3.
17 The red line represents the longer,
18 1,364 kilometre costlier west-side
19 route. The white line represents the
20 more direct, 885, less expensive east-
21 side route."

22 Now, who are the Bipole III Coalition.
23 The Bipole III Coalition was formed in October 2010 and
24 currently -- currently includes its membership of retired
25 Manitoba professional engineers, the Canadian Taxpayer

1 Federation, land owners, the Canadian Aerial Applicators
2 Association, the Manitoba Aerial Applicators Association,
3 the Manitoba chapter of Canadian Society for Senior
4 Engineers, retired Hydro executives and employees, and a
5 growing number of concerned taxpayers and citizens of
6 Manitoba.

7 The Bipole III Coalition mission
8 statement: the Bipole III Coalition is a grassroots
9 organization of concerned citizens that aims to educate
10 Manitoba citi -- citizens and to promote increased public
11 awareness that a route on the east side of Lake Winnipeg
12 is superior to a route on the west side of the province
13 for the Bipole 3 transmission line proposed by Manitoba
14 Hydro.

15 The east-side route is preferable because
16 of greater economic, social, technical, and environmental
17 benefits for all Manitobans. And the Coalition is not
18 affiliated with any political party. Now, the reasons
19 for an eastern route, forcing Manitoba Hydro to build
20 Bipole 3 down the west side of the Manitoba Lake -- lakes
21 is a costly decision that cannot be justified.

22 The western route will cost at least 1
23 billion more for ratepayers than the more direct eastern
24 route. Government data shows that there's no
25 justification for the western route. At risk caribou

1 herds are present along both routes and their locations
2 are constantly changing. We could not find evidence to
3 support the argument that high voltage lines have
4 negative impacts on caribou.

5 Annually, there is more tornado and
6 lightning activity along the western route than the
7 eastern route. The portions of the eastern route are
8 being set aside for UNESCO designation could receive the
9 designation even with Bipole 3 running through them. A
10 Bipole line could be built to largely avoid the area
11 being nominated for designation.

12 Negotiations could occur with Aboriginal
13 communities for an east-side route just as they did for
14 the construction of Northern Downs. A referendum should
15 be held at the time of the next election to allow
16 Manitobans to choose between a western and an eastern
17 route.

18 The government decision to locate Bipole 3
19 on the west side of the Manitoba Lakes appears to have
20 been based mainly on a narrowly selected range of
21 environmental issues, not the complete environmental
22 picture. As a coalition we wish to broaden the
23 discussion to include technical, social, and economic
24 issues, and also additional environmental issues.

25 We provide information that identifies

1 strong advantages in constructing the new line on the
2 east side of Lake Winnipeg.

3 Beginning about twenty (20) years ago,
4 Manitoba Hydro did extensive planning for the new line to
5 follow the route from Gillam to Winnipeg down the east
6 side of Lake Winnipeg. In 2007 the current government
7 directed Manitoba Hydro to select the Bipole 3 route on
8 the west side of Lake Manitoba and Lake Winnipegosis;
9 thus, eliminating the eastern route.

10 While many Manitobans favour the eastern
11 route, Manitoba Hydro has subse -- subsequently planned
12 only for a western route, which is 50 percent longer.
13 The government's primary argument for avoiding the
14 eastern route is that part of it would traverse an area
15 that may be designated a world heritage site. They argue
16 that to -- that to receive this designation the forest
17 must be maintained in pristine condition. However, other
18 world heritage sites in Canada, for example in Banff and
19 Jasper, are crossed by transmission lines and main
20 highways.

21 Of the ten (10) criteria for designation
22 as a world heritage site, the two (2) that are applicable
23 in this case are that: (as read)

24 "The area is an outstanding example
25 representing significant ongoing

1 ecological and biological processes in
2 the evolution of terrestrial ecosystems
3 and contains the most important and
4 significant natural habitat for in situ
5 conservation of biological diversity."

6 Neither cri -- criterion precludes careful
7 positioning, roads, and transmission lines. Landowners
8 who will be critically affected by the western route and
9 a group of Manitoba professional engineers have raised
10 objections to the government's directive that the western
11 route must be followed.

12 The directive was apparently made with
13 little or no public input and no reasoned comparison of
14 costs and benefits. The existing roads and winter roads
15 that run fro -- north from Winnipeg along the east side
16 of Lake Winnipeg are currently being upgraded and
17 extended to Berens River with later extension to Poplar
18 River.

19 Two (2) section of these roads will go
20 through Pimachiowin Aki, The Land That Gives Life. The
21 Manitoba Government is currently in discussions about
22 all-weather roads from Norway House to four Island Lake
23 communities in northeast Manitoba.

24 These new roads will provide northern
25 communities with needed economical and reliable access to

1 goods and services from the south. The right-of-ways
2 will have much greater impact than will a powerline.

3 They will, therefore, have greater
4 influence on a decision regarding rural heritage site
5 designation than an eastern powerline. As with Banff and
6 Jasper sites, carefully positioning need not interfere
7 with receiving the designation.

8 Once the roads have been located a common
9 corridor that includes the road and the Bipole 3 make
10 sense. Environmental studies show that the right-of-way
11 is favourable for wildlife. It will also allow access
12 for periodic inspe -- inspection and maintenance of the
13 line.

14 A 66 metre wide right-of-way will occupy
15 less than 0.03 percent, three ten-thousandths (3/10,000)
16 of the protected heritage area. It is not the wide swath
17 described by opponents of the eastern route. And we note
18 that the east side of Lake Winnipeg already contains
19 powerlines, roads, mines, fishing lodges, and other civil
20 inf -- infrastructure. Only a 60 kilom -- 60 kilometre
21 stretch of the east side route is not currently trans --
22 transversed by temporary roads.

23 The eastern route offers many advantages
24 over the longer and costlier western route. With a
25 length of 885 kilometres, it is 480 kilometres shorter.

1 Using information already made public by Manitoba Hydro,
2 the cost of the eastern route are in the neighbourhood of
3 1 billion less than those of the western route. Others
4 have suggested even higher cost savings.

5 Selection of an east-side route would save
6 a Manitoba family of five (5) around four thousand two
7 hundred dollars (\$5,200) compared to the west side. The
8 longer line will cause electricity worth about \$300
9 million to be lost in transit. The equivalent all -- of
10 all wind energy generated annually in Manitoba and
11 equivalent to the annual energy consumption of forty
12 thousand (40,000) cars.

13 If the line losses had to be replaced by a
14 coal-fired station choosing the eastern route over the
15 western route would be equivalent to reducing carbon
16 dioxide emissions by 245,000 tonnes each year. The two
17 (2) routes traverse about the same length of the boreal
18 forest zone.

19 In addition, however, the western route
20 also traverses several hundred kilometres of the best
21 agricultural soils and the most favourable agro-climate -
22 - climatic zone in the province. Farmers will be
23 compensated either in a lump sum or over a period of ten
24 (10) years for the areas occupied by the towers on their
25 land. In perpetuity, however, the towers will cause

1 ongoing obstruction and additional expense to irrigation
2 systems, aerial spraying, and systems for applying
3 livestock manure for crop production.

4 There are sixteen (16) First Nation
5 communities that would be affected by the eastern route
6 and fifteen (15) by the western route: essentially the
7 same number. Neither route will traverse any Aboriginal
8 reserve land, although both traverse traditional lands of
9 Aboriginal people. We understand First Nations chiefs on
10 the east side of lake Winnipeg are expressing increased
11 interest in the eastern route for Bipole 3.

12 There are technical issues that show a
13 route on the east side of the province provides much
14 higher reliability and protection against risk from wind
15 and ice storms. In particular, if Bipole 1 and 2 are
16 damaged, the eastern route for Bipole 3 is twice as
17 effective as the western route for supplying southern
18 Manitoba and the contracted power to the United States.

19 Future construction of generating plants
20 on the lower and upper Nelson River will eventually
21 require a fourth transmission line. For technical
22 reasons, the future line will need to be a 500 kv
23 alternating current, AC line, not a high-voltage direct
24 current, HVDC line, and it needs to be on the west side
25 of the lakes. Eventually, this fourth AC line will

1 significantly reduce existing system constraints, allow
2 separation of the lines for improved reliability, and
3 permit possible future sales to Saskatchewan.

4 The HVDC transmission line, Bipole 3, that
5 is currently being discussed will not resolve these
6 issues. For technical reasons, it is essential Bipole 3
7 be located on the east side of the lakes, not on the west
8 side.

9 In summary, the current Manitoba Hydro --
10 government decided Bipole 3 must run west of the Manitoba
11 lakes and directed the technical staff of Manitoba Hydro
12 to make it happen. Based on technical, environmental and
13 social and economic grounds, we consider the selection
14 process for the western route to be seriously flawed. We
15 urge that the eastern route should once more be selected
16 as a preferred route for Bipole 3.

17 And, Mr. Chairman, that's the part that
18 I'm going to read, and the rest, if you could put it in
19 as an excerpt.

20 THE CHAIRPERSON: Yes, we could. Thank
21 you, Mr. Derry.

22

23 (BIPOLE III COALITION WRITTEN PRESENTATION)

24

25 QUESTIONS PRESENTED TO THE PUB ON BEHALF OF THE BIPOLE

1 III COALITION:

2 1. PUB and the Bipole III Decision:

3 The issue of whether the Bipole III should
4 be located on the western or eastern side of the province
5 has been a topic for debate ever since the Provincial
6 Government instructed Manitoba Hydro to proceed with a
7 western route.

8 The decision of an eastern versus a
9 western route was reviewed in Manitoba Hydro's 2008/09
10 General Rate Application Filing, and specifically in the
11 Public Utilities Board Decision of 2008, item 116/08,
12 section 9.5 Bipole III.

13 In a PUB question Pub/MH 1-4, Hydro was
14 asked to provide a project-specific NPV cost-benefit
15 analysis which would compare the eastern and western
16 routing alternatives for the Bipole III project. The
17 results at that time, based on 2017 costs, indicated a
18 benefit of the eastern route relative to the western
19 route of \$750 million. New estimates (2010) that include
20 line costs, line losses, land acquisition costs and
21 reliability, show the benefits of the eastern route will
22 be more than \$1 billion.

23 In regard to reliability to an eastern
24 versus a western route, a study performed by Hydro
25 indicated a benefit of the eastern route of \$160 million.

1 This figure has been included in the above dollar
2 amounts. Ref. PUB Order No 116/08 Page 142.

3 With this information before it, the PUB
4 has stated: "Due to provincial and societal
5 considerations, MH is proceeding with a West Side of
6 Province routing for Bipole III, rather than the
7 originally planned shorter routing on the East Side of
8 Lake Winnipeg." Ref. PUB Order NO 116/08 Page 141.

9 We understand that one of the
10 responsibilities of the PUB is to protect consumers of
11 electricity in Manitoba, taking into consideration all
12 factors in a properly planned study. This study has not
13 been done for the western route.

14 Request: That the PUB re-visit this item
15 again in their new hearing.

16 2. Questions for Manitoba Hydro.

17 We provide the following questions, the
18 answers to which will help the PUB reach an informed
19 decision on the routing of Bipole III.

20 a) In-service Date

21 When Hydro made their original
22 recommendation, there were no additional export sales
23 planned for 2018/19 and this established the timing for
24 consultation, planning and construction. Sales are now
25 delayed for one year to 2019/20.

1 Question: Should it be necessary, will a
2 one year delay for Bipole III be significant to system
3 operation, given that the existing infrastructure has
4 been in place for going on 40 years.

5 b) Up-to-date Costs of Eastern and
6 Western Routes.

7 Further to Hydro's reply to PUB/MH 1-4
8 Reference Risk Analysis - Tab 8 and Appendix 12.5

9 Question: Will Hydro please provide
10 updated numbers and calculations of costs in relation to:

11

12 Side:	West Side	East Side
13 Line Length* (see Notes below)	_____	_____
14		
15 Estimated Capital Costs of		
16 only the line**	_____	_____
17		
18 Estimated costs of increased losses		
19 West vs East with Keeyask and		
20 Conawapa in operation, including		
21 necessary converters***	_____	_____
22		

23 Question: Will Hydro please advise if any
24 new information has become available that would change
25 the \$160 million benefit of an eastern route which was

1 included in their 2008 submission to the Board?

2 Notes:

3 * Since the last estimate was prepared,
4 Hydro has identified a 'preferred route' for the west
5 side. In preparing these cost estimates, please use the
6 length of the 'preferred route' on the west side, and the
7 approximate length of a representative route that was
8 formerly studied for the east side.

9 ** Please take into account the costs for
10 environmental mitigation and property acquisition that
11 will be incurred on both the west side and east side
12 routes; and the fact that an east side route will be
13 primarily through crown land, with only the portion from
14 the Winnipeg River to Riel traversing settled lands.

15 All costs should be in Total In-Service
16 dollars (2017) including escalation and interest during
17 construction.

18 *** The development sequence now includes
19 Keeyask as well as Conawapa. This increases the loading
20 on the Bipoles by 630 net MW.

21 Hydro should indicate how their forecast
22 was developed, for example, export prices \$/Mwhr, loading
23 pattern, energy to be transferred MW capacity factor,
24 discount rate, and any other assumptions. Costs should
25 be presented in 2017 dollars.

1 c) Capital Cost Estimates:

2 Reference Capital Expenditure Forecast
3 Summary Table (CEF07-01). The Table indicates that the
4 total cost for Bipole III western route is \$2.2478
5 billion.

6 Table (CEF09) indicates the total cost is
7 \$2.2478 billion. This is the cost is used in Hydro's
8 answer to PUB/MH 1-4 on the project cost estimates for
9 Bipole III, with the Line cost equal to \$1.081 billion.

10 Your Table for (CEF10) indicates the
11 Bipole III Licensing and Properties plus Transmission
12 Line cost to be \$1.0819 billion, that is, with no
13 increase in this cost from 2007 to 2010.

14 Referring to (CEF09) and (CEF10) the costs
15 of other Capital Projects such as Keeyask and Conawapa,
16 each have increased by 22.8 percent.

17 Question: Can Hydro explain why Bipole
18 III line costs have not increased from 2007 to 2010?

19 Question: In line with the escalation in
20 the other capital projects, can Hydro indicate why there
21 are no new estimates available at this time (January
22 2011), indicating cost increases.

23 d) Reliability.

24 In reference to Hydro's 2010 System
25 Capacity Winter Peak Demand and Resources (MW), 2010 Base

1 Load Forecast Recommended Plan.

2 The Table prepared by Hydro indicates a
3 reduction in losses of 89 MW and 243 Gwhr, in the earlier
4 years and other values later for the western route of
5 Bipole III. These have been credited as a generation
6 gain.

7 Question: If Bipole III was to be
8 constructed along the eastern route, what are the
9 equivalent values for MW and Gwhr for the years covered
10 in this table?

11 e) Questions on environmental and
12 societal considerations:

13 Question: Will Hydro please provide all
14 reports on studies undertaken by them or their
15 consultants that assess and quantify, or at least attempt
16 to accurately define, the environmental, environmental
17 mitigation, and socio-economic benefits and costs for
18 both the western and eastern routes? The information
19 should include and compare monetary and environmental
20 effects for both routes.

21 Question: Does Manitoba Hydro have on
22 record, and which can be made available to the PUB (and
23 interveners), the substance of any discussions that have
24 taken place with First Nation communities in proximity to
25 either the eastern or western routes? Such discussions

1 will potentially have implications for the matters
2 currently before the PUB.

3 Board Order 116/08 Pages 167 and 168 set
4 out the Board's understanding of the government's and
5 Manitoba Hydro's rationale for the decision to take the
6 western route for Bipole III. Page 167: "The government
7 has indicated that an attempt to construct a major
8 transmission line through a potential World Heritage Site
9 would be strongly resisted by First Nations and be so
10 opposed by environmentalists that it could result in MH's
11 export potential being severely damaged."

12 Question: Has a ruling, opinion, or other
13 information on the effect that an east side transmission
14 line route might have on a World Heritage site
15 application been requested from UNESCO World Heritage
16 Committee? If so, please provide the results.

17 Following Manitoba Hydro's presentations
18 to the east side First Nations and the East Side Planning
19 Initiative on the then-planned east side route for Bipole
20 III in 1993/4, the position of the east side First
21 Nations was not down in the document "Promises to Keep".
22 Section 6.6 Hydro Transmission Corridor, noted 1)
23 "members asking for assurances that local communities
24 would benefit economically" and 2) "concerns were
25 expressed about the impact that such installations might

1 have on the natural environment." First Nations are
2 represented by Chief and Council. They determine their
3 positions through deliberations and meetings, and present
4 decisions by means of Band Council Resolutions.

5 Question: Considering that the position
6 expressed in "Promises to Keep" appears to be reasonable
7 and no position was taken against the east side route,
8 please provide evidence of the statement the transmission
9 line "would be strongly resisted by First Nations."

10 Through 2007 and 2008, and continuing to
11 the present, east side first nations have said publicly
12 that they want Bipole II on the east side of the
13 province. For example on March 3, 2008, the CBC reported
14 "Craig Cook, chief of the Bloodvein First Nation, said 15
15 out of 16 bands on the east side of Lake Winnipeg want
16 Manitoba Hydro's proposed Bipole III transmission line to
17 go through their region, instead of down the west side of
18 the province, as the government has ordered. The 16th
19 band, Poplar River, has a new Chief and Council and may
20 be re-evaluating their position."

21 Question: Please provide evidence, if
22 any, for any resistance or opposition by the east side
23 First Nations to the east side route, including Poplar
24 River's position.

25 Fifteen First Nations are affected by the

1 west side route, a similar number to the number affected
2 by the east side route. At a meeting in Dauphin in March
3 2010 and reported in the Winnipeg Free Press March 12,
4 2010, the First Nations in western Manitoba said they are
5 determined not to allow a proposed Manitoba Hydro
6 transmission line to cross their territories until Ottawa
7 and the province complete an environmental audit of "past
8 impacts and effects" of hydro operations on southern
9 First Nations.

10 Question: Has this environmental audit
11 been completed? If so, please provide the results.

12 The preceding statement by First Nations
13 peoples on the western route appears to be a firmer
14 position on participation and mitigation of impacts than
15 that taken by the east side First Nations.

16 Question: Please provide the state of the
17 negotiations and the results.

18 The obligations to Cross Lake First Nation
19 in the Northern Flood Agreement have not been settled in
20 the more than 30 years since the Agreement was signed.

21 Questions: What is the status of this
22 long-standing obligation?

23 Does this not indicate a difficulty in
24 negotiating settlements with the First Nations on the
25 west side route?

1 From information contained in these
2 reports, will Hydro please provide an estimate of the
3 total value of benefits of an east-side route in 2017
4 dollars?

5 f) Questions on In-Service Date of Bipole
6 III

7 Background:

8 Previous Hydro studies indicated that
9 advancing completion of Bipole III would provide benefits
10 against possible losses that would justify an early in-
11 service date, and also valuable improvements in the
12 reliability of the system.

13 At the time of the original
14 recommendation, no firm export sales were in the plan.
15 According to Hydro's recent "2010/11 Alternative Plan"
16 the in-service date will now be 2022/23. Current plans
17 make the transmission line available 5 years earlier than
18 it needs to be to accommodate the next plant, namely
19 Conawapa.

20 Currently, sales are planned for 2019/20.
21 This means that the 5 years of early availability is
22 reduced to 2 years. The loss benefits are still present,
23 but the effect that early construction has on reliability
24 is not for as long a period.

25 Questions:

1 Will a delay have a significant effect on
2 system operation?

3 Would Hydro agree that as long as the
4 Bipole III is available by 2019/20, the start of the sale
5 this would be adequate to meet the contract terms?

6 Presented by: W. Art Derry, on behalf of
7 the Bipole III Coalition

8

9 (WRITTEN PRESENTATION CONCLUDED)

10

11 MR. ART DERRY: I have a -- another
12 little bit more to go through here. I understand as a
13 presenter I have no standing where Hydro is required to
14 answer these questions, so I request that the Board and
15 others who have intervenor status and agree that the
16 questions are pertinent in arriving at a proper decision
17 of the routing, given the reason we have offered, move
18 them forward on our behalf.

19 And on my -- behalf of myself and the
20 Bipole III Coalition, thank you for your time.

21 THE CHAIRPERSON: Thank you, Mr. Derry.
22 I imagine that you -- you're probably aware that this
23 Board lacks the jurisdiction to direct Manitoba Hydro's
24 capital expenditures, but I've got a few questions, if
25 you don't mind.

1 MR. ART DERRY: Sure.

2

3 QUESTION PERIOD:

4 THE CHAIRPERSON: Mr. Derry, can you
5 provide your perspective on the -- the pros for going
6 down the -- the west side, taking the west-side route?
7 Are there -- are -- are there arguments, in your mind,
8 for proceeding down the west side?

9 MR. ART DERRY: The -- the only arguments
10 I've seen is the Farlinger Report. I've read that a
11 couple of times, and it's a report that really doesn't
12 make a recommendation of east or west, and I can't quote
13 you all the pros and cons, but they're in that report, on
14 both sides.

15 MR. ROBERT MAYER: Could you spell that,
16 please?

17 MR. ART DERRY: Pardon?

18 MR. ROBERT MAYER: Farlinger?

19 MR. ART DERRY: Farlinger? Yes.

20

21 (BRIEF PAUSE)

22

23 MR. ART DERRY: Yeah. F-A-R-L-A -- L-I-
24 N-G-E-R.

25

1 (BRIEF PAUSE)

2

3 THE CHAIRPERSON: Go ahead.

4

5 (BRIEF PAUSE)

6

7 THE CHAIRPERSON: I think we're all right
8 with the spelling, Mr. Derry.

9 MR. ART DERRY: Are -- are you? Yeah,
10 I've got a copy of the report.

11 DR. LEN EVANS: Yes, thank you. I have a
12 couple of questions. Have you or your group have had any
13 discussions or contact with environmental people who, we
14 understand, in the media have raised objections to the
15 eastern route? There are groups in Canada and the United
16 States who are very concerned about the eastern route,
17 and I was wondering if you have any discussions with
18 them, or have had -- have had any contact with them, or
19 have you had any information from them?

20 MR. ART DERRY: No -- no, we haven't.
21 We've only been formed since October of 2010. It's only
22 a couple of months. We've got -- we do have a web site up
23 right now called Bipole III Coalition dot ca --

24 MR. LEN EVANS: M-hm.

25 MR. ART DERRY: -- but we have not had

1 any -- any --

2 DR. LEN EVANS: Yeah.

3 MR. ART DERRY: -- contact with them.

4 DR. LEN EVANS: But you acknowledge that
5 there -- those groups exist.

6 MR. ART DERRY: Yes, we know that, yes.

7 DR. LEN EVANS: M-hm.

8 MR. ART DERRY: Yeah.

9 DR. LEN EVANS: Another question I have
10 is regarding the chiefs. You make reference on the
11 bottom of page 5 and then top of page 6.

12 "We understand First Nations chiefs on
13 the east side of Lake Winnipeg are
14 expressing increased interest in the
15 eastern route for Bipole -- Bipole 3."

16 And my question is, Do you have any
17 knowledge of the degree of agreement among the chiefs?
18 Is there unanimity -- un -- is there a unanimous
19 agreement among the chiefs --

20 MR. ART DERRY: No, I --

21 DR. LEN EVANS: -- to your knowledge
22 about the eastern -- or is there a division? Are there
23 dif -- different points of view about the eastern route--

24 MR. ART DERRY: Yeah --

25 DR. LEN EVANS: -- on the part of the

1 chiefs?

2 MR. ART DERRY: No, I don't have any --
3 the only thing I've seen is articles by some of the
4 chiefs in the papers, and we are presently trying to get
5 together the eastern side First Nation groups, we are
6 contacting some of the people and try to get a hold of
7 them.

8 DR. LEN EVANS: But as far --

9 MR. ART DERRY: We're work -- we're
10 working on that right now.

11 DR. LEN EVANS: Excuse me. So that --
12 but you'd acknowledge there's no unanimity at this point.

13 MR. ART DERRY: Not at this point, no.

14 DR. LEN EVANS: Thank you.

15 MR. ART DERRY: No.

16 THE CHAIRPERSON: Mr. Derry, one (1)
17 other question. You said that your group had just come
18 together. I'm just wondering whether you had -- were
19 able to confirm your view that the World Heritage
20 designation would be withheld if the -- if the route went
21 down the east side.

22 Do you have any independent confirmation
23 of your view that the World Heritage designation would be
24 at risk if the route went down the east side?

25 MR. ART DERRY: No, we don't. We think

1 it's -- the two (2) can live together.

2 MR. ROBERT MAYER: Mr. Derry, would your
3 -- would your view change if -- let's start from another
4 place. You suggested that the road and Bipole 3 would
5 run parallel. Would --

6 MR. ART DERRY: We suggested they could;
7 we didn't say they would.

8 MR. ROBERT MAYER: Okay. But I'm
9 suggesting that Bipole -- that transmission lines and
10 roads are no longer in vogue. That largely, in fact, for
11 security reasons there will be, it's my understanding, no
12 more roads running along side transmission lines.

13 Would that change your view, if -- if in
14 fact, we're not going to be running transmission lines
15 along --along roads any more, or beside roads any more,
16 would that change your view with respect to the viability
17 of the east side?

18 MR. ART DERRY: Firstly, how -- how close
19 are you talking about between a road and -- and the
20 transmission line?

21 MR. ROBERT MAYER: I -- I think everybody
22 now realizes that you could take out Bipole 1 and Bipole
23 2 in at least -- in at -- in at least six (6) places down
24 Highway number 6.

25 MR. ART DERRY: M-hm.

1 MR. ROBERT MAYER: This, I think, we all
2 believe isn't a really good idea. It is my understanding
3 that we're not going to like to be having roads that are
4 readily accessible to the hydro -- to the transmission
5 lines.

6 There are other things that happened, like
7 people like to practice their -- their target shooting on
8 the insulators that hang from the lines, et cetera.

9 MR. ART DERRY: Okay. No, I -- I don't
10 think it would preclude building the line -- it doesn't
11 have to run along a -- the -- the road.

12 THE CHAIRPERSON: Thank you very much,
13 Mr. Derry.

14 MR. ART DERRY: Yeah.

15 THE CHAIRPERSON: We appreciate your
16 comments, and we'll undoubtedly review them more closely
17 in --

18 MR. ART DERRY: Okay.

19 THE CHAIRPERSON: -- in the --

20 MR. ART DERRY: Thank you very much.

21 THE CHAIRPERSON: Thank you. Mr.
22 Peters...?

23

24 MANITOBA HYDRO PANEL RESUMED:

25 VINCE WARDEN, Resumed

1 DAVID CORMIE, Resumed

2 HAROLD SURMINSKI, Resumed

3

4 CONTINUED CROSS-EXAMINATION BY MR. BOB PETERS:

5 MR. BOB PETERS: Thank you, Mr. Chairman.
6 Board members, witness panel, I'll continue from where we
7 were this morning before the -- the lunch recess.

8 And my recollection is, Mr. Warden, you
9 wanted to verify that Manitoba Hydro had indicated that a
10 drought management plan was expected to be prepared by
11 April of 2011. Did you have a chance to review that,
12 sir?

13 MR. VINCE WARDEN: Yes, Mr. Peters, we
14 did respond in that manner in a Information Request
15 response.

16 MR. BOB PETERS: And we heard this
17 morning from Mr. Cormie indicating that, in my words,
18 Hydro's always prepared for a drought and, therefore, the
19 value of a drought management plan in writing may not be
20 readily apparent. Yet I think the Board heard you say
21 that there may be some value to having a written drought
22 management plan. So which way is Manitoba Hydro planning
23 to proceed on that?

24 MR. VINCE WARDEN: Mr. Peters, it's still
25 our intention to prepare a document that can be filed

1 with this Board indicating how Manitoba Hydro manages its
2 -- its operations during doug -- drought period. Whe --
3 whether we'll call it the drought management pla -- plan
4 or not is yet to be determined.

5 It probably will be a more comprehensive
6 document than that.

7 MR. BOB PETERS: And it's still online
8 for April?

9 MR. VINCE WARDEN: Well, as -- as
10 mentioned by Mr. Cormie, there are a few tasks that have
11 fallen behind. We've been dedicating a significant
12 number of hours to -- to this proceeding. We'll have to
13 -- we'll have to check to see whether or not that date is
14 still attainable or not.

15 MR. BOB PETERS: Is one (1) of the
16 benefits, Mr. Warden, of having a written drought
17 management plan the ability to provide for succession
18 planning internally so that when people retire, those
19 that follow them are able to have a written plan with the
20 wisdom of those who have helped prepare it --

21 MR. VINCE WARDEN: Well --

22 MR. BOB PETERS: -- and now retired?

23 MR. VINCE WARDEN: -- we do have a fairly
24 comprehensive succession plan in place at Manitoba Hydro
25 today. We spend a fair bit of time on that knowing the

1 importance of people like Mr. Cormie and how the
2 Corporation would be affected when that day ultimately
3 comes that Mr. Cormie retires.

4 So succession plans are in place and it's
5 another one (1) of the risks the Corporation faces that
6 is being effectively managed. So it doesn't depend on --
7 on a -- on the preparation of a drought management plan,
8 that would be all part of the process.

9 MR. BOB PETERS: I think he said he was
10 waiting for you, Mr. Warden, but I'll have to check the
11 transcript on that and... While we're on this topic of
12 exports and imports in the same year, if we could turn to
13 the book of documents, Tab 35, page 78. There's a chart
14 in response to PUB Manitoba Hydro Risk 94, so that was at
15 Tab 35 and it's top right-hand corner, page number 78,
16 last page, I believe, in that tab.

17 Mr. Cormie, when we look at the 2002/03
18 year that's shown in the second from the left column, the
19 opportunity spot market sales, and it lists by acronym
20 the Day-Ahead and the Real-Time transactions. Is that
21 correct?

22 MR. DAVID CORMIE: Yes.

23 MR. BOB PETERS: Would it also be correct
24 to say that Manitoba Hydro has total control on whether
25 or not to sell those opportunity spot sales?

1 MR. DAVID CORMIE: Yes, we do.

2 MR. BOB PETERS: And likewise, when we
3 turn to the opportunity term, I'm equating that to the
4 opportunity bilateral. Have I got that right?

5 MR. DAVID CORMIE: Yes.

6 MR. BOB PETERS: And for that type of an
7 arrangement there's generally a -- a written agreement.
8 Would that also be correct?

9 MR. DAVID CORMIE: Yes, there will be.

10 MR. BOB PETERS: The term is somewhere
11 between two (2) weeks and six (6) months?

12 MR. DAVID CORMIE: Yes.

13 MR. BOB PETERS: And in 2002/03 this vol
14 -- this opportunity spot market sales that were made,
15 those would have been made before May of 2003?

16 MR. DAVID CORMIE: I'm not sure if I
17 heard you correctly. You're asking whether the 2002/2003
18 sales would have been made before May of 2003; was that
19 the question?

20 MR. BOB PETERS: Yes, sir.

21 MR. DAVID CORMIE: Yes, because that's --
22 May of 2003 is in fiscal year '03/'04.

23 MR. BOB PETERS: And at the time they
24 were made it would assume good spring and summer water.

25

1 (BRIEF PAUSE)

2

3 MR. DAVID CORMIE: I'm not sure if they
4 were made on any assumption about water conditions.
5 Those -- that's the energy that was surplus to Manitoba's
6 needs in Real-Time, and -- and they were sold on that
7 basis, that -- that we either sold them or -- or we
8 spilled the energy. So I don't really link spot-market
9 sales to a particular assumption on water conditions.

10 MR. BOB PETERS: Are you assuming that if
11 you had capacity to store it, it would have been stored
12 instead of sold as opportunity?

13 MR. DAVID CORMIE: No, I'd have to see
14 the -- the pattern of those sales throughout the year.
15 Some of those sales may be similar to the ones that we
16 talked about previously, where reservoirs are full in the
17 spring. And Manitoba Hydro's required under its licence
18 to release water from storage. That water is surplus to
19 Manitoba's needs and is -- and is sold in the spot
20 market.

21 So timing is everything in looking at
22 these tables. Manitoba Hydro has -- relative to the
23 volatility in the water supply, we have relatively small
24 storage available and we don't have really sufficient
25 storage reservoirs to be able to effectively move water

1 around the year to fully optimize the -- the market.

2 MR. BOB PETERS: Well, let's look at that
3 last answer, Mr. Cormie, also looking at page 106 at Tab
4 43 of the book of documents. And we're talking, Mr.
5 Chairman and Board members, for the 2002/03 year, looking
6 at Tab 43 of the book of documents page 106. Mr. Cormie,
7 it appears that the energy in storage starting the year
8 was -- was below average; would you agree with that?

9 MR. DAVID CORMIE: Starting year 2003 at
10 6.3, is that the number you're referring to?

11 MR. BOB PETERS: Yes.

12 MR. DAVID CORMIE: yes.

13 MR. BOB PETERS: I -- I think I had you
14 agree that average might be approximately 8,000 gigawatt
15 hours in storage.

16 MR. DAVID CORMIE: Yes, on that basis I
17 accept that that was below average.

18 MR. BOB PETERS: So we know that the
19 energy in storage was -- was below average to start that
20 year. We also know that Lake Winnipeg was only 712.2
21 feet to start the year, correct?

22 MR. DAVID CORMIE: Yes.

23 MR. BOB PETERS: So there would be room
24 in storage if that was a decision the Corporation wanted
25 to make, isn't that correct?

1 MR. DAVID CORMIE: Yes, and it appears,
2 based on the peak level of Lake Winnipeg at seven
3 thirteen point nine (713.9), that there was room.

4 MR. BOB PETERS: There were no flood-
5 management or water-management requirements throughout
6 that year that this table depicts, is that correct?

7 MR. DAVID CORMIE: Nothing is apparent
8 from this table, but that doesn't say there weren't any,
9 Mr. Peters.

10 MR. BOB PETERS: As you sit here, you
11 wouldn't recall any, would you, Mr. Cormie?

12 MR. DAVID CORMIE: No, that was a long
13 time ago.

14 MR. BOB PETERS: I appreciate that. And
15 if for some reason you -- you choose to check that and if
16 there were some -- some operating constraints or flood
17 management issues that you want to bring to the Board's
18 attention, please do that through your counsel. Would
19 that be okay?

20 MR. DAVID CORMIE: Yes.

21 MR. BOB PETERS: And we turn to
22 opportunity terms. No, that's not an undertaking.
23 That's just an opportunity, of course, for Mr. Cormie to
24 come back through -- it's an option. It's not an
25 undertaking officially for the transcript.

1 when the transactions were made, Mr. Peters, and there's
2 nothing here to tell me when those forward transactions
3 were entered into. They could have been made once the
4 spring runoff conditions had already been determined. I
5 -- it's not apparent here the timing.

6 MR. BOB PETERS: All right. Thank you.
7 Turning to the dependable contracts, would the Board be
8 correct in understanding that those dependable contracts
9 would have been all long-term, greater than one (1) year?

10 MR. DAVID CORMIE: Yes.

11

12 (BRIEF PAUSE)

13

14 MR. BOB PETERS: And turning to the next
15 year, 2003/04, on book of documents volume 2, Tab 35,
16 page 78, we see again that there was opportunity sales
17 made on a Day-Ahead and Real-Time basis, correct?

18 MR. DAVID CORMIE: Yes.

19 MR. BOB PETERS: And again, would those
20 be typically made early in the year or would those be
21 late in the year?

22 MR. DAVID CORMIE: Those would probably
23 be made daily throughout the year, based on the -- the --
24 the daily needs of -- of the power system and -- yes.

25 MR. BOB PETERS: When you say daily

1 throughout the year, these are sales we're talking about?

2 MR. DAVID CORMIE: Yes.

3 MR. BOB PETERS: It's not that the power
4 system would need to make sales because --

5 MR. DAVID CORMIE: Well --

6 MR. BOB PETERS: -- you're not -- this
7 isn't an import.

8 MR. DAVID CORMIE: No, but what happens
9 is that because we -- we plan for a worst-case Manitoba
10 load scenario, there will be more resources available on
11 the average day than is actually required compared to the
12 design day. And so generally, on a daily basis, there
13 will be surplus resources available that could lead to
14 market transactions.

15 For example, if the -- like, the weather
16 that we had last week, when it was thirty (30), minus
17 thirty (30), the difference between the Manitoba load
18 between then and today was probably 1,000 megawatts. So
19 Manitoba Hydro plans for a cold winter. We put resources
20 in place for a cold winter, and -- but every day of the
21 winter is not the -- the -- the -- not necessarily as
22 cold as we assumed.

23 So on a daily basis there may be some
24 additional energy that's in the system that -- that could
25 go to market because we, on an average day or on a very

1 with that -- that description. It's not a wrong
2 forecast. We have to meet the Manitoba load demand under
3 worst-case scenario.

4 That means no matter what the weather is,
5 we have to be in a position, so those resources have to
6 be mobilized in advance, the water reservoir releases
7 have to be made in anticipation of the cold weather, and
8 if the cold weather doesn't show up, that doesn't mean it
9 was a wrong decision, it means that we were protecting
10 against an energy shortfall situation.

11 Then the -- depending on what weather
12 actually shows up, we may have -- actually have some
13 surplus. That's the nature of having an obligation to
14 serve. We can't cut domestic load just because we have a
15 wrong fore -- our forecast is higher than the average.

16 MR. BOB PETERS: So there's imprecision
17 in the forecast, you'll go that far?

18 MR. DAVID CORMIE: Oh I -- I dec -- I
19 describe it as there's uncertainty in the forecast, and
20 we have to guard against a worst case.

21 MR. BOB PETERS: And when you talk
22 sending it down the river, which river are you talking
23 about sending down, the Nelson?

24 MR. DAVID CORMIE: That would be the
25 Nelson River.

1 MR. BOB PETERS: And from the day it's
2 discharged from the -- Lake Winnipeg, what's the flow
3 time normally for the water to make it's way past
4 Manitoba Hydro's generation stations?

5 MR. DAVID CORMIE: Well, the -- the --
6 it's -- it's between three (3) and five (5) weeks to --
7 for a -- the full effect of a change at the Jenpeg to
8 reach the downstream stations.

9 MR. BOB PETERS: The opportunity term
10 sales in '03/'04 also are shown in relatively the -- the
11 same quantity as the opportunity spot, correct?

12 MR. DAVID CORMIE: Yes. You're referring
13 to the four hundred and sixty-eight thousand (468,000)?

14 MR. BOB PETERS: Yes, sir. This isn't a
15 diversity sale, is it?

16 MR. DAVID CORMIE: No, this -- this is a
17 bilateral term transaction.

18 MR. BOB PETERS: And this again is a
19 transaction that Manitoba Hydro didn't have to enter into
20 but it voluntarily did choose to.

21 MR. DAVID CORMIE: Yes.

22 MR. BOB PETERS: And at the time it chose
23 to, it would have assumed the water flows were going to
24 be good in 2003/04?

25 MR. DAVID CORMIE: Again, I don't think

1 that assumption is necessary. The only assumption is
2 necessary is that to the extent that -- that we sold it,
3 our cost of serving the sale just had to be less than the
4 revenue that the sale generated. It didn't necessarily
5 have to come from hydraulic resources.

6 MR. BOB PETERS: But this -- these
7 opportunity term sales did come from hydraulic resources,
8 did they not?

9 MR. DAVID CORMIE: They may have been
10 purchased, Mr. Peters.

11 MR. BOB PETERS: You're not aware --
12 you're not aware then as to the -- the source of the --
13 the generation for this opportunity term sale?

14 MR. DAVID CORMIE: Well, I -- I would
15 suspect that we probably purchased in order to make that
16 -- make that transaction, Mr. Peters.

17 MR. BOB PETERS: You're saying you
18 imported the energy and then turned around and sold it
19 out of storage.

20 MR. DAVID CORMIE: No, I didn't say we
21 sold it out of storage. I said we -- we may have -- in
22 making the sale we may have purchased the energy and --
23 for -- for resale at a profit.

24 It doesn't imply it comes from hydraulic
25 generation. It may be a source from the market. And so

1 all we're doing is ensuring that when we make the
2 transaction we look at the worst-case scenario, and --
3 and under the worst-case scenario if we could purchase
4 power cheaper than the revenue then the transaction is a
5 good transaction financially.

6 MR. BOB PETERS: But it may not be a good
7 transaction in terms of what transpires later in the
8 year.

9 MR. DAVID CORMIE: Well, if it's been
10 sourced from purchases, it has no effect on the water
11 management -- reservoir management.

12 It was a purchase made to support a sale,
13 and again, you're asking me details about transactions
14 that occurred almost eight (8) years ago, and I only have
15 the annual data here to respond, so I'm just creating --
16 I -- if you want me, I can look into those transactions
17 but there's no -- there's nothing to indicate here that
18 we would have sold out of storage to serve this sale.

19 MR. BOB PETERS: Maybe that would be a
20 worthwhile undertaking then for the Board, Mr. Cormie, if
21 you can determine the origin of the opportunity term
22 sales that are shown on book of documents, Tab 35, page
23 78, for the 2003/04 year.

24 Would you be able to do that, sir?

25 MR. DAVID CORMIE: We'll look at it, Mr.

1 Peters, yes.

2

3 --- UNDERTAKING NO. 37: Manitoba Hydro to determine
4 the origin of the opportunity
5 term sales that are shown on
6 book of documents, Tab 35,
7 page 78, for the 2003/04 year
8

8

9 CONTINUED BY MR. BOB PETERS:

10 MR. BOB PETERS: When we look at the
11 dependable sales on the same chart for '03/'04, Mr.
12 Cormie, would it be correct that Manitoba Hydro only had
13 4,200 gigawatt hours of committed long-term sales that it
14 was obliged to -- to service and then entered into some
15 additional lon -- dependable sales throughout the year?

16

17 (BRIEF PAUSE)

18

19 MR. HAROLD SURMINSKI: Mr. Peters,
20 perhaps I could take this opportunity. Earlier you asked
21 for the update of the 2003 Power Resource Plan. I've got
22 some of the -- the numbers that -- that you could utilize
23 to -- and it may help in answering this question.

24

MR. BOB PETERS: Please, sir.

25

MR. HAROLD SURMINSKI: Okay. You wanted

1 the hydraulic resources first of all and I said it was
2 around twenty-one thousand (21,000). It's actually
3 twenty-one thousand two hundred and sixty (21,260). The
4 total of the thermal plant is four zero nine zero (4090),
5 four thousand and ninety (4,090).

6 And for reference purposes in the -- the
7 large sheet that you handed out it was four one one eight
8 (4118), so it's very little different as I suspected, the
9 thermal total at four one one eight (4118) in the large
10 sheet compared to '03, four zero nine zero (4090), very
11 similar. Do you want any other quantities on that one?

12 MR. BOB PETERS: Well, if you've got the
13 additional resources that you had listed as dependable,
14 that would be helpful, and quantify them, please.

15 MR. HAROLD SURMINSKI: Demand-side
16 management, it was only sixty (60), six zero (60), as
17 opposed two forty-four (244). Imports were five thousand
18 (5,000) -- five zero four seven (5,047), five thousand
19 and forty-seven (5,047) compared to twenty-seven ninety
20 six (2,796) in '09. There were more energy guarantees.
21 There were several other sales that had returned energy
22 and energy guarantees.

23 There was Ontario, there was US sales at
24 the time that had significantly more energy guarantees
25 coming back. And the question that you're asking now,

1 what were the total contracts in that year, we had six
2 five five eight (6,558), six thousand five hundred and
3 fifty-eight (6,558) as the obligation for firm contracts
4 in '03/'04.

5 MR. BOB PETERS: And my question was a
6 bit finer than that, Mr. Surminski. It was how much of
7 that was -- was the long-term contract and how much of
8 that would have been shorter-term dependable sales?

9 MR. HAROLD SURMINSKI: They are all long-
10 term contracts.

11 MR. BOB PETERS: And does that number
12 that you gave, six five five eight (6,558) include
13 diversity energy?

14 MR. HAROLD SURMINSKI: Yes, it does.

15 MR. BOB PETERS: Can you quantify the
16 diversity portion of that?

17

18 (BRIEF PAUSE)

19

20 MR. HAROLD SURMINSKI: 486 gigawatt
21 hours.

22

23 (BRIEF PAUSE)

24

25 MR. ROBERT MAYER: While we're doing this

1 calculation, Mr. Surminski, we heard some interesting
2 stuff in a presentation today. I wonder if somebody
3 could give you the page 1550 of the January 19th
4 transcript. I'll give you a hint, Mr. Surminski, of what
5 I'm talking about.

6 On page 6 of 13 of the brief we heard this
7 afternoon, the description is:

8 "Future construction of generating
9 plants on the lower and upper Nelson
10 River will eventually require a fourth
11 transmission line. For technical
12 reasons, this future line will need to
13 be a 500 kilovolt alternating current
14 line, not a high voltage direct current
15 line, and it needs to be on the west
16 side of the lakes."

17 I'm now looking at your answer to my
18 question that is on -- starting at line 15 of page 1,550.
19 And you say:

20 "Yes, Bipole 3 at 2,000 megawatts is
21 not sufficient to deliver the new
22 combination of the new Keeyask and
23 Conawapa plants. We are not thinking
24 of Bipole 4, however. We do not
25 require something that large at this

1 time. It could be an AC alternative or
2 it could be an expansion of Bipole 3."

3 Was that presenter correct? Is this what
4 you're really doing in a 500 kV alternating current line
5 on the west side after -- rather than a Bipole 4?

6 MR. HAROLD SURMINSKI: No, the presenter
7 background or the information that they used, they're not
8 transmission planning people. They're not currently
9 closely involved with hydro transmission planning, I'd
10 think, and with some independent work that -- that's
11 being referred to there.

12 MR. ROBERT MAYER: Mr. Surminski, you
13 mentioned an AC alternative. And I tried to pin you down
14 on that AC alternative and -- and you weren't prepared to
15 go there, and you actually said it could be an expansion
16 to Bipole 3. But a number of times during the course of
17 this Hearing when we talked about the Bipole lines and
18 the possibility of Bipole 4, not only today, not only on
19 the 19th, but in prior discussions we've had about this
20 you have mentioned the possibility of an AC alternative.

21 And none of us and -- could figure out
22 exactly how you could transmit this capacity north/south
23 on an AC alternative. But when I look at what was
24 presented to us today, it sounds an awful lot like what
25 you were talking about before.

1 Are you telling me this is not a plan,
2 that you're not going to be sending extra power from the
3 upper Nelson by AC current across the top of the province
4 and over to the west side? It certainly makes sense.
5 You wouldn't need the high voltage DC line if you're
6 going to start shipping into -- into Saskatchewan at the
7 border, but this is definitely not what we're talking
8 about.

9 MR. HAROLD SURMINSKI: I don't see much
10 of a difference. I see it's the same thing. Well, I was
11 talking about an extension on -- on the same page, an
12 extension of the Bipole 3 from 2,000 to 2,500. It just
13 sounds like the same 500 megawatts. So whether it's AC
14 or an extension of the Bipole 3 DC, it has not been
15 decided at this point.

16 MR. ROBERT MAYER: Okay. But -- but when
17 we talk about the AC alternative it -- it makes sense if
18 it's going to the west side and going to go across the
19 border more than if we're going to take it out of the
20 lower Nelson and try to move the power down to the
21 states.

22 MR. HAROLD SURMINSKI: Excuse me, what
23 border are you talking about?

24 MR. ROBERT MAYER: I'm talking about --
25 well, firstly, the Saskatchewan border on the west side

1 and the American border on the south.

2 MR. HAROLD SURMINSKI: Oh. And why the
3 Saska -- why is the Saskatchewan border being referenced
4 here?

5 MR. ROBERT MAYER: Because it was
6 referenced in the presentation.

7 MR. HAROLD SURMINSKI: It was only being
8 near Saskatchewan. They thought that AC -- having an AC
9 line, you could tap off into Saskatchewan. A DC line
10 just -- you cannot tap off of it. You -- you can only
11 tap off at the terminal stations, at the converter
12 stations. So there's an advantage to AC if you're --
13 want to tap off into Saskatchewan.

14 MR. ROBERT MAYER: I'm aware of that, and
15 he says that in his -- in his presentation, "make
16 possible future sales to Saskatchewan." Okay, I guess I
17 have your answer. I -- thank you very much.

18 MR. HAROLD SURMINSKI: Thank you.

19

20 CONTINUED BY MR. BOB PETERS:

21 MR. BOB PETERS: Am I correct, Mr.
22 Cormie, that before 2005 Manitoba Hydro's exports had
23 only been the bilateral agreements?

24 MR. DAVID CORMIE: No, because the
25 Ontario market opened, I believe, in 2002. And so from

1 2002 until 2005, market transactions with the IESO, the
2 Independent Electricity System Operator, in Ontario were
3 possible. So bilateral transactions in the US, yes,
4 you're correct there. The US market didn't open up until
5 April the 1st, 2005, but financial transactions with the
6 market in Ontario were going since 2002.

7 MR. BOB PETERS: Thank you for that
8 clarification. The Ontario transactions are relatively
9 small in scale?

10 MR. DAVID CORMIE: Yes, because the
11 transmission into Ontario at that time, I think we were
12 transacting up to about 260 megawatts compared to a much
13 larger interconnection into the United States.

14 MR. BOB PETERS: And so up until April
15 1st of 2005, Manitoba Hydro's export sales had to have a
16 defined counterparty on the other end of it, agreeing to
17 the terms of your agreements?

18 MR. DAVID CORMIE: Yes.

19 MR. BOB PETERS: You also explained that,
20 if Manitoba Hydro had conditions of less than favourable
21 water conditions, Manitoba Hydro had to enter into
22 buyback arrangements where Manitoba Hydro would actually
23 go out and purchase the energy it was going to sell to
24 the counterparty, and then have that counterparty buy it
25 from Manitoba Hydro, and that all had to be done through

1 the -- the one (1) and only counterparty that we're
2 talking about in terms of the -- the transaction.

3 MR. DAVID CORMIE: Yes.

4 MR. BOB PETERS: Would it be correct to
5 say that if Manitoba Hydro had unfavourable water
6 conditions such that it had to buy back, under a
7 contract, Manitoba Hydro had to notify the counterparty
8 that it wanted to do so? You had to phone them up, write
9 them, email them, whatever you did back in 2005, and say
10 that you've got unfavourable water conditions and you
11 want to buy your way out of a contract by purchasing the
12 energy for that counterparty and then having them buy it
13 from you?

14 MR. DAVID CORMIE: Yes, we had those
15 communications.

16 MR. BOB PETERS: There was no anonymity
17 that you've now said is an advantage under the new
18 contracts?

19 MR. DAVID CORMIE: That's right.

20 MR. BOB PETERS: And the reason that
21 anonymity is important is that, without it, the
22 counterparty could extract a shortage pricing premium on
23 Manitoba Hydro, would that be true?

24 MR. DAVID CORMIE: Yes, the -- under
25 those circumstances, the seller would have an advantage.

1 MR. BOB PETERS: Now, as we go past 2005,
2 Manitoba Hydro takes a different position that -- that
3 there be no ability for a counterparty -- or for there to
4 be shortage pricing as it affects any of Manitoba Hydro's
5 bilateral agreements into the States. Have I got that
6 right?

7 MR. DAVID CORMIE: Yes, the counterparty
8 has lost any advantage that it might have -- it might
9 have had prior to the market because now Manitoba Hydro
10 has a mar -- market alternative, and -- and since that
11 date we have renegotiated those contracts so that we can
12 serve our sale obligations using all the market
13 mechanisms that the market allows a market participant to
14 use in its -- make -- fulfilling its obligations.

15 MR. BOB PETERS: And one of the reasons
16 Manitoba Hydro takes that position, Mr. Cormie, is that
17 there can be as much as 138,000 megawatts of total market
18 capacity in the MISO area?

19 MR. DAVID CORMIE: Right. On the -- on -
20 - on the long-term contracts at the time, we were
21 required to transact at the Manitoba border, at -- at the
22 border. Delivery had to be made at the border and any
23 buyback had to be made at the border. And now, with the
24 market mechanisms, we're able to purchase and financially
25 settle the transaction without worrying about physical

1 delivery.

2 The pur -- the purchase doesn't have to
3 take place at the border. It can be settled financially
4 in the market, and -- and the issue of transmission
5 rights has become moot.

6 MR. BOB PETERS: Why has the issue of
7 transmission rights become a moot point?

8 MR. DAVID CORMIE: Because the -- the
9 Day-Ahead market is a financial market, so we will
10 financially fulfill our obligation by purchasing from the
11 market, telling our customer that we're -- that we're
12 financially settling, we've already modified our
13 agreements to allow that to happen.

14 No physical -- in the Day-Ahead market no
15 physical delivery is taking place. It's a financial
16 settlement, and so in Real-Time we don't have a financial
17 obliga -- we don't have a physical obligation. No power
18 needs to flow because the market will supply the -- the
19 power to the customer rather than Manitoba Hydro.

20 In the -- in the -- prior to that time, we
21 had the right to use purchased energy to serve the sale
22 but we had to find someone who owned transmission rights
23 at the border so that we could physically exchange the
24 power at the border and have the -- through the buyback
25 mechanism have the transaction net out to zero.

1 Now, we can do that financially in the
2 Day-Ahead market. Physical delivery is no longer
3 necessary. Owning transmission rights in the US is no
4 longer an issue. And so we have much more flexibility.

5 And then what we're getting at -- under a
6 financial settlement in the Day-Ahead market is the --
7 the lowest costs supply possible because there are -- the
8 market is hundreds and hundreds of utilities who are
9 making their energy available to the MISO.

10 And the MISO then chooses how to serve all
11 the obligations, including Manitoba Hydro's financial
12 obligations, in the least cost manner. And so the market
13 works to our benefit in -- in that -- in that
14 circumstance.

15 MR. BOB PETERS: Would the Board be
16 correct in understanding that you can bid into the Day-
17 Ahead market then without firm transmission lined up?

18

19 (BRIEF PAUSE)

20

21 MR. DAVID CORMIE: Yes, you can but you -
22 - you are -- you are subject to curtailment risk if you
23 do not have a firm transmission.

24

25 So on an export sale on non-firm
transmission, if you are taking physical delivery on a

1 sale or if -- if you're making physical delivery on a
2 sale that goes on non-firm, you're subject to market
3 rules that can curtail those sales because they're on
4 non-firm transmission.

5 And the same thing if we were purchasing
6 and making physical delivery, buying from the market, and
7 we were buying on non-firm transmission then we -- those
8 transactions would be subject to curtailment risk, as
9 well.

10 And so any -- any transaction that -- that
11 involves physical delivery on non-firm transmission is a
12 much more risky transaction than if we have firm
13 transmission.

14 So we've been successful in negotiating
15 the use of all the firm transmission northbound into
16 Canada so that to the extent that we need to make
17 physical delivery we do it on firm transmission, and then
18 it's not subject to curtailment risk.

19 The extent that we take additional
20 purchases on non-firm, those are subject to curtailment.

21 MR. BOB PETERS: Manitoba Hydro does
22 enter into sales on non-firm transmission?

23 MR. DAVID CORMIE: Yes, sometimes we have
24 no -- no choice. It's better for us to take the risk of
25 using non-firm transmission because our firm transmission

1 isn't available -- the firm transmission is not
2 available. Our counterparty may have, for -- for
3 whatever reason, not released it for our use, and so our
4 -- our choice is to use the non-firm transmission and
5 take the -- the risk of curtailment. Or the alternative
6 then is to leave the water in reservoir storage, and if
7 that's -- if that can be done without spillage risk,
8 that's okay. We -- we -- we'll take the energy to market
9 at a subsequent time, but like happened in the summer of
10 2010, many of the sales that we made on non-firm
11 transmission were subject to curtailment and water was
12 subsequently spilled. So there is a lot of risk
13 associated with non-firm transmission.

14 MR. BOB PETERS: In addition to those
15 transactions where the water would be spilled because the
16 transmission doesn't come through, Mr. Cormie, is there a
17 financial penalty to Manitoba Hydro?

18 MR. DAVID CORMIE: To using a non-firm
19 transmission?

20 MR. BOB PETERS: To making a sale with
21 non-firm transmission and the transmission then is taken
22 away for whatever market rules require.

23 MR. DAVID CORMIE: Yes, the way the
24 market rules are written today, to the extent that
25 Manitoba Hydro doesn't make physical deliver if even

1 using non-firm transmission. And then Manitoba Hydro is
2 charged with what's called the RSG charges. They're
3 called Real-Time -- or Revenue Sufficiency Guarantee
4 Charges.

5 So to the extent that our power doesn't
6 flow into the market and there has to be a redispatch of
7 the generation in the market, which causes increased
8 costs, then those costs get ba -- get sent back to the
9 company who was responsible for the -- for the schedule
10 that wasn't delivered.

11 Unfortunately, that's not fair and we're
12 in the process of appealing that ruling right now with
13 the market.

14 MR. BOB PETERS: How much has Manitoba
15 Hydro been tagged under those RSC (sic) charges?

16 MR. DAVID CORMIE: I'm not sure what our
17 RSG charges this year are but believe me they are -- they
18 can be significant, yep.

19 MR. BOB PETERS: Are these charges found
20 in that item for which an undertaking is going to be
21 provided, which indicates what else was being recorded
22 under -- I think it was under Real-Time. It was -- if,
23 I'm going by memory here, there was transmission
24 revenues, there was transmission charges, as well as
25 ancillary services charges.

1 MR. DAVID CORMIE: I'll have to find out
2 in which category the RSG charges are -- are allocated,
3 Mr. Peters.

4 MR. BOB PETERS: And since 2005, can you
5 undertake to provide the Board with an indication as to
6 what RSC -- RSC charges -- sorry, RSG charges Manitoba
7 Hydro has -- has had to pay on an annual basis?

8 MR. DAVID CORMIE: We can do that. And -
9 - and, Mr. Peters, that's one (1) of the advantages among
10 the advantages of the Day-Ahead market is that there are
11 no -- if you offer your energy in the -- into the Day-
12 Ahead market you're not subject to RSG charges.

13 If you show up on the day of delivery and
14 say, I've got some energy to deliver, there's a penalty
15 associated with late participation in the market and --
16 so that's one (1) of the main factors for offering energy
17 in the Day-Ahead market.

18 And we will get you that number.

19

20 --- UNDERTAKING NO. 38: Manitoba Hydro to provide an
21 indication as to what RSG
22 charges Manitoba Hydro has
23 had to pay on an annual basis

24

25 CONTINUED BY MR. BOB PETERS:

1 MR. BOB PETERS: So what do you call the
2 product that Hydro is bidding in without firm
3 transmission?

4

5 (BRIEF PAUSE)

6

7 MR. DAVID CORMIE: It's electricity.
8 It's --

9 MR. BOB PETERS: I probably had that
10 coming, but, Mr. Cormie, is it -- do you categorize that
11 as Real-Time? Do you categorize that as spot, or how do
12 you -- how do you categorize that for reporting purposes?

13 MR. DAVID CORMIE: Well -- well, all
14 physical delivery takes place in the Real-Time. And so
15 every megawatt hour that actually goes to physical
16 delivery is a Real-Time transaction. There are real --
17 Real-Time bilateral deliveries and Real-Time market
18 transactions.

19 And there is no transmission associated
20 with the delivery of anything that is sold in the Day-
21 Ahead market. All the Day-Ahead market does is -- is set
22 the price and there's no transmission associated with
23 that.

24 MR. BOB PETERS: Okay. Maybe my question
25 wasn't clear. As -- as the Board will understand then,

1 that on the Day-Ahead sales there's no risk of RSG
2 charges coming back against Manitoba Hydro.

3 Is that correct?

4

5 (BRIEF PAUSE)

6

7 MR. DAVID CORMIE: To the extent that a
8 Day-Ahead transaction, which is a commitment to physical
9 delivery in the Real-Time, to the extent that that Day-
10 Ahead transaction gets curtailed in the Real-Time, there
11 -- there can be RSG charges associated with that, but
12 it's -- it's associated with the Real-Time delivery.

13 MR. BOB PETERS: All right. So all of
14 these extraprovincial sales that are subject to the RSG
15 charges would be considered Real-Time obligations?

16 MR. DAVID CORMIE: Yes. So if -- if
17 Manitoba Hydro had -- made a Day-Ahead commitment and it
18 filled its Day-Ahead commitment in the Real-Time market,
19 exactly as it had committed to, there are no additional
20 charges. The -- the -- it's only if there is a deviation
21 from the Day-Ahead would Manitoba Hydro be subject to.

22 The Day-Ahead market can be a commitment
23 to make -- let's say that we were selling a thousand
24 megawatts, Mr. Peters, and nine hundred (900) was going
25 to go physical and we were going to settle a hundred

1 financially. So the hundred financially gets settled in
2 the Day-Ahead and they're -- it's not subject then to any
3 additional charges after that point, because we've --
4 we've told the market that we'll fulfill our -- that
5 hundred megawatt obligation from the market. And -- and
6 so, after the -- after the Day-Ahead market clears that
7 transaction is over.

8 The 900 megawatts that goes to physical
9 delivery, that is now subject to deviation charges. If,
10 for example, Manitoba Hydro had a system problem and we
11 had to curtail delivery on the nine hundred (900) --
12 let's say we only had made eight hundred (800) available.
13 Then the -- the deviation from nine hundred (900) to
14 eight hundred (800) would be subject to -- we'd have to
15 buy that from the market at the market price that existed
16 in Real-Time and we would have to pay the penalties
17 associated with not making that delivery. And those
18 penalties would be associated with the RSG charges.

19 In addition to that, any time that we use
20 that we use non-firm transmission to make those nine
21 hundred (900), there'll be some charges associated with
22 the use of -- of the non-firm transmission.

23 MR. BOB PETERS: All right. Thank you
24 for the clarification. Do -- does the Board take from
25 those answers, Mr. Cormie, that the -- the product that

1 you're bidding in without firm transportation would
2 command a lower price compared to that with firm
3 transportation?

4 MR. DAVID CORMIE: No, if -- if -- it
5 would -- it would get the market clearing price, whatever
6 that -- where -- whatever that was. It's just that you
7 would be subject to the risk of curtailment and the risk
8 of -- of RSG charges. And you're subject to the risk
9 that the Real-Time price that you have to buy it back at
10 could be higher than what you sold it in the Day-Ahead
11 market.

12 But the vast majority of the time, the
13 Day-Ahead market clears at a price higher than the Real-
14 Time market. So let's go back to my example of a
15 thousand megawatts. If we sold a thousand megawatts in a
16 Day-Ahead market and it cleared at let's say fifty
17 dollars (\$50), and then there was a system problem and we
18 could only deliver eight hundred (800), we would buy back
19 -- we would buy the two hundred (200) that we had
20 previously sold from the market at Real-Time price, and
21 instead of buying it at -- at the Day-Ahead price, we
22 might -- we would buy it at the Real-Time price; and that
23 could be higher or lower than the fifty dollars (\$50).
24 But generally, the Real-Time market clears at a price
25 lower than the -- the Day-Ahead market.

1 And so you'll see that -- that in a lot of
2 days now -- even though we're in high water years,
3 because our transactions get curtailed Day-Ahead compared
4 to Real-Time, that we're making power purchases, and all
5 we're doing is purchasing back the energy that we had
6 sold a Day-Ahead. And, you know, we have an offsetting
7 transaction because of -- we're not able to fulfill our
8 Day-Ahead commitment, either because we had problems in
9 our system or we were -- we were curtailed on the
10 transmission service in the United States.

11 Mr. Warden always asks me, Why are we
12 buying electricity when we're -- we're so long -- we're
13 just wor -- that's how the market works.

14 MR. VINCE WARDEN: I won't ask that
15 again.

16 MR. BOB PETERS: You indicated Manitoba
17 Hydro was appealing some MISO decisions on the RSG
18 charges.

19 MR. DAVID CORMIE: Yes. The -- the
20 market rules in MISO are -- involve a stakeholder process
21 where market participants can affect the rules. And
22 Manitoba Hydro is -- is working to have some rules that
23 unfairly treat market participants, especially Manitoba
24 Hydro, adjusted. And we -- we believe we have a -- a
25 very good argument that, when we're directed to curtail

1 the transaction because the market needs that transaction
2 to be curtailed, that we should be held whole whole, that
3 we shouldn't have to pay the penalties.

4 MR. BOB PETERS: You think the market
5 should be -- should be responsible then for the
6 additional cost?

7 MR. DAVID CORMIE: Well, if it's the
8 market that's benefiting from the curtailment, then the
9 market should bear those costs. It shouldn't be borne by
10 -- you know, if I -- if I direct you to do something for
11 my benefit, Mr. Peters, why would you -- why would you
12 have to pay for that? It -- it should be me that's
13 paying for that, because I'm the one that's receiving the
14 benefits.

15 MR. BOB PETERS: And that argument is --
16 has been made and you're waiting for a ruling?

17 MR. DAVID CORMIE: We're involved in the
18 stakeholder process and working to make that happen, if
19 we can.

20 MR. BOB PETERS: Your undertaking's going
21 to quantify the amount that's under appeal?

22 MR. DAVID CORMIE: I don't think it will
23 be retroactive, Mr. Peters. We're trying -- we're trying
24 to change the -- the market rule on a go-forward basis.
25 We wouldn't get a lot of traction by telling MISO we want

1 to go back for five (5) years and -- and we want a big
2 refund.

3 MR. ROBERT MAYER: Sort of like your
4 success getting us to make retroactive awards.

5 MR. DAVID CORMIE: Yes. And, you know,
6 Manitoba Hydro, as an external market participant, there
7 -- there -- there are only a few companies that part --
8 that -- that participate. Generally, the market rules
9 are designed for people to be in the market, and
10 generally the response is, If you don't like the rules
11 then you should join the market. And we respond, Well,
12 we're -- we're Canadian, we've got sovereignty issues,
13 and, you know, we need -- you need to consider that when
14 you talk about discriminatory rules. And -- and that's
15 the argument that we would make.

16

17 CONTINUED BY MR. BOB PETERS:

18 MR. BOB PETERS: I want to turn back with
19 you, Mr. Cormie, to the capacity in the MISO area. And
20 you'd -- I think you'd -- you'd agreed that it was in the
21 ballpark of 138,000 megawatts total MISO market capacity,
22 correct?

23 MR. DAVID CORMIE: It's a very large
24 number like that, yes, Mr. Peters.

25 MR. BOB PETERS: And would you agree that

1 there's probably only about 80,000 megawatts online on
2 average?

3 MR. DAVID CORMIE: Yes, and that's what
4 creates the opportunity for -- for Manitoba Hydro to go
5 to the market on an average basis to -- to rely on that
6 surplus that's available on average and make purchases
7 rather than generating it on -- on its own.

8 MR. BOB PETERS: All right. When
9 Manitoba Hydro makes purchases, only a fraction of that
10 eighty thousand (80,000) is available or accessible
11 through transmission from North Dakota?

12

13 (BRIEF PAUSE)

14

15 MR. DAVID CORMIE: The -- the difference
16 between eighty thousand (80,000) and a hundred and
17 thirty-eight thousand (138,000), the 58,000 megawatts,
18 that's spread out across the entire MISO footprint. That
19 entire fifty-eight thousand (58,000) is not available for
20 physical delivery due to transmission limitations within
21 the MISO footprint.

22 However, it's that fifty-eight thousand
23 (58,000) -- or that -- that eighty thousand (80,000) that
24 sets, on average, the market clearing price. And so
25 we're able to enjoy the price that's set by all the

1 generation and -- you know, when it comes to the
2 financial aspects.

3 MR. BOB PETERS: But in terms of
4 importing to Manitoba, Minnesota generally has a supply
5 shortage or a shortfall, would you agree?

6 MR. DAVID CORMIE: No, no. Minnesota has
7 sufficient generation to meet their summer peak, plus
8 probably at this time a 20 percent reserve in the
9 summertime. In the wintertime, they're not in their --
10 they're not a winter-peaker, and so there will be a much
11 larger surplus available in the winter when -- and that's
12 the diversity nature of our loads, and our -- we're --
13 our surpluses occur in the summer; their surpluses occur
14 in the winter.

15 MR. BOB PETERS: And they'd take some --
16 some generation off line in their winter season?

17 MR. DAVID CORMIE: No, it's -- it's all
18 available for dispatch. Dispatch, though, is dependent
19 on what it costs to run that generation. The -- the only
20 time that units would be out of service would be during
21 periods of annual maintenance.

22 But a company who is -- participates in
23 the market must offer energy, and he hasn't -- he doesn't
24 have the option of withholding. So if that generator is
25 available for service, the market rules require a utility

1 to make that available for the region as a whole to use.

2 So there is no held-back generation.

3 MR. BOB PETERS: In terms of Wisconsin,
4 is there a modest supply of surplus in that state, sir,
5 as to your knowledge?

6 MR. DAVID CORMIE: I can't speak to that,
7 Mr. Peters. I don't have the detailed knowledge there.

8 MR. BOB PETERS: And what about North
9 Dakota? Are their surpluses typically -- was it 10,000
10 gigawatt hours a year?

11 MR. DAVID CORMIE: Again, I can't speak
12 to the states -- the state-by-state situation, Mr.
13 Peters.

14

15 (BRIEF PAUSE)

16

17 MR. BOB PETERS: In 2006/07, Mr. Cormie,
18 did Manitoba Hydro pay a premium on its energy purchases?

19 MR. DAVID CORMIE: Those energy purchases
20 were made through the MISO market, and we would have paid
21 the LMP price at the -- at the node -- at the MISO node -
22 - Manitoba Hydro -- at the border between Canada and the
23 United States, there was no premium paid at that time.

24 MR. BOB PETERS: Did you -- did Manitoba
25 Hydro consider that the market price had climbed as a

1 result of Manitoba Hydro's shortage?

2

3

(BRIEF PAUSE)

4

5 MR. DAVID CORMIE: Manitoba Hydro's needs
6 relative to the market needs as a whole is not
7 significant. I don't believe that we set the -- the
8 market clearing price when we're purchasing, Mr. Peters.
9 Mark -- prices were up in the market as a whole because
10 of extremely cold weather, high natural gas prices, so it
11 wasn't because of Manitoba Hydro's activities.

12

13

(BRIEF PAUSE)

14

15 MR. BOB PETERS: How does Manitoba Hydro
16 come to know that it has no influence on setting the
17 market clearing price?

18

19

(BRIEF PAUSE)

20

21 MR. DAVID CORMIE: I -- I said, Mr.
22 Peters, that we don't set the market clearing price when
23 we're purchasing. We do influence the market clearing
24 price when we sell, especially during the off-peak period
25 in the summertime.

1 (BRIEF PAUSE)

2

3 MR. DAVID CORMIE: We have a history of
4 market activity, and we'd studied that and -- and come to
5 those conclusions based on a review of our -- our
6 transactions in the market.

7 MR. BOB PETERS: Mr. Chairman, I want to
8 turn to a new area with the witness panel, and this might
9 be an opportune time for a short afternoon recess, if
10 that suits the Board.

11 THE CHAIRPERSON: Very good, Mr. Peters.

12

13 --- Upon recessing at 2:41 p.m.

14 --- Upon resuming at 3:06 p.m.

15

16 THE CHAIRPERSON: Okay, Mr. Peters.

17 MR. BOB PETERS: Thank you, Mr. Chairman.

18

19 CONTINUED BY MR. BOB PETERS:

20 MR. BOB PETERS: Mr. Warden, just to
21 change -- change up the focus of some of my questions and
22 -- can you state concisely for the Board, Mr. Warden,
23 what is Manitoba Hydro's core business?

24 MR. VINCE WARDEN: Mr. Peters, I -- I
25 probably couldn't state it anymore concisely than the --

1 the words that are quoted in the Act, which we reference
2 frequently, and we reference in our annual report. And I
3 can -- I can read you from the Act if you like, but I
4 think it's -- it's well -- well stated there.

5 MR. BOB PETERS: Well, when you say you
6 could read from the Act, you'd be looking at Tab 26 of
7 the book of documents, and page 5 of the book of
8 documents, the top right-hand corner?

9 MR. VINCE WARDEN: Yes, exactly.

10 MR. BOB PETERS: And you'd be wanting to
11 read to the Board, if they were inclined to listen,
12 you're -- you're rec -- recanting Section 2 of the
13 legislation?

14 MR. VINCE WARDEN: Yes, Mr. Peters.

15 MR. BOB PETERS: And I don't want Mr.
16 Williams to take any credit for this being in the book of
17 documents, because he gets none for it. It was going to
18 be in there long before his opening comments.

19 But let me summarize it, Mr. Warden. You
20 see it as the core business to supply power adequate for
21 the needs of Manitobans?

22 MR. VINCE WARDEN: That's part of it, Mr.
23 Peters.

24 MR. BOB PETERS: And the other part is to
25 market and supply power extraprovincially?

1 MR. VINCE WARDEN: Yes.

2 MR. BOB PETERS: Before we go to page 5,
3 let's turn back to page 4 of the book of documents under
4 Tab 26. And for the record, we're referring to PUB
5 Exhibit 16, Mr. Chairman and Board members.

6 In Tab 26 there's some fascinating legal
7 points that I'm sure your counsel can appreciate. But
8 I've gone back into the archives, so to speak, and I've
9 pulled out what I call the pre-1997 legislation, starting
10 on page 4.

11 Have you found that, Mr. Warden?

12 MR. VINCE WARDEN: Yes, I have it here.

13 MR. BOB PETERS: And in your tenure with
14 Manitoba Hydro you would be able to confirm that prior to
15 1997, Section 2 -- Section 2 of the Manitoba Hydro Act
16 was as stated on page 4 at Tab 26 of the book of
17 documents?

18 MR. VINCE WARDEN: Yes, I can confirm
19 that.

20 MR. BOB PETERS: And would you agree that
21 in reading Section 2 on the pre-1997 version it speaks of
22 providing adequate power for the needs of the province?

23 MR. VINCE WARDEN: Yes.

24 MR. BOB PETERS: Would you agree that it
25 doesn't speak to extraprovincial sales directly in that?

1 MS. MARLA BOYD: Mr. Peters, the statute
2 speaks for itself. As I mentioned to you before, Mr.
3 Warden is not a lawyer, and if you're looking for legal
4 opinions -- we're happy to address these issues in
5 argument, but it's not appropriate for -- for cross-
6 examination.

7

8 CONTINUED BY MR. BOB PETERS:

9 MR. BOB PETERS: Mr. Warden, in the pre-
10 1997 days of Manitoba Hydro, would it be correct to say
11 that exports were seen as a -- essentially a byproduct of
12 the supply of electricity adequate to the needs of
13 Manitobans?

14

15 (BRIEF PAUSE)

16

17 MR. VINCE WARDEN: Well, I never -- I
18 never in those days referred to the export sales as being
19 a byproduct. It was an integral part of operating and
20 managing a hydraulics -- generation system.

21 MR. BOB PETERS: Would you agree that the
22 generating stations that were constructed were generally
23 constructed on the premise that it was needed at the time
24 of construction for the supply of power to Manitobans?

25 MR. VINCE WARDEN: Pretty much so until

1 Limestone was -- was constructed and put into service,
2 the final unit put into service in 1992, Limestone was
3 actually advanced by one (1) year to take advantage of
4 export opportunities.

5 MR. BOB PETERS: So prior to Limestone,
6 any surplus electricity to the needs of Manitobans was
7 seen as available for exports.

8 MR. VINCE WARDEN: Yes.

9 MR. BOB PETERS: It wasn't that exports
10 drove the construction of any generating stations --

11 MR. VINCE WARDEN: That's right.

12 MR. BOB PETERS: -- prior to 1997.

13 MR. VINCE WARDEN: That's correct, yes.

14 MR. BOB PETERS: Would it also be --

15 MR. ROBERT MAYER: What about 1992?

16 MR. VINCE WARDEN: I'm sorry, I -- I
17 think we were talking prior to Limestone, and Mr. Peters
18 and I were agreeing that prior to Limestone there was not
19 -- any generating stations were not built for export.

20

21 CONTINUED BY MR. BOB PETERS:

22 MR. BOB PETERS: All right. And I -- I
23 was on the same page as you, Mr. Warden; obviously not
24 the same page as the Vice Chair. But, excluding
25 Limestone, that was the -- the intention.

1 MR. VINCE WARDEN: Yes, I agree.

2 MR. BOB PETERS: And in terms of
3 Limestone being advanced for generation, you've -- you've
4 attributed only one (1) year of advancement of Limestone
5 being done for the purposes of -- of export.

6 MR. VINCE WARDEN: Yes, it did set the
7 precedent though of generation being added for the
8 express purpose of serving the export market.

9 MR. BOB PETERS: Mr. Warden, then if we -
10 - if we go to 1996 and '97 and turn the page to page 5 of
11 Tab 26 of the book of documents, the legislation changed
12 post 1997, correct?

13 MR. VINCE WARDEN: It did.

14 MR. BOB PETERS: And we've already
15 discussed that in terms of the core business it was not
16 only to supply power adequate for the needs of
17 Manitobans, but it also now had some expressed provisions
18 for the marketing and supply of power extraprovincially.

19 MS. MARLA BOYD: Again, Mr. Peters, the
20 legislation speaks for itself.

21 MR. BOB PETERS: Your mic.

22 MR. VINCE WARDEN: Yes, Mr. Peters, I
23 would agree with that. And I think Limestone sort of --
24 well, no doubt Limestone -- the -- the fact that we
25 advanced Limestone for the purpose of export, the Act was

1 not explicitly clear as to whether or not it permitted
2 Manitoba Hydro to do that. So one of the reasons for the
3 changes in 1996 was to make that explicitly clear, that
4 Manitoba Hydro did have that authority.

5

6 CONTINUED BY MR. BOB PETERS:

7 MR. BOB PETERS: It was to explicitly
8 provide Manitoba Hydro with the authority to construct
9 generating stations for the sole purpose of export.

10 MR. VINCE WARDEN: Well, Mr. Peters,
11 there were -- there were other things as added into this
12 same section that we are referencing.

13 MR. BOB PETERS: No, that -- that's fair,
14 Mr. -- Mr. Warden, and I -- I don't -- I'm not -- you
15 know, your counsel's already kicked me a couple times
16 here to keep away from that section and -- and I -- and I
17 understand her point. But I want to understand from
18 Hydro's perspective, prior to the change in legislation,
19 Manitoba Hydro, as I understood your evidence, was
20 building generating stations for the purposes of serving
21 the domestic load, albeit a one (1) year exception for
22 Limestone I think we've agreed on.

23 MR. VINCE WARDEN: Yes.

24 MR. BOB PETERS: And then -- and then,
25 going forward, there was a degree of, you say,

1 uncertainty as to, you know, whether the legislation said
2 -- said something that was amenable to the Corporation's
3 plans or not. That was one (1) of the reasons that
4 Manitoba Hydro thought it -- it might want to revise its
5 legislation.

6

7

(BRIEF PAUSE)

8

9 MR. VINCE WARDEN: Mr. Peters, I think
10 there -- I'm advised there were -- there was some
11 uncertainty at the time as to whether or not we had that
12 authority. By embedding it in the Act as we did that
13 removed that -- that uncertainty.

14 MR. BOB PETERS: All right. Fair enough.
15 That uncertainty was now such that, in management eyes,
16 regardless of what the legislation says word for word,
17 the planning and the operation of the business, Hydro
18 didn't have the same concerns about whether it could
19 build for exports only.

20 MR. VINCE WARDEN: That definitely
21 clarified it from a management perspective, yes. I'd
22 absolutely agree with that.

23 MR. BOB PETERS: What is it that you
24 recall, if anything, back in 1996/97, that led the
25 Corporation to want to perhaps explore exports and

1 building for exports more than it did before the
2 legislation changed? Was there anything that -- that
3 drove that decision?

4 MR. VINCE WARDEN: Mr. Peters,
5 ultimately, generation is built to serve the Manitoba
6 load, there's no question about that. So it's -- it --
7 when we -- when we construct generation today, as we're
8 doing with Wuskwatim, it's clear that it will be required
9 to serve the Manitoba load at some point.

10 However, when we originally committed to
11 Wuskwatim, it was being built a merch -- merchant plant
12 solely for the purpose of export. Whether we would have
13 had that express authority with the act as it was
14 previously written was somewhat of a question, if not
15 from a legal perspective, at least from a management
16 perspective.

17 MR. BOB PETERS: All right. I shouldn't
18 have forgotten Wuskwatim, as I -- as I may have, but
19 that's a prime example of the intention. When Wuskwatim
20 came onto the drafting table, it was -- you called it a
21 merchant plant, which would mean it would be built
22 primarily for exports, and then only in the later years
23 would it be turned over and used for domestic supply.

24 MR. VINCE WARDEN: Well, ultimately it
25 would be turned over and used for domestic supply. It

1 was just a question of timing.

2 MR. BOB PETERS: And -- and you used the
3 word "ultimately" in your second-last answer to me. That
4 suggests that any northern generation that Manitoba Hydro
5 undertakes will ultimately, in your words, be needed for
6 Manitobans only.

7 MR. VINCE WARDEN: Yes.

8 MR. BOB PETERS: And ultimately is a long
9 time?

10 MR. VINCE WARDEN: It is, but the
11 generating stations are built for a very long time.

12 MR. BOB PETERS: Hundreds of years?

13 MR. VINCE WARDEN: At least a hundred
14 (100) years anyway.

15 MR. ROBERT MAYER: Isn't a much better
16 example of that Conawapa 1? You built -- or you started
17 building Conawapa based on an export contract with
18 Ontario, correct?

19 MR. VINCE WARDEN: Yes, that is a good
20 example, Mr. Mayer. Again, it would have been, you know,
21 after the Ontario sale terminated. It would be -- would
22 have been used for the Manitoba load.

23

24 CONTINUED BY MR. BOB PETERS:

25 MR. BOB PETERS: But Conawapa 1, as the

1 Vice Chair has referred to it, that all took place in the
2 late '80s and the early 1990s, didn't it, before the
3 legislation changed?

4 MR. VINCE WARDEN: Yes.

5 MR. BOB PETERS: Mr. Surminski, to give
6 Mr. Warden a break, can you indicate, in the pre-1997
7 days, wasn't it the case that Manitoba Hydro relied
8 almost totally on hydraulic generation for its domestic
9 sales?

10

11 (BRIEF PAUSE)

12

13 MR. HAROLD SURMINSKI: Mr. Peters,
14 there's at least -- well, there's two (2) parts to it.
15 I'll let Mr. Cormie talk about the contracts themselves.

16 But it's -- it's not correct. We -- we
17 always use non-hydro resources to firm up -- what we call
18 firm up our hydro that's not dependable. So we make --
19 we -- our criteria counts on dependable energy for
20 domestic, or -- or firm sales, but we could firm up
21 additional above dependable hydraulic, what we would call
22 non-dependable hydraulic, by -- I mean by firming up in a
23 -- in a -- just using non-hydro resources in the lowest
24 flow years.

25 If it's only 10 percent of the time that

1 you require -- because of the variation in our flows, so
2 if it's only 10 percent of the time that you require non-
3 hydro resources, it makes sense to sell this hydro for
4 the 90 percent of the time in a firm contract and -- and
5 only count on your non-hydro for your 10 percent. So
6 we've always counted on non-hydro support.

7 MR. BOB PETERS: The -- the non-hydro
8 support, back in those pre-1996/97 days, Mr. Surminski,
9 we're talking primarily coal generation and imports?

10 MS. HAROLD SURMINSKI: Yes, correct.

11 MR. BOB PETERS: Although I didn't ask
12 about firm contracts in my question to Mr. Surminski, Mr.
13 Cormie, if you had something you wanted to add on that,
14 you're certainly welcome to do that.

15 MR. DAVID CORMIE: Yes, Mr. Peters. We
16 started our major program of developing the Nelson River
17 with the Kettle generating station in the early '70s.

18 And all through the 1970s as we developed
19 Kettle, Long Spruce, and Jenpeg, part of that development
20 package was to build interconnections to market -- to allow
21 us to market the surplus.

22 And once we had that interconnection in
23 place to market the surplus, we also then had access to
24 the large energy surpluses that were available in the --
25 in the United States.

1 And so there -- the original 500 megawatt
2 sale to Northern States Power had a one and a half (1
3 1/2) million megawatt hour annual energy guarantee under
4 adverse water conditions. I remember the 1987 firm sale
5 to Ontario for 200 megawatts had a similar provision.

6 And -- and what that allowed Manitoba
7 Hydro to do was to rely on the surpluses that other
8 utilities have in energy surpluses and avoid building the
9 thermal plants in Manitoba. And we could take advantage
10 of their surplus capability, use the firm transmission
11 and -- and achieve a -- as a dependable supply of power
12 for Manitobans at a lower cost because we weren't having
13 to build our own thermal plants in Manitoba. We could
14 rely on the -- the surplus capability other utilities
15 had.

16 So this history of energy imports became -
17 - has been going on for a long time, and it became
18 possible with the construction of -- of the
19 interconnections to Saskatchewan, Ontario, and the United
20 States.

21 MR. ROBERT MAYER: Mr. Cormie, normally
22 your dates and accuracy are impeccable, but in 1968 I sat
23 in what I -- what was described to me as the largest PUB
24 in North America and it was in the camp at the Kettle
25 generating station, 1968.

1 MR. DAVID CORMIE: Yes, I -- but I think
2 first -- wasn't first power, Mr. Mayer, in 1971?

3 MR. ROBERT MAYER: I -- I'm not sure when
4 first power was. You did indicate though you started
5 working on the southern -- or the lower Nelson and you
6 clearly started that long before 1968.

7 MR. DAVID CORMIE: Oh, yeah. I -- I
8 agree. Like it takes many years to -- from -- from
9 exploration through construction, but the inter -- I
10 think the first in -- major interconnection with the
11 United States was in 1972 to NSP, and it was followed
12 with one (1) to Minnesota Power, and then in 1976 the 500
13 kV line was put in with Northern States Power, coincident
14 with the in-service date of Long Spruce.

15

16 CONTINUED BY MR. BOB PETERS:

17 MR. BOB PETERS: Mr. Surminski, since
18 we're playing on history here, can you confirm to the
19 Board that since Lake Winnipeg Regulation, Manitoba
20 Hydro's hydro generation exceeded domestic load in every
21 year except 2003/04?

22

23 (BRIEF PAUSE)

24

25 MS. HAROLD SURMINSKI: If that was a

1 response that we had provided, I can confirm that.

2 MR. BOB PETERS: Well, I thank you for
3 your willingness but let's just make sure that's
4 factually correct.

5 I was just flipping over to Tab 41 of the
6 book of documents on page 98, and it -- it only goes
7 back, maybe not quite to pre-Lake Winnipeg Regulation,
8 but 1978/79 in any event. And looking at the hydraulic
9 generation, I believe it's correct, Mr. Surminski, but I
10 -- I want you to give the Board the -- the true answer.
11 You're the one who's taken the oath here.

12

13 (BRIEF PAUSE)

14

15 MR. BOB PETERS: Would -- would that be a
16 fair assessment, sir, to the best of your knowledge?

17

18 (BRIEF PAUSE)

19

20 MR. BOB PETERS: You're not comfortable
21 answering that, Mr. Surminski?

22 MR. HAROLD SURMINSKI: We don't have the
23 information for the --

24 MR. BOB PETERS: I'm sorry.

25 MR. HAROLD SURMINSKI: -- loads.

1 MR. BOB PETERS: All right.

2

3 (BRIEF PAUSE)

4

5 MR. BOB PETERS: Our information from one
6 (1) of your power resource plans is that back in 1989/90
7 the -- sorry, a load forecast back in 1989/90, the
8 domestic generation was -- I'll start again. Mr.
9 Surminski, looking at a load forecast information from
10 Manitoba Hydro back in 1989/90, the energy was 17,298
11 gigawatt hours that would have been used by the Manitoba
12 domestic customers. Does that sound reasonable?

13 MS. MARLA BOYD: Mr. Peters, if this is
14 important, perhaps we can take it away and confirm it for
15 you rather than trying to piece together stuff from 1989.
16 It doesn't appear to be something that's on the record,
17 so we can pull it together for you if you'd like an
18 undertaking.

19

20 CONTINUED BY MR. BOB PETERS:

21 MR. BOB PETERS: All right. Well, then
22 the question -- the undertaking question, Mr. Surminski,
23 is to confirm or otherwise that since Lake Winnipeg
24 Regulation, which I think was 1976, sir -- and so
25 undertake to advise the Board that since Lake Winnipeg

1 Regulation, starting in 1976, whether Manitoba Hydro's
2 domestic -- the -- the hydraulic generation exceeded
3 domestic load in every year except the '03/'04 year?

4 MR. HAROLD SURMINSKI: Yes, we could
5 undertake to investigate that.

6 MR. BOB PETERS: I appreciate that, sir.
7 Thank you.

8

9 --- UNDERTAKING NO. 39: Manitoba Hydro to indicate to
10 the Board if, since Lake
11 Winnipeg Regulation, starting
12 in 1976, whether Manitoba
13 Hydro's hydraulic generation
14 exceeded domestic load in
15 every year except the '03/'04
16 year

17

18 CONTINUED BY MR. BOB PETERS:

19 MR. BOB PETERS: Mr. Cormie, in a -- in
20 an answer that you'd given, your last answer, sir, does
21 that suggest that post-1997 Manitoba Hydro was not only -
22 - was no longer just exporting surplus only, but they
23 would also actually import to support exports? You had
24 that capability?

25 MR. DAVID CORMIE: We've been undertaking

1 those transactions as long as we've been interconnected.
2 Nothing changed in 1997, Mr. Peters.

3

4 (BRIEF PAUSE)

5

6 MR. BOB PETERS: Mr. Warden, back to you.
7 In terms of the drought situations in Manitoba's --
8 Manitoba Hydro's history, 1988 and 1989 were two (2) of
9 such years. Have I got that right?

10 MR. VINCE WARDEN: Yes.

11 MR. BOB PETERS: And in each of those
12 years Manitoba Hydro lost money?

13

14 (BRIEF PAUSE)

15

16 MR. VINCE WARDEN: When you say lost
17 money, Mr. Peters, are you referring on a bottom-line
18 basis?

19 MR. BOB PETERS: Negative net income. Is
20 that the accounting way to say it?

21

22 (BRIEF PAUSE)

23

24 THE CHAIRPERSON: Mr. Peters, while
25 you're looking at that page 98 in your book of documents,

1 just a question has come up amongst the three (3) of us
2 here. The annual hydraulic generation going back to
3 '78/'79, does that include the old Winnipeg Hydro
4 operation?

5 MR. BOB PETERS: Our understanding is it
6 will include that, sir.

7 THE CHAIRPERSON: I thought it might.

8 MR. BOB PETERS: Yeah.

9

10 (BRIEF PAUSE)

11

12 MR. DAVID CORMIE: Yes, unfortunately,
13 Mr. Peters, the reference for this page 98 refers to
14 PUB/MH-1-79, which only deals with precipitation.
15 There's no reference to annual generation, so we don't
16 know whether these numbers are correct or -- and we don't
17 know what the Manitoba load is. We need to do -- we need
18 to find out what those numbers are and -- and -- before
19 we can comment on this table.

20

21 CONTINUED BY MR. BOB PETERS:

22 MR. BOB PETERS: And I think Mr.
23 Surminski had already agreed to undertake to do that.
24 Have I got that right, Mr. Surminski?

25 MR. HAROLD SURMINSKI: Yes, for the --

1 MR. BOB PETERS: All right. Thank you.
2 Mr. Warden, this wasn't meant to be a major point, but
3 the last time Manitoba Hydro had a drought of some
4 significance was the '88/'89 time frame.

5 MR. VINCE WARDEN: Yes, I've already
6 agreed with that, Mr. Peters. What I was looking to
7 confirm as to the amount of the loss, if any, incurred in
8 that year -- and I don't have that right at my
9 fingertips, actually.

10 MR. BOB PETERS: All right. Would you
11 take, subject to check, that in 1988 there was an \$18
12 million negative net income?

13 MR. VINCE WARDEN: Yeah, I'll accept
14 that.

15 MR. BOB PETERS: And then in 1989 it was
16 a \$26 million -- I call it loss. Maybe you call it
17 negative net income.

18 MR. VINCE WARDEN: Loss or -- yes, net
19 loss is usually how we describe it.

20 MR. BOB PETERS: All right. And in those
21 years, the loss was ostensibly due to serving the
22 Manitoba load and having to deal with its export
23 contracts. That would be -- that wouldn't be an unusual
24 explanation for why the company would have lost money?

25 MR. VINCE WARDEN: Yes, in those years,

1 we wouldn't have been deriving quite the extent of export
2 revenue -- or the percentage of export revenue as we do
3 today. We don't -- wouldn't have depended on it quite to
4 that extent. But, yeah, in low water years we run the
5 risk of running a lo -- a loss, yes.

6 MR. BOB PETERS: And there was discussion
7 with the Vice Chair about Limestone coming in service in
8 about 1991/92 time frame.

9 MR. VINCE WARDEN: Yes, the final unit
10 was placed in service in 1992.

11 MR. BOB PETERS: And Limestone was the
12 last major generating station built before Wuskwatim?

13 MR. VINCE WARDEN: Yes.

14 MR. BOB PETERS: Some twenty (20) years
15 earlier.

16 MR. VINCE WARDEN: Right.

17 MR. BOB PETERS: When Manitoba Hydro says
18 that the in-service date was advanced to take advantage
19 of export opportunities, was that to enter into a long-
20 term contract?

21

22 (BRIEF PAUSE)

23

24 MR. VINCE WARDEN: Mr. Peters, the -- the
25 long-term contract that we had in place at that time was

1 -- had been in place since 1976, so the advancement was
2 to take advantage of spot-market opportunities.

3 MR. BOB PETERS: Is it public record with
4 whom that long-term contract was, the 1976 contract?

5 MR. VINCE WARDEN: I believe so, yes,
6 Northern States Power.

7 MR. BOB PETERS: And so Manitoba Hydro
8 advanced Limestone to take advantage of what they'd hoped
9 would be favourable export prices.

10 MR. VINCE WARDEN: Well, we advanced
11 Limestone to take advantage of what were considered to be
12 a favourable construction climate at that time, and, yes,
13 our forecast of export prices.

14 MR. BOB PETERS: Would it be correct to
15 say that those favourable export prices didn't pan out
16 the way Manitoba Hydro had thought because Manitoba Hydro
17 lost money in 1993?

18 MR. VINCE WARDEN: No, I think we had, at
19 the time, projected a loss the first -- the -- in the
20 first year of in-service of Limestone. So, no, I
21 wouldn't attribute that to the export prices. I think
22 our forecast at the time was -- was reasonably accurate
23 in terms of export prices. I -- I -- I'd have to confirm
24 that, though, to be -- to be certain.

25 MR. BOB PETERS: Well, you can...

1 (BRIEF PAUSE)

2

3 MR. BOB PETERS: Mr. Warden, you said
4 Manitoba Hydro expected to lose money after the new
5 generating station was put in service, correct?

6 MR. VINCE WARDEN: Well, I'm harkening
7 back to the forecasts that were prepared at that time,
8 and, yes, there was an expectation that, just be --
9 because of the magnitude of the -- of the fixed plant
10 that was being added to Manitoba Hydro's assets at that
11 time, there was an expectation for a loss in the first --
12 in the first year, in the first year of operation.

13 MR. BOB PETERS: And you told the Board
14 earlier in these proceedings that, when Limestone, as an
15 example, would come in service, all of the costs that
16 Manitoba Hydro had capitalized, in my words, crystallize
17 and have to be recovered through the rate structure.

18 MR. VINCE WARDEN: Yes. Once any unit of
19 plant is placed in service, the fixed costs are added to
20 rate base and either have to be recovered from domestic
21 customers or from export revenues.

22 MR. BOB PETERS: But you didn't have an
23 export revenue class back then against which to allocate
24 the costs?

25 MR. VINCE WARDEN: No, but that didn't

1 mean we didn't have export revenues, and export revenues
2 were allocated back to the customer classes on -- on a --
3 a basis that was considered to be acceptable at that
4 time.

5 MR. BOB PETERS: And would you take,
6 subject to check, that the export prices back in 1992/93
7 were around a penny and a half a kilowatt hour, maybe
8 went up to two and a half (2 1/2) cents a kilowatt hour
9 in 1993/94, based on the annual report filings of
10 Manitoba Hydro?

11 MR. VINCE WARDEN: Yeah, I'd accept that,
12 yes.

13 MR. BOB PETERS: That's about the
14 ballpark that -- that electricity was selling for in the
15 export market back then?

16 MR. VINCE WARDEN: I agree.

17 MR. BOB PETERS: The cost to produce
18 electricity out of Limestone was greater than a penny and
19 a half a kilowatt hour, was it not, Mr. Warden?

20 MR. VINCE WARDEN: Yes, considering all
21 the -- the fixed costs, yes.

22 MR. BOB PETERS: And so, in 1993, if
23 Manitoba Hydro's export revenues -- they -- they appear
24 to increase. And I was looking at, I believe, some
25 annual report summaries. Manitoba Hydro would have had

1 to take into account additional finance expense and
2 additional depreciation expense in that year?

3 MR. VINCE WARDEN: Yes.

4 MR. BOB PETERS: And in ballpark terms,
5 the finance expense that came in in 1993 would have been
6 about \$80 million extra for that year? That doesn't
7 sound unreasonable?

8 MR. VINCE WARDEN: Well, just thinking,
9 the cost of Limestone, about 1.5 billion. Yeah, that
10 would be approximately the amount of finance expense,
11 yes.

12 MR. BOB PETERS: And then add another 20
13 million for depreciation expense approximately?

14 MR. VINCE WARDEN: Yeah, recognizing that
15 depreciation expense is not a cash outlay but it's a
16 recovery of the cost of the plant over its useful life.
17 But, yes, that's the -- the amount that would have been
18 added to the -- to the income statement at -- at that
19 time.

20 MR. BOB PETERS: And appreciate that
21 clarification on the depreciation expense, but even if
22 export sales increased by 50 million that year, there was
23 still a \$24 million loss, net loss, that year.

24 MR. VINCE WARDEN: Well, Mr. Peters, I
25 think we're going down the same road as we did with --

1 with Wuskwatim and I'm a little uncomfortable in talking
2 about a net loss based on some -- somewhat back-of-
3 envelope type calculations.

4 MR. BOB PETERS: All -- all right, and --
5 and that's certainly a fair comment, Mr. Warden. I
6 believe my source was on a -- an annual report from
7 Manitoba Hydro, but I -- you -- I'm suggesting the loss
8 was in the neighbourhood of 24 million a year; that
9 doesn't sound quite right to you?

10 MR. VINCE WARDEN: Well, Mr. Peters, I --
11 I understood your comments to be that you were
12 attributing that net loss solely to Limestone?

13 MR. BOB PETERS: No, I was just saying on
14 the financial statements, the finance expense increased,
15 the depreciation expense increased, export sales revenue
16 increased, but there was still a \$24 million loss that
17 year.

18 MR. VINCE WARDEN: Yeah, I'll accept the
19 \$24 million loss; I'm just not agreeing that it's
20 attributable solely to Limestone.

21

22 (BRIEF PAUSE)

23

24 MR. BOB PETERS: Is there -- is there a
25 way, Mr. Warden, that you can -- you can check that, and

1 show that to the Board that it's not attributable to
2 Limestone when the finance expense goes up 80 million,
3 and depreciation goes up 20 million, and export sales
4 only increase by 50 million? That -- that the \$24
5 million loss -- loss shouldn't be attributed to Limestone
6 --

7 MR. VINCE WARDEN: Well --

8 MR. BOB PETERS: -- coming in service?

9 MR. VINCE WARDEN: Again, Mr. Peters, I -
10 - your -- your numbers may be right but I would like to -
11 - before I agree with them, I -- I'd like to review those
12 numbers, and if it's important, I can -- I can undertake
13 to do that.

14 MR. BOB PETERS: The -- the point that I
15 now want to just understand, Mr. Warden, when you say
16 that the loss isn't attributable to Limestone, or may not
17 be attributable to Limestone, is that your suggestion?
18 There may have been something else that resulted in that
19 loss that year?

20 MR. VINCE WARDEN: Well, there -- there's
21 a number of factors that contribute to the bottom line
22 profitability or loss of the Corporation, and I'm
23 hesitant to attribute the loss that was -- that was
24 incurred in that year solely to Limestone.

25 There may be some other things that were

1 going on that I would have to review to confirm that.

2 MR. BOB PETERS: All right, then I -- I
3 will ask through your counsel, if you could undertake to
4 advise the Board if there were other factors that
5 contributed to the loss in 1993. To -- to advise the
6 Board of that in a -- in an undertaking.

7 MR. VINCE WARDEN: We can do that.

8

9 --- UNDERTAKING NO. 40: Manitoba Hydro to advise if
10 there were other factors that
11 contributed to the loss in
12 1993

13

14 CONTINUED BY MR. BOB PETERS:

15 MR. BOB PETERS: Mr. Warden, I want to
16 turn with you to the early 1990s, and the Vice Chair gave
17 a -- a thought that, would you agree that by the early
18 1990s Manitoba Hydro had all the generation it needed for
19 Manitobans at that time?

20 MR. VINCE WARDEN: Are we talking now
21 post Limestone?

22 MR. BOB PETERS: Well, we're -- we're
23 getting close. Let's start -- let's say 1990, you -- you
24 were building Limestone. It was coming on early for
25 export, at least a year early.

1 But whatever wasn't needed for export on
2 the opportunity side would be available for Manitobans,
3 correct?

4 MR. VINCE WARDEN: In 1990 we were
5 building Limestone. It didn't come fully into service
6 until 1992, which was a year earlier than what needed --
7 was needed to serve the Manitoba load.

8 MR. BOB PETERS: And there was no
9 shortage of man -- for the Manitoba load in the early
10 1990s. You had that taken care of by the existing
11 generation as well as the -- the new Limestone plant.

12 MR. VINCE WARDEN: Yes, that's right.

13 MR. BOB PETERS: But as the Vice Chair
14 indicated that in the early 1990s Manitoba Hydro was
15 considering building another merchant plant called
16 Conawapa, and selling 100 percent of that output, I
17 believe, to Ontario Hydro.

18 MR. VINCE WARDEN: Yes.

19 MR. BOB PETERS: And under that
20 terminology, that would have been considered a merchant
21 plant back then as well?

22 MR. VINCE WARDEN: Under that
23 terminology, yes, it would be. We could -- we could have
24 called it a merchant plant, yes.

25 MR. BOB PETERS: Yeah. It's your term --

1 it's Manitoba Hydro's terminology, correct?

2 MR. VINCE WARDEN: I don't recall
3 attributing that term to Conawapa. We might -- we might
4 have at the time but certainly we -- we did with
5 Wuskwatim earlier on.

6

7 (BRIEF PAUSE)

8

9 MR. BOB PETERS: Mr. Warden, to make
10 sense to build Conawapa and sell 100 percent of the
11 output to Ontario Hydro, is it correct for the Board to
12 understand that the revenues from Ontario Hydro had to
13 exceed Manitoba Hydro's cost of construction and
14 operation?

15 MR. VINCE WARDEN: Oh, yes, there was an
16 extensive business case prepared at the time to support
17 the construction of Conawapa and the sale, and there was
18 definitely a -- a net benefit to Manitoba Hydro over that
19 entire term of the sale.

20 MR. BOB PETERS: Such that you could
21 conclude, and I believe it was concluded by the Public
22 Utilities Board that Ontario Hydro's payments had to
23 exceed the costs incurred by Manitoba Hydro to -- to run
24 the plant?

25 MR. VINCE WARDEN: Yes.

1 MR. BOB PETERS: Yeah. And there may
2 have even been targets in the negotiation back then as to
3 what profitability Manitoba Hydro was seeking. Do you
4 recall that, sir?

5

6 (BRIEF PAUSE)

7

8 MR. VINCE WARDEN: There was definitely
9 profitability targets. What they were specifically, Mr.
10 Peters, I don't recall.

11 MR. BOB PETERS: You do recall that the
12 Public Utilities Board issued a report on the proposed
13 Ontario Hydro sale and the construction of Conawapa?

14 MR. VINCE WARDEN: Yes.

15 MR. BOB PETERS: That's a public
16 document, is it not, sir?

17 MR. VINCE WARDEN: I believe so, yes.

18 MR. BOB PETERS: And if -- if Manitoba
19 Hydro had not negotiated with Ontario Hydro such that
20 Ontario Hydro was going to pay the costs related to
21 construction and operation, if that didn't happen it
22 would mean that Manitoba consumers would have to
23 subsidize the sale to Ontario. Would that be correct?

24

25 (BRIEF PAUSE)

1 MR. VINCE WARDEN: Yeah, that make --
2 that follows.

3 MR. BOB PETERS: And what did follow is
4 that after the project got the green light at some point
5 Ontario Hydro cancelled it, and you've already, I think
6 even in an undertaking, indicated how Manitoba Hydro
7 treated the costs that Hydro had incurred as well as
8 those that had been recovered and unrecovered as a result
9 of the ensuing litigation?

10 MR. VINCE WARDEN: Yes.

11 MR. BOB PETERS: Mr. Warden, when we
12 talked of the 1997 legislation change, can you indicate
13 to the Board, was the change in legislation instituted by
14 Manitoba Hydro or by the Manitoba government? Do you
15 have any recollection of that?

16 MS. MARLA BOYD: Mr. -- Mr. Chairman,
17 that matter is one (1) that is not within the privy of
18 Manitoba Hydro to comment on.

19

20 (BRIEF PAUSE)

21

22 MR. BOB PETERS: I suppose what I was
23 asking, Ms. Boyd, is whether or not -- and we've already
24 talked about the change in legislation that was -- that
25 was enacted, and it's in Tab 26 of the book of documents.

1 Is the Corporation at liberty to indicate whether that
2 was a -- an amendment pursued by Manitoba Hydro or was it
3 pursued by the Province of Manitoba on behalf of the prov
4 -- on behalf of Manitoba Hydro?

5 MS. MARLA BOYD: The matter is covered by
6 legislative privilege. Manitoba Hydro is not in a
7 position to waive that privilege and can't comment.

8

9 (BRIEF PAUSE)

10

11 CONTINUED BY MR. BOB PETERS:

12 MR. BOB PETERS: Mr. Warden, can you
13 comment about a historical -- I'm sorry, I'll give you a
14 minute. I was asking if, Mr. Warden, you can comment.
15 Historically, did the province of Manitoba set up a
16 Manitoba export agency to consider the exports of
17 Manitoba Hydro's energy?

18 MR. VINCE WARDEN: Yes. Yes, there was a
19 export agency set up, which, as I recall, was short-
20 lived.

21 MR. BOB PETERS: When did it arise and
22 when did it -- when was its demise, do you recall
23 approximately?

24

25 (BRIEF PAUSE)

1 MR. VINCE WARDEN: Mr. Peters, it was the
2 mid-'80s. I think that's probably about the best we can
3 do at this point in time. I think -- yeah. No. You
4 know what, I -- I don't want to speculate on that. So,
5 again, if it's important, we can -- we can probably find
6 that information for you.

7 MR. BOB PETERS: Do you recall it being
8 prior to Mr. Eliason becoming the Hydro chair? Any
9 recollection of that?

10 MS. MARLA BOYD: Again, Mr. Peters, if
11 it's relevant, we can perhaps take it away and look at
12 it, but we're having a bit of trouble determining the
13 relevance of a committee that's been ex -- long and done
14 away with since the mid-'80s.

15

16 CONTINUED BY MR. BOB PETERS:

17 MR. BOB PETERS: Well, Mr. Warden, did
18 the committee in fact do anything with Manitoba Hydro's
19 exports?

20 MR. VINCE WARDEN: I think the concept of
21 the agency was to -- the framework was set up to -- to
22 apportion -- some of the profits of Manitoba Hydro from
23 the export sales into that agency. That never transpired
24 though. We never -- we never got to that point. And as
25 I mentioned, it was short-lived and never -- never really

1 functioned as it -- as it was originally envisioned, to
2 my recollection.

3 MR. BOB PETERS: Do you recall what the
4 initial envision was for that agency, sir?

5 MR. VINCE WARDEN: There -- there was a
6 terms of reference, as you would expect. Exactly what
7 those terms of reference were though, I would have to --
8 I would have to research that.

9 MR. BOB PETERS: No, I'm not asking that
10 at this time, Mr. Warden. Mr. Surminski and -- and Mr.
11 Cormie, back in the late 1990s, early 2000s, would it be
12 correct to say that in some years Hydro would rely on
13 imports for about 15 percent of total domestic and export
14 sales?

15 MR. HAROLD SURMINSKI: Generally, I would
16 say, yes. I was giving examples of ten (10), but fifteen
17 (15), twenty (20), yes, it could be in that area, and
18 depends on the balance of -- of load and -- and supply,
19 so it would vary as load grows. But as a general
20 statement, I would agree with that.

21 MR. BOB PETERS: Nothing surprising in
22 that suggestion.

23 MR. HAROLD SURMINSKI: No.

24 MR. BOB PETERS: No. And would it also
25 be correct, Mr. Warden, that in the same -- you know, the

1 late 1990s to early 2000s the foreign exchange rates were
2 favourable to Manitoba Hydro?

3 MR. VINCE WARDEN: Well, it -- it
4 depends. Favourable in what context, Mr. Peters? We've
5 had an exposure management program which we have reviewed
6 on numerous occasions before this Board that left the
7 Corporation pretty much indifferent to what the foreign
8 exchange rates were at any given time.

9 MR. BOB PETERS: All right. Would you
10 agree that a significant percentage of the export
11 revenues in the late 1990s, early 2000s, was due to
12 foreign exchange gains?

13 MR. VINCE WARDEN: Well, again, the --
14 the revenues would -- to the extent that foreign exchange
15 were favourable on the revenue side, they were offset on
16 the expense side, on finance expense.

17 MR. BOB PETERS: I'm not disagreeing with
18 you, Mr. Warden. But back at Tab 8 of the book of
19 documents; this is in Volume I, PUB Exhibit 15, ma -- we
20 went through this. I think Mr. Rainkie was -- was the
21 witness.

22 But in the -- from 1999/2000 up to
23 probably the second test year, if the Board was to add up
24 the foreign exchange gains, it's -- it's over \$900
25 million. Would you accept that?

1 MR. VINCE WARDEN: No. No, I wouldn't.
2 Foreign ex -- what line are you referring to to -- to
3 calculate the foreign exchange gains?

4 MR. BOB PETERS: All right. What I did,
5 Mr. Warden, to put my math on the record, is I took the -
6 - in the middle of the page, there is -- let's take the -
7 - the year 2000 to 2001. It looks like the US revenue
8 line of 370 -- \$397 million. Do you see that number?
9 Have you located it, sir, under the 2001 fiscal year
10 actual, under -- under the line item that says "US three
11 hundred and seventy (370) -- three ninety-seven (397)"?

12 MR. VINCE WARDEN: Oh, yes, yes.

13 MR. BOB PETERS: And that's -- that's in
14 Canadian dollars, what your US sales were that year.
15 That's your understanding?

16 MR. VINCE WARDEN: Yes.

17 MR. BOB PETERS: And then, if I subtract
18 from that 370 million the US dollar number at the bottom
19 of that column, the three hundred and twelve (312) -- the
20 three hundred and -- and -- \$312 million, that will --
21 that will give us the -- the foreign exchange gain, will
22 it not?

23 MR. VINCE WARDEN: No. No. That was my
24 point, Mr. Peters, is that's only on the revenue side.
25 To the extent that our exposure management program was

1 effective, you would see the exact opposite effect on
2 finance expenses. There would be no -- no bottom line
3 impact.

4 MR. BOB PETERS: Okay, and I'm not
5 arguing that point at all, Mr. Warden. I'm just
6 suggesting that, back in the -- in the early 2000s, the
7 foreign exchange was favourable to the export revenues
8 side of the -- the ledger, not taking into account its
9 exposure management program.

10 MR. VINCE WARDEN: Okay. You -- you've
11 expressed it differently that time, though, Mr. Peters.

12 MR. BOB PETERS: Well, fair enough.

13 MR. VINCE WARDEN: You -- you referred to
14 it as a foreign exchange gain. It was not a foreign
15 exchange gain.

16 MR. BOB PETERS: All right. I perhaps
17 used the wrong word, and I apologize.

18 MR. VINCE WARDEN: Oh, you don't have --

19 MR. BOB PETERS: It's probably an
20 accounting word.

21 MR. VINCE WARDEN: You don't have to
22 apologize. It's just I wanted the record to be clear.

23 MR. BOB PETERS: What -- what I see this
24 as -- and you can correct me if I'm wrong, as you have,
25 Mr. Warden -- that -- and I'll pick -- let's pick 2001/02

1 actual, middle of the page. As a result of the foreign
2 exchange of the day, Manitoba Hydro's export revenues
3 were \$170 million greater than they would have been had
4 the dollars been trading at par.

5 MR. VINCE WARDEN: Yes, but to leave it
6 at that is not the complete picture, as --

7 MR. BOB PETERS: All right. That's fair.
8 And the complete picture, you're going to tell the Board,
9 is you have to look at the foreign exchange management
10 program you had on your -- on your debt side.

11 MR. VINCE WARDEN: Yes, absolutely.

12 MR. BOB PETERS: All right. And -- and I
13 think they've got the point. My suggestion when we
14 started this was that the foreign exchange levels have
15 been -- they've contributed a significant percentage to
16 the export revenue line.

17 MR. VINCE WARDEN: I'll -- I'll agree
18 with that.

19 MR. BOB PETERS: If I went --

20 THE CHAIRPERSON: If I could, Mr. Peters,
21 just for one (1) second, other than sort of vicariously
22 enjoying the fact that we no longer -- I think Flaherty
23 called it where we're no longer the peso of the north
24 compared to these particular days, but just one (1)
25 comment just to make sure I understand.

1 I understand the point about the -- that
2 you're both making, the -- the one (1) on the conversion
3 of US dollars into Canadian dollars at exchange rates
4 like that, and then your debt going the other way and the
5 finance costs. But the -- the sales price includes, you
6 know, a number of different components of expenses,
7 correct? Like finance, OM&A, depreciation, et cetera, et
8 cetera, where the finan -- the other part of the equation
9 is roughly a quarter of the sales price is made up by
10 finance, isn't that correct?

11 Maybe you could think about that, because
12 it might help my thinking. I'm just pointing out that
13 the -- that the sale price of -- of the good contains all
14 elements of costs, if you like, to arrive at net -- but
15 the -- the debt component of your costs is only one (1)
16 of the cost components.

17 MR. VINCE WARDEN: Yes. So, Mr.
18 Chairman, if I'm interpreting your question correctly,
19 finance expense would represent approximately 25 percent
20 of our tot -- net revenue line, or our total revenue
21 line, yes.

22 THE CHAIRPERSON: Yes.

23

24 CONTINUED BY MR. BOB PETERS:

25 MR. BOB PETERS: When you agreed with me,

1 Mr. Warden, that the foreign exchange rates contributed a
2 significant percentage to the export revenue line, I had
3 initially suggested to you that that total over what's
4 depicted on page 39 at Tab 8 of the book of documents,
5 summed to approximately 900, or \$913 million, you
6 wouldn't disagree with -- with that, subject to checking
7 it?

8 MR. VINCE WARDEN: I wouldn't disagree
9 with it as long as we both agree it's a somewhat
10 meaningless number.

11 MR. BOB PETERS: It doesn't show -- it
12 doesn't show -- it -- what it -- the reason you say it's
13 meaningless -- I guess the gloves are coming off.

14 Mr. Warden, the reason you suggest it's
15 meaningless is because whatever foreign exchange benefits
16 are seen on the export revenue line of your IFF, those
17 would have been dealt with elsewhere and offset on the
18 finance-cost side of the IFF.

19 MR. VINCE WARDEN: Yes, not only the IFF
20 but also on the actual revenues and expenses recorded in
21 the respective years.

22 MR. BOB PETERS: I'm -- I'm going back in
23 my memory banks, Mr. Warden, but I think Mr. Rainkie had
24 told us that it wasn't a perfect hedge against your debt,
25 but it was an offset of 75 or 80 percent?

1 MR. VINCE WARDEN: Well, it -- it depends
2 in -- in any one (1) year, and -- and we don't -- it --
3 it depends to a large extent on water conditions because
4 revenue -- export revenues are subject to fluctuation.

5 When we look at the IFF going forward, we
6 -- we manage within a -- a 20 percent plus or minus hedge
7 relationship with our -- our export revenues and debt
8 servicing costs.

9 So -- but in any one (1) year, it has to
10 be recognized it can fluctuate significantly.

11

12 (BRIEF PAUSE)

13

14 MR. BOB PETERS: Mathematically, Mr.
15 Warden, can we agree that the price per kilowatt hour
16 would be lower with the Canadian dollar at par?

17 MR. VINCE WARDEN: On the revenue side,
18 yes.

19 MR. BOB PETERS: I want to turn -- try to
20 finish this if we can today, the discussion on 2002/03,
21 we went through that with some detail with Mr. Cormie,
22 but in that year the drought hits and Manitoba Hydro has
23 firm export commitments in that year that we've talked
24 about, correct Mr. Cormie and Mr. Surminski?

25 MR. DAVID CORMIE: Yes.

1 MR. BOB PETERS: And one (1) point that
2 might bear some clarification, that Manitoba Hydro's
3 hydraulic generation in 2003/04 on an actual basis was
4 about 18,500 gigawatt hours?

5 MR. DAVID CORMIE: Yes.

6 MR. BOB PETERS: And why is it then that
7 this afternoon, Mr. Surminski, you said you went back and
8 checked your power resource plan for 2003/04, and I'm not
9 sure if you're going to file that in writing, but you
10 suggested the hydraulic generation that year was twenty-
11 one thousand two hundred and sixty (21,260).

12 Do you recall that?

13 MS. HAROLD SURMINSKI: That is the
14 dependable energy and it does not change by -- by load
15 year other than the slight depletion for -- for water
16 supply exemption.

17 Dependable energy is -- is the maximum
18 capability if you actually require that -- a maximum
19 quantity in a year. In -- in other words, if the system
20 is -- is stressed to the maximum.

21 MR. BOB PETERS: It was stressed to the
22 maximum in 2003 -- 2003, was it not, Mr. Surminski?

23 MR. DAVID CORMIE: No, it wasn't, Mr.
24 Peters.

25 MR. BOB PETERS: So to -- to -- even

1 though the hydraulic generation was eighteen five (18.5),
2 you're saying that that was a voluntary decision, it
3 could have been as much as twenty-one two sixty (21.260)
4 had it been needed?

5 MR. HAROLD SURMINSKI: Yes, if -- if we -
6 - if the supply demand -- if the supply were unbalanced
7 to demand, we would have to utilize maximum hydraulic
8 energy, but we were overinstalled in that year, so by
9 having excess generation capability available it was not
10 a requirement to generate maximum hydraulic dependable
11 energy of twenty-one thousand two hundred (21,200).

12 MR. BOB PETERS: To calculate that 21,000
13 gigawatt hours of minimum hydraulic generation
14 capability, Mr. Cormie, and Mr. Surminski, does Manitoba
15 Hydro consider a portion of that to be from energy in
16 storage?

17 MR. DAVID CORMIE: That's -- that's
18 correct, Mr. Peters. If during the critical flow period,
19 at the onset of that critical flow period, if reservoirs
20 are full and it's necessary to drain reservoirs during
21 the critical flow period, that water that's taken out of
22 reservoir storage can be added to the inflows in that
23 year, and that would result in the dependable hydro of
24 the 21 terawatt hours that Mr. Surminski said the system
25 was capable of.

1 MR. BOB PETERS: And looking back at Tab
2 43 of the book of documents, page 106, it appears that
3 the energy in storage was just over 6,000 gigawatt hours
4 that year?

5 MR. DAVID CORMIE: That's not Manitoba
6 Hydro's energy in storage, Mr. Peters.

7

8 (BRIEF PAUSE)

9

10 MR. BOB PETERS: And you're saying that
11 because Manitoba Hydro doesn't control 100 percent of
12 that -- that energy?

13 MR. DAVID CORMIE: That's right. To the
14 extent that Manitoba Hydro needs to count on storage
15 withdrawals it's kept in reservoirs under Manitoba
16 Hydro's control so that if we're forced to drain
17 reservoirs to serve load then we have that option.

18 However, you'll note that we only drain
19 reservoirs if we're forced to. And if there is an
20 alternative available in the non-firm energy market we
21 will exercise that prior to draining reservoirs.
22 Draining reservoirs is not a good strategy.

23 MR. BOB PETERS: What assumed inflows did
24 Manitoba Hydro make in the 2002/03 year, Mr. Surminski,
25 that would give Manitoba Hydro the -- the dependable

1 hydraulic generation of 21,260 gigawatt hours?

2

3

(BRIEF PAUSE)

4

5 MR. HAROLD SURMINSKI: Mr. Peters, we're
6 not quite sure -- I -- I believe that you're talking
7 about the year before the dependable year. Is that
8 correct? What storage -- what inflows did we have in the
9 year preceding our worst year that we consider for
10 dependable?

11 MR. BOB PETERS: I was talking the
12 2002/03 fiscal year in my question. That is the year
13 before the '03/'04 year.

14 MR. HAROLD SURMINSKI: Yes. You're --
15 you're actually talking about an actual calendar year or
16 fiscal year we're talking about here. In de -- in
17 determining dependable energy it's not related to -- to
18 that year at all. It's related to the hydrologic
19 sequence that we have, and if our lowest flow year is '40
20 -- 1940/41 we preceded that with 1939/40 and that's --
21 that's what is -- basically you can assume that's the
22 inflows that we would have implied in 2002/03 in order to
23 determine the dependable energy in '03/'04.

24 MR. BOB PETERS: Okay. I see how you got
25 there, Mr. Surminski, but what number would you have --

1 would you have assumed from your -- from your data flows?

2 MR. HAROLD SURMINSKI: I don't have it
3 off the top of my head, but it's available in our rela --
4 we -- we gave energy -- or the quantities either in CFS
5 or in -- in gigawatt hours have been supplied in
6 undertakings -- or in -- in information requests.

7 MR. BOB PETERS: When you come up with
8 the dependable figure that you've put on the record, Mr.
9 Surminski, of twenty-one thousand two hundred and sixty
10 (21,260), what minimum inflow for generation did you
11 assume in coming up with that number?

12 MR. HAROLD SURMINSKI: So you're talking
13 about now the -- the critical flow year, the dependable
14 energy. The inflow component converts into something
15 like fifteen thousand six hundred (15,600), if I remember
16 off the top of my head, so just natural inflows into the
17 system would produce energy generation of fifteen
18 thousand six hundred (15,600). So to get to twenty-one
19 thousand two hundred (21,200), the remaining part must be
20 coming out of storage.

21 MR. BOB PETERS: And in 2003 -- sorry.
22 In 2002/03, that's in fact what -- what it did to come up
23 with your 21,260 gigawatt hours.

24 MR. HAROLD SURMINSKI: Yes, it's
25 coincidental that your 6 terawatt hours is consistent

1 with -- I think it's more coincidental because of the way
2 you're measuring, but it's -- it -- in either case, it's
3 -- it's about 6,000 gigawatt hours.

4 MR. BOB PETERS: And what would have
5 happened if -- if we look to the 2003/04 year, when the
6 energy in storage is actually lower than 6 terawatt
7 hours; then you're dependable -- your dependable number
8 wouldn't be correct, would it?

9 MR. HAROLD SURMINSKI: Can you repeat the
10 question, please? I don't quite understand it.

11 MR. BOB PETERS: You were suggesting that
12 you and I arrived at the same matter, but I may have got
13 there coincidental, or accidentally, probably more
14 accurately. But I'm taking you now to the next year,
15 when we -- you would still use the 15,000 gigawatt hours
16 of -- of assumed inflow, would that be correct, in
17 calculating the dependable energy from hydraulic
18 resources?

19 MR. HAROLD SURMINSKI: I think I know
20 where you're going. We know that the end droughts --
21 that the drought ends at the end of the sequence in 1941,
22 so we do not plan for another drought year following
23 that. So -- so in determining dependable energy, it's
24 the years leading up to our critical year. And -- and we
25 know that in our planning work that the next year flows

1 improve and we don't have to have any more in storage
2 because there is enough to survive.

3 MR. BOB PETERS: Mr. Cormie, what do you
4 tell your counterparties when you're negotiating a long-
5 term contract about what is Manitoba Hydro's level of
6 dependable hydraulic energy on an annual basis?

7 MR. DAVID CORMIE: Our counterparties are
8 told that we have sufficient resources to serve the sale
9 obligation in each year of the contract as long as the
10 river flows remain within the historical range starting
11 in 1912. And -- yes, that's what we tell them.

12 MR. BOB PETERS: Do you provide them with
13 numerical information as to what that hydraulic
14 dependable energy is?

15

16 (BRIEF PAUSE)

17

18 MR. DAVID CORMIE: I don't have a
19 recollection of having provided them that information,
20 no. But if they were to ask, we would provide it to
21 them.

22 MR. BOB PETERS: To invoke any adverse
23 water condition clauses, Mr. Cormie, don't you need to
24 have a baseline below which you can invoke the clause
25 quantified for the counterparty?

1 MR. DAVID CORMIE: yes, and that baseline
2 is described under the definition of adverse water
3 conditions in each contract, Mr. Peters.

4 MR. BOB PETERS: In the '02/'03 drought
5 example, would the Board's understanding be correct that
6 there were provisions in the export contracts that could
7 have been exercised by Manitoba Hydro to reduce its
8 delivery obligations?

9 MR. DAVID CORMIE: No, there were no --
10 there were no unexercised provisions in the contract. We
11 met our contract obligations fully and completely, and to
12 the extent that we had options, we used them; to the
13 extent that we had obligations, we fulfilled them.

14 MR. BOB PETERS: Were there options to
15 Manitoba Hydro to reduce the deliveries that it in fact
16 made, either physically or financially?

17 MR. DAVID CORMIE: Would you repeat the
18 question, please?

19 MR. BOB PETERS: Did Manitoba Hydro, in
20 its long-term contracts in 2002/03, '03/'04, have options
21 in its contracts that would have permitted Manitoba Hydro
22 to either deliver less physical energy or not settle
23 financially as it did?

24 MR. DAVID CORMIE: No.

25 MR. BOB PETERS: What options did

1 Manitoba Hydro have?

2 MR. DAVID CORMIE: Manitoba Hydro never
3 felt it was in the position where it had to -- that
4 continued deliveries of its export contracts put the
5 Manitoba load at risk, and at no time did we experience,
6 on an annual basis, river flow conditions that were worse
7 than the historical worst-case conditions, and so it was
8 not a force majeure. Therefore, we fulfilled our
9 contract obligations as they are written in the contract.

10 What we did, though, is that we made our
11 customers aware that droughts of greater severity and
12 duration than exist in the historic record are possible,
13 and that draining reservoirs to satisfy our obligations
14 put their contracts at risk should drought continue at a
15 level greater than Manitoba Hydro had planned for.

16 And, secondly, we said to them that we had
17 generation options that were more expensive than -- than
18 generation options that they had as utilities, and we
19 would like to enter into transactions that would save us
20 money because we could avoid the use of our expensive
21 generation and -- and have them take advantage of a
22 purchase opportunity from Manitoba Hydro.

23 So for those book-out transactions, it was
24 a win-win for Manitoba Hydro, and, to the extent that
25 they -- they entered into such transactions, that would

1 allow Manitoba Hydro to preserve water in storage should
2 the drought continue, and we would then avoid the risk of
3 having to declare a force majeure and walk away from our
4 obligations.

5 And it was in the interests of everybody
6 to maximize the reliability of the entire electrical
7 system and not -- and not have Manitoba put in a
8 situation where it had to curtail export deliveries in
9 order to protect Manitoba customers.

10 And they -- they know, under their
11 contracts, that they are secondary in the -- in the
12 delivery stack, that Manitoba load always has priority;
13 and, to the extent that we can preserve the -- the
14 reliable supply of the contract, it was in their
15 interests and it reduced their risks associated with
16 legitimate curtailments that -- that Manitoba Hydro could
17 impose under the curtailment provisions of the contract.

18 MR. BOB PETERS: Can I summarize that,
19 Mr. Cormie, by saying that, rather than have the
20 curtailment provisions come into force in a subsequent
21 year, the counterparties made agreements with Manitoba
22 Hydro to allow Manitoba Hydro to settle out some
23 obligations on a financial basis?

24 MR. DAVID CORMIE: Yes, in -- only in
25 those months where they felt comfortable that physical

1 delivery wasn't absolutely required. So we made physical
2 delivery to them under the contracts in the months where
3 they actually wanted the electricity, during the period
4 from June the 15th to September the 15th when their peak
5 air conditioning load required an actual supply of
6 electricity.

7 They didn't have surplus in those months,
8 and so for us to financially settle, and leave them
9 hanging in -- in a period of extreme need would -- would
10 not be satisfactory to them.

11 And so we -- we made physical deliver in
12 the op -- in the times that they absolutely needed it.
13 In the times when a -- a book-out, or a financial
14 arrangement was -- worked for them, we -- we worked with
15 them, including -- and -- and we included other
16 counterparties in there as well to -- to minimize the
17 overall cost of -- of delivered service.

18 MR. BOB PETERS: By not, in your words,
19 leaving them hanging and arranging for physical delivery,
20 that ended up costing additional monies for Manitoba
21 Hydro though, did it not?

22

23

(BRIEF PAUSE)

24

25

MR. DAVID CORMIE: No, I think -- I think

1 what that meant is that during the summer season, we --
2 we generated more hydraulic energy, and -- and drew
3 reservoir storages lower than we would have liked to.

4 We would have liked to have -- have booked
5 out the entire transaction in order to maximize
6 reliability, but that would have put them at risk. And -
7 - and so through several meetings to manage the joint
8 portfolio, and the -- and -- and plan how together we
9 were going to deal with the drought of 2003, we worked
10 out an arrangement that was mutually satisfactory --
11 satisfactory to both parties, and beneficial to -- to
12 both parties.

13 The -- the cost of the drought would have
14 been significantly more had Manitoba Hydro run its
15 expensive gas fired generation at Bran -- at Selkirk and
16 at Brandon than if we had financially settled, even
17 considering the fact that -- that there were some -- some
18 fees that had to be paid in order to incent them to -- to
19 the table.

20 MR. BOB PETERS: Mr. Chairman, I might
21 leave Mr. Cormie with the last word today, and suggest
22 this might be an appropriate time to adjourn for the day,
23 and we'll pick it up tomorrow at 9:30.

24

25

(PANEL RETIRES)

1 THE CHAIRPERSON: We look forward to it,
2 Mr. Peters. Thank you to the panel. Thank you to
3 yourself.

4

5 --- Upon adjourning at 4:23 p.m.

6

7

8

9

10 Certified Correct

11

12

13 _____

14 Cheryl Lavigne, Ms.

15

16

17

18

19

20

21

22

23

24

25