

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA HYDRO'S APPLICATION
FOR APPROVAL OF NEW ELECTRICITY RATES
FOR 2010/11 AND 2011/12

Before Board Panel:

- Graham Lane - Board Chairman
- Robert Mayer, Q.C. - Board Member
- Len Evans - Board Member

HELD AT:

Public Utilities Board
400, 330 Portage Avenue
Winnipeg, Manitoba
January 26, 2011
Pages 2111 to 2290

1 APPEARANCES
2 Bob Peters)Board Counsel
3
4 Patti Ramage)Manitoba Hydro
5 Marla Boyd)
6
7 Byron Williams)CAC/MSOS
8 Myfanwy Bowman (np))
9
10 Antoine Hacault)MIPUB
11
12 Michael Anderson (np))MKO
13
14 William Gange)RCM/TREE
15
16 Delanie Coad (np))SCO
17
18 Denise Pambrum (np))City of Winnipeg
19
20 Gavin Wood)Independent Experts
21
22
23
24
25

1	TABLE OF CONTENTS	
2		Page No.
3	Exhibits	2114
4	List of Undertakings	2115
5		
6	MANITOBA HYDRO PANEL:	
7	VINCE WARDEN, Resumed	
8	DAVID CROMIE, Resumed	
9	HAROLD SURMINSKI, Resumed	
10	Continued Cross-examination by Mr. Bob Peters	2118
11		
12	Certificate of Transcript	2290
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

EXHIBITS

No.	Description	Page No.
MH-31	Response to Undertaking 14	2116
MH-32	Response to Undertaking 19	2196
MH-33	Response to Undertaking 40	2197

	UNDERTAKINGS		
	No.	Description	Page No.
1			
2			
3	41	Manitoba Hydro to provide a written	
4		response to Mr. Art Derry's questions	2117
5	42	Manitoba Hydro to compare the average	
6		revenue per kw.h. received by Manitoba	
7		Hydro from domestic customers versus	
8		extraprovincial customers net of water	
9		rentals, and fuel and power purchased	
10		allocated to both classes of customers	2138
11	3 (ADDITION)	Manitoba Hydro to break down the physical	
12		imports versus the financial settlement	
13		transactions that are shown under the	
14		real-time line item	2214
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1 --- Upon commencing at 9:34 a.m.

2

3 THE CHAIRPERSON: Okay. Good morning,
4 everyone. Ms. Ramage, you have an undertaking to go --

5 MS. PATTI RAMAGE: Yes.

6 THE CHAIRPERSON: -- to be turned into an
7 exhibit.

8 MS. PATTI RAMAGE: That is correct. We
9 have one (1) Undertaking, number 14, to file this
10 morning, and this undertaking deals with the expenditures
11 in the -- or out of the affordable energy fund during the
12 past year, and by our account, that is Manitoba Hydro
13 Exhibit Number 31.

14 THE CHAIRPERSON: Thank you.

15

16 --- EXHIBIT NO. MH-31: Response to Undertaking 14

17

18 THE CHAIRPERSON: Just before we begin
19 and move over to Mr. Peters, I'm wondering if we could
20 get an undertaking from Manitoba Hydro on -- on a point.

21 The presenter of, I guess it was
22 yesterday, Mr. Derry made an oral presentation and also
23 filed a written submission that was incorporated into the
24 record. Mr. Derry requested that his questions be posed
25 to get Manitoba Hydro's responses. Rather than go

1 through each question now, and also as a courtesy to Mr.
2 Derry, would Manitoba Hydro undertake to file a written
3 response in these proceedings to Mr. Derry.

4 Is that possible?

5 We use this mechanism, by the way, in the
6 MPI hearings when we have presentations. Usually what
7 happens is MPI responds to the presenter and a copy goes
8 onto the record.

9 MS. PATTI RAMAGE: I was relegated to the
10 back row yesterday, Mr. Chair, so I didn't actually see
11 the presentation but certainly we would look at it, and
12 take that under advisement. Yeah, and I -- I expect
13 we'll be doing it.

14 THE CHAIRPERSON: Thank you.

15

16 --- UNDERTAKING NO. 41: Manitoba Hydro to provide a
17 written response to Mr. Art
18 Derry's questions

19

20 THE CHAIRPERSON: Mr. Peters...?

21

22 MANITOBA HYDRO PANEL RESUMED:

23 VINCE WARDEN, Resumed

24 DAVID CORMIE, Resumed

25 HAROLD SURMINSKI, Resumed

1 CONTINUED CROSS-EXAMINATION BY MR. BOB PETERS:

2 MR. BOB PETERS: Thank you. Good
3 morning, Mr. Chairman, Board members, ladies and
4 gentlemen.

5 Mr. Warden, Mr. Cormie, let's talk profit
6 this morning. It's not a bad word, Mr. Warden.

7 MR. VINCE WARDEN: It's a good word.

8 MR. BOB PETERS: It's a good word. When
9 it comes --

10 MR. VINCE WARDEN: Oh, well, sorry.
11 Well, I was just going to add to that, Mr. Peters. That
12 profit to Manitoba Hydro is good but to the extent that
13 it's beneficial to ratepayers.

14 MR. BOB PETERS: What kind of profit does
15 Manitoba Hydro ever have that's not to the benefit of
16 ratepayers?

17 MR. VINCE WARDEN: Well, exactly. And I
18 just wanted to make sure we -- we were one (1) and the
19 same in this discussion that we'll probably get into more
20 so as we proceed, but the profit of Manitoba Hydro is
21 entirely to the benefit of ratepayers.

22

23 (BRIEF PAUSE)

24

25 MR. BOB PETERS: And with the exception

1 of legislation that commanded a special payment to the
2 provincial government, that's held true but for that
3 exception?

4 MR. VINCE WARDEN: Well, it's the
5 prerogative of government to introduce legislation as
6 they deem appropriate. There are payments to government
7 that we make as a matter of course, which go -- go to
8 government for their purposes. But, to the extent we're
9 talking profit, though, after all those payments are
10 taken into account, the profit is to the benefit of -- of
11 Manitoba's rate -- Hydro's ratepayers.

12 MR. ROBERT MAYER: Some of us on this
13 panel don't believe that the payment to the province was
14 somehow not beneficial to ratepayers. In fact, some of
15 us believe that the payments to the province under those
16 special circumstances were to the benefit of not only
17 ratepayers but to all Manitoba citizens.

18 MR. VINCE WARDEN: We don't -- Mr. Mayer,
19 we don't know specifically what the funds were used for,
20 but, to the extent that government spends money, I would
21 certainly agree with that statement.

22

23 CONTINUED BY MR. BOB PETERS:

24 MR. BOB PETERS: So the profitability of
25 Manitoba Hydro accrues to the benefit of its ratepayers,

1 correct?

2 MR. VINCE WARDEN: Correct.

3 MR. BOB PETERS: And when we look at the
4 firm long-term contract sales, how does Manitoba Hydro
5 define those sales as being profitable?

6 MR. VINCE WARDEN: Well, Mr. Cormie will,
7 I'm sure, have something to add to this, but from my
8 perspective, the contracts, long-term contracts, are --
9 are negotiated such that they return all the costs
10 incurred by Manitoba Hydro plus a margin of profit.

11 MR. BOB PETERS: In what time period are
12 you calculating that profit of a long-term contract, Mr.
13 Warden?

14 MR. VINCE WARDEN: Each and every year.

15 MR. BOB PETERS: Does that answer suggest
16 that the contract has to return a profit each and every
17 year?

18 MR. VINCE WARDEN: For every kilowatt
19 hour sold under that contract there would be a profit
20 associated with that, yes.

21 MR. BOB PETERS: And when it comes time
22 to talking about the costs that are incurred by Manitoba
23 Hydro, we had a previous discussion. I believe we were
24 dealing with words like embedded cost and incremental
25 cost. Which cost does this have to -- which costs do

1 those kilowatt hours have to return to Manitoba Hydro to
2 be profitable from a long-term contract, Mr. Warden?

3 MR. VINCE WARDEN: Well, they're -- you
4 can call them embedded. There's fixed cost and variable
5 cost associated with producing that electricity, but the
6 fixed or embedded costs would typically be the financing
7 and the depreciation costs of -- of the assets in place
8 to serve that contract.

9 MR. BOB PETERS: When Manitoba Hydro
10 calculates its embedded costs, Mr. Warden, are you
11 calculating an average of all of the system resources
12 that would serve that contract?

13 MR. VINCE WARDEN: It -- it would depend
14 on the circumstances, but typically when a contract is
15 negotiated, they would look at all the resources
16 necessary to serve that -- serve that contract, and that
17 would -- certainly in the case of the contracts that are
18 currently under negotiation, that includes the
19 incremental costs of new generation and transmission.

20

21 (BRIEF PAUSE)

22

23 MR. BOB PETERS: Is the measurement of
24 profitability on a long-term contract different if you're
25 selling peak energy compared to off-peak energy?

1 MR. VINCE WARDEN: Well, the price for --
2 for on-peak, off-peak's going to be different, but it's
3 all factored into the profitability of -- of the
4 contract.

5 MR. BOB PETERS: So the calculation
6 doesn't change, and that is that the contract has to
7 return, for every kilowatt hour sold, the embedded costs
8 to serve that, including any incremental costs of new
9 generation?

10 MR. VINCE WARDEN: Well, certainly for
11 the fixed portion of that contract. Now, the way the
12 contracts are -- are being structured, there is some --
13 there are some opportunity sales that form part of that
14 contract, and those will be at rates which may or may not
15 recover all of the fixed costs. I may -- might let Mr.
16 Cormie speak to -- to that component of -- of the -- of
17 the contract, and I'm not sure how far he wants to go
18 with this in terms of contracts that are currently being
19 negotiated.

20 MR. DAVID CORMIE: Mr. Peters, whether
21 the -- the sale involves the construction of new
22 generation or transmission assets in Manitoba or whether
23 a sale is entered into from existing resources, the
24 analysis that is done measures what Manitoba Hydro's
25 revenues and costs would have been without the sale and

1 compares those to the revenues and costs that would be
2 incurred with the sale, and the difference is either the
3 -- the -- would be -- would be considered the net present
4 value of the benefits of the sale.

5 And -- and there may be times that a sale
6 obligates Manitoba Hydro to sell energy in the off-peak.
7 To the extent that that reduces Manitoba Hydro's
8 opportunity sales, that reduction in opportunity sale
9 revenue is charged to the sale as a -- as a cost, so it's
10 a -- it's a complete with and without comparison.

11 And as Mr. Surminski has explained on
12 several occasions, that analysis looks at the possibility
13 of each of the ninety-six (96) river flows occurring in
14 each and every year of the sale and measures the -- those
15 incremental benefits in each and every year of the sale
16 over all the possible flow cases, and that's what de --
17 used to determine the net benefits of the sale.

18 MR. BOB PETERS: When it comes to
19 assessing the profitability of bilateral opportunity
20 sales, how is profitability defined?

21 MR. DAVID CORMIE: Exactly the same.

22 MR. BOB PETERS: You -- you conduct the
23 same long-term analysis even though the bilateral
24 opportunity sale would be a much shorter term?

25 MR. DAVID CORMIE: Well, fortunately, the

1 -- the opportunity sales, the bilateral term sales, are -
2 - are within the existing year, generally within a month
3 or two (2) of the time that delivery commences. So water
4 conditions are -- are well established under that --
5 those circumstances, so we don't need to go through
6 ninety-six (96) possible scenarios. They're entered in
7 generally with water flow conditions well defined.

8 And what -- what we don't have well
9 defined for those conditions is the -- the variability
10 that could occur in the Manitoba load in the short-term
11 because of short-term weather effects. So we do a
12 simulation of the costs of serving the sale assuming that
13 the last sixty (60) years of weather were to repeat
14 during the time of the sale, and we measure the
15 incremental costs of the sale under that -- that set of
16 possible Manitoba load conditions.

17 And that -- that analysis gives us
18 confidence that we have the resources available in
19 Manitoba to serve the sale under extreme weather
20 conditions so that there's sufficient capacity left to
21 meet Manitoba load obligations and that the incremental
22 costs of serving the sale even under those conditions are
23 considered and -- and become part of the -- of the
24 analysis and -- and profitability of the transaction.

25 And with res -- with -- with regard to the

1 alternatives, which would be the no-term sale
2 transaction. We have our -- our short-term forecasts of
3 what the -- what the brokers are -- are -- are selling
4 for and what the market is likely to be in the day-ahead
5 in the real-time, and we compare the -- the -- the price
6 that's been negotiated to that as our alternative.

7 And we have to be better off in that case
8 as well. So doing nothing and leaving it to the spot
9 market is the option, and we have to convince ourselves
10 that there's a significant margin over -- over the do-
11 nothing scenario, and that's all part of that term
12 analysis.

13 MR. BOB PETERS: Do you call the do-
14 nothing scenario the -- the real-time and day-ahead sales
15 into the market?

16 MR. DAVID CORMIE: Yes, that's the, I
17 mean, essentially, the risk-free transaction. Wait until
18 the day you actually want to take the energy to market.
19 And if it's needed for Manitoba load you don't sell it.
20 If it's not needed you sell it and you take the price
21 that exists in the market at that time.

22 MR. BOB PETERS: When you price the --
23 the day-ahead or the real-time sales, do the parameters
24 of measuring profitability change, Mr. Cormie, Mr.
25 Warden? That is, rather than measure it against the

1 embedded costs that you've talked about before, you are
2 then only measuring it against the, I think what you
3 called "incremental costs", Mr. Cormie?

4 MR. DAVID CORMIE: The same business
5 logic applies in the day-ahead and the real-time. We
6 will offer our energy into the market in the day-ahead
7 based on our costs plus what margin is required so that
8 if our offer is accepted that it will be accepted at a
9 minimal profit and all our costs will be recovered.

10 And -- but we have the expectation in most
11 cases because our incremental costs are so low that the
12 market will clear substantially above that. And -- and -
13 - and so usually in normal water years that's not really
14 a -- a significant risk. Market clears at forty (40) or
15 fifty (50) or sometimes a hundred dollars a megawatt
16 hour, and -- and our -- our costs are -- are a small
17 fraction of that.

18 But there are times when we're offering in
19 our gas turbines and we assume in offering our gas
20 turbines in that the full cost of starting the gas
21 turbines, running them for one (1) hour, and shutting
22 them down are recovered, plus all the costs of the
23 natural gas that would be consumed, plus the incremental
24 cost of operating those units for an hour recovered.

25 So we need full cost recovery plus we need

1 a margin to ensure that those costs that aren't
2 specifically identified are also covered, and there would
3 be a contribution to reserves or to retained income as a
4 result of that hourly transaction.

5 So there -- whether it's a long-term,
6 short-term, or a -- an hourly transaction, there has to
7 be an expectation of profitability before Manitoba Hydro
8 will enter into the transaction.

9 MR. BOB PETERS: Mr. Cormie, it wasn't
10 clear as to how Manitoba Hydro would know at the time of
11 sale that the costs of energy are -- are more than say,
12 water rentals or the repurchase of that energy on the
13 spot market. How would you know that at the time of
14 sale?

15 MR. DAVID CORMIE: Are -- are you talking
16 -- which transaction, Mr. Peters?

17 MR. BOB PETERS: Well, we'll talk the
18 day-ahead or the real-time.

19 MR. DAVID CORMIE: The MISO market
20 provides a forecast of hourly prices going out for up to
21 ten (10) days. And the replacement cost of energy is the
22 cost of having to buy that energy back from the market,
23 having -- if -- if that's the -- if that's going to be
24 the source.

25 If -- if water is taken out of storage it

1 needs to be replaced. It'll be replaced from the lowest
2 cost hour in the future and that becomes our -- that --
3 that becomes our -- our marginal cost of supply.

4 And then -- and then to that transaction
5 we need to -- we need to add a margin to offset the
6 uncertainty in that price. So there is a -- a forward-
7 looking price curve that is used to value the water in
8 rev -- in energy storage, and that curve becomes the
9 incremental cost to serve hydraulic generation if
10 purchases are -- are going to be used to repla -- to
11 supply the sale.

12 If -- if we're just -- the all -- if -- if
13 the -- if the energy is being served solely out of
14 hydraulic generation then we know that our -- what our --
15 what our incremental operation and maintenance costs are,
16 and we know what our water rental costs are, we know what
17 the losses are, and so we can establish a price, and then
18 to that we add the margin necessary to ensure that those
19 -- that -- that there is a contribution to retained
20 earnings.

21 MR. BOB PETERS: The cost -- it -- it
22 sounded like one (1) of the measures of cost, Mr. Cormie,
23 that you're telling the Board is that you measure against
24 what it would cost to re-buy that in the MISO market.

25 MR. DAVID CORMIE: Yes.

1 MR. BOB PETERS: Rather than Manitoba
2 Hydro's own internal costs, you would look to the -- to
3 the market for quantifying what the cost would be.

4 MR. DAVID CORMIE: Well, for example, Mr.
5 Peters, in a week if the Manitoba energy demand was 500
6 gigawatt hours, and hydraulic generation was only 450
7 gigawatt hours, Manitoba Hydro would be purchasing 50
8 gigawatt hours to serve the Manitoba load.

9 If we entered into an incremental export
10 sale on-peak, then that would mean that we would now have
11 to purchase an incremental quantity of energy in the off-
12 peak to supplement the fifty (50) that we are already
13 buying.

14 So at every -- at -- every day when we do
15 our forward energy planning, we know for the next two (2)
16 weeks where marginal energy is going to be coming from,
17 and to the extent that we enter into an on-peak sale that
18 requires us to run our hydraulic generation, and
19 therefore force us to make a future purchase.

20 We are purchasing that energy from the
21 market in the off-peak, and then arbitraging it into the
22 on-peak, and capturing the spread between the on -- off-
23 peak purchase price and the on-peak sale price.

24 That's a -- that's -- that's planning that
25 goes on every day, and it looks out forward for the next

1 ten (10) to fourteen (14) days, and that happens every
2 day of the year.

3 MR. BOB PETERS: When you bid in the
4 price of the thermal SCCT generation, Mr. Cormie, the
5 embedded costs of the Corporation are included in that
6 bid price, I take from your answer.

7 MR. DAVID CORMIE: No, those are some
8 costs. Those costs are not included in the cost of -- of
9 the CTS.

10 MR. BOB PETERS: I'm sorry, help me
11 understand that. When you bid in, in your thermal --
12 your thermal generation energy, you're not including your
13 embedded cost in the calculation of what you're -- what
14 you're asking for that --

15 MR. DAVID CORMIE: No, in the same way we
16 don't include the embedded costs of hydraulic generation
17 in our -- in our offer to the mark -- in our -- in our
18 bid, as well.

19 Those costs that -- the interests, the
20 depreciation, those costs are all fixed. What we do
21 include is all the variable costs, so to the extent that
22 -- that that unit is operated to serve a market
23 transaction, we know what those costs are.

24 And we -- we, at a minimum, recover those
25 costs plus an additional 10 percent to ensure that those

1 costs that we don't know about that could occur are --
2 are covered, and hopefully that will all flow into
3 retained earnings.

4 MR. BOB PETERS: And so the embedded
5 costs for the SCCT would be picked up by the Manitoba
6 ratepayers.

7 MR. DAVID CORMIE: Well, to the extent
8 that your cost of service study doesn't allocate any of
9 those costs to the export class, I -- I guess -- I would
10 suggest that that's correct.

11 MR. VINCE WARDEN: Those -- those costs
12 will be incurred in any event, Mr. Peters, so that's why
13 they're referred to as fixed.

14 They're go -- they're -- they will be
15 incurred regardless, so whatever Mr. Cormie can receive
16 on the variable market over and above the variable costs
17 is a contribution towards those fixed costs.

18

19 (BRIEF PAUSE)

20

21 MR. BOB PETERS: I think your answer
22 probably is the same as Mr. Cormie's on that, Mr. Warden.
23 What you're saying to the Board is that you're going to
24 incur those fixed costs whether or not you fire up the
25 gas turbine.

1 And those will be paid for out of the
2 existing rates, whether or not you use the gas turbine,
3 so anything more that can be sold will go to pay off the
4 variable costs, and bring back at least hopefully a -- a
5 profit.

6 MR. VINCE WARDEN: And a contribution
7 towards those fixed costs, yes.

8 MR. BOB PETERS: Well, the profit would
9 be the contribution towards the fixed cost, would it not?

10 MR. VINCE WARDEN: Well, the profit on
11 the individual sale would be a contribution towards those
12 fixed costs. It wouldn't necessarily flow as a -- as a
13 profit to the bottom line, depending on the extent to
14 which those fixed costs may or may not be recovered.

15 MR. BOB PETERS: If the Board considered,
16 hypothetically, Manitoba Hydro had no long term
17 contracts, then how would the embedded costs ever be
18 recovered?

19 MR. VINCE WARDEN: If we had no customers
20 in the export market, then all of those costs, all those
21 embedded costs, would be -- would be recovered from
22 Manitoba ratepayers. But your question may have been not
23 so much the absence of export contracts, but you're --
24 you're talking specifically long-term contracts, are you,
25 Mr. Peters?

1 MR. BOB PETERS: I was referring to long-
2 term in my question.

3

4 (BRIEF PAUSE)

5

6 MR. BOB PETERS: Mr. Cormie and Mr.
7 Warden, what costs are included as embedded costs in the
8 various sales is not determined in accordance with the
9 cost of service study that the Corporation has. You
10 don't -- you don't turn to the cost of service study and
11 say: On whose side of the ledger does this cost go?
12 And, therefore, we will or will not include it in our
13 cost of our export. Would that be fair?

14 MR. VINCE WARDEN: That's fair.

15 MR. BOB PETERS: The cost of service
16 study would be a tool after the fact. Well, I suppose
17 it's prospective, so it would be before the fact in terms
18 of what you would expect is going to happen and who
19 Manitoba Hydro wants to be responsible for certain costs.

20 MR. VINCE WARDEN: Yes. The cost of
21 service studies are conducted independent of any
22 considerations for contract negotiation purposes.

23 MR. BOB PETERS: Is anyone on the panel
24 aware as to the bulk power revenues of the Corporation?
25 And when I say bulk power, I'm looking at the -- the bulk

1 power revenues for generation and transmission minus the
2 -- I guess it'd be minus the fuel and power purchased and
3 -- and water rental, to come up to a bulk power cost. Do
4 you remember those calculations that were done? I think
5 I remember the MIPUG evidence doing it probably the last
6 GRA.

7 MR. VINCE WARDEN: I remember the
8 calculation being done, Mr. Peters; I don't know the
9 specifics of the calculation, though.

10 MR. BOB PETERS: Would you expect that
11 the bulk power revenues have risen over the past five (5)
12 years from approximately three (3) cents to three and a
13 half (3 1/2) cents a kilowatt hour?

14 MR. VINCE WARDEN: Yes.

15 MR. BOB PETERS: Would you -- you -- you
16 would expect that to be the case?

17 MR. VINCE WARDEN: Yes.

18 MR. BOB PETERS: And why would you expect
19 that to be the case? Is that as a result of rate
20 increases and --

21 MR. VINCE WARDEN: It would be strictly
22 as a result of rate increases, yes.

23 MR. BOB PETERS: All right. And in terms
24 of net export revenues, after you deduct those fuel and
25 power purchases and the water rentals, in the past five

1 (5) years the average export rates have been relatively
2 flat or declining by maybe a penny and a half a kilowatt
3 hour, at least most recently, according to what you've
4 indicated?

5 MR. VINCE WARDEN: Yes, definitely
6 declining, probably more than a penny and a half,
7 especially over the last two (2) years.

8 MR. BOB PETERS: Right.

9

10 (BRIEF PAUSE)

11

12 MR. BOB PETERS: What you're telling the
13 Board, Mr. Warden, is that -- that the net export
14 revenues, after deducting fuel and power purchases and
15 water rentals, they may have been relatively flat in the
16 last five (5) years but the last two (2) years they've
17 started to -- they've declined perhaps strongly by at
18 least a penny and a half a kilowatt hour.

19 MR. VINCE WARDEN: Yes.

20 MR. BOB PETERS: Is it Manitoba Hydro's
21 expectation that the domestic bulk rates are likely to
22 remain above average net export revenue rates until
23 Manitoba Hydro brings on its next contract with NSP in
24 2015?

25 MR. VINCE WARDEN: No, I believe that our

1 financial forecast is projecting a recovery in economic
2 conditions over the next twelve (12) to eighteen (18)
3 months and the revenue from export sales, the unit price
4 will go up accordingly.

5 MR. BOB PETERS: Is it Manitoba Hydro's
6 expectation that that unit price will exceed -- the unit
7 price from exports will exceed the unit price from
8 domestic customers in that time frame, Mr. Warden?

9

10 (BRIEF PAUSE)

11

12 MR. VINCE WARDEN: So I think, Mr.
13 Peters, your question was do we expect that the average
14 price in the export market will exceed the price in the
15 domestic market over the next twelve (12) to eighteen
16 (18) months. And I -- I think it would be a qualified
17 "yes". It does depend, to some extent, on -- or to --
18 perhaps to a large extent, on water conditions. With
19 water conditions being as -- as good as they are, at
20 least for Manitoba Hydro, we're selling a lot of energy
21 in the off-peak hours which tends to dilute the price --
22 average price per kilowatt hour.

23 So if we're selling more of that energy in
24 the off-peak -- or the on-peak mark that is with a return
25 to more normal water conditions then the unit cost will -

1 - will increase correspondingly.

2 MR. BOB PETERS: Does that answer apply,
3 Mr. Warden, if you deduct the fuel and power purchases
4 and the water rental costs from -- and -- and calculate
5 it as a bulk rate versus the average export rate?

6

7 (BRIEF PAUSE)

8

9 MR. VINCE WARDEN: It -- it depends, Mr.
10 Peters. I think when you say "deduct water rentals," we
11 typically do that to drive a net export revenue number;
12 however, of course, that's not totally fair. If we were
13 going to -- going to do a domestic versus export
14 calculation there would have to be an apportionment of
15 those water rentals back to the domestic customers as
16 well.

17 I haven't really done that calculation
18 more -- very recently to look at one versus the other.
19 We could -- we could undertake to do that and look at how
20 those numbers are, not only currently, but in accordance
21 with our forecast if that would be helpful.

22 MR. BOB PETERS: I think it would assist
23 the Board. So if you could provide the undertaking that
24 you've offered, that would be greatly appreciated.

25 MR. VINCE WARDEN: We will do that.

1 --- UNDERTAKING NO. 42: Manitoba Hydro to compare the
2 average revenue per kw.h.
3 received by Manitoba Hydro
4 from domestic customers
5 versus extraprovincial
6 customers net of water
7 rentals, and fuel and power
8 purchased allocated to both
9 classes of customers

10

11 CONTINUED BY MR. BOB PETERS:

12 MR. BOB PETERS: Mr. Warden, would it be
13 correct then to summarize part of our discussion about
14 the opportunity sales as concluding that they do not
15 contribute to fixed costs except to the extent that they
16 are in excess of the variable costs?

17 MR. VINCE WARDEN: That's right.

18 MR. BOB PETERS: And to the extent that
19 they're in excess of the variable costs, I suppose to
20 some extent that's the art of negotiation or where the
21 market is on any particular day relative to -- to
22 Manitoba Hydro's variable costs?

23 MR. VINCE WARDEN: I think it depends on
24 what category of sale we're talking about. But, yes, if
25 it's on the opportunity market it's largely driven by the

1 -- the prices in -- in the day-ahead market.

2

3

(BRIEF PAUSE)

4

5 MR. BOB PETERS: I want to get a little
6 bit of information for the Board with respect to the
7 Minnesota Power contract possibility. And again, I'm not
8 asking for any information that this Board has concluded
9 should remain confidential. So please make sure your --
10 your answers don't assume that I'm looking for that
11 information.

12 But would the -- first of all, these two
13 (2) -- there's a sale to Minnesota Power and a sale to
14 Wisconsin Power -- Wisconsin Public Service, that is we -
15 - we've called them the subject -- they're -- they're the
16 subject matter of term sheets. That's the words we've
17 used?

18 MR. DAVID CORMIE: Yes.

19 MR. BOB PETERS: And term sheets, and
20 there's no legal intent here, but it's -- what you're
21 trying to do is establish the parameters under which the
22 two (2) counterparties, Manitoba Hydro and the
23 counterparty will enter into a binding long-term
24 agreement?

25 MR. DAVID CORMIE: Yes, Mr. Peters. From

1 my perspective, if the parties can come to a -- to an
2 early agreement on the major terms and conditions of the
3 transaction, such as price, start and end date, the
4 volume, the nature of the product, and other such
5 significant items, there's a -- a basis for making a
6 commitment to negotiate the balance of the terms and for
7 also taking that power off the market.

8 And, you know, in effect you've got a -- a
9 -- a preliminary commitment. And -- but the -- the term
10 sheets have expiry dates, and when they -- if those dates
11 come and go and -- and the parties agree that
12 negotiations are no longer useful the -- they will
13 expire.

14 So an expiry date is part of that process.

15 MR. BOB PETERS: Manitoba Hydro had term
16 sheets with Minnesota Power and Wisconsin Public Service
17 at the last General Rate Application before this Board,
18 did they not?

19 MR. DAVID CORMIE: Yes.

20 MR. BOB PETERS: It's the same term
21 sheets we're talking about today as we perhaps talked
22 about at the last General Rate Application?

23 MR. DAVID CORMIE: Yes.

24 MR. BOB PETERS: By memory, Mr. Cormie,
25 can you advise the Board as to wh -- what date is on

1 those term sheets? When -- when were they first signed,
2 I guess?

3 MR. DAVID CORMIE: The Minnesota Power
4 term sheet was signed in December of 2007 and the
5 Wisconsin Public Service term sheet was dec -- signed on
6 March 31st, 2008.

7 MR. BOB PETERS: And those are the same
8 term sheets that -- that we're talking about in the
9 evidence that's filed before this Board in these
10 proceedings, sir?

11 MR. DAVID CORMIE: Yes.

12 MR. BOB PETERS: I'd like to get clear on
13 the record, Mr. Cormie, subject to any concerns the
14 Corporation has, in terms of the energy commitments under
15 those term sheets, and I suppose we'd have to assume
16 those term sheets would be contracts, and that's how my
17 questions will be posed. Is that acceptable?

18 MR. DAVID CORMIE: The process of
19 negotiation will result in a -- signed contracts at some
20 point, yes.

21 MS. PATTI RAMAGE: Mr. Peters, just to
22 help me, I wasn't quite clear when you said the term
23 sheets are contracts. If -- if you could maybe elaborate
24 on that assumption, I would -- because they're not.

25 MR. ROBERT MAYER: I thought they sai --

1 I -- I thought I heard the word "agreement" come out of
2 Mr. Cormie's mouth. To me an agreement is a contract.

3 MS. PATTI RAMAGE: The -- the term sheets
4 represent a -- a moment in time, how -- how much has been
5 accomplished to a moment in time, and I think Mr. Cormie
6 explained that well.

7 Certainly from a lay perspective, but
8 there's many terms still to be negotiated. It's just
9 some major terms to kind of look back to have parameters
10 around the negotiations.

11 So I just wanted it clearly understood;
12 there's no signed contract and no obligations to deliver
13 under those term sheets.

14 MR. ROBERT MAYER: But there is an
15 agreement to take that power off the market. I heard
16 that com -- that comment, that -- that that potential
17 power has to be removed from the market and is held to
18 satisfy that contract if and when those term sheets turn
19 into contracts.

20 Isn't that what I heard?

21 MR. DAVID CORMIE: What I said, Mr.
22 Peters (sic), is that Manitoba Hydro won't be shopping
23 that energy to another counterparty during the
24 negotiations.

25 It's the good-faith negotiations that

1 implies that, you know, Manitoba Hydro is satisfied with
2 the price, and the major terms and conditions, and -- and
3 we're committed to that customer, and we're not going to
4 come back after a week and say, Oh by the way we found
5 somebody else.

6 We may -- we may, at the end of the -- at
7 the end of the -- at the expiry date of the term sheet
8 decide that the transaction is -- no longer works for
9 Manitoba Hydro, and at that point we would take it back
10 to the market, but we won't take it back to the market
11 prior to the expiry of the term sheet.

12 MR. ROBERT MAYER: That's what I thought
13 I heard, and that's what I thought was a binding
14 commitment. And that's --

15 MR. DAVID CORMIE: It's not a contract
16 though, Mr. Mayer.

17 MS. PATTI RAMAGE: I think the -- the
18 distinction, Mr. Mayer, is that could the counterparty
19 sue us if we did that, and I -- that's -- that might be
20 the distinction that we're looking at, versus Mr.
21 Cormie's good-faith negotiations.

22 MR. ROBERT MAYER: I -- I'm not going to
23 give a legal opinion on that.

24 MR. DAVID CORMIE: Now, one (1) of the
25 terms of the term sheet, Mr. Mayer, is that we will enter

1 into good-faith negotiations. And good-faith
2 negotiations doesn't involve going out and trying to find
3 another customer at the same time. We have -- we made a
4 commitment and we'll do our best to bring it to
5 conclusion.

6 But it's subject to good-faith
7 negotiations on agreement on the balance of terms and
8 conditions, and if -- if the balance of terms and
9 conditions means that we disagree over credit, or we
10 disagree over Manitoba Hydro's curtailment stack, or
11 things like that, and those become deal breakers, then we
12 wouldn't -- we wouldn't -- we couldn't finalize the
13 transaction, even though we have already agreed to the
14 price.

15 So what we're saying to the con -- we're
16 not negotiating price anymore. We've already set the
17 price. Now we're talk -- talking about the balance of
18 the terms and conditions, and ultimately we have to be
19 satisfied that -- that those are in Manitoba Hydro's best
20 interests, as well.

21 MR. ROBERT MAYER: Mr. -- Mr. Cormie, I
22 understand what you said, and I understand what -- what
23 Ms. Ramage said, but as -- as a number of us who know who
24 have been involved in certain labour negotiations, the
25 idea of bad faith negotiation in itself becomes -- can

1 become actionable.

2 You have, as I understand it, made certain
3 commitments, admittedly only binding over the period of
4 the term sheets which can expire. I think I have a
5 disagreement with Ms. Ramage with respect to what is a
6 contract and what isn't a contract, and I don't suppose
7 we're going to resolve that here and now. Thank you.

8

9 CONTINUED BY MR. BOB PETERS:

10 MR. BOB PETERS: Mr. Cormie, can you
11 advise the Board of the expiry date of the Minnesota
12 Power term sheet?

13 MR. DAVID CORMIE: I'm -- I'm not -- I
14 don't have that date at hand right now. It has been
15 extended several times, and the parties have the option
16 of extending it if -- if they both agree that that's to
17 their mutual benefit, and we do that.

18 MR. BOB PETERS: Has the Wisconsin Public
19 Service term sheet had an expiry date that's ex -- that
20 has been extended?

21 MR. DAVID CORMIE: Similar to the
22 Minnesota Power one (1), we've extended the expiry dates
23 on that as well.

24 MR. BOB PETERS: You don't have the
25 current expiry date?

1 MR. DAVID CORMIE: I -- unfortunately,
2 Mr. Peters, that's confidential information, and even if
3 I knew it I wouldn't be able to tell it to you.

4 MR. BOB PETERS: Then -- then I'm getting
5 comfort from that. You -- you -- are you able to tell
6 the Board what the previous expiry dates were?

7 MR. DAVID CORMIE: No, I can't.

8 MR. BOB PETERS: Is that -- is that
9 something you expect the counterparties could play off as
10 against each other? Is that the -- the reason?

11 MR. DAVID CORMIE: Well, it's part of the
12 -- it's part of the terms and conditions in the term
13 sheets, and the term sheets are bound by confidentiality
14 agreements, and -- and it's one (1) of the clauses that I
15 can't speak about.

16 MR. BOB PETERS: All right, and I thank
17 you for that explanation, sir. Under the Minnesota Power
18 Term Sheet, would the Board be correct in understanding
19 it as a 250 megawatt arrangement?

20 MR. DAVID CORMIE: Could you ask that
21 again, please?

22 MR. BOB PETERS: I'm sorry, yes. Under
23 the Minnesota Power Term Sheet, would the Board be
24 correct in understanding that that transaction
25 contemplates a 250 megawatt agreement?

1 MR. DAVID CORMIE: Yes, it's 250
2 megawatts of system participation power delivered seven
3 (7) days a week, sixteen (16) hours a day.

4 MR. BOB PETERS: Seven (7) days a week,
5 sixteen (16) hours a day. Five (5) by sixteen (16),
6 we've -- we've called that peak energy, correct?

7 MR. DAVID CORMIE: Yes.

8 MR. BOB PETERS: And five (5) by sixteen
9 (16) would translate into about 1,040 gigawatt hours?

10 MR. DAVID CORMIE: Yes.

11 MR. BOB PETERS: And that is considered
12 on-peak, the highest demand component of the day that
13 this contract would -- if it comes to fruition, would
14 service?

15 MR. DAVID CORMIE: Yes.

16 MR. BOB PETERS: You also said it was a
17 seven (7) by sixteen (16), meaning that, in addition to
18 five (5) by sixteen (16), you're also selling energy on
19 weekends, is that correct?

20 MR. DAVID CORMIE: Yeah.

21 MR. BOB PETERS: That's not peak energy.

22 MR. DAVID CORMIE: Well, it's in the peak
23 hours of the -- of -- of the weekends. It's -- it's not
24 overnight energy, so -- and, generally, weekend prices
25 are a little bit softer than they are Monday to Friday,

1 but Saturday and Sunday prices can be the highest prices
2 of the week in those hours. So it's -- it's -- it's --
3 it's not the five (5) by sixteen (16) hours; it's
4 generally a lower -- those are hours that our prices are
5 slightly lower.

6 I think, if my memory serves me, Saturday
7 prices are about 80 percent of weekday prices, and Sunday
8 prices are about 60 percent of weekday prices, but,
9 generally, those Saturday and Sunday prices are higher --
10 much higher than overnight prices.

11 MR. BOB PETERS: You're equating the
12 balance of the off-peak to be overnight?

13 MR. DAVID CORMIE: Yes.

14 MR. BOB PETERS: And so the two (2) by
15 sixteen (16) component will bring -- will obligate
16 Manitoba Hydro to sell about 416 gigawatt hours to
17 Minnesota Power?

18

19 (BRIEF PAUSE)

20

21 MR. DAVID CORMIE: What was your number
22 again, Mr. Peters?

23 MR. BOB PETERS: Four hundred and sixteen
24 (416) gigawatt hours.

25

1 (BRIEF PAUSE)

2

3 MR. DAVID CORMIE: I think that number is
4 way too low, Mr. Peters, but I'll have to check on it.

5 MR. BOB PETERS: I'll share my math with
6 you if you share yours with me. I just took the -- the
7 commitment that you told the Board of 1,040 gigawatt
8 hours on five (5) by sixteen (16) and multiplied it by
9 two-fifths (2/5).

10 MR. ROBERT MAYER: Rather than --

11 MR. DAVID CORMIE: Well, there are --
12 there are 250 megawatts for sixteen (16) hours a day,
13 three hundred and sixty-five (365) days a year. It's
14 1.460 terawatt hours, or -- or 1,460 gigawatt hours a
15 year, Mr. Peters. That's why I'm suggesting that your
16 number is way too low.

17

18 (BRIEF PAUSE)

19

20 THE CHAIRPERSON: I don't think we should
21 be doing this from the back of the envelope, Mr. Peters.

22 MR. DAVID CORMIE: Well, five (5) by
23 sixteen (16) is 20,000 megawatt hours a week. There are
24 fifty-two (52) weeks in a year. That's 1 million
25 megawatt hours. We have an obligation to deliver seven

1 (7) by sixteen (16), so it's more than a million megawatt
2 hours. It's not anywhere close to the four sixty (460),
3 Mr. Peters, so.

4

5 CONTINUED BY MR. BOB PETERS:

6 MR. BOB PETERS: You understood my four
7 sixteen (416) was referenced to the weekend energy only?

8 MR. DAVID CORMIE: Oh, weekend energy;
9 that's what you're asking.

10 MR. BOB PETERS: That's what I intended
11 to ask.

12 MR. DAVID CORMIE: Oh, okay.

13 MR. BOB PETERS: I'm not certain that I
14 did, Mr. Cormie, but I'm surprised we're not agreeing on
15 our math here.

16 MR. DAVID CORMIE: Well. Yes.

17 MR. BOB PETERS: If we look to the
18 Wisconsin Public Service term sheet, Mr. Cormie, it's
19 understood by the Board, I believe, to be a 500 megawatt
20 arrangement.

21 Would that be correct?

22 MR. DAVID CORMIE: Yes.

23 MR. BOB PETERS: So in essence, we can
24 take whatever our numbers were for Minnesota Power and
25 just multiply them by two (2) to come up with the energy

1 that would be provided under that arrangement.

2 MR. DAVID CORMIE: Yes.

3 MR. BOB PETERS: That arrangement is also
4 what you've called a seven (7) by sixteen (16)
5 arrangement.

6 MR. DAVID CORMIE: Yes.

7 MR. BOB PETERS: So we've agreed, I
8 think, on 1,465 gigawatt hours a year to Minnesota Power,
9 and we can double that to close to 2,900 gigawatt hours
10 for Wisconsin Public Service.

11 MR. DAVID CORMIE: Yes.

12 MR. BOB PETERS: Are you able to advise
13 the Board, Mr. Cormie, as to whether any of the two (2)
14 by sixteen (16) portion of the Minnesota Power agreement
15 can be curtailed?

16

17 (BRIEF PAUSE)

18

19 MR. DAVID CORMIE: Mr. Peters, both those
20 contracts have adverse water provisions in there that
21 allow Manitoba Hydro to curtail under those conditions.

22

23 (BRIEF PAUSE)

24

25 MR. BOB PETERS: Is the curtailment of

1 which you speak, Mr. Cormie, related only to the two (2)
2 by sixteen (16) energy?

3 MR. DAVID CORMIE: Yes.

4

5 (BRIEF PAUSE)

6

7 MR. BOB PETERS: When I referred to the
8 term sheets with Wisconsin Public Service and Minnesota
9 Power, Mr. Cormie, the understanding is that these will
10 result in long-term contracts, correct?

11 MR. DAVID CORMIE: Yes.

12 MR. BOB PETERS: Included in the long-
13 term contracts will be a fixed price for certainly the
14 five (5) by sixteen (16) energy.

15 MR. DAVID CORMIE: Unfortunately, Mr.
16 Peters, I can't discuss the nature of the pricing under
17 the contracts -- or under the term sheets, but there --
18 there will be fixed revenues associated with the -- the
19 transactions for sure, yes.

20 MR. BOB PETERS: Can you -- and please be
21 careful in your response, but can you go so far as to
22 indicate that also pursuant to the agreement there will
23 be non fixed-price sales?

24

25 (BRIEF PAUSE)

1 MR. DAVID CORMIE: As with almost all our
2 transactions, Mr. Peters, we structure our -- our
3 transactions -- we're structuring our transactions so
4 that if there is additional energy above Manitoba Hydro's
5 obligations under the contract, that -- that we will --
6 we will want that opportunity to exist in the contract.

7 And -- and the reason for that is that
8 these contracts attract the construction of firm
9 transmission. And Manitoba Hydro wants to be able to use
10 that transmission as a firm outlet to the market and --
11 so in general, and not being specific about any
12 particular contract, they always allow for additional
13 energy sales that are of mutual benefit both to the buyer
14 and to the seller.

15 MR. BOB PETERS: Thank -- thank you for
16 that answer, Mr. Cormie. I'm not sure if you were trying
17 to deflect me intentionally or not, but I -- I was more
18 concerned with the -- any indication, if you can provide
19 one (1) to the Board, as to whether under the term sheets
20 and the expected contracts, there will be energy
21 committed under the seven (7) by sixteen (16)
22 arrangements that will not be priced pursuant to a --
23 long-term fixed prices?

24 MR. DAVID CORMIE: Well, now -- now
25 you're being too specific, Mr. Peters, and I --

1 MR. BOB PETERS: All right.

2 MR. DAVID CORMIE: -- I just hope that
3 you can imply from my previous answer that -- that --
4 just I think you just need to read -- read my previous
5 answer in the transcript and that'll be the answer.
6 Yeah.

7 MR. BOB PETERS: Thank you for that, sir.
8 Mr. Cormie, you mentioned to the Board that curtailment
9 of a portion of the expected agreements with Minnesota
10 Power and Wisconsin Public Service could be curtailed
11 under adverse water conditions. Would that be correct?

12 MR. DAVID CORMIE: Yes, again, as I
13 indicated with the pricing, that's a pretty routine
14 clause that we embed in our contracts. And -- and that's
15 part of the structure of these ones as well.

16

17 (BRIEF PAUSE)

18

19 MR. BOB PETERS: Can you provide the
20 Board with a specific, including a numerical example, of
21 when the adverse water conditions would reduce or
22 eliminate Manitoba Hydro's obligation to supply Minnesota
23 Power and Wisconsin Public Service?

24 MR. DAVID CORMIE: I'd -- I'd -- I'd
25 rather not speak in specifics about those contracts, but

1 I can speak in general terms how these clauses work.
2 When Manitoba Hydro is unable to serve the sale -- the
3 energy in the sales from its own resources. And actually
4 when it expects to not be able to serve the sale from its
5 own resources, that generally creates a situation
6 described as adverse water conditions.

7 So as Manitoba Hydro does its energy
8 planning it looks to the future under a very pessimistic
9 scenario that anticipates the occurrence of low water
10 conditions. It looks at the available resources that it
11 has in its system and compares that to its -- the demands
12 on the system. And if -- if -- if there is a shortfall
13 between what Manitoba Hydro can generate on its own
14 system to its total demand, including the forecast demand
15 from Manitoba customers, that would declare it -- that
16 would provide the opportunity for Manitoba Hydro to
17 declare adverse water. And then --

18 MR. BOB PETERS: Mr. --

19 MR. DAVID CORMIE: And under adverse
20 water conditions it would have the right to curtail
21 deliveries up to the amounts of -- of -- allowed in the
22 contract and exercise its adverse water rights.

23 MR. BOB PETERS: Thank you, Mr. Cormie.
24 Just so the Board is clear, yesterday we reviewed the
25 information from Manitoba Hydro's dependable resources

1 from the Power Resource Plan found at Appendix 47 of
2 these proceedings. It's also in the book of documents at
3 Tab 32.

4 And -- you remember that from yesterday?

5 MR. DAVID CORMIE: Could you say that
6 again, Mr. Peters?

7 MR. BOB PETERS: Yes, sorry. I was just
8 wanting the Board to follow your -- your last answer.
9 When you said that if Manitoba Hydro is unable to serve
10 the export contract from its own resources, that by
11 definition would be adverse water conditions.

12 Did I understand that correctly?

13 MR. DAVID CORMIE: It's -- it's whether
14 it can serve its -- its -- all its commitments, not just
15 its export commitments.

16 So when it -- it looks at its total energy
17 requirement, and that is at Manitoba Hydro's sole
18 discretion to determine what that energy requirement is,
19 and if -- you know, in using good utility practice we
20 will determine that amount.

21 And if we compare that to our supply, and
22 again that's at Manitoba Hydro's sole discretion, if we
23 determine that there is a shortfall, we can exercise our
24 adverse water rights which would allow us to curtail
25 delivery.

1 So what adverse water rights do is allows
2 Manitoba Hydro to avoid having to go to the market to
3 purchase energy to serve a portion of the firm export
4 contract that is -- has -- is curtailable. That's in
5 effect what the adverse water rights do. But again,
6 that's something that is completely under Manitoba
7 Hydro's control.

8 MR. BOB PETERS: When we look at the --
9 at the power resource plan, Mr. Cormie, does that have a
10 bearing in determining whether or not Manitoba Hydro can
11 serve all of its commitments from its own resources?

12 MR. DAVID CORMIE: Manitoba Hydro plans
13 its new resources, assuming that those rights would be
14 exercised.

15 MR. BOB PETERS: You're telling the Board
16 that Manitoba Hydro will go into any particular year
17 intending to serve its domestic customers, and its
18 committed export long term agreements, based on the power
19 resource plan resources.

20 MR. DAVID CORMIE: Yes.

21 MR. BOB PETERS: And so if Manitoba Hydro
22 has the sole discretion to determine whether or not it
23 can serve its domestic load and its export commitments,
24 wouldn't it be bound by what the dependable resources are
25 on the power resource plan?

1 MR. DAVID CORMIE: No. The dependent
2 resources in the resource plan is the capability of the
3 power system, but Manitoba Hydro only -- only needs to
4 have enough resources to meet its load in any particular
5 year. It isn't -- doesn't need to have extra.

6 So imagine the situation where we have
7 just installed Limestone, for example. It -- it all of a
8 sudden created huge additional dependable resources.
9 That didn't br -- that doesn't require Manitoba Hydro to
10 keep its reservoirs full under that circumstance because
11 we don't have a load -- a firm load obligation that comes
12 anywhere close to the potential capability of -- of the
13 power system.

14 If you add a new station, like Limestone
15 or -- or Conawapa, you'll add 7 gigawatt hours to the
16 dependable capability, but we don't have 7,000 gigawatt
17 hours of new dependable load that we have to serve.

18 So that's the theoretical capability.
19 Manitoba Hydro only has to plan its operations so that it
20 has enough resources to serve its load demands and that -
21 - and -- and those -- those will -- could necessarily be
22 much lower than what the dependable capability is.

23 If we've only -- if -- if we put in
24 Conawapa, it increases dependable capability by -- it
25 says 4,500 -- 4,500 gigawatt hours, and -- and the

1 Manitoba firm load has only gone up by a hundred, we
2 don't necessarily have to be capable of generating the
3 entire forty-five hundred (4,500). We only have to be
4 capable of adding 100 gigawatt hours to the system.

5 So that gives us discretion in operating
6 our reservoirs. But what Mr. Surminski has done, he's
7 given Manitoba Hydro the ability, if it had to, if its
8 load -- load requirements were such that it needed to
9 have all those dependable resources available, then as an
10 operator I would be able to operate the power system such
11 that that load could be met.

12 It's like -- a good analogy is the gas
13 tank in your car: you can -- you can go a thousand miles
14 on a full tank of gas, but if your trip is only five
15 hundred (500), you don't really have to keep the gas tank
16 full when you start. You'd say, I can get -- I can get
17 to Regina on half a tank, even though the capability of
18 the car was a thousand, you only need five hundred (500)
19 miles of gas, so you only put five hundred (500) miles of
20 gas in the tank.

21 And that's the difference between the
22 dependable capability and how much gas you actually keep
23 in the car, and that's the -- exactly the way we manage
24 the reservoirs. We -- we only keep the -- the minimum
25 amount necessary in the reservoirs, because if we keep

1 more than that, high water years come along and that
2 extra has -- runs the risk of being spilled, and that
3 becomes an uneconomic activity for Manitoba Hydro. So
4 there's a difference between the capability and what is
5 actually required year to year.

6 MR. BOB PETERS: Thank you for the
7 distinction, Mr. Cormie. Under adverse water conditions,
8 where Manitoba Hydro would be unable to serve all of its
9 commitments from its own resources, those own resources
10 have to include Manitoba Hydro's thermal generation,
11 correct?

12 MR. DAVID CORMIE: Every contract defines
13 what those resources are, Mr. Peters. They may or may
14 not include all the resources. We negotiate those
15 specific adverse water terms and conditions with each
16 customers. Some may include it, some may not; that's a
17 matter of negotiation.

18 And some companies are -- the risk is best
19 shared -- some companies can bear the risk and some but -
20 - companies are -- are better capable of share -- of
21 carrying the risk or not, and that ends up being part of
22 the package: Who's best capable of sharing that risk?
23 And -- and we negotiate all of those terms about what
24 adverse water means, and that's why we keep these very
25 confidential and -- because everyone is different.

1 MR. BOB PETERS: Does that same answer
2 apply, Mr. Cormie, with respect to Manitoba Hydro's
3 import capabilities, as forming part of its own
4 resources?

5 MR. DAVID CORMIE: Import capabilities
6 may or may not -- may not be included in the resources
7 that are used to trigger adverse water rights.

8 Maybe, Mr. Peters, as background,
9 historically we have -- and I'm not speaking about any
10 particular contract, but historically we have backed the
11 sales with market purchases, but -- but as the market has
12 -- has evolved and has become much more volatile and
13 Manitoba Hydro has gas resources in its own system, we've
14 tended to shy away from backing any of the sales with --
15 with resources over which we can't control the price of.

16 And -- and that's been an evolution in the
17 nature of our -- our -- our obligations, is that -- and --
18 - and -- and -- and under the Minnesota Power and
19 Wisconsin Public Service, we're building new hydraulic
20 generation to serve the sale, and so new hydraulic
21 generation doesn't carry any price risk with it. It's --
22 it's -- those sales are being served out of hydro plants
23 that we don't have to go to market for that energy; that
24 energy will always be there.

25 So the new hydraulic -- the new sales are

1 served solely out of new, dependable hydro, not from the
2 entire basket of assets that Manitoba Hydro has -- has
3 available to it. So in -- if -- from that perspective,
4 they are much less risky from a replacement power
5 perspective compared to the contracts that were
6 negotiated several decades ago.

7 MR. BOB PETERS: Thank you for that, Mr.
8 Cormie. I think that will assist the Board in
9 understanding that matter. Under these adverse water
10 condition clauses, and recognizing, I think, as you've
11 said, they -- they vary depending on the counterparty,
12 because counterparties all have different capabilities
13 and risk tolerances, I suppose.

14 That's what you're indicating, correct?

15 MR. DAVID CORMIE: Yes.

16 MR. BOB PETERS: And would it be correct
17 that, under these adverse water conditions, if it is
18 declared by Manitoba Hydro, it's -- it's not subject to -
19 - to an audit by the counterparty or some external party?

20

21 (BRIEF PAUSE)

22

23 MR. DAVID CORMIE: Again, speaking
24 generally, Mr. Peters, there are no audit provisions
25 associated with the declaration of adverse water. But I

1 would suppose that a counterparty could feel that
2 Manitoba Hydro's in breach of its obligations and -- and
3 take other remedies, but there are no audit provisions.
4 The -- these provisions are generally at Manitoba Hydro's
5 sole discretion because, ultimately, it's the Manitoba
6 load that people put at risk, and we don't want to -- we
7 want to be able to control the -- control that aspect.

8 MR. ROBERT MAYER: Having a drought
9 wouldn't exactly be a secret to people in Minnesota or
10 Wisconsin.

11 MR. DAVID CORMIE: No, it wouldn't, and -
12 - and we don't intend to keep it a secret, Mr. Mayer.
13 These relationships with these companies are longstanding
14 and we want them to be customers well into the future,
15 and there's nothing to be gained through not being open
16 and -- and -- with them with regard to how we were
17 operating the power system.

18 Ultimately, because of Manitoba Hydro's
19 curtailment rights, the risk is actually borne by them,
20 and -- and I think it's just part of Manitoba Hydro's
21 practice of doing business that -- that we treat them
22 with respect and we're open and -- and that -- I think
23 that stands in our good stead.

24

25 CONTINUED BY MR. BOB PETERS:

1 MR. BOB PETERS: Would it also be correct
2 though, Mr. Cormie, recognizing that the marketplace has
3 changed since 2003, that in 2003/04 there may have been
4 advantages to Manitoba Hydro to keep its energy situation
5 and supply situation as confidential as possible?

6 MR. DAVID CORMIE: You know, I -- I think
7 that would have been -- if that had been the option -- an
8 option, that would have been per -- something we would
9 have liked to have had. Unfortunately, the nature of our
10 -- our -- who controls the transmission lines in the
11 United States didn't give us that option, and we have to
12 be -- we had to do joint energy planning, Mr. Peters.

13 MR. BOB PETERS: All right. Just trying
14 to finish up on this adverse water condition for now, Mr.
15 Cormie, would the Board's understanding be correct that
16 if Manitoba Hydro declares adverse water conditions, then
17 Manitoba Hydro can, in essence, walk away from the
18 obligation to supply the energy pursuant to the
19 arrangements with counterparties?

20 MR. DAVID CORMIE: I don't like the word
21 -- the words "walk away." We are -- we would be
22 exercising our legitimate rights under the contract, Mr.
23 Peters, to -- to reduce the deliveries from -- as allowed
24 under the contract. It's not a walking away of anything.
25 It's just exercising an option that Manitoba Hydro

1 negotiated and nobody would view that as Manitoba Hydro
2 walking away from it's obligations. We have that -- we
3 have that right and that option and we are exercising it.
4 That's...

5 MR. BOB PETERS: Certainly those are my
6 words, Mr. Cormie, and I was -- I was using it for
7 effect, and it did catch your attention. But all it was
8 suggested to mean is that if Manitoba Hydro declares
9 adverse water conditions, it's Manitoba Hydro's
10 understanding that it does not have an obligation to
11 deliver the energy either physically or financially.

12 MR. DAVID CORMIE: Yes, and we don't plan
13 under design conditions to supply that energy, and our
14 counterparties are quite aware of that, so this is not
15 something that is a surprise to them. And as they have
16 the right to exercise provisions in the contract that are
17 to their benefit, they expect that we will do the same.
18 There -- there are no surprises here, Mr. Peters.

19 MR. BOB PETERS: Mr. Chairman, I'm going
20 to turn to the NSP contract, but this might be an
21 opportune time for a morning recess.

22 THE CHAIRPERSON: Very good, sir.

23

24 --- Upon recessing at 10:48 a.m.

25 --- Upon resuming at 11:11 a.m.

1 (BRIEF PAUSE)

2

3 THE CHAIRPERSON: Okay, Mr. Peters.

4 MR. BOB PETERS: Thank you, Mr. Chairman.

5

6 CONTINUED BY MR. BOB PETERS:

7 MR. BOB PETERS: I may have been
8 premature in speaking before the break about moving on to
9 the NSP contract, Mr. Cormie. I -- I want to just cover
10 up, I think, another area on the NSP -- I'm sorry, on the
11 WPS and the MP as we've been calling them, Minnesota
12 Power and Wisconsin Public Service term-sheeted
13 agreements, if that's the correct use of the word.

14 From your evidence you were indicating to
15 the Board that the term sheets were, in my words, to nail
16 down the -- the key points of any agreement going forward
17 if possible. And then maybe work out some of the other
18 agreements or other provisions related to the long-term
19 contract.

20 Would that be a correct simplification?

21 MR. DAVID CORMIE: Yes, I think -- I --
22 we had talked about earlier, that was the -- there was an
23 agreement at that moment in time and enough agreement
24 that both companies would invest in further discussions.
25 And I think the -- the -- the idea that they're actually

1 -- we actually locked in those key points may have been
2 overstated.

3 I think that as the negotiations go on the
4 customer may -- may change their requirements and ask for
5 some more optionality, and that may result in price
6 adjustments and -- and that's what happens through the
7 negotiations as we talk through the details, you know, we
8 -- we will -- the -- the terms and conditions of the term
9 sheet, even the major ones, may be adjusted but they're
10 all subject to the negotiation process.

11 MR. BOB PETERS: When you say
12 optionality, what should the Board understand you to be
13 referring to? Can you provide examples of that?

14 MR. DAVID CORMIE: Yeah, one (1) example
15 might be, you know, Manitoba Hydro in a particular
16 negotiation may want to index the price of power to
17 natural gas prices and that's the basis of our setting
18 the price and its adjustment with time. The customer may
19 decide that natural gas is not something he wants to tie
20 the price to any more and he may suggest an alternative.
21 Manitoba Hydro would accept the alternative and we would
22 determine what the incremental cost of -- of moving from
23 one (1) index to another index, and we could adjust the
24 price on that basis.

25 There may be a provision -- other -- other

1 provisions of the contract that we can monetize and turn
2 into a price adjustment, or there may be terms and
3 conditions that -- that -- that are favourable to
4 Manitoba Hydro that we would like and there may be terms
5 and conditions -- adjustments to the terms and conditions
6 that they may like and there could be a -- a swap of --
7 of what would be deemed to be of equivalent value.

8 So they don't all necessarily result in a
9 price adjustment, but -- but price adjustments can be
10 made to the basic -- to the opening price that was
11 established in the term sheet, subject as the
12 negotiations go on.

13 MR. BOB PETERS: It sounds like those
14 pricing adjustments are relatively minor relative to the
15 -- the main fixing of the price for the long-term energy.

16 MR. DAVID CORMIE: They can be
17 significant, Mr. Peters, because of -- you know, I -- I
18 wouldn't say that they are -- are always minor. They are
19 -- they can be significant.

20 MR. BOB PETERS: You're not able to tell
21 the Board what, if any, fact situation has given rise,
22 without identifying the counterparty, to changes in
23 pricing provisions?

24 MR. DAVID CORMIE: I -- I can't speak in
25 any detail about specific cases, but I think just your --

1 your comment that -- that these are just minor
2 adjustments to price, I think that -- that is a -- not
3 gen -- it's not necessarily always true.

4 MR. BOB PETERS: What is true, Mr.
5 Cormie, is that when Manitoba Hydro entered into the term
6 sheets with Minnesota Power and Wisconsin Public Service,
7 Keeyask was on the capital expenditures forecast at about
8 \$3.8 billion, correct?

9 MR. DAVID CORMIE: Yes.

10 MR. BOB PETERS: And I was referring to
11 CEF, the capital expenditure forecast of '08. What's
12 happened since then is the capital costs of Keeyask have
13 gone up 50 percent to about \$5.6 billion in Capital
14 Expenditure Forecast number 10, correct?

15 MR. DAVID CORMIE: Yes, subject to check.

16 MR. BOB PETERS: And the energy to serve
17 the Minnesota Power and/or Wisconsin Public Service term-
18 sheeted arrangements was to come from new generation,
19 including Keeyask, correct?

20 MR. DAVID CORMIE: Yes.

21 MR. BOB PETERS: And just as Keeyask has
22 gone up 50 percent from Capital Expenditure Forecast '08,
23 Conawapa has gone up 56 percent from Capital Expenditure
24 Forecast '08 to Capital Expenditure Forecast '10. Do you
25 agree with that?

1 MR. DAVID CORMIE: Yes.

2 MR. BOB PETERS: Recognizing the capital
3 costs have increased significantly for Manitoba Hydro,
4 and that's on the generating station side, the Bipole 3
5 costs have gone up even greater by as much as 82 percent
6 from the capital expenditure forecast of a couple of
7 years ago until the most recent one (1), sir?

8 MR. DAVID CORMIE: Yes, but those costs
9 are not related to the sales.

10 MR. BOB PETERS: You can't get the
11 Conawapa power to Minnesota Power or Wisconsin Public
12 Service without Conawapa, can you?

13 MR. DAVID CORMIE: No, but Manitoba Hydro
14 is building Bipole 3 whether it builds Conawapa or not.

15 MR. BOB PETERS: I see. You -- your
16 suggestion is that Manitoba ratepayers will pay for the
17 Bipole 3 and it won't be considered as a factor in the --
18 in the export sales assessment.

19 MR. DAVID CORMIE: To the extent that
20 there are costs associated with the sales, those costs
21 will be included in the -- the analysis of the
22 transactions with Minnesota Power and Wisconsin Public
23 Service.

24 MR. BOB PETERS: Will those costs incur -
25 - include any costs attributable to Bipole 3?

1 MR. DAVID CORMIE: I -- I don't know that
2 answer, whether there are any -- to the extent that there
3 are costs they will be incl -- included in the analysis.
4 There may be some minor costs. I don't -- I don't have
5 that answer.

6 MR. VINCE WARDEN: But maybe I can just
7 add, Mr. Peters, we do compare the sale scenario versus
8 the no-sale scenario, so we know the benefits of the sale
9 scenario as a package, which -- it provides assurance
10 that the benefits, in fact, are there versus not
11 proceeding with the sales.

12 MR. BOB PETERS: The suggestion in that
13 answer, Mr. Warden, is that none of the two point two
14 (2.2), or perhaps \$4 billion, attributable to Bipole 3
15 will be considered as costs to affect the new term-
16 sheeted sales?

17 MR. VINCE WARDEN: Well, I think Mr.
18 Cormie was answering that Bipole 3 is required for
19 reliability purposes, which it is, and it would be there
20 in both the sale and no-sale scenarios. So, when
21 comparing the two (2) scenarios, what we want to assure
22 ourselves of is that the sale scenario is advantageous in
23 terms of net benefits to Manitoba, Manitoba ratepayers.

24 MR. BOB PETERS: But --

25 MR. ROBERT MAYER: Accepting your concern

1 about, or at least your comments about, Bipole 3 being
2 required in any event, in a related matter, if you didn't
3 have Bipole 3, would you require Riel Converter Station?

4 MR. VINCE WARDEN: We would not require
5 the converter station, no.

6 MR. ROBERT MAYER: Am I correct in
7 assuming that what I saw when I last drove by there is
8 you are in fact at this moment constructing Riel?

9 MR. VINCE WARDEN: That's not the
10 converter station, though, Mr. Mayer; that's the Riel
11 station, which is required regardless of whether Bipole 3
12 is built.

13 MR. ROBERT MAYER: The construction I saw
14 then doesn't relate to the converter station. Did I in
15 fact find the right place this time, however?

16 MR. VINCE WARDEN: Yes. The site is the
17 same.

18 MR. DAVID CORMIE: The -- the new Riel
19 Station, Mr. Mayer, is to move the termination point of
20 the 500 kV interconnection to the United States from
21 Dorsey to Riel so that we don't have all that
22 transmission concentrated in that same location. So
23 that's part of the Riel sectionalization project.

24

25 CONTINUED BY MR. BOB PETERS:

1 MR. BOB PETERS: Mr. Warden, just a point
2 of clarification on the Vice Chair's question that if the
3 -- if the Bipole 3 was not constructed, it wouldn't need
4 the Riel Converter Station, and there's also the
5 converter station in northern Manitoba that wouldn't be
6 needed?

7 MR. VINCE WARDEN: That's right.

8 MR. BOB PETERS: Mr. -- Mr. Warden, help
9 me with the accounting here. If you include the costs of
10 Bipole 3 in the sale scenario and compare that to the
11 costs of the no-sale scenario, the no-sale scenario will
12 also include the costs of Bipole 3, correct?

13 MR. VINCE WARDEN: Yes.

14 MR. BOB PETERS: So it washes itself out
15 or it cancels itself out?

16 MR. VINCE WARDEN: In effect, yes.

17 MR. BOB PETERS: Yeah.

18

19 (BRIEF PAUSE)

20

21 MR. BOB PETERS: Mr. Cormie, Mr. Warden,
22 can Manitoba Hydro provide the Board with any comfort or
23 assurance that, while the capital costs of Keeyask and
24 Conawapa have -- have gone up by 50 and 56 percent, that
25 the price of the energy in the contracts or the term

1 sheets that have been signed back in December of 2007 and
2 March 31 of 2008 have been adjusted to reflect the
3 additional costs that Manitoba Hydro will have to incur
4 to serve those agreements, if they come into fruition?

5 MR. DAVID CORMIE: Mr. Peters, maybe I
6 can describe the process that will take place before
7 those sale agreements are approved and before Manitoba
8 Hydro commits itself to these projects.

9 My responsibility is to negotiate the best
10 possible value for Manitoba Hydro under the sales
11 agreements, and once I have done that, I -- Manitoba
12 Hydro turns that transaction over to -- to an independent
13 analysis of revenues and costs associated with the sale,
14 and justifies -- I don't justify the business case; the
15 business case is justified by an independent area of
16 Manitoba Hydro. And then that business case is taken
17 forward to our executive and to our Board of Directors,
18 and -- and -- and that business case will be made based
19 on all the costs associated with the sale and the
20 expected revenues.

21 And if -- if we can't make that business
22 case, our Board of Directors and our executive will not
23 go forward with the -- with the sale transactions. This
24 is not a foregone conclusion but -- and -- and so there
25 is -- there's -- there's more to be done than just

1 negotiating a transaction.

2 Then we have to do our due diligence and -
3 - and our internal reviews at Manitoba Hydro to en -- to
4 ensure that in spite of the cost increases associated
5 with these -- construction of these new projects that it
6 still brings value to Manitoba Hydro.

7 MR. VINCE WARDEN: I might just add too,
8 Mr. Peters, as we have stated previously, that there will
9 be a needs for and justification to review -- or the
10 NFAAT review that will be conducted prior to these sales
11 being approved and new generation being constructed to
12 serve those sales. So I think this Board can take
13 considerable comfort from the fact that that proceeding
14 will be conducted at a future date.

15 MR. ROBERT MAYER: Mr. Warden, it is
16 difficult to take comfort when this Board neither knows
17 when nor by whom such a review will be conducted.

18 MR. VINCE WARDEN: Well, Mr. Mayer, I
19 think I did give some timelines as to when we expected
20 that would be. The by whom part is a decision of
21 government, yeah.

22 MR. ROBERT MAYER: I understand that.

23 MR. DAVID CORMIE: And I think one (1)
24 last point, Mr. Peters. Each of these contracts requires
25 Manitoba Hydro to -- to build major generation. And

1 there are conditions precedent in the contracts that --
2 that require the approval of these projects by the
3 Manitoba Hydro Board and completion of all the regulatory
4 processes. And so even today, if the analysis was done
5 and it showed it to be a positive thing, the -- the day
6 of actual commitment to the new generation is many years
7 away.

8 And so, if Manitoba Hydro chooses not to
9 build new generation and -- and the decision to let the
10 general civil contract is in 2018, there's still six (6)
11 years of time that the -- the Board of Manitoba Hydro may
12 decide at that point we don't have to build -- we're not
13 prepared to build new generation. Manitoba Hydro has the
14 right under the contract to terminate it. It's subject
15 to the -- to the decision by Manitoba Hydro to -- to
16 build facilities. And if the Board, for whatever reason,
17 chooses not to, the -- the contract allows -- the -- the
18 contract stops; our obligation ceases.

19 So there's -- there are very -- there are
20 many steps that are -- are trigger points in -- in the
21 contract that -- that -- actually, that process begins
22 with the signing of the agreement. It doesn't make the
23 commitment to build generation; it says that that's the
24 direction we're going to go. And if Manitoba Hydro's
25 situation changes over the next five (5), eight (8) years

1 either because we don't get regulatory approval in Canada
2 or the US, or the new transmission line doesn't get
3 constructed, or we choose not to build new generation
4 because it's no longer a good deal, those conditions have
5 been established in the contract as reasons for not
6 proceeding.

7 THE CHAIRPERSON: Mr. Warden, if I could
8 just follow up on that. In considering the business
9 case, assuming the negotiations conclude and the process
10 that Mr. Cormie and yourself were outlining follows
11 through, I take into account -- would it be fair to say
12 that the business case would take into account the
13 significant expenditures that are being incurred and have
14 been incurred towards implementing the preferred
15 development plan?

16 MR. VINCE WARDEN: Certainly the
17 financial analysis will take into account the sunk costs.
18 The economic analysis typically doesn't do that, but the
19 financial analysis will. Those costs have to be
20 recovered from somebody. So certainly going forward in
21 the sale/no-sale scenarios we do take into account the
22 costs that have been incurred to date.

23 THE CHAIRPERSON: Thank you, sir.

24

25

(BRIEF PAUSE)

1 CONTINUED BY MR. BOB PETERS:

2 MR. BOB PETERS: In that last answer, Mr.
3 Warden, you're telling the Board that you didn't agree
4 with me when I said hundreds of millions of dollars, but
5 \$25 millions of dollars a month being spent on the
6 Keeyask and Conawapa projects currently. That money
7 would be -- you called it a sunk cost. It would be a
8 cost that would be written off if the project didn't
9 proceed?

10 MR. VINCE WARDEN: Well, that would be
11 one (1) of the options if the project didn't proceed. If
12 the sales didn't proceed, it probably would be a more
13 accurate way of describing it. If the sales didn't
14 proceed then we would look at the options for the next
15 generation to serve solely the Manitoba load or perhaps
16 some other options. Perhaps a sale with another
17 counterparty could be -- could be negotiated.

18 So a writeoff of those costs would be a
19 very last resort. I -- I do expect these facilities will
20 be built and the costs will be recovered in those -- the
21 future rates that are associated with those facilities.

22 MR. BOB PETERS: But Manitoba Hydro has
23 said that with all of its northern generation, that any
24 expenses made for northern generation, Manitoba Hydro
25 will capitalize those in the expectation that someday

1 those facilities would be built regardless of where they
2 are?

3 MR. VINCE WARDEN: Well, the accounting
4 rules have tightened up a little bit on that under IFRS,
5 and what we previously referred to as planning studies
6 were -- by we would capitalize those costs and amortize
7 them over fifteen (15) years. Not -- we're not -- don't
8 have the same latitude to do that.

9 So going forward we would have to have
10 some assurance that those facilities would be built
11 before we could capitalize and -- and defer those costs.
12 Otherwise, planning studies would be charged to the
13 period in which they're incurred.

14 MR. BOB PETERS: Well, that's putting the
15 hundreds of millions of dollars a year that's being spent
16 on Keeyask and Conawapa right now at risk then, is it
17 not?

18 MR. VINCE WARDEN: No. No, because we
19 would consider Conawapa and Keeyask to be projects for
20 which there is reasonable assurance they will proceed.
21 So reasonable assurance is the key term in -- in making a
22 decision as to whether or not those costs will be
23 capitalized or written-off in the period in which they're
24 incurred.

25 MR. BOB PETERS: What's the reasonable

1 assurance if the term-sheeted arrangements with Minnesota
2 Power and Wisconsin Public Service don't come to
3 fruition?

4 MR. VINCE WARDEN: Well, we still believe
5 that the sites for Conawapa and Wis -- and Keeyask are
6 extremely valuable and we'll be -- and we will be --
7 those facilities will be built. We're firmly of that --
8 of that view.

9

10 (BRIEF PAUSE)

11

12 MR. BOB PETERS: Would the Board's
13 understanding be correct, Mr. Cormie and Mr. Warden, that
14 as you go down this path with the term sheets, if -- the
15 counterparty essentially can change its position, or in
16 my words, back out at any time without penalty. Would
17 that be correct?

18

19 (BRIEF PAUSE)

20

21 MR. DAVID CORMIE: Yes, the -- the term
22 sheets allow for that.

23 MR. BOB PETERS: And there's no financial
24 commitment required by the term-sheeted counterparty in
25 the event they want to walk away from the term sheets at

1 this point in time?

2 MS. PATTI RAMAGE: I'm not -- I'm not
3 sure it's beneficial for Manitoba Hydro or its ratepayers
4 for witnesses to start opining on what counterparties can
5 -- what we think counterparties may or may not be allowed
6 to do under the term sheets.

7 I -- I'm concerned about the line of
8 questioning.

9 MR. DAVID CORMIE: And my -- I think, Mr.
10 Peters, I -- I don't think I can answer that question at
11 this time because that would be revealing the terms and
12 conditions of the term sheet, and -- and I'm not prepared
13 to do that.

14

15 (BRIEF PAUSE)

16

17 CONTINUED BY MR. BOB PETERS:

18 MR. BOB PETERS: Let's turn, if we can,
19 to the Northern States Power, NSP, Agreement, Mr. Cormie.
20 You've told the Board you have an existing one (1) that
21 expires in 2015, and you want to renew that one (1) so it
22 runs for a further ten (10) years past 2015 all the way
23 out to 2025. Have we got that right?

24 MR. DAVID CORMIE: There's an existing
25 one (1) that expires in 2015 and then the -- there are

1 two (2) diversity agreements that expire shortly
2 thereafter, and so there are three (3) agreements that
3 are approaching their expiry date. And these -- the --
4 the current -- the new agreements extend those agreements
5 out to 2025.

6 MR. BOB PETERS: And we should -- the
7 Board should consider the three (3) agreements as -- as
8 part of a package.

9 MR. DAVID CORMIE: They are a package,
10 yes.

11 MR. BOB PETERS: And correct me if I'm
12 wrong, Mr. Cormie, but the Board would understand from
13 your previous evidence that the contract with NSP
14 anticipates the fixed-price component to be, I believe,
15 about 25 percent of the potential sales obligation?

16 MR. DAVID CORMIE: Do you have a
17 reference for that, Mr. Peters?

18 MR. BOB PETERS: I -- I remember
19 discussing the provisions with you, Mr. War -- or Mr.
20 Cormie, where a percentage of the arrangement was long-
21 term. Then there was some diversity and some
22 opportunity, and I thought we had agreed that it was
23 roughly 25 to 30 percent, or maybe 33 percent fixed, and
24 the balance would have been the -- the non fixed-price
25 portion.

1 You don't recall that discussion?

2 MR. DAVID CORMIE: I -- I don't remember
3 discussing on the record that -- those quantum, but --
4 but there is a fixed component to the transaction, and
5 there's a variable pon -- component to the transaction.

6 MR. BOB PETERS: All right. And you
7 don't want to put on the record what the -- what the
8 quantity is of each?

9 MR. DAVID CORMIE: No.

10

11 (BRIEF PAUSE)

12

13 MR. BOB PETERS: Would the Board's
14 understanding be correct that the fixed-price component
15 of the NSP contract will contribute essentially a full
16 share of the embedded costs incurred by Manitoba Hydro
17 but the balance would be a function of the market?

18 MR. DAVID CORMIE: There are no em --
19 embedded costs to recover associated with this contract,
20 Mr. Peters. This is being done out of -- out of existing
21 facilities and -- so there -- there are no embedded costs
22 to consider here.

23 MR. BOB PETERS: You're telling the Board
24 that the -- the measuring stick on the NSP arrangement is
25 then the incremental costs that would be incurred to

1 serve the arrangement?

2 MR. DAVID CORMIE: Yes. There are times
3 when Manitoba Hydro will be incurring additional costs to
4 run its generating system and participate in market
5 activities to serve the -- to the sale. There aren't --
6 but there aren't -- we are not spending any capital
7 dollars in order to facilitate the sale.

8

9 (BRIEF PAUSE)

10

11 MR. BOB PETERS: When you say there are
12 no capital dollars being expended to serve the NSP sale,
13 you're telling the Board that it can be served under
14 existing Manitoba Hydro resources without the need for
15 Wuskwatim or any other generating station.

16 MR. DAVID CORMIE: Yes.

17 MR. BOB PETERS: And because of that,
18 Manitoba Hydro wouldn't notionally charge any of the
19 costs of new generation against the NSP arrangement.

20 MR. DAVID CORMIE: The third agreement of
21 the -- of the sale, the 125 megawatt system participation
22 power sale agreement has -- is -- is dependent on the
23 construction of new generation in Manitoba, and -- and
24 that may -- because of that linkage, there could be that
25 effect that you're talking about, but, as of now,

1 Manitoba Hydro is not obligated to exercise that option.
2 We haven't committed to building new generation. We
3 haven't made that decision, and we'll make that decision
4 at some time in the future.

5 MR. BOB PETERS: Can you explain to the
6 Board, Mr. Cormie, Manitoba Hydro's obligation to supply
7 summer energy to NSP when adverse water conditions have
8 not been declared?

9 MR. DAVID CORMIE: Under the -- the 375 -
10 - 325 megawatt sale agreement, Manitoba Hydro is
11 obligated to sell to NSP 375 megawatts, sixteen (16)
12 hours a day, five (5) days a week, during the summer
13 season.

14 MR. BOB PETERS: That'd be approximately
15 780 gigawatt hours of energy, Mr. Cormie? Seven hundred
16 and eighty (780) maybe?

17 MR. DAVID CORMIE: Yes, thereabouts,
18 yeah.

19 MR. BOB PETERS: Is there also an
20 obligation in the summer to sell weekend energy that
21 we've previously referred to as two (2) by sixteen (16)?

22 MR. DAVID CORMIE: No.

23 MR. BOB PETERS: Can you tell the Board
24 whether that is optionally available to NSP?

25 MR. DAVID CORMIE: Manitoba Hydro has the

1 right but not the obligation to sell additional energy to
2 NSP above and beyond the five (5) by sixteen (16)
3 obligation, and -- and NSP has an obligation to buy it.
4 But it's an -- it's at -- always at Manitoba Hydro's
5 option.

6

7

(BRIEF PAUSE)

8

9 MR. BOB PETERS: Is the same arrangement,
10 but to -- but only to 325 megawatts, the situation in the
11 -- in the winter, Mr. Cormie?

12 MR. DAVID CORMIE: Yes, with the
13 exception that the hours of delivery change from sixteen
14 (16) hours a day to twelve (12) hours a day.

15 MR. BOB PETERS: And again, there's --
16 there's no obligation to provide weekend firm energy, but
17 if Manitoba Hydro chooses, then there'll be an obligation
18 on behalf of the counterparty to purchase it?

19 MR. DAVID CORMIE: Yes.

20 MR. BOB PETERS: Would you be able to
21 advise the Board, Mr. Cormie, if NSP would have an
22 obligation to purchase any additional energy that
23 Manitoba Hydro could make available during the peak
24 periods of either the summer or the winter?

25 MR. DAVID CORMIE: Yes, Mr. Peters.

1 There's 892 megawatts of firm transmission connecting
2 Manitoba to Minnesota that is controlled by Northern
3 States Power, and if Manitoba Hydro has additional energy
4 above and beyond the -- the capacity amount, whether it's
5 three hundred and seventy-five (375) in the summer or
6 three hundred and twenty-five (325) in the winter,
7 Manitoba Hydro can require NSP purchase the additional
8 energy that might be available above the capacity amount,
9 up to the total of 892 megawatts. So we have the right
10 to put energy above the fixed energy amounts and NSP has
11 an obligation to buy, and -- and that's true on or off-
12 peak, Mr. Peters.

13

14 (BRIEF PAUSE)

15

16

17 MR. BOB PETERS: In terms of, Mr. Warden,
18 the prepare -- the preparation of the IFF, and Mr. Cormie
19 and Mr. Surminski you can maybe help, does the IFF
20 include the five (5) by sixteen (16) as well as the five
21 (5) by twelve (12) energy, totalling 1,365 gigawatt hours
22 of Manitoba Hydro's must supply?

23

MR. HAROLD SURMINSKI: Yes, it does.

24

25 MR. DAVID CORMIE: Mr. Peters, there's a
difference between supplying and -- and selling. We're
obligated to sell it to them. We're not obligated to

1 supply it to them. We can use the market mechanisms to
2 supply it. And we have an obligation to offer. So I
3 think just -- but -- but I think Mr. Surminski's answer
4 is right. The revenues that would flow to Manitoba Hydro
5 are there.

6

7

(BRIEF PAUSE)

8

9 MR. BOB PETERS: What -- what I think
10 you're clarifying on the record, Mr. Cormie, is that if
11 Manitoba Hydro had to supply that energy, then the IFF
12 would include a larger -- a larger number.

13 MR. DAVID CORMIE: No, I'm just im --
14 implying that -- that the revenues are exactly the same;
15 it's just that the choice of your word "must supply" is
16 different than must sell.

17 MR. BOB PETERS: All right. Leave that
18 with me and I'll -- I'll work my way through those --
19 through those comments.

20

21

(BRIEF PAUSE)

22

23 MR. BOB PETERS: Mr. Cormie, Manitoba
24 Hydro's obligations to supply when adverse water
25 conditions have not been declared is the five (5) by

1 sixteen (16) and five (5) by twelve (12)?

2 Are you going to say, no?

3 MR. DAVID CORMIE: Our obligation to
4 supply off Manitoba is limited to our must-offer
5 obligation, which is the capacity amount for four (4)
6 hours a day for each day of the week. And if our offer's
7 accepted, if it's in merit, then we must be able to
8 supply that.

9 Must sell is we must -- what we're -- what
10 we have -- we have an obligation to sell to NSP but we
11 may choose to purchase the energy to serve the sale, so
12 selling and supplying and offering are three (3)
13 different activities.

14 MR. BOB PETERS: All right, the light's
15 starting to go on for me. I thank you for that, Mr.
16 Cormie.

17 I want to turn to a situation where, under
18 the diversity arrangements, if adverse water conditions
19 have been declared, would NSP have to supply energy
20 greater back to Manitoba than what Manitoba Hydro
21 provided to NSP in the first place?

22

23 (BRIEF PAUSE)

24

25 MR. DAVID CORMIE: If Manitoba Hydro

1 exercised all its adverse water rights under the
2 contract, Manitoba Hydro has the right to more energy
3 than it is obligated to sell to Northern States Power.
4 So from that perspective there are more energy resources
5 available to Manitoba Hydro under its adverse water
6 rights than it's required to sell back to Northern States
7 Power.

8 So from -- were sold in the first place.
9 So the -- the sale is not only self-supporting, it
10 actually ha -- there are actually additional resources
11 about what's required.

12 MR. BOB PETERS: Meaning Manitoba Hydro
13 can purchase under the diversity more than it sells under
14 the diversity?

15 MR. DAVID CORMIE: More than it sells
16 under the diversity and under the -- the three seventy-
17 five (375)/three twenty-five (325), yes. There are more
18 resources available than -- or we -- we can purchase more
19 than we're required to sell.

20 MR. BOB PETERS: Manitoba Hydro also has
21 rights to purchase additional win -- winter energy in --
22 in block increments, does it not?

23 MR. DAVID CORMIE: The adverse water
24 provisions are all winter energy, Mr. Peters. And -- and
25 some of it's available under the three seventy-five

1 (375)/three twenty-five (325) agreement and some of it's
2 available under the Diversity Agreement.

3 MR. BOB PETERS: How do you know under
4 which agreement the -- the provision would apply?

5 MR. DAVID CORMIE: We have the choice.

6 MR. BOB PETERS: The choice would be
7 exercised dependent on the price?

8 MR. DAVID CORMIE: That would be one (1)
9 of the factors, yes.

10 MR. BOB PETERS: What would be another
11 factor, if any?

12

13 (BRIEF PAUSE)

14

15 MR. DAVID CORMIE: I -- I'm not -- I
16 can't think of a -- a circumstance, but I would just
17 suggest that it's not always limited to price. The --
18 the heat rate call option has -- the conditions under
19 which that ex -- would be exercised are -- are quite
20 onerous, and it may that -- be that Manitoba Hydro would
21 want some flexibility in -- in making its decision and --
22 and that flexibility may have value and that may offset
23 some of the -- the price issues.

24 So we have to -- we would decide at that
25 time what would the appropriate thing would be to do

1 given -- given that price is surely a significant item.
2 And it all -- it also looks at where the market is at
3 that -- at that time, relative to the price that's set in
4 the contract.

5 MR. BOB PETERS: Can you explain to the
6 Board when the heat rate call option would become
7 operational or at least an option to be considered?

8

9 (BRIEF PAUSE)

10

11 MR. DAVID CORMIE: Manitoba Hydro has to
12 exercise that right by September 15th of the contract
13 year to exercise the heat rate call option.

14

15 (BRIEF PAUSE)

16

17 MR. BOB PETERS: And it would only be
18 exercised under a declaration of adverse water
19 conditions?

20 MR. DAVID CORMIE: We would have to have
21 -- we would have to declare adverse water conditions in
22 order to exercise that right, yes.

23 MR. BOB PETERS: Can you explain to the
24 Board the mechanics of how the heat rate call option
25 would impact Manitoba Hydro's costs to serve the NSP

1 arrangement?

2

3

(BRIEF PAUSE)

4

5 MR. DAVID CORMIE: The -- the heat rate
6 call option is one (1) of -- of several options that
7 Manitoba Hydro could use to fulfill its obligation to NSP
8 during the winter season.

9 One (1) option is to -- is to buy the
10 energy in the spot market, and risk the volatility of
11 that market. One (1) option is to enter into a bilateral
12 arrangement, and purchase the energy from a third party.
13 One (1) option is to commit to our own generation in
14 Manitoba.

15 And each of those options will have
16 various advantages and disadvantages, primarily price,
17 and -- and if the -- the heat rate call option is
18 attractive, given Manitoba Hydro's circumstances as a
19 supply option, that -- that's when Manitoba Hydro would
20 exercise that.

21 MR. BOB PETERS: But the heat rate call
22 option is not -- is not related to Manitoba Hydro's
23 thermal generation, is it?

24 MR. DAVID CORMIE: Not directly. It's --
25 it's not dir -- it's not directly related, no.

1 although it may, on a unit cost basis, be more expensive,
2 you may end up having a very warm winter where it
3 actually is not necessary in spite of the fact that
4 you've planned for a warm winter, and so you have the
5 dispatchability of the existing combustion turbines.

6 That -- that -- instead of having to run
7 them each day for the winter season in a committed
8 fashion like the nature of the heat rate call option,
9 you have the discretion each and every day of deciding
10 whether you need them or not.

11 So those kind of costs can -- like you
12 would be risking -- you -- you're risking a lot of money
13 up front when you exercise the heat rate call option
14 whereas you may -- when you run your own combustion
15 turbines you may -- you'll just take the day -- take the
16 -- meet the load on a day-by-day basis, and if you need
17 them you'll run them, and if you don't you don't.

18 And given that Manitoba Hydro plans for
19 the worse case, and -- and prepares for that, that may be
20 -- and then on average things are better than that, that
21 may be the attractive thing to do at that time.

22 But ultimately we know that the -- if --
23 if the worse case happens, that -- or something else
24 happens that -- that we can, in effect, make the winter
25 obligation to sell energy to NSP go away by exercising

1 that option, the heat rate call option.

2 But again, that's one (1) of the factors
3 that will have to be decided in each year, whether to
4 exercise the adverse water conditions.

5 MR. BOB PETERS: Thank you. Mr.
6 Chairman, with that answer, this might be an opportune
7 time to take the lunch recess.

8 THE CHAIRPERSON: Very good, Mr. Peters.
9 See you all back at 1:15.

10

11 --- Upon recessing at 12:01 p.m.

12 --- Upon resuming at 1:23 p.m.

13

14 THE CHAIRPERSON: Okay. Welcome,
15 everyone. Ms. Ramage, you have some more undertakings
16 turned into exhibits.

17 MS. PATTI RAMAGE: Yes, we do. The first
18 is Manitoba Hydro Undertaking number 19, and that dealt
19 with the summary paper received from the big four (4)
20 accounting firms, and that is by our count Exhibit
21 Manitoba Hydro number 32.

22

23 --- EXHIBIT NO. MH-32: Response to Undertaking 19

24

25 MS. PATTI RAMAGE: And the second is

1 Manitoba Hydro Undertaking number 40, which is dealing
2 with factors contributing to the net income loss in 1993,
3 and for the record that would be Exhibit Manitoba Hydro
4 number 33.

5

6 --- EXHIBIT NO. MH-33: Response to Undertaking 40

7

8 THE CHAIRPERSON: Thank you. We'll have
9 a look at these.

10 Mr. Peters...?

11

12 CONTINUED BY MR. BOB PETERS:

13 MR. BOB PETERS: Thank you, and good
14 afternoon. Mr. Cormie, I would like to try to clarify a
15 question about the diversity arrangement with the
16 Northern States Power agreement, by way of hypothetical
17 example, if I might.

18 MR. DAVID CORMIE: Sure.

19 MR. BOB PETERS: Let's assume Manitoba
20 Hydro buys the maximum amount of energy in the winter of
21 year one (1) from Northern States Power, and then in the
22 summer of year two (2) Manitoba Hydro finds itself with
23 only average flow conditions.

24 Can you envision that happening?

25

1 (BRIEF PAUSE)

2

3 MR. DAVID CORMIE: I suggest anything is
4 possible, Mr. Peters.

5 MR. BOB PETERS: All right. Then
6 continuing, in the situation that I've described, would
7 Manitoba Hydro refuse to sell anything more than the
8 minimum required back to NSP under diversity?

9 MR. DAVID CORMIE: The purchase and sale
10 obligations under the diversity agreement aren't linked.
11 And maybe just to clarify that, what I'm saying is that
12 to the extent we sell energy to NSP, or we buy energy
13 from them, that does not relate to subsequent
14 transactions. There is no obligation to return the
15 energy. They're not -- they're not linked.

16 MR. BOB PETERS: Would the Board be
17 correct in assuming that, historically, Manitoba Hydro
18 sells more to NSP on diversity than it purchases from NSP
19 on diversity?

20

21 (BRIEF PAUSE)

22

23 MR. DAVID CORMIE: Yes, but historically
24 those transactions have -- those historic transactions
25 have different terms and conditions than the transactions

1 that are possible under the new diversity sale agreement.

2 MR. BOB PETERS: And your previous
3 answers when we were giving the hypothetical were under
4 the new arrangement, correct?

5 MR. DAVID CORMIE: Yes.

6 MR. BOB PETERS: Are the terms of that
7 minimum obligation under the new agreement public?

8 MR. DAVID CORMIE: Yes, there's no
9 minimum obligation to supply Northern States Power with
10 any energy under the diversity agreement. We have an
11 obligation to offer, but we have no obligation to supply.
12 And they are public, yes.

13 MR. BOB PETERS: Is that minimum
14 obligation that you have to offer, four (4) hours a day,
15 five (5) days a week?

16 MR. DAVID CORMIE: It's four (4) hours a
17 day, seven (7) days a week during the peak hour of the
18 MISO load demand.

19 MR. BOB PETERS: Is the MISO load demand
20 peak different than that of the counterparty?

21 MR. DAVID CORMIE: It -- it may be, Mr.
22 Peters, but it has -- it's -- the offer obligation is not
23 related to Northern States Power's needs.

24 MR. BOB PETERS: And while Manitoba Hydro
25 may have that minimum obligation to offer four (4) hours

1 a day, seven (7) days a week, there is no corresponding
2 obligation on the counterparty to purchase from Manitoba
3 Hydro.

4 MR. DAVID CORMIE: No.

5 MR. BOB PETERS: I may have used the
6 negatives the wrong way. But you're -- you're agreeing
7 with me that there's no obligation on the counterparty to
8 purchase what Manitoba Hydro offers.

9

10 (BRIEF PAUSE)

11

12 MR. DAVID CORMIE: Manitoba Hydro has the
13 right to sell, and NSP has the obligation to buy, but
14 Manitoba Hydro can -- in order to determine whether it's
15 actually going to make a delivery, can price the energy
16 to either clear the market or not clear the market. And
17 through the setting of the price, it will determine
18 whether there is actually a transaction, but Manitoba
19 Hydro, in all cases, has the -- has the option.

20 For example, if Manitoba Hydro was
21 offering in its combustion turbines, and once you
22 included the all-in costs of starting and stopping, and
23 just say hypothetically it was priced at three hundred
24 dollars (\$300) a megawatt hour and the market cleared at
25 -- at fifty (\$50) dollars, Manitoba Hydro offered, it met

1 right to the capacity, that doesn't mean they have to
2 call upon the energy from that capacity.

3 MR. DAVID CORMIE: Right. There's no
4 minimum obligation to take delivery of any energy.

5 MR. BOB PETERS: In essence, could that
6 be seen, Mr. Cormie, as tying up 350 megawatts of
7 Manitoba Hydro's capacity just to have it on standby, so
8 to speak?

9 MR. DAVID CORMIE: It does tie up
10 Manitoba Hydro's capacity, but capacity without energy --
11 it's the energy that brings value, the ability to deliver
12 energy at Manitoba Hydro's discretion. So we control
13 whether energy will actually flow.

14 NSP can -- can claim the capacity on their
15 books and take the -- avoid the -- the requirement to
16 build their own capacity, and in the same manner,
17 Manitoba Hydro can utilize the capacity to meet its
18 capacity obligations in the winter, but there's no --
19 there are no energy obligations unless Manitoba Hydro
20 exercises its options. So NSP can't force us to deliver
21 energy at times when we're not prepared, even though they
22 have the right to the capacity.

23 MR. BOB PETERS: What does Manitoba Hydro
24 see as the value to the counterparty of having this
25 capacity available but not utilized?

1 MR. DAVID CORMIE: I would be speaking
2 for NSP in that situation, but they have a -- an
3 obligation to have sufficient capacity and energy
4 available to serve their load, just as Manitoba Hydro
5 does, and the purchase of our -- the -- the availability
6 of our capacity product helps them meet their -- their
7 obligations to have sufficient resources available to
8 meet their -- meet their load.

9 MR. BOB PETERS: It amounts to -- when
10 it's not called upon, Mr. Cormie, it's -- it -- it
11 amounts to idle capacity on the system?

12 MR. DAVID CORMIE: And it would only be
13 idle if Manitoba Hydro did not have energy that it wanted
14 to move to market. So in a drought situation when
15 Manitoba Hydro was -- was determining that it needed to
16 conserve its energy supplies, we would have no obligation
17 to supply energy to NSP. But that doesn't detract from
18 the value of the capacity that they would achieve. They
19 -- they have the rights to call the capacity their own.

20 MR. BOB PETERS: It's analogous to the
21 curtailable rates program, if you will, that Manitoba
22 Hydro offers to its domestic customers?

23 MR. DAVID CORMIE: We can -- yes, we can
24 exercise a call on -- under the capacity curtailable
25 rates program for a load reduction. We have no

1 obligation to call on it, but if we need it we can.

2 MR. BOB PETERS: And Manitoba Hydro can
3 use its thermal capacity, as well as imports, to meet the
4 NSP capacity commitment, correct?

5 MR. DAVID CORMIE: The -- the capacity is
6 sold off the entire system capacity that's available,
7 which is the sum of all the generation resources that
8 have a capacity rating.

9 MR. BOB PETERS: It amounts to having --
10 what you're saying the -- to the Board in that last
11 answer, Mr. Cormie, is Manitoba Hydro doesn't necessarily
12 identify the asset from which the capacity comes; it's
13 just on the system?

14 MR. DAVID CORMIE: It's a system
15 participation power product, yes.

16 MR. BOB PETERS: And while it's being
17 held as capacity for the Northern States Power diversity
18 agreement, Manitoba Hydro is precluded from selling that
19 capacity to anybody else, any other counterparty?

20 MR. DAVID CORMIE: Yes. We've -- we've
21 assigned that to NSP, and in the wintertime NSP assigns a
22 similar amount of capacity for Manitoba Hydro's use. It
23 can't be sold twice.

24 MR. BOB PETERS: All right, and -- and I
25 -- but -- and I was coming to that point is if in

1 Manitoba you have a customer to whom you provide
2 capacity, but they don't draw energy through it to a
3 sufficient level, they would be faced with demand charges
4 on that, correct?

5 MR. DAVID CORMIE: Certain customer
6 classes would face demand charges, yes.

7 MR. BOB PETERS: And what you're telling
8 the Board is that on this diversity agreement you do not
9 charge NSP demand charges, and likewise, NSP doesn't
10 charge Manitoba Hydro demand charges on its end of the
11 diversity agreement?

12 MR. DAVID CORMIE: Yes, the nature of a
13 diversity agreement is that there's a swap of capacity at
14 no charge.

15 MR. BOB PETERS: Turning, if I can, to
16 situations, Mr. Warden, Mr. Cormie, you'd agree that
17 Manitoba Hydro's hydraulic generation is limited on an
18 annual basis by the water in its reservoirs, I suppose as
19 well as the ability to have tie-line capacity to take it
20 out of the province?

21 MR. DAVID CORMIE: Among other factors,
22 Mr. Peters.

23 MR. BOB PETERS: Well, Mr. Cormie, after
24 a -- I think you said to the Board earlier, a low winter
25 precipitation from October of 2009 to say February of

1 2010, as well as low spring precipitation, 2010 turned
2 into a high-flow year, I think you said starting at about
3 May 22nd when -- when the rains came?

4 MR. DAVID CORMIE: I think many of us
5 remember that long weekend, yes.

6 MR. BOB PETERS: The washed out long
7 weekend?

8 MR. DAVID CORMIE: That's the one (1).

9 MR. BOB PETERS: M-hm. And when Manitoba
10 Hydro finds itself in a high-flow situation it has no
11 perceived need to import power, does it?

12 MR. DAVID CORMIE: There -- there would
13 be -- there would be no need to import energy, but there
14 may be times of the year when it's necessary to purchase
15 power during emergency conditions, during peak hours in
16 the winter when it would be -- in spite of running all
17 its hydraulic generation it still needs additional
18 generating resources to serve its obligations and the
19 purchase of power at the time of the system peak might be
20 the most economical way of serving that load rather than
21 starting its combustion turbines.

22 Examples like that would require the
23 purchase of power and even, potentially, the import of
24 power under emergency conditions.

25 MR. BOB PETERS: All right. Leaving

1 aside emergency and peak conditions then, Mr. Cormie,
2 Manitoba Hydro would expect to be able to meet its
3 domestic load from hydraulic generation in those high
4 flow years?

5

6 (BRIEF PAUSE)

7

8 MR. DAVID CORMIE: Well, I think, Mr.
9 Peters, it also depends on how the -- the water supply
10 develops. For example, there was a record flood in 1970
11 -- in the spring of 1979, which was immediately followed
12 by the onset of drought through the winter of 1979/1980
13 and it proceed -- continued into 1981. And so in spite
14 of 1979 being a high water year the winter of '79/'80 we
15 -- we were purchasing.

16 So the timing is a key factor in -- in how
17 that -- how that water supply is -- is managed,
18 especially if reservoirs are full at the onset of the
19 flood and the flood flows need to be passed through the
20 system and they can't be stored because there's no
21 storage space, and then immediately you're needing to
22 draw on reservoir storage to offset the low flows that
23 occur during the fall and the subsequent winter, much
24 similar to what happened in the summer of 2006 and going
25 into the winter of 2007.

1 I think that's the year we've been talking
2 about. So timing in the distribution of the flow over
3 the year is -- is crucial. If you had a high flow year
4 where every month was equally high, I think you would be
5 -- your -- your -- your simplification would be a good --
6 a good situation where it would not be necessary, but if
7 you have it all, the surplus, concentrated in the spring,
8 and -- and followed by a very dry summer and fall, it's
9 not necessarily possible to avoid purchasing power in the
10 subsequent winter.

11 MR. BOB PETERS: All right. We'll --
12 we'll maybe come to a couple of examples, but in general
13 terms, if you weren't restricted by those timing
14 constraints, or emergency or peak winter hours, you'd
15 also expect to be able to meet your firm export sales
16 from hydraulic generation.

17 MR. DAVID CORMIE: The same issues relate
18 to the delivery of export sales, especially those ones
19 that -- where we have an obligation every day of the
20 year.

21 During the summer season, that's a very
22 fair statement that summers generally those export
23 obligations can be met hydraulically. The Manitoba load
24 is down from its winter peak. There's sufficient water.
25 Lake Winnipeg acts as a very effective reservoir in the

1 summer.

2 But winter sales generally attract some
3 purchases, even in high water years. And then the last
4 factor is whether you have just built new generation, and
5 if you've just added a 1,400 megawatt generating station,
6 like we did at Limestone, those winters immediately sub -
7 - immediately following the construction of that plant,
8 you don't need to purchase energy.

9 But as you approach the in-service date of
10 the next plant, as the Manitoba load grows it becomes
11 more and more likely that winter energy needs to be
12 complemented with power purchases of thermal generation.

13

14 (BRIEF PAUSE)

15

16 MR. BOB PETERS: In those high flow
17 situations, Mr. Cormie, Manitoba Hydro would then sell as
18 opportunity exports the surplus from the -- from the firm
19 or dependable requirements?

20 MR. DAVID CORMIE: In those high flow
21 years, there will be -- there would be opportunity sales,
22 yes.

23 MR. BOB PETERS: And in '08/'09, and
24 '09/'10, those would be considered high flow years, sir?

25

1 (BRIEF PAUSE)

2

3 MR. DAVID CORMIE: Yes.

4 MR. BOB PETERS: And you'd agree that
5 even in those high flow years of 2009 -- fiscal 2009 and
6 fiscal 2010, Manitoba Hydro imported about 1,000 gigawatt
7 hours of -- of energy?

8 MR. DAVID CORMIE: Subject to check, that
9 sounds right.

10 MR. BOB PETERS: And we could check at
11 Tab 6 of the book of documents, and look at the summary
12 on page 20 -- 28.

13 And Mr. Cormie, while your colleague is
14 flipping up that page, if you wanted to do that check,
15 and I'm not suggesting you have to, would it be correct
16 that in those high flow years the reason for importing
17 1,000 gigawatt hours of energy could also have been an
18 attempt to improve the bottom line or to make money?

19

20 (BRIEF PAUSE)

21

22 MR. DAVID CORMIE: Mr. Peters, I'm just
23 looking at page 28, and it -- you've actually restated
24 the answer that we provided in PUB/MH-2-3, and you've
25 described these as import transactions, and I don't know

1 whether these are purchases or imports, so that makes a
2 difference.

3 MR. BOB PETERS: All right. And I think
4 what you'll find is what is bolded on page 28 is the
5 addition and what's not bolded is what was provided by
6 Manitoba Hydro in first instance, so let me check it.

7 MR. DAVID CORMIE: But are the -- are the
8 gigawatt hours purchases or imports?

9 MR. BOB PETERS: Well, the -- the
10 question asked for imports, Mr. Cormie, but I think Mr.
11 Surminski may have suggested that while the question
12 asked for imports the information may have been, if I've
13 got his words right, distorted by some extraneous
14 information, including wind purchases, but you can
15 perhaps check with Mr. Surminski on that.

16

17 (BRIEF PAUSE)

18

19 MR. DAVID CORMIE: I -- I believe, Mr.
20 Peters, subject to check, that that would be a
21 combination of -- of both types of transactions. Those
22 that actually -- where we took physical delivery of
23 energy and those where we were meeting our export sale
24 obligations with the financial settlement; both of those
25 would result in a transaction.

1 And physical deliveries generally would be
2 those where we were purchasing at night in order to serve
3 Manitoba load and allow us to re-pond (phonetic) the
4 reservoir for the subsequent day. And the purchases
5 would be those where we have made an obligation to sell
6 in the day-ahead market and in real-time we needed to
7 settle financially that resulted in a purchase, so
8 there's a combination of transactions shown under the
9 real-time transactions.

10 MR. BOB PETERS: There might have been an
11 undertaking, Mr. Surminski, to -- to break that
12 information out. Do you recall that, sir?

13 MR. HAROLD SURMINSKI: No, I don't
14 believe it was this one at all. We agreed the wind
15 energy purchases were in the dependable area.

16 MR. BOB PETERS: But under real-time
17 there was a number of components that made up the real-
18 time values, including things like transmission charges,
19 transmission credits, ancillary market charges, if I've
20 said that correctly, as well as some summer capacity
21 issues. Do you --

22 MR. DAVID CORMIE: Yeah, tho -- those
23 costs would be potentially in the -- in -- in the cost,
24 but -- but generally that issue was associated with the
25 sale of real-time energy rather than the purchase of

1 real-time energy. Real-time energy purchases would
2 generally only include the cost of the energy there's --
3 and there -- there are -- there would be -- we don't buy
4 ancillary services; we sell them. So I would suggest
5 that this is just purely energy transactions.

6 MR. HAROLD SURMINSKI: And further, Mr.
7 Peters, together with the Undertaking number 3 we are
8 still working on, the '09/'10 would provide -- we -- we
9 were providing the actuals for that year, so for half the
10 answer the actuals will be provided. And as Mr. Cormie
11 says, there's none of those categories on the purchase
12 side.

13 MR. BOB PETERS: Thank you, Mr.
14 Surminski. I'll move along. But will -- will that
15 undertaking break down, as Mr. Cormie has indicated, the
16 physical imports versus the financial settlement
17 transactions that are shown under the real-time line
18 item?

19 MR. DAVID CORMIE: We're not intending
20 to, no.

21 MR. BOB PETERS: Can that be done, sir?

22 MR. DAVID CORMIE: Yes.

23 MR. BOB PETERS: I'm getting there. I'm
24 trying to get there.

25 MR. ROBERT MAYER: Mr. Peters, if we keep

1 adding to number 3 are we ever going to see number 3?

2 MR. BOB PETERS: Well, I guess that's
3 certainly a concern. I -- I when I asked initially, I
4 wasn't aware of the -- of the energy and the revenues for
5 -- for the associated energy coming from financial
6 settlement sources, and I just wondered if that could be
7 broken out in the same answer with -- with the
8 Undertaking number 3.

9 MR. DAVID CORMIE: We'll provide that
10 information.

11

12 --- UNDERTAKING NO. 3 (ADDITION): Manitoba Hydro to break
13 down the physical
14 imports versus the
15 financial settlement
16 transactions that are
17 shown under the
18 real-time line item

19

20 CONTINUED BY MR. BOB PETERS:

21 MR. BOB PETERS: Mr. Cormie, 80 percent
22 of the imports are in the wintertime, is that
23 approximately correct?

24 MR. DAVID CORMIE: It -- it's a function
25 of -- of the water supply conditions, Mr. Peters, so in a

1 low-flow year, the imports can be spread out, you know,
2 formally out over the year. So it -- I -- I'm prepared
3 to accept that as a -- a general case, yes.

4 MR. BOB PETERS: Would it also not be the
5 case that wintertime would be the time when water flows
6 are above average to -- to high flows in the -- in the
7 fiscal year '09 and fiscal year '10? Wouldn't that have
8 been the case?

9 MR. DAVID CORMIE: I -- I think, Mr.
10 Peters, in the -- in the long run, if you looked at the
11 monthly flows on the Nelson River month to month, you'll
12 see that they're -- the average is pretty consistent over
13 the year. And so what regulation of the Nelson River has
14 done is maintained a relatively uniform flow over the
15 year. I don't have handy the hydrograph for the Nelson
16 River right now but -- let me just see what I have.

17 But as we talked about several days ago,
18 the -- the ideal situation would be for Manitoba Hydro to
19 be able to transfer the summer surplus into the winter so
20 that it could -- it could maximize its hydraulic
21 generation in the wintertime when the loads are greatest.

22 Unfortunately, the ice restrictions at the
23 outlet of Lake Winnipeg make it impossible to meet the
24 power demand in the wintertime on the Nelson River
25 because not enough water gets to the generating stations,

1 and in spite of the fact that probably eighteen (18)
2 years out of twenty (20) we're at maximum discharge out
3 of Lake Winnipeg. So we're -- we're releasing the
4 maximum possible amount out of Lake Winnipeg, we're
5 releasing the maximum out of Churchill River Diversion,
6 and there's a greater power demand at the generating
7 stations than -- than there's water supply.

8 And the way that Manitoba Hydro manages
9 its hydraulic generation is we concentrate the hydraulic
10 generation in the hours of greatest demand, which means
11 we fill up the on-peak hours with our hydraulic
12 generation first and back our hydraulic generation off in
13 the off-peak so that that creates the opportunity to buy
14 energy at night to serve the Manitoba load, and that's
15 the manner that brings the greatest value to -- to
16 Manitoba Hydro, recognizing that the energy supply -- or
17 the water supply is con -- is restricted in the
18 wintertime.

19 If we had -- if the -- if the ice issue at
20 the -- at the outlet of Lake Winnipeg didn't exist, we
21 would be able to go to maximum discharge in the
22 wintertime and avoid those purchases, but that's not the
23 nature of our hydraulic system. It's severely energy
24 constrained in the wintertime because of the ice
25 conditions at the outlet of Lake Winnipeg.

1 MR. BOB PETERS: Well, let's maybe take
2 that to some specific examples, Mr. Cormie, and maybe we
3 can start with the 2008/09 year, for example, and use
4 those same statistics that you were looking at, if you're
5 satisfied with them, from back on Tab 6, page 28 of the
6 book of documents, also on page 27.

7 In 2008/09, Manitoba Hydro purchased -- it
8 says 891 gigawatt hours of -- of energy, and that would
9 have been at an approximate five point three (5.3) cents
10 a kilowatt hour?

11

12 (BRIEF PAUSE)

13

14 MR. DAVID CORMIE: What was the price
15 that you were indicating?

16 MR. BOB PETERS: Five point three (5.3)
17 cents a kilowatt hour back in '08/'09, sir.

18 MR. DAVID CORMIE: No, but that -- that
19 price includes the dependable energy, Mr. Peters, which
20 is mostly the wind purchase.

21

22 (BRIEF PAUSE)

23

24 MR. DAVID CORMIE: I understood you were
25 talking about the day-ahead and the real-time

1 transactions.

2

3

(BRIEF PAUSE)

4

5 MR. BOB PETERS: Well, if we look at the
6 individual items, wouldn't the -- wouldn't the wind come
7 in about the average price of the other ones in any
8 event?

9 MR. DAVID CORMIE: Well, if your table is
10 correct, the day-ahead average two point seven eight
11 (2.78) and the real-time was four point three six (4.36),
12 so given that the day-ahead volume is much smaller than
13 the real-time, the price should be more like four (4)
14 cents, not five point three (5.3).

15 MR. BOB PETERS: And then if you look at
16 what Manitoba Hydro sold at that time on the day-ahead
17 market, Mr. Cormie, back on page 27, and for 2008/'09 it
18 sold about 4,000 gigawatt hours at an average price of
19 three point zero (3.0) cents?

20 MR. DAVID CORMIE: Yes, and
21 unfortunately, Mr. Peters, I don't have the monthly
22 breakdown, because I suspect both in 2008/'09 and in
23 2009/'10, that Lake Winnipeg was at -- reached the
24 maximum full supply level in the -- in the summer,
25 forcing Manitoba Hydro to dump energy into the market

1 which resulted in very high volumes of off-peak sales
2 early in the year.

3 And that's what's driving the average sale
4 price down and -- and it -- and those transactions aren't
5 related to the need to buy energy back in the wintertime.

6

7 (BRIEF PAUSE)

8

9 MR. BOB PETERS: Another example that
10 maybe you can explain to the Board, Mr. Cormie, found at
11 Tab 9 of the book of documents. It's some information
12 provided in respect to a response starting on page 43.
13 In '08/'09 we go back to that year where Manitoba Hydro
14 sold under NEB permits, and to pick two (2) numbers,
15 permits 33 and 34 are shown in June of 2008 as well as
16 July, August, and September.

17 And those sales would have been at or
18 about three and a half (3 1/2) cents, sir?

19 MR. DAVID CORMIE: Which month are you
20 referring to, Mr. Peters?

21 MR. BOB PETERS: Well, I was referring to
22 June, July, August, and September, just looking at some
23 of the relative pricing in and about that time.

24 MR. DAVID CORMIE: And you're on page 43?

25 MR. BOB PETERS: Starting on 43, yes,

1 sir.

2 MR. DAVID CORMIE: Yes. And -- and, Mr.
3 Peters, not to belabour the point, but the flood of 2009
4 on the Red River was significant. Lake Winnipeg reached
5 715.5 feet, 1/2 foot above the operating level for power.
6 Manitoba Hydro was at maximum discharge that summer. We
7 -- we had to release water for water management reasons
8 as required by our licence.

9 We spilled a huge amount of energy at our
10 generating stations, and to the extent that we could take
11 some of that generation to market, we did, to salvage the
12 value. And -- and those are some of the transactions
13 that you're seeing under the National Energy Board
14 permits. Now very low-priced energy but better than --
15 better than -- better than nothing and -- and it's not
16 something that Manitoba Hydro had any discretion in -- in
17 doing.

18 So -- and I would refer again to 2008,
19 Lake Winnipeg reached the -- the -- the full supply level
20 of Lake Winnipeg. Again, we were at maximum discharge.
21 Water management requirements forced us to release water
22 that subsequently could have been much better made use of
23 had we had adequate storage supplies, but that's not the
24 system that we have. So the results are we're forced to
25 sell in the summer, and if water conditions don't sustain

1 themselves through the fall and the winter, we are forced
2 into the opportunity to purchase energy off-peak in order
3 to meet our on-peak requirements.

4 And I suspect that will be identical to
5 the situation that we experience this coming summer.

6 MR. BOB PETERS: Well, then you've
7 answered a few questions in that last answer, Mr. Cormie.
8 Under the conditions that we've experienced, the -- the
9 maximum profit for Manitoba Hydro comes from the firm
10 dependable sales? That would be your largest profit
11 product?

12 MR. DAVID CORMIE: I -- I think you can
13 come to that conclusion when you look at the sales over
14 the long run, but there -- there clearly are transactions
15 that occur in -- in high-price periods that dwarf the
16 profitability of the long-term transactions.

17 But those are -- those aren't normal, and
18 when you look at our sales activities over the long run,
19 the -- the firm sale agreements achieve the highest
20 average price compared to spot-market tran -- and --
21 transactions.

22 MR. BOB PETERS: All right. You're
23 telling the Board that in general it's your long-term
24 contracts from which the best profit margin is derived,
25 although on the opportunity side there are -- there are

1 peaks and valleys.

2 MR. DAVID CORMIE: And -- and again, Mr.
3 Peters, I'm only speaking from a -- from the energy
4 perspective.

5 The profitability of long-term sales needs
6 also to include the -- the -- any additional costs that
7 Manitoba Hydro may have incurred to achieve them, and --
8 but if you just took a look -- you're just comparing
9 energy prices on a day-to-day basis, we'll -- once you
10 roll in the demand changes I -- you'll -- I think you'll
11 come to that conclusion that the longer-term sales are --
12 are more profitable.

13 MR. BOB PETERS: Mr. Cormie, would it be
14 correct that for the last decade, Manitoba Hydro's
15 hydraulic generation surplus available for exports has
16 equalled or exceeded the annual seven (7) by sixteen (16)
17 peak period tie-line capacity available to Manitoba
18 Hydro?

19

20 (BRIEF PAUSE)

21

22 MR. DAVID CORMIE: I -- I haven't done
23 that calculation, Mr. Peters, so I can't confirm that.

24

25 (BRIEF PAUSE)

1 MR. DAVID CORMIE: And -- and the issue
2 that that question raises is in the wintertime most of
3 our generating capacity is dedicated to serving the
4 Manitoba load.

5 This last -- this pre -- the previous week
6 to this week the Manitoba load averaged probably around
7 4,000 megawatts of continuous demand. We have around
8 4,600 megawatts of hydraulic generation that can be used
9 on a daily basis, so that means at the time of peak only
10 about 600 megawatts is surplus, if -- if there are no
11 units out.

12 So if we only have 600 megawatts of
13 surplus generation, and we have a tie-line that's capable
14 of 1,900 megawatts, whether we have 1,900 megawatts or
15 1,100 megawatts, we don't have enough generation to put
16 it on to fill that line up.

17 So the calculation that you are suggesting
18 is possible assumes that at all times we have surplus
19 generation capable of loading up the tie-line, and -- and
20 our loads are just much more higher in -- higher in the
21 wintertime and -- and we don't have generating capacity
22 available to fill the lines, so I can't -- I don't think
23 I can support your calculation.

24

25

(BRIEF PAUSE)

1 MR. BOB PETERS: Mr. Cormie, are the
2 overnight sales that you spoke about to the Board an
3 attempt to extract some value for the water as opposed to
4 no value for the water?

5 MR. DAVID CORMIE: Yes, and even with the
6 overnight sales, the same pricing policy applies. We
7 determine what our marginal cost of generating that
8 kilowatt hour is. And if that's just the avoided water
9 rental cost, that's -- that's what it is, to which we add
10 our incremental O&M costs, and then we adjust it for
11 losses, and that determines the price that we will offer
12 it into the market at.

13 Sometimes the market clears at a price
14 lower than that. And under those circumstances it
15 doesn't make sense for Manitoba Hydro to incur -- to even
16 incur the water rental costs in order to make a sale.
17 And so there are times when the prices are too low, or
18 they actually go negative, and it makes sense for
19 Manitoba Hydro to spill the energy and to buy during
20 those periods of negative pricing. But whether it's an
21 on-peak sale or an off-peak sale, whether the prices are
22 low or high, the same criteria is used to pricing the
23 energy.

24 MR. BOB PETERS: The option to store that
25 overnight energy in the example that you gave me, Mr.

1 Cormie, is that it's not available, and, therefore, it's
2 a choice of either sell it spill it. Is that what you --
3 is that correct?

4 MR. DAVID CORMIE: Yes. The main
5 reservoirs are full, which drives reservoir releases.
6 The forebays at the generating station are full and there
7 is no room to store, the energy must be either generated
8 or spilled; that's the choice.

9 MR. BOB PETERS: And Manitoba Hydro does
10 that knowing it may have to, later in the year or the
11 winter that's coming up, buy energy at prices higher than
12 what it achieved on its sale prices.

13 MR. DAVID CORMIE: That -- that may be
14 the -- that -- that may be the case, yes. But to the
15 extent that we can avoid those circumstances, we do, but
16 sometimes it's not an -- we're not -- we don't have the
17 choice -- the economic dispatch choice. We're forced by
18 reservoir regulation rules that determine how the water
19 is managed.

20

21 (BRIEF PAUSE)

22

23 MR. BOB PETERS: Has Manitoba Hydro
24 quantified that risk, Mr. Cormie, on an annual basis?

25 MR. DAVID CORMIE: I -- I don't believe

1 it's a risk, Mr. Peters. It's -- it's the nature of our
2 system. If you -- if you made the assumption that all
3 energy that -- all water could be converted into
4 electrical energy in the system through having sufficient
5 generating capacity, in the highest inflow year there
6 might be about 50 terawatt hours of energy available as a
7 -- as an approximate number.

8 Manitoba Hydro has never generated more
9 than 37 terawatt hours of hydraulic generation, and I
10 think we achieved that in 2005, or maybe in the flood of
11 1997, I'm not sure which particular year, but I know the
12 37 terawatt hours is the maximum. Yeah, 2005 was the
13 year.

14 So the difference between the thirty-seven
15 (37) and the fifty (50) is in -- in -- kind of in the
16 worst-case scenario, the 13 terawatt hours of energy that
17 -- that was -- was spilled. But Manitoba Hydro's
18 facilities weren't all built for the purpose of power
19 production. The Lake Winnipeg regulation project was
20 built also as a flood control measure and -- and there
21 was -- those issues were balanced against the power
22 benefit.

23 And we just don't have sufficient storage
24 to maximize the efficient use of the hydro-electric
25 resource because we don't necessarily control all the

1 terms and conditions of our licences. And -- and I think
2 that's the reality that we're living in when we have to
3 spill water because of -- of those other factors.

4 MR. BOB PETERS: Well, Mr. Cormie, while
5 you didn't as -- didn't call it a risk, when Manitoba
6 Hydro exports in its first and second quarters of the
7 year there's also an assumption built into their -- into
8 the IFF that 2 to 3,000 gigawatt hours of imports will be
9 purchased, correct?

10 MR. DAVID CORMIE: yes, but the IFF is --
11 is based upon the -- the rules that affect reservoir
12 regulation. We don't make an IFF that doesn't reflect
13 the realities of our operating licences.

14 MR. BOB PETERS: Manitoba Hydro's not
15 certain as to what the water flows are going to be in the
16 third and the fourth quarter in any particular year,
17 correct?

18 MR. DAVID CORMIE: No, but the -- the
19 first draft of the IFF in year 1 is prepared in July, and
20 it's subject to updating as we approach the approval date
21 by our executive and by the Board. So by the time the
22 IFF actually goes for approval, we're probably into the
23 middle of September when the large majority of the water
24 supply is known with a high level of certainty.

25 What -- what isn't known is the extent

1 that there will be variations in Manitoba load due to
2 weather, and to the extent that the ice restrictions vary
3 from average over the wintertime. And the outflow from
4 Lake Winnipeg can vary in a -- in a winter by 10 percent,
5 just a cold winter versus a normal winter, and 10 percent
6 change on the Nelson River really can hit our bottom line
7 quite significantly.

8 So there are lots of other factors besides
9 just the water supply variation that determine how much
10 energy Manitoba Hydro purchases in the -- in the
11 wintertime. And market prices are also a factor.

12 MR. BOB PETERS: But is there not a risk
13 that, if Manitoba Hydro exports in the first and second
14 quarters, there will be a requirement to purchase or
15 import or buy back, if you will, that energy later on in
16 the year, correct?

17 MR. DAVID CORMIE: Well, I don't see that
18 as a risk, because we have no choice, Mr. Peters. We're
19 not making the choice to export in the summer; we're
20 forced to make the export in the summer in order to
21 salvage the -- salvage the value out of that transaction.
22 A risk is when you have a choice to make and you choose
23 to export in the summer and have to buy it back in the
24 winter. That's -- but in the last four (4), maybe even
25 five (5) years, we've been at maximum discharge out of

1 Lake Winnipeg in the summertime. That's not a risk;
2 that's just the nature of our licence.

3 MR. BOB PETERS: Well, if it's -- if in
4 my words it is a risk, it's beyond Hydro's control is
5 what you're telling the Board in terms of how to -- how
6 to manage it any differently than what Hydro presently
7 does, is -- is your evidence.

8

9 (BRIEF PAUSE)

10

11 MR. DAVID CORMIE: Manitoba Hydro's
12 managing the resources within the constraints that it has
13 and we're -- and we don't believe that it's a risk.

14 MR. BOB PETERS: Would that answer
15 change, Mr. Cormie, if instead of high-flow years, we're
16 talking average-flow years?

17 MR. DAVID CORMIE: Yes, and -- and the --
18 the risk is probably even more significant in a low-flow
19 year, where management has a choice, a much greater
20 choice, of selling in the summer and -- and potentially
21 having to buy it back in the wintertime.

22

23 (BRIEF PAUSE)

24

25 MR. BOB PETERS: Mr. Cormie, can you

1 confirm that, generally, peak export prices and shoulder
2 export prices are generally in excess of the cost to
3 purchase energy in the -- in the last half of the year?
4

5 (BRIEF PAUSE)
6

7 MR. DAVID CORMIE: I -- I -- I think, by
8 definition, Mr. Peters, the peak prices are almost always
9 higher than off-peak prices, and that's true whether
10 you're comparing peak summertime prices to off-peak
11 winter prices or, you know, any -- any -- any seasonal
12 variation. But there are times when off-peak prices in
13 the wintertime can exceed peak summertime prices and
14 mostly that's weather related.

15 MR. BOB PETERS: When you say "weather
16 related", do you mean in the purchase market or the sale
17 market?

18 MR. DAVID CORMIE: Well, there's only one
19 (1) market and so it's -- it's the -- it's -- to the
20 extent that the -- the market is affected by whether --
21 during extremely cold weather there's high gas demand,
22 gas prices go up, power prices go up, and it's all
23 weather related.

24 MR. BOB PETERS: And generally the first
25 and second quarter opportunity sales off-peak are at

1 lower prices than the third and fourth quarter purchases
2 off-peak? That intuitively follows?

3 MR. DAVID CORMIE: I -- I think that's a
4 fair statement. The overnight market in the summertime
5 is not a -- is not a strong market, whereas the daytime
6 market in the summertime, the on-peak market is a strong
7 market because that's when the air-conditioning demand
8 exists.

9 Whereas in the -- in the wintertime
10 although you're not getting the -- the -- the peak -- on-
11 peak prices, you get strong prices both on and off-peak.
12 And so I think that situation can arise.

13 And generally, Mr. Peters, the summer off-
14 peak market is not a market that Manitoba Hydro is really
15 very interested in. Generally those sales in the off-peak
16 in the summertime are only -- that -- that's what I would
17 consider a -- a market of last resort.

18 MR. BOB PETERS: It's a market of last
19 resort only because Manitoba Hydro may have a greater
20 need for the energy in storage if it can possibly hang
21 onto it?

22 MR. DAVID CORMIE: Yeah, we -- we view
23 the -- the -- the -- the future opportunities, whether
24 it's on-peak later in the fall or in the wintertime to
25 attract a more -- a -- a more favourable return for

1 Manitoba Hydro and also given the uncertainty in the
2 water supply, all things being equal, we would rather
3 firm up our winter supply than -- than take a marginal
4 benefit in the -- in the summer as a result of a
5 discretionary off-peak sale.

6 MR. BOB PETERS: Thank you. Mr. Warden,
7 maybe to come to you on a different topic, the costs --
8 and you might want to -- we'll -- we'll be at Tab 37 of
9 the book of document which contains some information that
10 I think, Mr. Warden, you and the Vice Chair were chatting
11 about at various times in the proceedings to date. But
12 the cost to generate electricity from Limestone, I think
13 you agreed with me that that was in the range of two and
14 a half (2 1/2) to three (3) cents, sir.

15 Do you -- do you accept that?

16

17 (BRIEF PAUSE)

18

19 MR. VINCE WARDEN: I'm not sure that we
20 agree on that, Mr. Peters, but, yeah, it sounds
21 reasonable. I -- I -- I'll -- I will accept that.

22 MR. BOB PETERS: And it would be even --
23 it would even cost less to generate from -- from Long
24 Spruce? Maybe a --

25 MR. VINCE WARDEN: Yes.

1 MR. BOB PETERS: -- maybe a cent and a
2 half per kilowatt hour?

3 MR. VINCE WARDEN: Yes, the -- generally
4 speaking the earlier the installation of the plant, the
5 lower the costs. And likewise, Kettle would be lower
6 than -- than -- than Long Spruce.

7 MR. BOB PETERS: So Kettle would be down
8 closer to a penny or just over a penny a kilowatt hour?

9 MR. VINCE WARDEN: Intuitively, yes. But
10 again, that's a -- kind of a high-level calculation.

11 MR. BOB PETERS: Fair enough. And when
12 we look at those collectively, we're probably looking in
13 the -- the two (2) cent per kilowatt hour range for the
14 three (3) of them, sir?

15 MR. VINCE WARDEN: Yes, two (2) to two
16 and a half (2 1/2) cents, in that range, yes.

17 MR. BOB PETERS: Can it be considered by
18 Manitoba Hydro that those generating stations, maybe
19 except for Limestone, have -- have long ago been paid
20 for?

21 MR. VINCE WARDEN: No, not really. I
22 think the whole purpose of the way the accounting system
23 is -- is structured is to recover the cost over the life
24 of the -- of the facility.

25 MR. BOB PETERS: What you're telling the

1 Board is costs related to them are still being amortized
2 over what is expected to be their useful life of those
3 facilities?

4 MR. VINCE WARDEN: Yes.

5

6 (BRIEF PAUSE)

7

8 MR. BOB PETERS: When we look, Mr.
9 Warden, to the costs of generating a kilowatt hour of
10 energy from Keeyask and Conawapa, those costs are going
11 to be much higher than the vintage plants that we've
12 talked about.

13 MR. VINCE WARDEN: They will, yes.

14 MR. BOB PETERS: And does Manitoba Hydro
15 make public its estimated cost on a kilowatt-hour basis
16 of its generating stations?

17 MR. VINCE WARDEN: No, not -- not
18 typically.

19 MR. BOB PETERS: What we do know
20 publicly, Mr. Warden, from old annual report information
21 is that up until the late 1990s Manitoba Hydro's average
22 export prices were probably yielding in the area of two
23 and a half (2 1/2) to three (3) cents a kilowatt hour.

24 MR. VINCE WARDEN: Yes.

25 MR. BOB PETERS: And should the Board

1 assume, Mr. Warden, that up until the late 1990s the
2 export revenues covered the incremental costs of
3 generation?

4 MR. VINCE WARDEN: Yes.

5 MR. BOB PETERS: And in my example then,
6 we can assume the vintage generating stations, and
7 including many that are listed in the -- Tab 37 of the
8 book of documents, collectively they're producing energy
9 at about two (2) cents a kilowatt hour or maybe even
10 less.

11 MR. VINCE WARDEN: Collectively, that's
12 probably a fair assumption. There have been a number of
13 upgrades along the way that add to the capital costs of
14 each of those facilities and they would vary considerably
15 between the facility.

16 But if you want to talk on an average
17 basis, collectively, as we discussed earlier, two (2) --
18 two and a half (2 1/2) cents would be a pretty good
19 assumption, I think.

20 MR. BOB PETERS: All right. Let's --
21 let's stay with that. And now for Manitoba Hydro's new
22 generating stations, and for the purposes of my
23 questions, we need to put a price on the incremental
24 energy coming from those stations, sir, and because
25 Manitoba Hydro doesn't want to, with precision, I

1 suppose, provide its calculations, I'm going to suggest
2 some prices to you, Mr. Warden, and you can explain to
3 the Board whether you agree or disagree. Would you be
4 prepared --

5 MR. VINCE WARDEN: Okay.

6 MR. BOB PETERS: And you don't have to
7 disagree.

8 MR. VINCE WARDEN: We'll see.

9

10 (BRIEF PAUSE)

11

12 MR. BOB PETERS: I believe on the record
13 I tried to do this earlier with Mr. Surminski, but I -- I
14 hadn't updated my information with the Appendix 76
15 Capital Expenditure Forecast Information that was filed.

16 But on the Wuskwatim plant, Mr. Warden, I
17 wanted to affix a -- a value of the energy on a kilowatt-
18 hour basis coming out of Wuskwatim, and using the \$1.7
19 billion cost together with my assumptions of 6 percent
20 financing costs and 2 percent depreciation expense and 1
21 percent for O&M as well as taxes, I came up with the
22 annual cost that has to be paid for Wuskwatim would be in
23 the neighbourhood of \$153 million a year based on the
24 \$1.7 billion capital expenditure.

25 Are you prepared to accept that as being -

1 - at least in the bounds of being reasonable, if not
2 accurate?

3 MR. VINCE WARDEN: Within -- I'd prefer
4 within the bounds of being reasonable, yes.

5 MR. BOB PETERS: Yeah, and I'm not
6 suggesting that it's -- it's with precision, but I've
7 tried to just show you where I've gone with my numbers.
8 And then if we take the \$153 million that it's costing
9 every year for Wuskwatim once it comes online in 2012, my
10 understanding is that Manitobans can expect about 1,500
11 gigawatt hours of energy a year to come out of that
12 plant.

13 MR. VINCE WARDEN: On average, yes.

14 MR. BOB PETERS: Under average water
15 flows.

16 MR. VINCE WARDEN: Correct.

17 MR. BOB PETERS: And so the 153 million,
18 the 1,500 gigawatt hours will give rise to approximately
19 ten (10) cents a kilowatt hour for the first kilowatt
20 hour of energy that comes out of Wuskwatim.

21 MR. VINCE WARDEN: For the very first
22 one. And we -- and I think we discussed earlier that
23 it's going to decline as the financing costs associated
24 with collecting the depreciation over time will
25 contribute towards cash, which will result in declining

1 costs. So, yeah, the very first kilowatt hour, I -- it's
2 probably close.

3 MR. BOB PETERS: And we know that
4 Wuskwatim is not being built as a merchant plant,
5 correct?

6 MR. VINCE WARDEN: Well, we're no longer
7 referring to Wuskwatim as a merchant plant in as much as
8 it will be required quite soon to serve the Manitoba
9 load. I think we have an undertaking that addresses
10 that, as to the timing of when it will be required for
11 the Manitoba load.

12 MR. BOB PETERS: Not all of it's going to
13 be needed for the Manitoba load all at once though, is
14 it, Mr. Warden?

15 MR. VINCE WARDEN: No. No, it's the
16 nature of hydraulic generation that comes on in big
17 blocks. And incrementally, as the load grows it -- it
18 will be used more and more over time.

19 MR. BOB PETERS: When we talk of
20 Wuskwatim, the Board has also seen, I think in Tab 38 of
21 the book of documents, that the Wuskwatim limited
22 partnership agreement comes into play in Manitoba Hydro's
23 projected income statements, correct?

24 MR. VINCE WARDEN: Yes.

25 MR. BOB PETERS: And the revenue stream

1 in IFF-09 related to the Wuskwatim limited partnership
2 agreement is based on an assumed export price; would that
3 be fair to say?

4 MR. VINCE WARDEN: Yes.

5 MR. BOB PETERS: And is that export price
6 confidential or is it a matter of derivation from the
7 information that's filed, sir?

8 MR. VINCE WARDEN: It could be derived
9 from the information that's filed.

10 MR. BOB PETERS: All right. We -- well,
11 then let's derive it for the benefit for the Board, if
12 that's permitted by you and your counsel. What -- what
13 we see in 2013 is that the revenues are forecast to be
14 \$105 million, correct? I'm looking at page 87, which is
15 found at Tab 38 of the book of documents.

16 MR. VINCE WARDEN: Sorry, mi -- would you
17 just repeat the amount you're referring to, please.

18 MR. BOB PETERS: Yes, sir, I was going to
19 the revenues that are projected for the Wuskwatim Power
20 limited partnership --

21 MR. VINCE WARDEN: Okay, under --

22 MR. BOB PETERS: -- in 2013 being about
23 \$105 million.

24 MR. VINCE WARDEN: Yes.

25 MR. BOB PETERS: And you told the Board

1 on average you'd expect 1,500 gigawatt hours a year to
2 come out of that plant.

3 MR. VINCE WARDEN: Yes.

4 MR. BOB PETERS: That equates to
5 approximately seven (7) cents a kilowatt hour?

6 MR. VINCE WARDEN: Yes.

7 MR. BOB PETERS: But if we -- as -- as
8 we've seen, if the first kilowatt hour to come off of
9 Wuskwatim is closer to ten (10) cents a kilowatt hour in
10 cost, then there's going to be a differential that has to
11 be made up here between the -- between the seven (7)
12 cents and the ten (10) cents, correct?

13 MR. VINCE WARDEN: Yes, again agreeing
14 that we are talking in -- in quite approximated numbers.

15 MR. BOB PETERS: Will Wuskwatim Power
16 Limited Partnership Agreement bear 100 percent of the
17 difference between the ten (10) cent cost and the seven
18 (7) cents of revenue?

19 MR. VINCE WARDEN: Well, the Wuskwatim
20 Limited Partnership will certainly bear all the costs of
21 operating the facility, fixed and -- and variable, and
22 will likewise share in the revenues -- or receive the
23 revenues from the operation of that facility. So the net
24 profit or loss flows to the partnership, yes.

25 MR. BOB PETERS: Are all of the fixed

1 costs included in the expense items on this projected
2 income statement?

3 MR. VINCE WARDEN: Yes.

4

5 (BRIEF PAUSE)

6

7 MR. BOB PETERS: To help the Board
8 understand the numbers, Mr. Warden, by 2014, this
9 forecast suggests there's going to be a positive net
10 income returned to the partnership, correct?

11 MR. VINCE WARDEN: Yes.

12 MR. BOB PETERS: Does that tell the Board
13 that the export prices of the energy that is sold out of
14 Wuskwatim will then be commanding at least ten (10) cents
15 on the export market on average?

16 MR. VINCE WARDEN: Well, again, using the
17 -- the numbers that we derived very approximately,
18 assuming that ten (10) and -- that ten (10) cents is the
19 -- the cost in the first year, that's what this would
20 suggest, yes.

21 MR. BOB PETERS: But does it suggest that
22 in the intervening years, that the difference between the
23 costs and the -- the revenues -- that is, the ten (10)
24 cent costs and the seven (7) cents revenues -- is that
25 going to be picked up by -- and subsidized by Manitoba

1 Hydro's other ratepayers?

2 MR. VINCE WARDEN: Only to the extent
3 that the other ratepayers -- other ratepayers
4 proportionally share in the ownership of the partnership.
5 So if the First Nation does take up the full 33 percent
6 equity interest, which it still has not committed to, and
7 nor does it need to before the in-service date, then the
8 -- the balance would be -- would be picked up Manitoba
9 ratepayers.

10 MR. BOB PETERS: I think what you're
11 telling the Board, then, Mr. Warden, is that, for 66
12 percent of the output of Wuskwatim, that will be paid for
13 by Manitoba's grid customers that are -- who are not the
14 Wuskwatim Power Limited Partnership.

15 MR. VINCE WARDEN: Yes, but, likewise, 66
16 or 67 percent of the net income or benefits will be --
17 will be derived by Manitoba ratepayers.

18 MR. BOB PETERS: And those net benefits
19 to Manitoba ratepayers will commence as soon as the
20 average export price exceeds ten (10) cents a kilowatt
21 hour?

22 MR. VINCE WARDEN: In the example that
23 we've -- we've constructed, yes.

24 MR. BOB PETERS: All right. And the
25 current average export revenue price for opportunity

1 sales, Mr. Warden, is two point three (2.3) cents, or is
2 it two point five (2.5) cents?

3 MR. VINCE WARDEN: Two point seven (2.7)
4 cents is, I think -- is the last number I believe I put
5 on the record, with the most recent results in -- in
6 December of this year.

7 MR. BOB PETERS: Two point seven (2.7)
8 cents on a -- for a month.

9 MR. VINCE WARDEN: Per month, per month,
10 yes.

11 MR. BOB PETERS: But it was 2.5 percent
12 (sic) on an annual basis?

13 MR. VINCE WARDEN: Yeah, but we recognize
14 that the two point five (2.5) -- two point three (2.3) to
15 two point five (2.5) is abnormally low.

16 MR. BOB PETERS: And so it follows that,
17 so long as the average export price remains below ten
18 (10) cents a kilowatt hour, using the numbers I've put on
19 the record, there will be a subsidy required for Manitoba
20 Hydro's grid customers for at least 66 percent of the
21 energy, assuming the First Nation subscribes for their
22 full one-third (1/3) interest?

23 MR. VINCE WARDEN: Yes, we are not only
24 talk -- talking opportunity sales though, we're talking
25 firm sales as well, so it's -- it's not the difference

1 between the hypothetical ten (10) cents and the -- and
2 the two point three (2.3) -- two point seven (2.7) cents
3 that we were discussing for opportunity sales.

4 MR. BOB PETERS: But help -- help -- just
5 help the Board understand that answer, Mr. Warden. There
6 is no firm long-term power sale for any of the Wuskwatim
7 Power, is there?

8 MR. VINCE WARDEN: Well, there's no
9 specific long-term power sale for the Wuskwatim Power,
10 but Wuskwatim would share in -- in any long-term
11 contracts that are -- that are either in place or
12 negotiated.

13 MR. BOB PETERS: And so the -- the two
14 (2) that -- that might contribute to the Wuskwatim costs
15 would be the Minnesota Power and the Wisconsin Public
16 Service term sheets that are working their way to become
17 contracts?

18 MR. VINCE WARDEN: That could very well
19 be, yes.

20 MR. BOB PETERS: But it doesn't include
21 the NSP arrangement, does it, because that's already
22 served from existing resou -- resources?

23

24

(BRIEF PAUSE)

25

1 THE CHAIRPERSON: We're just going to
2 take the mid-afternoon break to give you a better
3 opportunity.

4 MR. BOB PETERS: Thank you, sir.

5
6 --- Upon recessing at 2:39 p.m.

7 --- Upon resuming at 3:01 p.m.

8

9 THE CHAIRPERSON: Mr. Peters...?

10 MR. BOB PETERS: Yes, thank you.

11

12 CONTINUED BY MR. BOB PETERS:

13 MR. BOB PETERS: I think, Mr. Warden, we
14 left off and I must have posed a very salient question
15 because you wanted to make sure you had it exactly right
16 before you answered it, and I think we took the -- the
17 recess to afford Manitoba Hydro a -- an opportunity to --
18 to caucus on the matter. Did you have a chance to
19 consider the question?

20 MR. VINCE WARDEN: Yes, Mr. Peters. What
21 I wasn't entirely sure of as to whether or not the
22 Wuskwatim agreement contemplated the sharing of revenues
23 -- export revenues based on the existing contracts or
24 whether it was go forward from the date of the
25 ratification of the agreement. And it is the latter.

1 So the partners would not share in the
2 revenues, the NSP sale contract in effect, prior to May
3 of 2006, the date of ratification. I would like though
4 to take the opportunity to maybe clear up some of the
5 differences that we've been talking about with respect to
6 the -- the calculation of the ten (10) cents versus the -
7 - the revenue that was derived from Wusk --Wuskwatim.

8 And -- and you agree that -- I think we
9 agreed that it was a simplistic calculation that we were
10 looking at, how the ten (10) cents was derived. And the
11 reason that's significantly higher than the number that
12 we've calculated in terms of our filings is that
13 depreciation should not be included in the ten (10) cents
14 essentially.

15 Depreciation is really not a cost that is
16 incurred; it's a recovery of costs. That's what
17 depreciation is. It recovers the cost of an investment
18 over time.

19 So if you really wanted to look at the
20 average cost of Wuskwatim, you would take the investment,
21 in this case I think -- and I think you were using 1.7
22 billion; it's actually 1.6 billion, just to be precise.

23 So the 1.6 billion, if you wanted to
24 figure out what that cost was to carry that investment
25 over -- over the life of the facility, the correct way to

1 do that would be to take the equal annual payment
2 required to repay a debt of 1.6 billion over sixty-five
3 (65) years at 6 percent, and you come up with a
4 significantly different answer than the -- the
5 calculation that was performed.

6 MR. ROBERT MAYER: Not a hundred (100) --

7 MR. VINCE WARDEN: So extracting --

8 MR. ROBERT MAYER: -- not a hundred (100)
9 years for the -- for --

10 MR. VINCE WARDEN: Well, on average. On
11 average, sixty-seven (67) years I think we use for
12 average. The -- the civil structure would be a hundred
13 (100) years, and the other components, so the -- the
14 average that's used would be sixty-seven (67) years for a
15 generating station.

16 So if you just go through that calculation
17 again, Mr. Peters, the -- the 1.6 billion, and using the
18 number of 6 percent for interest that you were using,
19 eliminating in effect the depreciation component, which
20 was incorrectly applied, you come out with a -- an amount
21 of one hundred (100) -- annual costs of 144 million.

22 So that's just derived by taking the 1.6
23 mill -- billion, times 6 percent, adding 1 percent on for
24 operating costs, which really is somewhat on the high
25 side, but nevertheless we'll -- we'll accept that for

1 purposes, again, of our illustration.

2 So if you take the 96 million for
3 interest, 1 percent operating, another 16 million, come
4 up -- come up with a total of a hundred and forty-four
5 (144) annual cost divided by the -- no sorry, sorry.
6 Sorry. A hundred and forty-four (144) is including
7 depreciation. Let me back up. It would be 112 million -
8 - 112 million divided by the annual output of the
9 facility, which is fifteen (15) -- actually fifteen
10 fifteen (1,515) to be precise, more precise than the
11 fifteen hundred (1,500) rounding.

12 A hundred and twelve (112) million dollars
13 annual cost divided by the 1,515 gigawatt hours comes out
14 to seven point four (7.4) cents, which is consistent with
15 the filing that we've -- we've made in these proceedings.

16 So it brings those -- those numbers to
17 costs, and -- and the revenues much closer together,
18 which is much more -- more reasonable based on the
19 information that we filed.

20 MR. BOB PETERS: Well, thank you for
21 putting forward that information, Mr. Warden. Would it
22 be correct to say that what you have just done is put
23 forward a calculation to assess the cost of the dams
24 without taking into account any rate implications related
25 to recovery of the costs associated with the Wuskwatim

1 project?

2 MR. VINCE WARDEN: Mr. Peters, I was just
3 trying to -- I don't want to use the correct -- the word
4 correct, but I was trying to go through a calculation
5 that's more representative of the costs that are being
6 incurred.

7 I wasn't talking about the recovery. The
8 recovery is a totally different issue, and that's what
9 was happening when you were bringing in depreciation.
10 You were -- that -- that is the recovery. That is how
11 costs are recovered, so it's not appropriate to charge
12 that off as a cost of the -- of -- of the facility in --
13 in the manner that you were doing the calculation.

14 MR. BOB PETERS: Would it be correct to
15 say, Mr. Warden, that your methodology, or Manitoba
16 Hydro's methodology that you've just shared with the
17 Board, assumes that the dam is never paid off?

18 MR. VINCE WARDEN: No. The pay -- the
19 paying off is a -- is a different matter. Again, and I -
20 - I didn't do this calculation, but if you really wanted
21 to look at how -- if you wanted to look at the paying
22 off, you should be taking the amount of 1.6 billion, the
23 equal annual amount that's required to recover that over
24 the sixty-seven (67) years. That would be the amount
25 that's -- of financing costs, or -- or finance -- to re -

1 - to repay both the principle and interest over the life
2 of facility; that is the correct way of calc --
3 calculating that number. And you'll come up with
4 something probably lower than -- lower than the seven
5 point four (7.4) cents that I -- I put on the record.

6 We can do that calculation for you if you
7 like, and -- but -- and its -- it's just more indicative
8 of -- of looking at the costs that might be incurred in
9 the first year alone because there are -- as you collect
10 those costs, then there's going to be a recovery of -- of
11 -- or a reduction in the financing costs over time.

12 MR. BOB PETERS: All right, what you're
13 saying is you could refine the method that Manitoba Hydro
14 just put on the record by adding to those costs the
15 recovery of the principal.

16 MR. VINCE WARDEN: The principal and the
17 interest. What I was doing --

18 MR. BOB PETERS: Well, you al --

19 MR. VINCE WARDEN: What I was doing with
20 the calculation I just put on the record, Mr. Peters, was
21 taking your simplified version and taking out
22 depreciation because it was wrong to include -- include
23 depreciation in that calculation. So I was giving an
24 equivalent number to what you came up with absent
25 depreciation. So instead of ten (10) cents, your

1 calculation works out to seven point four (7.4) cents
2 done correctly.

3 MR. BOB PETERS: I take from your
4 methodology that you've shared with the Board, Mr.
5 Warden, that the recovery of the capital costs is not
6 included in the costs assigned to the project.

7 MR. VINCE WARDEN: The seven point four
8 (7.4) cents is -- is what the -- the costs would be to
9 maintain that same level of debt over the -- over a
10 period of time. So as I -- as I mentioned, if you wanted
11 to calculate what the cost to recover both interest and
12 principal, a little more co -- complex calculation, but
13 that's simple enough to do as well.

14 THE CHAIRPERSON: Mr. Warden, you're
15 looking at it from an economic perspective rather than a
16 normal -- it'd be like an accounting approach; is that
17 what you're doing?

18 MR. VINCE WARDEN: No, not really. No.
19 I think I -- again, Mr. Chairman, I was just trying to
20 take the -- the methodology that Mr. Peters put on the
21 record earlier and refine that to say you shouldn't have
22 included depreciation in there. So if you want to use
23 that method of calculating the cost, take out
24 depreciation because it's inappropriate to put
25 depreciation in that calculation.

1 So the equivalent to the ten (10) cents
2 that Mr. Peters calculated earlier, the right number is
3 seven point four (7.4) cents using that methodology.
4 Now, if we wanted to look at the recovery of the
5 principal and interest over the life of the facility,
6 that's another way of looking at it, but.

7 THE CHAIRPERSON: Well, I'm just thinking
8 back -- excuse me. If I may, I'm thinking back to the
9 old ways we used to handle water and sewer utilities, and
10 they used to do everything basically on a -- rates were
11 calculated on a cash basis in a sense, so what it was was
12 the operating costs of the plant, if you want, as well as
13 the debt servicing cost. And you're talking -- that
14 servicing cost included both principal and interest for
15 the whole amortization period.

16 MR. VINCE WARDEN: Yes.

17 THE CHAIRPERSON: That's basically what
18 you're talking about, isn't it?

19 MR. VINCE WARDEN: Yes, that would be a
20 more correct way of looking at the recovery of those
21 costs over the life of the facility.

22 THE CHAIRPERSON: But that wouldn't
23 necessarily be the way that you account for it to try and
24 determine the accounting attribution --

25 MR. VINCE WARDEN: That's right, because

1 we --

2 THE CHAIRPERSON: -- of profit or loss;
3 that's a different thing. Then depreciation would come
4 into account.

5 MR. VINCE WARDEN: Absolutely it would
6 because now we're recovering those costs and we want to
7 recover those costs from ratepayers, and that's the way
8 we do it over the life of that asset.

9 THE CHAIRPERSON: I understand. Thank
10 you.

11

12 CONTINUED BY MR. BOB PETERS:

13 MR. BOB PETERS: Mr. Warden, in the
14 methodology that Manitoba Hydro has just put forward
15 after the break in terms of calculating the -- the per
16 kilowatt hour of energy cost of Wuskwatim, there was no
17 recovery of the principal amount in your example,
18 correct?

19 MR. VINCE WARDEN: That's right, it's
20 only the carrying costs. Again, Mr. Peters, though, it's
21 not my methodology; it was your methodology adjusted to
22 take out depreciation which was incorrectly included.

23 MR. BOB PETERS: Oh, we can fight over
24 who gets credit for the methodology later, Mr. Warden.
25 But the -- the methodolo...

1 MR. VINCE WARDEN: Mr. Surminski has --
2 has just done a calculation based on the average sixty-
3 seven (67) year life, so the amount -- to be clear, the
4 amount to recover an investment of 1.6 billion over
5 sixty-seven (67) years at 6 percent interest -- oh, seven
6 (7) -- seven (7) total, so he did include the 1 percent
7 operating costs in there as well -- so at 7 percent is
8 \$114 million per year versus the one twelve (112), so it
9 really didn't make that much difference.

10 When you look at something over that long
11 of a life, the -- the amount to recover the principal is
12 a minimal impact. So it -- it's 114 million divided by
13 the 1,515 gigawatt hours per year, and Mr. Surminski I'm
14 sure -- seven point five five (7.55) cents per kilowatt
15 hour versus the seven point four (7.4) cents that was
16 previously calculated.

17 THE CHAIRPERSON: Just to make sure we're
18 staying with you, because I think I actually am, the
19 calculation you're doing, there's no profit margin
20 involved. It's -- it's simply the debt servicing cost
21 plus variable costs, if you like.

22 MR. VINCE WARDEN: Absolutely. That's
23 all it is.

24 THE CHAIRPERSON: Thank you.

25

1 CONTINUED BY MR. BOB PETERS:

2 MR. BOB PETERS: And by using Mr.
3 Surminski's latest calculation -- we'll give him credit
4 for that -- you've attempted to provide an alternative
5 calculation to that which I posed to you earlier this
6 afternoon.

7 MR. VINCE WARDEN: Well, the only -- Mr.
8 Peters, the only difference is that we've included in the
9 -- in Mr. Surminski's calculation the recovery of
10 principal over those sixty-seven (67) years.

11 MR. BOB PETERS: Would Manitoba Hydro
12 apply this same logic to assessing all of Manitoba
13 Hydro's new assets?

14 MR. VINCE WARDEN: Well, in effect, we do
15 use a levelized cost calculation which is very roughly
16 equivalent to what we just went through, yes.

17 MR. BOB PETERS: When it comes time to
18 setting rates to recover the actual costs, Mr. Warden,
19 the process is entirely different, is that correct?

20 MR. VINCE WARDEN: Well, it's different.
21 I wouldn't say entirely different. There's still -- we
22 look at the financing costs that are incurred in any
23 specific year, and we do factor in depreciation because
24 that's how we do recover that principal over the life of
25 the facility, and go through a -- because we're basing it

1 on total plant, there's a -- there's an embedded cost in
2 -- plant impact on the average calculation that we would
3 use for purposes of recovering those average costs from
4 ratepayers over time. So we're not looking at recovering
5 specifically from ratepayers the costs of the Wuskwatim
6 plant; we're looking at all of the -- the mass plant that
7 we have invested in at Manitoba Hydro.

8 MR. BOB PETERS: You add it to the total
9 of your other investments and then average it out in
10 terms of recovery?

11 MR. VINCE WARDEN: Yes.

12 MR. BOB PETERS: And instead of using the
13 principal calculation, as most recently done by Mr.
14 Surminski, you would replace the principal with a
15 depreciation rate over the declining life of the -- of
16 the asset?

17 MR. VINCE WARDEN: Well, we would, first
18 of all, include in the balance sheet the total investment
19 in the in the -- in plant, and then we would amortize
20 that plant depending on the depreciation rates that are
21 in effect for that component of plant and recover it from
22 ratepayers in that manner.

23 MR. ROBERT MAYER: Mr. -- Mr. Warden, I'm
24 looking at a report apparently produced by Manitoba Hydro
25 called Wuskwatim Generating Station Briefing, March 20th,

1 2008. On page 15 of that report, Manitoba Hydro -- I
2 think this is a Manitoba Hydro report -- says:

3 "Wuskwatim project unit cost
4 calculations, Canadian cents per
5 kilowatt hour, bottom line, ten point
6 seven (10.7)."

7 This is Manitoba Hydro's report I am
8 referring to, is it?

9 MR. VINCE WARDEN: Mr. Mayer --

10 MR. BOB PETERS: Just a second, Mr.
11 Warden. I'm not so sure of the origin of that document,
12 and I was talking to my colleague and it may not in fact
13 be Manitoba Hydro's document. So that's something that
14 we'd like to check before that is put to the witness.

15 MR. ROBERT MAYER: Okay. It is
16 interesting the number came suspiciously close to the one
17 (1) that Mr. Peters had.

18 THE CHAIRPERSON: But to be fair, that
19 number that Mr. Mayer's referring to uses depreciation.

20 MR. VINCE WARDEN: It's wrong.

21

22 CONTINUED BY MR. BOB PETERS:

23 MR. BOB PETERS: You're not going to
24 soften that, Mr. Warden? It's just a different way of
25 calculating it.

1 MR. VINCE WARDEN: Sorry, Mr. Peters.

2 MR. BOB PETERS: Well, Mr. -- Mr. Warden,
3 as we move forward with the discussion we had about the
4 Wuskwatim Power Limited Partnership Agreement, should the
5 Board now understand that the profitability of that
6 project is weighed against the seven point five five
7 (7.55) cents a kilowatt hour number that has most
8 recently been calculated on the record by yourself and
9 Mr. Surminski?

10 MR. VINCE WARDEN: And recognizing that
11 was -- that was done on a calculator and, you know, may
12 not match exactly, I think we've accepted the 1 percent
13 operating cost which I did say earlier, probably on the
14 high side. I don't believe we use 1 percent for
15 operating costs, so -- but the seven point five five
16 (7.55) cents is -- is much closer to the costs -- the
17 real costs of Wuskwatim than the ten (10) cents
18 previously calculated.

19 MR. BOB PETERS: Did your O&M calculation
20 concede that capital tax would have to be added and maybe
21 lumped in with that O&M expense?

22

23 (BRIEF PAUSE)

24

25 MR. VINCE WARDEN: Mr. Peters, I think

1 for purposes of our -- the studies we've done on
2 Wuskwatim, we haven't used a number as high as 1 percent,
3 specifically whether capital tax was included in that
4 calculation, I would have to confirm.

5 MR. BOB PETERS: It should be if it
6 wasn't. Wouldn't that be correct?

7 MR. VINCE WARDEN: It's -- it's a real
8 cost, yes. Yes, it -- it should be included. Capital
9 tax will decline over time as the associated debt is --
10 is repaid. The capital tax is largely debt based. So
11 you'd have to look at how much Wuskwatim was financed
12 versus debt versus equity to come up with the amount of
13 capital tax that's applicable.

14 MR. BOB PETERS: We can take from this
15 recent exchange, Mr. Warden, that the, I'll call it the
16 levelized costing approach that you have done very
17 crudely, I will suggest, on the -- on the transcript, it
18 doesn't consider the recovery of the costs? That was one
19 (1) of the key points that you're making in terms of the
20 differentiation from the method I put forward?

21 MR. VINCE WARDEN: No, no, no, Mr.
22 Peters. The -- the seven point five five (7.55) cents is
23 what we calculated to recover all of the costs including
24 the principal and interest over the life of that
25 facility, over sixty-seven (67) years.

1 MR. BOB PETERS: And there's no
2 contribution to reserves built into the seven point five
3 five (7.55) cents?

4 MR. VINCE WARDEN: No, no, it was not
5 intended to be a contribution to reserves included in
6 that calculation.

7 MR. BOB PETERS: And, Mr. Warden, when we
8 turn to Keeyask we've seen already that Manitoba Hydro
9 has delayed the in-service date of Keeyask out to, I
10 believe, 2020 -- fiscal year 2020 and we know that
11 Keeyask would be mandatorily needed for the last 125
12 megawatts of the NSP contract, correct?

13 MR. VINCE WARDEN: Depending on the
14 circumstances of the day. As I think Mr. Surminski went
15 over earlier, it -- it really depends on the load growth
16 over that period of time or, lack thereof, and the
17 hundred and twenty-five (125). It's not a condition of
18 the NSP sale extension that that be served from new
19 hydraulic generation.

20 MR. BOB PETERS: It's Manitoba Hydro's
21 option depending on the circumstances of the day as you
22 called it?

23 MR. VINCE WARDEN: Yes.

24 MR. BOB PETERS: But does that not sugg -
25 - well, I'll -- I'll withdraw that. Keeyask would be

1 needed for the Minnesota Power long-term agreement.

2 Would that be correct?

3 MR. VINCE WARDEN: Yes.

4 MR. BOB PETERS: And your answer was in
5 the affirmative, sir? Your mic, I don't think, was
6 working.

7 MR. VINCE WARDEN: Yes.

8 MR. BOB PETERS: Yeah. Thank you. We've
9 seen the capital cost of Keeyask increase up to \$5.6
10 billion from the previous estimates of four point six
11 (4.6), and the year before that three point seven (3.7),
12 also correct, sir?

13 MR. VINCE WARDEN: Correct.

14 MR. BOB PETERS: And we've agreed that
15 the output is approximately 4,400 gigawatt hours a year
16 for Keeyask? The output, Mr. Surminski, would be
17 approximately 4,400 gigawatt hours a year?

18 MS. HAROLD SURMINSKI: Yes, I accept
19 that.

20 MR. BOB PETERS: Yeah, thank you, sir.
21 Now, using Board counsel's methodology, Mr. Warden, if I
22 multiplied it by the 6 percent interest, the -- add a
23 couple percent for depreciation, and another percent for
24 OM&A and taxes, the carrying costs on Keeyask, in my
25 calculation, would be in the neighbourhood of \$500

1 million a year.

2 And while you may agree with the math, you
3 don't agree with the concept. Would that be correct?

4 MR. VINCE WARDEN: Yes. Mr. Peters, I --
5 I don't want to mislead the Board on this, and I do
6 believe the calculation you performed, and I hope that I
7 had convinced you that that wasn't the correct
8 calculation, so I -- so I do believe by going through the
9 calculation as you've just done is misleading.

10 MS. HAROLD SURMINSKI: And also it will
11 not be consistent with the Wuskwatim calculation, for
12 relative comparison.

13 MR. BOB PETERS: It wouldn't be
14 consistent with the Wuskwatim calculation that you have
15 most laterally provided, Mr. Surminski? Is that your
16 point?

17 MS. HAROLD SURMINSKI: Yes.

18 MR. BOB PETERS: Yeah, and -- and you can
19 guess where I'm going. I wanted to give you that -- my
20 calculation, and I'd ask Mr. Surminski, if you could
21 undertake, and have Mr. Warden review the calculation of
22 what I'm going to call, I guess, the levelized cost on a
23 per kilowatt hour basis of Wuskwatim, of Keeyask, I
24 suppose Conawapa would be part of my request, if this
25 information, according to your counsel, can be -- can be

1 disclosed in that fashion.

2

3

(BRIEF PAUSE)

4

5 MR. VINCE WARDEN: I think concern is
6 being expressed, Mr. -- Mr. Peters, that we are getting
7 into the next review that we've talked about, the needs
8 for and justification review that will look at those
9 projects and come to a conclusion as to their
10 profitability, or lack thereof, or their justification.

11 So I'm not sure how far it's appropriate
12 to go down that -- that road, Mr. Peters.

13 MR. BOB PETERS: What I take from that
14 answer, Mr. Warden, is you're prepared to put on the
15 public record your calculations, would that be correct,
16 but you're not sure if this is the right forum?

17 MR. VINCE WARDEN: Well, we do know, and
18 we do know that the government has issued -- has informed
19 Manitoba Hydro that there will be a separate proceeding
20 to deal with the NFAAT, and that definitely would be the
21 forum for looking at the economics of -- of those
22 facilities.

23 We can -- we can go through the arithmetic
24 but again I'm not sure where that's leading.

25 MR. BOB PETERS: Well, I'll -- I'll bring

1 us there in a hurry. Would you acknowledge that you've
2 put the methodology as accurately as you need -- you
3 believe need to for this proceedings on the record when
4 you did the math following the afternoon recess?

5 MR. VINCE WARDEN: Well, I think the --
6 the methodology that I've put on the record is sound as
7 opposed to the previous methodology, and I -- I didn't
8 want to leave the previous methodology on the record
9 because it -- it had that one (1) flaw that I discussed.

10 MR. BOB PETERS: All right. So if the
11 Board chooses to take your methodology, they can
12 replicate the methodology against the numbers for Keeyask
13 and Conawapa, and there would be nothing offensive in --
14 in their doing that, Mr. Warden?

15 MS. PATTI RAMAGE: Mr. Peters, I think
16 the concern at this end is, Mr. Warden has expressed, is
17 that the Board should be focussing its efforts on the
18 committed plant, which includes Wuskwatim, and we've
19 reviewed that methodology. I think Manitoba Hydro would
20 have a concern with the Board considering any evidence
21 that hasn't been reviewed in this Hearing. And the
22 evidence that should be reviewed in this Hearing deals
23 with the committed plant we -- we've dealt with.

24 And as Mr. Warden said, there's going to
25 be a review in the future to deal with those future

1 plants if and when Manitoba Hydro ultimately commits
2 them. And -- and Mr. Warden has said that the government
3 has said there will be a forum to do that. So, yes,
4 there is a concern of the Board doing calculations that
5 parties aren't going to be testing, and there's a concern
6 about the need for those calculations.

7

8 CONTINUED BY MR. BOB PETERS:

9 MR. BOB PETERS: Mr. Warden, the
10 construction of Keeyask and Conawapa pose risks to
11 Manitoba Hydro, do they not?

12 MR. VINCE WARDEN: Yes, they do.

13 MR. BOB PETERS: And the risks posed by
14 Keeyask and Conawapa are risks that Manitoba Hydro would
15 expect to cover out of its retained earnings if those
16 risks turn negative on the Corporation.

17 MR. VINCE WARDEN: Yes, but that is the
18 very reason that we're -- that there is going to be a
19 proceeding to look at the need for and justification of
20 those facilities.

21 MR. BOB PETERS: And to the extent that
22 in this application before the Board you have presently,
23 Manitoba Hydro is assuming that the Keeyask and Conawapa
24 projects will proceed as part of Manitoba Hydro's
25 preferred development plan.

1 MR. VINCE WARDEN: Yes, that -- that is
2 included within the preferred development plan. However,
3 in this Rate Application we're not looking to recover any
4 of the costs that are being incurred. The up-front costs
5 are being incurred in preparation for that upcoming
6 proceeding.

7 MR. BOB PETERS: But you have
8 acknowledged that some of the costs that have been
9 incurred relative to Keeyask and Conawapa will be paid
10 for out of existing rates.

11 MR. VINCE WARDEN: Existing rates? No,
12 no. The -- we're not looking to include any of the costs
13 of Keeyask and Conawapa in existing rates.

14 MR. BOB PETERS: The existing rates then
15 you will suggest is to create a retained earnings cushion
16 that would be available if the risks for Keeyask and
17 Conawapa don't materialize.

18 MR. VINCE WARDEN: Well, now we're
19 talking though about the financial structure of the
20 Corporation. And there are certain ratios that -- that
21 Manitoba Hydro is striving to maintain just with the
22 prudent financial management of the Corporation, and
23 we're asking the Board to -- to approve rates that
24 contribute towards that financial structure.

25 MR. BOB PETERS: A financial structure to

1 have the Corporation proceed with its preferred
2 development plan.

3 MR. VINCE WARDEN: Well, not only.
4 Certainly we have to plan for the future power
5 requirements of -- of the province of Manitoba. I think
6 that was part of the mandate that we read into the
7 record, or at least discussed yesterday. That's what
8 we're here for; we're to provide for the future. We
9 can't sit back and expect that's going to happen unless
10 there's plans put in place to -- to ensure it happens and
11 -- and the way that's most beneficial to Manitoba
12 ratepayers. That's what we're doing.

13 MR. BOB PETERS: And I appreciate those
14 will be the submissions the Board will hear from your
15 counsel. But would it be the Board's understanding and
16 would it be they correctly understand that -- is Manitoba
17 Hydro's business model premised on charging export
18 customers the full incremental cost to serve them?

19 MR. VINCE WARDEN: Export customers do
20 bear the full incremental cost to serve them, yes.

21 MR. BOB PETERS: Over what period of time
22 do they bear that cost, Mr. Warden?

23 MR. VINCE WARDEN: Well, I think, as Mr.
24 Cormie indicated earlier, there -- there's different ways
25 of looking at over how those costs are recovered. So you

1 look at a -- a base case with our preferred development
2 plan, look at the alternative scenarios which -- which
3 may or may not include -- or would -- would include a
4 different sequence of -- of development. Export
5 customers are -- are part of -- of -- whatever scenario
6 we look at, though, that's taking advantage of the -- the
7 situation we have with our hydraulic system and our
8 interconnections with other utilities.

9 So look at the -- we'd look at the lowest
10 cost, most beneficial alternative to Manitoba Hydro
11 ratepayers over an extended period of time. So that's
12 one (1) way of looking at it.

13 Another way of looking at it is the -- any
14 incremental costs of -- of new generation are taken into
15 consideration when negotiating new contracts, and we
16 ensure that those incremental costs -- incremental costs
17 are recovered on a unit -- per-unit basis.

18 MR. BOB PETERS: Can Manitoba Hydro
19 proceed with its preferred development plan without the
20 rate increases sought in this application?

21 MR. VINCE WARDEN: Yes. Yes, we
22 certainly could. Any development plan that we put
23 forward has its risks, as we talked about earlier. If we
24 proceeded, though, with rate increases, or lack of rate
25 increases, such that our financial ratios deteriorated,

1 that would pose yet another risk, and -- and a major one.
2 We would have our credit rating agencies expressing
3 concern, our cost of debt would go up, our internally-
4 generated funds would go down. So all kinds of bad
5 things happen if we don't get rate increases in a regular
6 way.

7 MR. BOB PETERS: That suggests that this
8 application is to facilitate your future development
9 plans?

10 MR. VINCE WARDEN: It's to facilitate a
11 financial structure, a strong financial structure, that
12 we worked many, many years to achieve. We are, as we've
13 stated, in the -- in the strongest financial position of
14 any time in the Corporation's history. It's really
15 important that we maintain that strength going forward.

16 MR. BOB PETERS: Should Manitoba --

17 MR. VINCE WARDEN: Important for the
18 ratepayers, I might add.

19 MR. BOB PETERS: Should Manitoba Hydro
20 proceed under its alternative development plan, as in the
21 -- the latest power resource plan, Mr. Warden, can it
22 proceed without the rate increases sought in this
23 application?

24 MR. VINCE WARDEN: No.

25 MR. BOB PETERS: Why is that?

1 MR. VINCE WARDEN: For the reasons I just
2 gave.

3 MR. BOB PETERS: Well, you indicated that
4 the preferred development plan could proceed, although
5 there would be increased risks, I thought was your
6 answer, and -- and we came around to discussing the
7 capital structure. But if you can proceed without rate
8 increases for your preferred development plan, why
9 couldn't you proceed without rate increases for the
10 alternative development plan?

11 MR. VINCE WARDEN: Well, I was trying to
12 make the case that it would be highly inadvisable to
13 proceed without rate increases, and so that applies to
14 both -- both the preferred development plan and any
15 alternative development plan.

16 MR. BOB PETERS: Okay. Yeah. Thank you.
17 Thank you for that clarification. When the Board looks
18 at your IFF-09 at Tab 4 of the book of documents, is it
19 Manitoba Hydro's suggestion that the 3 1/2 percent rate
20 increase going forward is -- is to be ignored?

21 MR. VINCE WARDEN: It's indicative only.
22 We will be returning to the Public Utilities Board in the
23 not-too-distant future with yet another rate application,
24 and at that time the Manitoba Hydro-Electric Board will
25 exercise it -- its judgment as to what an appropriate

1 rate increase application will be.

2 MR. BOB PETERS: But indicative -- when
3 you say it's indicative, it's indicative of what, Mr.
4 Warden, what -- what -- what befalls the Manitoba
5 consumer if Manitoba Hydro proceeds on its preferred
6 development plan?

7 MR. VINCE WARDEN: Well, it's indicative
8 of the rate increases that, based on all the assumptions
9 that -- that go into the financial forecast, and the
10 financial forecast has many moving parts, as we know.
11 Forecasts do change from year to year. But, based on the
12 forecast that was pre -- prepared in the fall of 2009, if
13 we want to maintain the financial structure with an 80:20
14 debt-equity ratio by the end of that ten (10) year
15 period, those are the indicative rate increases that
16 would be required.

17 MR. BOB PETERS: That 80:20 debt-equity
18 ratio is -- is a -- is a number put forward by management
19 of Manitoba Hydro. It's not a target of the Corporation.
20 Would that be correct?

21 MR. VINCE WARDEN: No, it's -- the target
22 is seventy-five (75), so we are -- our target would be to
23 maintain that sev -- excuse me, 75:25 debt-equity ratio.

24 MR. BOB PETERS: But you know you can't
25 do that during major construction. The -- the math

1 doesn't support reaching that level without significant
2 rate increases?

3 MR. VINCE WARDEN: That's what this --
4 that's what this forecast shows, yes.

5 MR. BOB PETERS: So this forecast is
6 indicative of the larger rate increases to follow,
7 provided Manitoba Hydro stays on its preferred
8 development plan and the assumptions that Manitoba Hydro
9 has made in the IFF bear fruit and come true?

10 MR. VINCE WARDEN: Yes. As I did
11 indicate earlier, we are going -- going to do everything
12 possible to maintain the 75:25 debt-equity ratio over
13 that period of time. But if the world evolves as we've -
14 - our world, that is, evolves as indicated in this
15 financial forecast, then this is what the outlook is.

16 MR. BOB PETERS: Would the Board's
17 understanding be correct, Mr. Warden, in that Manitoba
18 Hydro's business model seeks to recover from Manitoba
19 Hydro's export customers the blending of the costs
20 associated with all of its assets?

21 MR. VINCE WARDEN: No, no, it wouldn't be
22 fair to assume that. The export contracts fully
23 recognize the costs incurred with new generation. So
24 it's more of a marginal cost approach to pricing export
25 contracts than -- than is used for domestic customers.

1 MR. BOB PETERS: Are Manitoba Hydro's
2 export customers receiving the benefits of Manitoba
3 Hydro's vintage generation assets in any way?

4 MR. VINCE WARDEN: No. No, we -- we
5 negotiate the -- what the best price we can possibly get
6 out there in the competitive marketplace and it has no
7 regard whatsoever to our embedded costs.

8 MR. BOB PETERS: You're measuring the
9 best price in the marketplace under your contract
10 negotiations against the direct costs of the new
11 generating serv -- stations to serve that new load?

12 MR. VINCE WARDEN: Well, we certainly are
13 cognizant of what those costs are at all times, but we're
14 looking more so at what the market will bear.

15 MR. BOB PETERS: And when you look at
16 what the market will bear, you know that a significant
17 percentage and, I think in the transcript I did find Mr.
18 Cormie's reference to 25 percent of your -- of your
19 future new load is expected to serve long-term contracts.
20 Maybe I should just get the quote, Mr. Cormie, to make
21 sure that it's consistent with your recollection, and I'm
22 looking on page 1283 of the transcript from January the
23 17th.

24

25

(BRIEF PAUSE)

1 MR. BOB PETERS: I'll read the quote into
2 the record, or -- or maybe -- well, I'll read it into the
3 record, Mr. Cormie, and you can tell me if I've
4 misunderstood it. Starting on line 8, Mr. David Cormie:

5 "No, the price that we've agreed to is
6 fixed. When you consider all the
7 entire portfolio of fixed-price energy
8 that we're taking to market today for
9 delivery, starting with our new
10 generation, about 25 percent of it is -
11 - will be a fixed price."

12 But you might want to read further to see
13 if there's any context that I'm missing with that, sir.

14 MR. DAVID CORMIE: Mr. Peters, what that
15 25 percent was referring to was on an average-year basis,
16 25 percent of the energy that will be taken to market by
17 Manitoba Hydro, whether its opportunity or dependable
18 energy, will be fixed-price.

19 That's -- that's where our portfolio
20 stands now. So that includes -- that's average-year
21 energy, Mr. Peters, so if -- if in an average year there
22 were 10 terawatt hours of surplus with dependable and
23 opportunity energy, 25 percent will have been, as -- as
24 the portfolio stands today in the IFF, 25 percent has
25 been set at fix -- has -- the price has been fixed.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. BOB PETERS: And by default, that means 75 percent will be at the whim of the market.

MR. DAVID CORMIE: Yes, because the large majority of the surplus that we have is not dependable energy, and -- and it -- it will then attract market prices, depending on the year and the water flow conditions.

(BRIEF PAUSE)

MR. BOB PETERS: And the cost to serve those two (2) types of export products going forward, Mr. Cormie and Mr. Warden, would you agree, is exactly the same, whether that electron is for a fixed contract or that electron is for the opportunity market, the cost to -- to generate it would be exactly the same?

(BRIEF PAUSE)

MR. DAVID CORMIE: The facilities that would be put in place as a result of the sale agreement will be identical. The facility will then be able to generate both dependable energy and non-dependable energy, and so the cost will be -- will be fixed, and the

1 -- the -- just the na -- there will be two (2) types of
2 products that are available from those -- from those
3 facilities.

4 But we don't invest in infrastructure for
5 non-dependable energy.

6 MR. BOB PETERS: On average, you invest
7 75 percent of that infrastructure for non-dependable
8 energy, wouldn't that be correct?

9

10 (BRIEF PAUSE)

11

12 MR. DAVID CORMIE: Well, I -- I think,
13 Mr. Peters, our investment decision for -- into new
14 generation will be, at a minimum, what is necessary to
15 serve the long-term firm commitments of the sale.

16 And so we will analyze the -- the benefits
17 of -- of each development sequence, comparing the -- the
18 revenues that are generated under each sequence and the
19 cost associated with each secret -- each sequence.

20 And -- but we won't invest in dependable
21 resources above and beyond what we think that we can sell
22 dependable energy for.

23

24 (BRIEF PAUSE)

25

1 MR. BOB PETERS: Let's -- let's start
2 maybe by using Manitoba Hydro's math, Mr. Warden, and I'm
3 not agreeing to the seven point five five (7.55) cents
4 per kilowatt hour number. I'm just not sure
5 mathematically that's right, but that'll take -- take me
6 a bit of a while -- a bit of time with a calculator to
7 retrace that, so I -- so I'll use your number of seven
8 point five five (7.55) cents.

9 And let's also use the numbers that you've
10 put on the record in terms of your average firm export
11 sales this year and last; that was -- was it about five
12 (5) -- five point seven (5.7) cents? Did I -- or five
13 point three (5.3) cents, sir, do you recall?

14 MR. VINCE WARDEN: Mr. Peters, you're --
15 you're talking for dependable -- or -- or for fixed-term
16 contracts.

17 MR. BOB PETERS: Yes, I think in your --

18 MR. VINCE WARDEN: Yes.

19 MR. BOB PETERS: -- direct evidence to
20 Ms. Ramage you -- oh so long ago, you put that on the
21 record.

22 MR. VINCE WARDEN: Yes, I agree.

23 MR. BOB PETERS: It was five point seven
24 (5.7), sir?

25 MR. VINCE WARDEN: Yes.

1 MR. BOB PETERS: And then the -- the
2 opportunity was -- was less than half of that, if I
3 recall, two point three (2.3) cents.

4 MR. VINCE WARDEN: Yes.

5 MR. BOB PETERS: Now, when we look at
6 those numbers, and we'll just use all three (3) of them
7 being your numbers, the five point seven (5.7) cents on
8 average from your fixed product, it doesn't recover the
9 seven point five five (7.55) cents that would be -- would
10 be the cost of the Wuskwatim plant, correct?

11 MR. VINCE WARDEN: That's right.

12 MR. BOB PETERS: And so there would be a
13 shortfall as between those two (2) numbers, the five
14 point seven (5.7) cents and the seven point five five
15 (7.55) cents.

16 MR. VINCE WARDEN: Yes.

17 MR. BOB PETERS: And that shortfall would
18 be absorbed into the costs charged through to the
19 Manitoba consumer.

20 MR. VINCE WARDEN: Yes.

21 MR. BOB PETERS: And if we take the
22 opportunity sales, which, as I understand it, in an
23 average year would be 75 percent of the -- of the export
24 commitments, the opportunity price of two point three
25 (2.3) cents would leave a larger subsidy needed for

1 Manitoba Hydro's domestic customers to cover the seven
2 point five five (7.55) cent costs.

3 MR. VINCE WARDEN: Recognizing again that
4 the two point three (2.3) cents is reflective of the
5 economic conditions and not expected to be the price that
6 we'll receive -- that we will be receiving when Wuskwatim
7 is fully placed in service.

8 MR. BOB PETERS: I -- I'll certainly
9 accept that qualification. And, also, I think Mr. Cormie
10 has made it clear that there are circumstances where, in
11 my words, you either sell it or spill it. And when you
12 sell it, you many not get a very significant return on
13 it. But with those qualifications, there still would be
14 a subsidy sought from the domestic ratepayers through
15 additional costs being attributed to those classes.

16 MR. VINCE WARDEN: Initially, that's
17 correct.

18 MR. BOB PETERS: Now -- and I -- I think
19 that's a point you make. If we -- if we turn our
20 attention through to the new term sheets that will
21 underpin the construction of the new generating stations,
22 will there be situations, at least in the early years,
23 where there will need to be a subsidy from domestic
24 ratepayers to cover all of the additional costs of the
25 generation from new facilities?

1 MR. VINCE WARDEN: It -- it really
2 depends, Mr. Peters, on what facility we're talking
3 about. Conawapa -- the unit cost of energy out of
4 Conawapa is going to be considerably lower than the unit
5 cost out of Keeyask, and Wuskwatim actually. So we're
6 probably straying again into the future justification
7 review that we've been talking about. But I -- I -- my
8 very high-level answer to your question is it really
9 depends where that power is sourced.

10

11 (BRIEF PAUSE)

12

13 MR. BOB PETERS: Mr. Warden, the -- as
14 you sit here today, I think you were proudly speaking,
15 and rightfully so, on behalf of the Corporation, that the
16 financial strength has never been greater, the capital
17 structure's never been greater.

18 MR. VINCE WARDEN: Yes.

19 MR. BOB PETERS: Or never better capital
20 structure.

21 MR. VINCE WARDEN: Yes, that's right.

22 MR. BOB PETERS: And you see that capital
23 structure eroding in the decade of investment, correct?

24 MR. VINCE WARDEN: Yes.

25 MR. BOB PETERS: What are we investing in

1 in this next decade that's going to erode our capital
2 structure?

3 MR. VINCE WARDEN: Well, we -- we are
4 investing in the three (3) -- three (3) major facilities:
5 Keeyask, Conawapa and the Bipole 3 transmission line.
6 Although the Bipole 3 transmission line is different to
7 the extent that it's not considered to be an investment
8 for the purpose of return; it's an investment or an
9 expenditure that's required to improve reliability of the
10 Manitoba system.

11 MR. BOB PETERS: And so the erosion of
12 the debt-equity ratio arises partly because of the
13 subsidy needed to support the sale of energy out of the
14 Wuskwatim plant, would that be correct?

15 MR. VINCE WARDEN: Well, we do -- we
16 talked about a -- a gap earlier, Mr. Peters, between the
17 seven point five five (7.55) cents cost and the five
18 point seven (5.7) cents, which, by the time Wuskwatim
19 comes into service, will be narrowed considerably. And
20 as the plant continues to generate power over the sixty-
21 seven (67) year lic -- life, the investment will realize
22 very significant returns.

23 So I think we are prepared to accept that
24 the early years, and, in fact, as we've demonstrated in
25 the -- one (1) of our undertakings or filings, the first

1 two (2) years do result in a -- in a loss, but the third
2 year we move into the range of profitability.

3 So that's not unusual for a new plant
4 coming into -- into service. A large capital investment
5 does require some deterioration in the ratios in the
6 early years, but we do so with the confidence that the
7 returns will be much greater over the life of that
8 facility.

9 MR. BOB PETERS: Well, while we're just
10 talking Wuskwatim, Mr. Warden, you've suggested -- and --
11 and, quite frankly, the numbers aren't -- the specific
12 numbers aren't relevant to my questions; it's the -- it's
13 the relative points that we've made, and I appreciate
14 you've been allowing me to use general numbers.

15 But you've suggested to the Board that the
16 spread between the, seven point five five (7.55) is the
17 number we've used, cost for Wuskwatim and the five point
18 seven (5.7) fixed price of energy, that spread that is
19 being subsidized by Manitoba ratepayers, you expect that
20 to narrow by the time Wuskwatim comes on -- in service in
21 -- in a couple of years?

22 MR. VINCE WARDEN: It -- it will not only
23 narrow, but the -- the -- the revenue will quickly
24 overtake the costs. And recognize, too -- it should be
25 recognized, too, Mr. Peters, we're not asking ratepayers

1 to provide that differential; we're only asking for a
2 modest 2.9 percent rate increase at this time. So we're
3 certainly not looking for ratepayers to pick up that
4 differential in rates in those intervening years before
5 the plant turns to profitability.

6 MR. BOB PETERS: Well, you're -- you
7 might be right in your intent, but you're asking for two
8 point nine (2.9) plus two point nine (2.9) in this
9 application, correct?

10 MR. VINCE WARDEN: Yes, the interim
11 approved two point nine (2.9) plus the 2.9 percent to be
12 -- to be effective April the 1st, 2011.

13 MR. BOB PETERS: And if that -- if those
14 rate increases aren't sufficient to maintain the debt-
15 equity ratio at 75:25 because of Manitoba Hydro's
16 investments in three (3) major new assets, then the debt-
17 equity ratio will deteriorate?

18 MR. VINCE WARDEN: Yes, as we see in our
19 financial forecast, but again, we're not asking
20 ratepayers to pick that up because we know that the
21 future -- that debt ratio will recover.

22 MR. BOB PETERS: Well, I've got to pull
23 you up a bit short on that, Mr. Warden, we don't know
24 that sitting here. We certainly hope that sitting here.
25 We certainly may have forecasts of that happening, but

1 with certainty we don't know that. Would you agree with
2 me?

3 MR. VINCE WARDEN: And I -- I think I did
4 indicate earlier that's why it's so important that we
5 lock in to the extent that we can. We lock in long-term
6 fixed rate debt. We lock in contracts, export sale
7 contracts. We know -- we do know, as a matter of fact,
8 if we look out there that -- with some certainty that
9 those returns will be there. It's an investment with a -
10 - a guaranteed -- well, maybe guaranteed's a little bit
11 strong of a word, but there's a -- there's a strong
12 indication that we will provide a -- a -- a very healthy
13 return to ratepayers over the life.

14 MR. BOB PETERS: And --

15 MR. VINCE WARDEN: Well, not only the
16 life of the facility but over the -- over the ensuing ten
17 (10) years.

18 MR. BOB PETERS: And, Mr. Warden, the
19 costs -- I want to make sure I have this right, the costs
20 in constructing Keeyask, Conawapa, and Bipole 3, that's
21 about half of the \$2 billion of construction work in
22 progress that the Corporation carries on its books,
23 correct?

24 MR. VINCE WARDEN: Did you include
25 Wuskwatim in that number, Mr. Peters?

1 MR. BOB PETERS: I can --

2 MR. VINCE WARDEN: Wuskwatim would be a--

3 MR. BOB PETERS: -- I can if I want -- if
4 you want.

5 MR. VINCE WARDEN: Well, it would -- if
6 you're looking at construction work in progress Wuskwatim
7 would be a --

8 MR. BOB PETERS: Oh, sure.

9 MR. VINCE WARDEN: -- big -- a big piece
10 of that.

11 MR. BOB PETERS: All right. So -- so
12 roughly half of -- well, maybe Wuskwatim is more, but of
13 that 2 billion, once you put Wuskwatim into the mix, over
14 half of it then is related to Keeyask, Conawapa, Bipole
15 3, and Wuskwatim?

16

17 (BRIEF PAUSE)

18

19 MR. VINCE WARDEN: That would seem
20 approximately right, yes. Yes.

21 MR. BOB PETERS: The -- while Manitoba
22 Hydro hasn't sought recovery in its rates, it has used
23 rate revenues to pay the salaries of one-third (1/3) of
24 Manitoba Hydro's employees whose salaries are
25 capitalized. Would that be correct?

1 MR. VINCE WARDEN: Well, now we're
2 talking about how the costs are recovered from ratepayers
3 and the salaries of employees that work on capital
4 facilities are capitalized and deferred over the life of
5 that facility. So no, that wouldn't be correct. We're
6 only asking in the current year to recover the operating
7 -- the -- the costs that are charged to operations.

8 So I think, Mr. Peters, we're getting into
9 a -- a cash versus accounting discussion as we did have
10 some -- some days ago.

11 MR. BOB PETERS: I'll maybe take a crash
12 course on that in the next couple of days, Mr. Warden,
13 but -- but there's still two thousand (2,000) employees
14 of Manitoba Hydro whose salaries are included in the
15 capitalization of the company and those -- the actual
16 payment of those salaries has come out of revenues
17 derived by Manitoba Hydro from ratepayers?

18 MR. VINCE WARDEN: From ratepayers and
19 from export customers. Out of the total revenues that we
20 receive, the tot -- which constitutes our total cash, we
21 have certain cash payments, and certainly wages and
22 salaries are a -- a major component of the cash payments
23 that we -- we expend.

24 MR. BOB PETERS: And we can look at the
25 IFF and see that the vast majority of the revenues are --

1 are through the general consumers line item which is the
2 domestic customer.

3 MR. VINCE WARDEN: Well, when you say
4 "vast majority", there's a very significant 30 to 35
5 percent that comes from export customers.

6 MR. BOB PETERS: Thank you. You're --
7 thank you for that. The suggestion a few minutes ago
8 that while Manitoba Hydro can't guarantee it, you have
9 strong indications and strong forecasts that support the
10 view that the level of subsidization of the energy coming
11 out of Wuskwatim will decrease over the next several
12 years, that's premised on an increase in the -- in the
13 rise of the average opportunity export price, would that
14 be correct?

15 MR. VINCE WARDEN: It's based on our best
16 forecast of export prices, yes.

17 MR. BOB PETERS: And presently the
18 opportunity price is, it's either two point three (2.3)
19 or two point seven (2.7), I'm not sure what number we've
20 agreed on, Mr. Warden, but it's -- it's under three (3)
21 cents.

22 MR. VINCE WARDEN: It's depressed at this
23 time, yes.

24 MR. BOB PETERS: And so for that number -
25 - for that opportunity export price to get up to the

1 seven point five five (7.55) cents, there'd have to be a
2 fairly remarkable turnaround in relatively short order to
3 -- to avoid having to have some subsidization of the
4 energy sold out of Wuskwatim as opportunity energy?

5 MR. VINCE WARDEN: Yes, but I think we
6 already discussed the fact that we've got five point
7 seven (5.7) cents is -- is already being received on the
8 firm as firm export revenue.

9 MR. BOB PETERS: And -- and we --

10 MR. VINCE WARDEN: So it doesn't -- it
11 doesn't -- it's not -- to -- to -- for Wuskwatim to reach
12 profitability it doesn't depend on the two point three
13 (2.3) cents getting to the seven point five (7.5) cents.

14 MR. BOB PETERS: I thought Mr. Cormie
15 told the Board that the Wuskwatim energy does not form
16 part of any long-term contract commitments that have --

17 MR. VINCE WARDEN: No, I don't think Mr.
18 Cormie said that.

19 MR. BOB PETERS: All right.

20 MR. VINCE WARDEN: But he can speak for
21 himself.

22 MR. BOB PETERS: Since he's here, he'll
23 tell us. Mr. Cormie, are you -- is Manitoba Hydro
24 entering into any firm long-term commitments on the
25 Wuskwatim energy?

1 MR. DAVID CORMIE: What -- what I had
2 said, Mr. Peters, was that the NSP sale can proceed
3 without Wuskwatim, and it's not dependent on Wuskwatim
4 energy being in the portfolio.

5 However, the -- the profitability of the
6 sale improves because Wuskwatim will provide additional
7 hydraulic energy that can be used to displace energy
8 under low-flow conditions that would either have to be
9 purchased in the market or generated from Manitoba
10 Hydro's thermal facilities.

11 I -- I think that's the -- it's a stand-
12 alone transaction. The -- the financial returns are dif
13 -- are improved because of Wuskwatim.

14 MR. BOB PETERS: But only under low-flow
15 conditions, Mr. Cormie?

16 MR. DAVID CORMIE: Well, below average --
17 average to below average, yes.

18 MR. BOB PETERS: And that's certainly not
19 in your forecast for -- for next year?

20

21 (BRIEF PAUSE)

22

23 MR. DAVID CORMIE: Well, Wuskwatim
24 doesn't come into service until about a year from now.
25 That's a long way away, and I can't say whether Wus --

1 what effect Wuskwatim will have on production costs a
2 year from now.

3 That's -- in spite of the wet conditions
4 that we're seeing through the spring this year, as we've
5 talked about many times over the last few days, water
6 conditions can easily turn around and be dramatically
7 different a year from -- from now.

8 MR. BOB PETERS: Mr. Chairman, with that
9 answer, I would perhaps ask that we adjourn for the day.
10 When we next convene, I will have gone through my notes
11 and removed the duplication that I'm sure I have treaded
12 on up -- at this point.

13 THE CHAIRPERSON: Very good, Mr. Peters.
14 Thank you, and thank you to the panel. It's been a long
15 day for both of you, and we'll see you all on Monday at
16 9:30.

17

18 (PANEL RETIRES)

19

20 --- Upon adjourning at 4:07 p.m.

21 Certified Correct

22

23

24 _____
Cheryl Lavigne, Ms.

25