

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA HYDRO'S APPLICATION
FOR APPROVAL OF NEW ELECTRICITY RATES
FOR 2010/11 AND 2011/12

Before Board Panel:

Graham Lane - Board Chairman
Robert Mayer, Q.C. - Board Member

HELD AT:

Public Utilities Board
400, 330 Portage Avenue
Winnipeg, Manitoba
May 4, 2011
Pages 5829 to 6048

1 APPEARANCES

2 Bob Peters (np))Board Counsel

3 Anita Southall)

4

5 Patti Ramage)Manitoba Hydro

6 Marla Boyd)

7

8 Byron Williams)CAC/MSOS

9 Myfanwy Bowman (np))

10

11 Antoine Hacault)MIPUG

12

13 Michael Anderson (np))MKO

14

15 William Gange)RCM/TREE

16

17 Delanie Coad (np))SCO

18

19 Denise Pambrun (np))City of Winnipeg

20

21 Gavin Wood)Independent Experts

22

23

24

25

1	TABLE OF CONTENTS	
2		Page No.
3	Exhibits	5832
4	List of Undertakings	5835
5		
6	INDEPENDENT EXPERTS PANEL:	
7	DR. ATIF KUBURSI, Sworn	
8	DR. LONNIE MAGEE, Sworn	
9		
10	Examination-in-Chief by Mr. Gavin Wood (Qual)	5849
11	Cross-Examination by Mr. Byron Williams (Qual)	5860
12	Cross-Examination by Mr. Antoine Hacault (Qual)	5861
13	Cross-Examination by Ms. Patti Ramage (Qual)	5864
14	Ruling (Qual)	5870
15	Examination-in-chief by Mr. Gavin Wood	5870
16		
17	Presentation by MIPUG - Mr. Bill Turner	5930
18	Questioned by the Board	5941
19		
20	INDEPENDENT EXPERTS PANEL:	
21	DR. ATIF KUBURSI, Resumed	
22	DR. LONNIE MAGEE, Resumed	
23		
24	Continued Examination by Mr. Gavin Wood	5951
25	Certificate of Transcript	6040

	EXHIBITS		
	No.	Description	Page No.
1			
2			
3	MH-126	Response to Undertaking number 96	5836
4	MH-127	Response to Undertaking number 97	5837
5	MH-128	Explanation of the Risk Matrix	5837
6	MH-129	Breakdown of the most recent approved	
7		estimate of 3.28 billion with respect	
8		to Bipole 3 re Undertaking Number 114	5837
9	MH-130	Accounting adjustments built into the	
10		Corporate Strategic Plan regarding	
11		OM&A cost per customer target re	
12		Undertaking number 120	5838
13	MH-131	Announced closures and their impact	
14		on the forecast re Undertaking	
15		Number 124	5839
16	MH-132	Response to RCM/TREE Manitoba Hydro First	
17		Round 3, assuming export electricity	
18		displaces power generated by	
19		combined-cycle gas turbine generation	
20		in the US re Undertaking Number 125.	5839
21	MH-133	RCM/TREE's Pre-Ask number 3	5840
22	MH-134	RCM/TREE's Pre-Ask number 7	5840
23	MH-135	RCM/TREE's Pre-Ask 8	5840
24			
25			

1	LIST OF EXHIBITS (cont'd)		
2	Exhibit No.	Description	Page No.
3	MH-136	Manitoba Hydro's provision of Mr.	
4		Chernick's commentary from the 2008	
5		GRA to its external consultants	
6		conducting the review of the Cost	
7		of Service Study re Undertaking	
8		Number 129	5841
9	MH-137	Manitoba Hydro was to advise of the	
10		criticism that Manitoba Hydro has of Mr.	
11		Chernick's testimony in regards to	
12		allocation of substation costs re	
13		Undertaking Number 131	5842
14	MH-139	RCM/TREE Exhibit 10 and Page 22 at	
15		RCM/TREE Manitoba Hydro First Round	
16		3(e) (3) Attachment 2 re Undertaking	
17		Number 132	5842
18	MH-140	Dealing with whether analysis has been	
19		done to determine what effect upstream	
20		incentives have on take-up rates re	
21		Undertaking Number 133	5843
22	MH-141	The upstream incentive involving co-funding	
23		feasibility studies for implementation of	
24		energy efficient technologies and whether	
25		that's occurred re Undertaking Number 135	5843

1	LIST OF EXHIBITS (cont'd)		
2	Exhibit No.	Description	Page No.
3	MH-142	Spreadsheet analysis performed comparing	
4		Xcel's energy programs to Manitoba	
5		Hydro's programs	5844
6	MH-143	Revised Manitoba building code related	
7		to the Power Smart New Home Program re	
8		Undertaking Number 136	5844
9	MH-144	Review conducted with respect to	
10		Bipole 3 re Undertaking number 51	5845
11	KM-1	Terms of Reference	5846
12	KM-2	Evidence of the Doctors, the KM Report	5846
13	KM-3	Response Papers of KM	5846
14	KM-4	Direct Examination with Respect to the	
15		Kubursi-Magee Report - Question Areas	5848
16	KM-5	Memo from Ms. Boyd to Mr. Gavin Wood	5899
17	MIPUG-B	Presentation	5928
18			
19			
20			
21			
22			
23			
24			
25			

1	UNDERTAKINGS		
2	No.	Description	Page No.
3	140	Doctors Kubursi and Magee to provide	
4		better copies of scanned pages 15	
5		and 16	5828
6			
7			
8			
9			
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1 --- Upon commencing at 9:34 a.m.

2

3 THE CHAIRPERSON: Okay. Good morning,
4 everyone. This is the morning we have Dr. Kubursi and
5 Dr. Magee with us. Good morning, gentlemen. Mr. Wood,
6 if you want to introduce the witnesses and welcome them
7 this morning.

8 MR. GAVIN WOOD: Good morning, sir. I
9 understand there's some preliminary matters this morning
10 before we go ahead.

11 THE CHAIRPERSON: Thank you. Ms.
12 Southall...?

13 MS. ANITA SOUTHALL: Actually, over to
14 Ms. Ramage for Manitoba Hydro to respond to some
15 undertakings, as I understand it.

16 MS. PATTI RAMAGE: Okay, I'll catch that
17 volley. And Manitoba Hydro this morning has distributed
18 a number of undertakings, and I thought we'll just very
19 quickly run through them to get them on the record. The
20 first, Manitoba Hydro Undertaking number 96. It's
21 updating the chart at page 155 of Tab 66 in the Board
22 counsel's book of documents, and that we have as Exhibit
23 126.

24

25 --- EXHIBIT MH-126: Response to Undertaking

1 number 96

2

3 MS. PATTI RAMAGE: Next, Undertaking
4 number 97. Manitoba Hydro's updating the chart at one --
5 page 156, I assume that's of the Board counsel's book of
6 documents, regarding budgeted costs and actuals that are
7 expected to be incurred, and that's Manitoba Hydro 127.

8

9 --- EXHIBIT MH-127: Response to Undertaking
10 number 97

11

12 MS. PATTI RAMAGE: Next, Manitoba Hydro
13 113, and that's an explanation of the Risk Matrix, and
14 that's Manitoba Hydro 128.

15

16 --- EXHIBIT NO. MH-128: Explanation of the Risk
17 Matrix

18

19 MS. PATTI RAMAGE: Next is Manitoba Hydro
20 114, and that's a breakdown on the -- of the most recent
21 approved estimate of 3.28 billion with respect to Bipole
22 3, and that's Manitoba Hydro Exhibit 129.

23

24 --- EXHIBIT NO. MH-129: Breakdown of the most recent
25 approved estimate of 3.28

1 billion with respect to
2 Bipole 3 re Undertaking
3 Number 114
4

5 MS. PATTI RAMAGE: Following that is
6 Manitoba Hydro Undertaking number 120, which has been
7 assigned Exhibit 130, and that deals with accounting
8 adjustments built into the Corporate Strategic Plan
9 regarding OM&A cost per customer target.

10

11 --- EXHIBIT NO. MH-130: Accounting adjustments built
12 into the Corporate Strategic
13 Plan regarding OM&A cost per
14 customer target re
15 Undertaking number 120
16

17 MS. PATTI RAMAGE: Next is Manitoba Hydro
18 Undertaking number 125, which is a recalculation of the
19 response --

20 MR. ROBERT MAYER: Ms. Ramage, could you
21 just slow down a moment. I'm not...

22

23 (BRIEF PAUSE)

24

25 MR. ROBERT MAYER: Okay. We're back,

1 back online.

2 MS. PATTI RAMAGE: Okay. Okay. Sorry,
3 Mr. Mayer. I was just trying to fly through this so we
4 could --

5 MR. ROBERT MAYER: I can see that.

6 MS. PATTI RAMAGE: -- get to the business
7 at hand, but I skipped Manitoba Hydro Undertaking number
8 124, which deals with announced closures and their impact
9 on the forecast, and that's Exhibit 131.

10

11 --- EXHIBIT NO. MH-131: Announced closures and their
12 impact on the forecast re
13 Undertaking Number 124

14

15 (BRIEF PAUSE)

16

17 MS. PATTI RAMAGE: Next is Undertaking
18 125, which is Manitoba Hydro's recalculation of it's
19 response to RCM/TREE Manitoba Hydro First Round 3,
20 assuming export electricity displaces power generated by
21 combined-cycle gas turbine generation in the US, and that
22 has been assigned Exhibit 132.

23

24 --- EXHIBIT NO. MH-132: Response to RCM/TREE Manitoba
25 Hydro First Round 3, assuming

1 export electricity displaces
2 power generated by combined-
3 cycle gas turbine generation
4 in the US re Undertaking
5 Number 125.

6
7 MS. PATTI RAMAGE: Manitoba Hydro
8 Undertaking number 126 is RCM/TREE's Pre-Ask number 3,
9 and that's been assigned Exhibit Manitoba Hydro 133.

10
11 --- EXHIBIT NO. MH-133: RCM/TREE's Pre-Ask number 3

12
13 MS. PATTI RAMAGE: Manitoba Hydro
14 Undertaking 127 is RCM/TREE's Pre-Ask number 7 and that's
15 been assigned Exhibit Manitoba Hydro 134.

16
17 --- EXHIBIT NO. MH-134: RCM/TREE's Pre-Ask number 7

18
19 MS. PATTI RAMAGE: Manitoba Hydro
20 Undertaking 128 is RCM/TREE's Pre-Ask 8 and that's been
21 assigned Exhibit 135, or Manitoba Hydro 135.

22
23 --- EXHIBIT NO. MH-135: RCM/TREE's Pre-Ask 8

24
25 MS. PATTI RAMAGE: Manitoba Hydro

1 Undertaking number 129 is Manitoba Hydro's provision of
2 Mr. Chernick's commentary from the 2008 GRA to its
3 external consultants conducting the review of the Cost of
4 Service Study. And that -- dealing with that subject is
5 Exhibit number Manitoba Hydro 136.

6

7 --- EXHIBIT NO. MH-136: Manitoba Hydro's provision of
8 Mr. Chernick's commentary
9 from the 2008 GRA to its
10 external consultants
11 conducting the review of the
12 Cost of Service Study re
13 Undertaking Number 129

14

15 MS. PATTI RAMAGE: Manitoba Hydro
16 Undertaking number 130 is Manitoba Hydro was to advise of
17 the criticism that Manitoba Hydro has of Mr. Chernick's
18 testimony in regards to allocation of substation costs,
19 and that's Exhibit number Manitoba Hydro 137.

20

21 --- EXHIBIT NO. MH-137: Manitoba Hydro was to advise
22 of the criticism that
23 Manitoba Hydro has of Mr.
24 Chernick's testimony in
25 regards to allocation of

1 substation costs

2

3 MS. PATTI RAMAGE: Manitoba Hydro
4 Undertaking 131, Manitoba Hydro was to determine and
5 respond to whether the calculation process for doing the
6 forecast is confidential. And that answer is provided at
7 Exhibit Manitoba Hydro 138.

8

9 --- EXHIBIT NO. MH-138: Manitoba Hydro was to
10 determine and respond to
11 whether the calculation
12 process for doing the
13 forecast is confidential re
14 Undertaking Number 131

15

16 MS. PATTI RAMAGE: Manitoba Hydro 132 is
17 dealing with concordance between RCM/TREE Exhibit 10 and
18 page 22 at RCM/TREE Manitoba Hydro First Round 3(e)(3),
19 Attachment 2, and that's Exhibit Manitoba Hydro 139.

20

21 --- EXHIBIT NO. MH-139: RCM/TREE Exhibit 10 and Page
22 22 at RCM/TREE Manitoba Hydro
23 First Round 3(e)(3)
24 Attachment 2 re Undertaking
25 Number 132

1 MS. PATTI RAMAGE: Manitoba Hydro
2 Undertaking 133, which is assigned Exhibit number 140 is
3 dealing with whether analysis has been done to determine
4 what effect upstream incentives have on take-up rates.

5
6 --- EXHIBIT NO. MH-140: Dealing with whether analysis
7 has been done to determine
8 what effect upstream
9 incentives have on take-up
10 rates re Undertaking Number
11 133

12
13 MS. PATTI RAMAGE: Manitoba Hydro
14 Undertaking 135 deals, again, with upstream, the upstream
15 incentive involving co-funding feasibility studies for
16 implementation of energy efficient technologies and
17 whether that's occurred. That's Manitoba Hydro Exhibit
18 141.

19
20 --- EXHIBIT NO. MH-141: The upstream incentive
21 involving co-funding
22 feasibility studies for
23 implementation of energy
24 efficient technologies and
25 whether that's occurred re

1 Undertaking Number 135

2

3 MS. PATTI RAMAGE: Manitoba Hydro Exhibit
4 135, which is Exhibit 1 -- Manitoba Hydro 142 is Manitoba
5 Hydro was to provide a spread -- a spreadsheet analysis
6 perform -- performed comparing Xcel's energy programs to
7 Manitoba Hydro's programs.

8

9 --- EXHIBIT NO. MH-142: Spreadsheet analysis
10 performed comparing Xcel's
11 energy programs to Manitoba
12 Hydro's programs

13

14 MS. PATTI RAMAGE: Manitoba Hydro
15 Undertaking 136, Manitoba Hydro was to provide the energy
16 rating for the revised Manitoba building code related to
17 the Power Smart New Pro -- New Home Program, and that's
18 Manitoba Hydro Exhibit 143.

19

20 --- EXHIBIT NO. MH-143: Revised Manitoba building
21 code related to the Power
22 Smart New Home Program re
23 Undertaking Number 136

24

25 MS. PATTI RAMAGE: And finally, Manitoba

1 Hydro Undertaking number 51 is Manitoba Hydro was to
2 provide the review conducted with respect to Bipole 3.
3 The response there is at Exhibit Manitoba Hydro 144. And
4 that is the undertakings of Manitoba Hydro completed
5 during the break.

6

7 --- EXHIBIT NO. MH-144: Review conducted with respect
8 to Bipole 3 re Undertaking
9 number 51

10

11 THE CHAIRPERSON: Thank you, Ms. Ramage.
12 Okay, Mr. Wood. If you wouldn't mind
13 introducing the witnesses, and we'll swear them in, and
14 then you can start your direct.

15 MR. GAVIN WOOD: Yes, sir. I -- I have
16 the pleasure of introducing Dr. Atif Kubursi and Dr.
17 Lonnie Magee to the hearing. If they could be sworn.

18 THE CHAIRPERSON: Mr. Singh...?

19

20 INDEPENDENT EXPERTS PANEL:

21

22 DR. ATIF KUBURSI, Sworn

23 DR. LONNIE MAGEE, Sworn

24

25 THE CHAIRPERSON: Thank you.

1 MR. GAVIN WOOD: Sir, by way of
2 background, and with Mr. Singh's assistance, there is so
3 far two (2) exhibits that have been filed by KM, as I'm
4 going to refer to the fellows hereafter. Exhibit KM-1 is
5 the Terms of Reference and KM-2 is the evidence of the
6 doctors, which we'll generally refer to hereafter as the
7 KM report.

8

9 --- EXHIBIT NO. KM-1: Terms of Reference
10 --- EXHIBIT NO. KM-2: Evidence of the Doctors, the
11 KM Report

12

13 MR. GAVIN WOOD: There's two (2)
14 additional documents that I'd ask be marked as exhibits
15 at the outset. One is a set of response papers that had
16 been circulated some weeks ago to everyone. You'll
17 recall there was a discussion early on in the hearing
18 concerning those response materials and, as I understand
19 it, there's no opposition to them being filed, and I'd
20 ask that they then be marked as KM-3.

21 THE CHAIRPERSON: Very good.

22

23 --- EXHIBIT NO. KM-3: Response Papers of KM

24

25 MR. GAVIN WOOD: And then, sir, last --

1 last week, there was a document that was released to
2 everyone.

3 MR. ROBERT MAYER: Mr. Wood, slow down a
4 little bit.

5 MR. GAVIN WOOD: Sure.

6 MR. ROBERT MAYER: Mr. Wood, we have
7 several documents relating to Dr. Kubursi. I'm wondering
8 which one you just tendered as an exhibit.

9 MR. GAVIN WOOD: The one I -- I just
10 tendered, sir, is a re -- a re -- a series of response
11 papers. There's four (4) subtabs to them.

12 MR. ROBERT MAYER: I -- I -- we may be
13 looking at the same document. I have something entitled
14 Direct Examination with Respect to the Kubursi-Magee
15 Report Question Areas.

16 MR. GAVIN WOOD: Yeah, sorry.

17 MR. ROBERT MAYER: It's dated May.

18 MR. GAVIN WOOD: Sorry, sir. I think Mr.
19 Singh is just bringing them up to you now --

20 MR. ROBERT MAYER: Oh.

21 MR. GAVIN WOOD: -- the one that we just
22 referred to.

23 THE CHAIRPERSON: No surprise that we
24 were surprised.

25 MR. GAVIN WOOD: Thank you. Mr. Singh,

1 could I have one (1) of those, please? Thanks so much.

2 THE CHAIRPERSON: So the one we're
3 talking about is entitled Response Papers of KM.

4 MR. GAVIN WOOD: Dash 3, sir.

5 THE CHAIRPERSON: And there's four (4)
6 tabs: A, B, C, D?

7 MR. GAVIN WOOD: That's correct.

8 THE CHAIRPERSON: And that will be number
9 3.

10 MR. GAVIN WOOD: Yes. And -- and then
11 the -- the document that Mr. Mayer was just referring to
12 is headed Direct Examination with Respect to the Kubursi-
13 Magee Report - Question Areas, and it's May 2011. You'll
14 see that the gentlemen will largely be working from that
15 document today, and I'd ask that it be marked as KM-4.

16 THE CHAIRPERSON: Yes.

17

18 --- EXHIBIT NO. KM-4: Direct Examination with
19 Respect to the Kubursi-Magee
20 Report - Question Areas

21

22 MR. GAVIN WOOD: And if it's
23 satisfactory, just to distinguish it as -- as we go
24 along, I'm -- I'm generally just going to refer to it as
25 the Direct Examination. And if I could bother everyone,

1 then, to turn to the first page of the -- the Direct
2 Examination, KM-4, first with regards to the matter of
3 qualifications at page 2.

4

5 EXAMINATION-IN-CHIEF BY MR. GAVIN WOOD: (Qualification)

6 MR. GAVIN WOOD: Dr. Magee, would you
7 briefly set forth your education?

8 DR. LONNIE MAGEE: Yes. I received a B.
9 Math, majoring in statistics, from the University of
10 Waterloo in 1979, and received an MA and PhD in economics
11 from the University of Western Ontario in 1984.

12 MR. GAVIN WOOD: And Dr. Kubursi as well
13 please.

14 DR. ATIF KUBURSI: I received my BA in
15 economics from the American University of Beirut, and
16 then an MSC and a PhD from Purdue University.

17 MR. GAVIN WOOD: Gentlemen, you'll
18 confirm for me that attached and marked as a schedule to
19 one (1) of the answers to undertakings are your -- your
20 CVs, and I just briefly would refer those. They are --
21 they are found at PUB-KM-1, and they're -- Dr. Kubursi's
22 is first, it's -- it's set forth, as I say, at Schedule
23 1, and Dr. Magee's is set forth behind it, again, under -
24 - under Schedule 1. And we'll come back to them in a
25 moment.

1 Dr. Magee, going on to page 2 -- 3, sir,
2 where are you currently employed?

3 DR. LONNIE MAGEE: The department of
4 economics at McMaster University.

5 MR. GAVIN WOOD: And Dr. Kubursi...?

6 DR. ATIF KUBURSI: Yeah, I'm at the
7 department of economics at McMaster University. I'm an
8 emeritus professor, but I also teach in the arts and
9 science program as an adjunct professor. I also serve as
10 president of Econometric Research Limited.

11 MR. GAVIN WOOD: I -- I understand that's
12 a private consulting firm?

13 DR. ATIF KUBURSI: It is a private
14 consulting firm specializing in statistical econometric
15 and impact analysis.

16 MR. GAVIN WOOD: Thank you. Dr. Magee,
17 going on to the latter part of page 3, if you would set
18 forth in some detail, sir, the highlights of your CV. I
19 -- I don't think you need necessarily turn to it if -- if
20 you want to work from -- from this, and if you need to,
21 please feel free to turn to it as well.

22 DR. LONNIE MAGEE: I've been at McMaster
23 in the -- as a faculty member in the economics department
24 since 1983, so I think I'll -- I'll just touch on some of
25 the aspects of that job that seem relevant here. The

1 three (3) main components of the job are re -- research,
2 teaching, and administration.

3 Research -- my research focussed on
4 econometrics, which is statistics applied to economics,
5 basically. The kinds of data that we examine are both
6 survey data and observational data. Observational data,
7 meaning you just look at what would have happened anyways
8 and -- or at least someone -- some ste -- someone
9 recording the statistics looks at what's happening anyway
10 and writes down numbers, and then you look at it later,
11 as opposed to experimental data. So I'm mentioning that
12 because that bears similarities to a lot of the data that
13 we'll be talking about here.

14 And, also, a lot of my research has
15 involved running simulations and analytic or mathematical
16 examination of properties of different statistical
17 procedures.

18 Teaching. I think my main teaching
19 responsibility has been the graduate level econometrics
20 course. Those students have a great placement record
21 going on to work in federal government departments, Bank
22 of Canada, provincial governments, research institutes,
23 some private sector.

24 They all are required to write a research
25 project, which is an applied statistical study on a topic

1 of their choosing. And so over the years I've probably
2 supervised and assessed about between three (3) and four
3 hundred (400) of those projects.

4 Administratively, I've been a grad chair
5 for seven (7) of the last ten (10) years, so there's some
6 budgetary work there involving allocating money according
7 to the budgetary restrictions, with lots of people
8 wanting more money than we're able to give them. So even
9 though there's a lot of zeros taken away from those
10 numbers compared to the numbers here, I think similar
11 kinds of issues.

12 And I also want to mention two (2) years
13 recently served on the Ontario Council of Graduate
14 Studies Panel, which is a group that -- arm of the
15 government that meets in Toronto once a month to evaluate
16 graduate programs, decide whether to approve them or
17 allow them to continue, and it involves reviewing
18 documents that are prepared by the department themselves
19 as well as external assessments. So it struck me as
20 being a similar kind of situation to what we're in here.

21 MR. GAVIN WOOD: Thank you. More
22 particularly, sir, appreciating the -- the work that's
23 been done with the KM report that's been produced, what
24 expertise in particular do you bring to having done that
25 work and -- and what expertise do you bring for the

1 assistance of the -- the Board?

2 DR. LONNIE MAGEE: The -- a lot of the
3 statistical work was carried out by me. And, also, as a
4 kind of a general -- sharing the general background in --
5 in economics with Atif but with different -- you know,
6 being educated at different places with different
7 experiences, we found it very fruitful to discuss the
8 issues -- the economic issues as we proceeded, so.

9 MR. GAVIN WOOD: I -- I -- when, I
10 understand Dr. Kubursi approached you to take part in
11 this project, what particularly were -- were you able to
12 offer in terms of expertise to -- to work on it?

13 DR. LONNIE MAGEE: Statistics and
14 econometrics.

15 MR. GAVIN WOOD: And then, as I've said,
16 your -- your CV is attached to one (1) of the -- the
17 first answers of -- to the -- the PUB IRs that were put
18 to you. And you're certainly available to answer any
19 questions, should anyone have, concerning that CV?

20 DR. LONNIE MAGEE: Yes.

21 MR. GAVIN WOOD: Turning to you now, Dr.
22 Kubursi. I appreciate there's a short synopsis at page 4
23 of your direct examination. If you could answer somewhat
24 similar questions now in -- in terms of what expertise
25 you bring to bear that -- that caused you to produce the

1 KM report and -- and attend here today offering yourself
2 as an expert.

3 DR. ATIF KUBURSI: Yes. I -- I started
4 teaching 1964. The graduate schools in the United
5 States, unlike Canada, graduate students handle all the
6 teaching. Professors are reserved only for graduate
7 courses. The first course I taught was law and
8 economics, and this is because I had completed three (3)
9 years of law simultaneously as I was studying economics.
10 And, specifically, I was teaching microeconomics
11 production systems.

12 And then, in 1967, I taught full-time at
13 essentials of college, which was close to Purdue. And
14 from there I came to McMaster in 1969. In 1969 all the
15 way to '82 I was produce -- I was teaching primarily
16 mathematical economics and production systems. And then
17 gradually I moved into macroeconomics and development
18 economics.

19 In 1974/'75 I was a senior academic
20 visitor at Cambridge University, where I was also
21 tutoring, and also had the chance to teach with one (1)
22 noted professors' economic distribution.

23 In 1982 I served as senior development
24 economist at the United Nations Industrial Development
25 organization in Vienna, primarily dealing with industrial

1 systems, industrial management, and feasibility studies.

2 In 1989 to 1998 I was a member of the
3 Institute for Social and Economic Policy at Harvard
4 University, taught primarily and was the coordinator of
5 the Harvard water project. And I served in 2002 as the
6 chief of economic analysis division in the United Nations
7 Economic and Social Commission of Western Asia. The
8 United Nations has five (5) regional commissions: ECE
9 for Europe, ECA for Africa, S -- ESCAP is called
10 basically the Economic and Social Commission for Asia
11 Pacific, and ECLAC, which is Latin American Caribbean.
12 ESCWA is one (1) of these five (5) region commissions
13 belongs directly to the UN Secretariat.

14 And then, in 2006, went as deputy
15 executive secretary, and the war broke out and I fell
16 into the position of the executive secretary, which is
17 literally at the undersecretary-general level.

18 My specialization in economics has always
19 been in areas of impact analysis, forecasting, analysis
20 of production systems. I've done quite a bit of work in
21 optimization of systems, and I've also conducted studies
22 involving risk. I mean, being in the Middle East, risk
23 is part of daily bread, and I've done quite a bit of
24 country risk and had to basically work on risk issues
25 extensively.

1 Water is a very important issue, too. The
2 Middle East is known for probably abundance of oil, but
3 should really be known for shortages of water, and
4 particularly variability of water, given that the
5 reliability of water, which is the amount of water that
6 presumably exists nine (9) out of ten (10) years, is less
7 than 5 percent, and this is even an exaggerated number.

8 I bring to the table many studies at even
9 the industrial level. I've conducted this study on
10 whether Sears should engage into the gas and home central
11 program they have. They were considering whether they
12 would sell gas home to home within that program, and
13 there was issues whether they will be engaging, ex -- you
14 know, exposing themselves to unnecessary risk having to
15 basically write contracts for fixed-price deliveries when
16 the price of gas was a very variable one. And I had to
17 go through major assessment of VAR, the value at risk,
18 that they would be exposing themselves to.

19 And -- and in other respects, I would have
20 -- you know, qualify myself that I was a consultant for
21 many departments, ministries in Canada, whether in
22 Ontario, PEI, New Brunswick, Alberta, and particularly
23 Ontario. I worked with every ministry they have from the
24 Natural Resources to Ministry of Energy and TEIGA, which
25 is Treasury, Economics and Intergovernmental Affairs, in

1 -- in areas of input/output, econometric forecasting,
2 budget preparation, the typical assignments that economic
3 consultants would be engaged in.

4 MR. GAVIN WOOD: Thank you. You
5 surprised me. You were going to hide the fact that you
6 have a law degree, but --

7 DR. ATIF KUBURSI: I don't have a law
8 degree, and I discovered the -- the good life outside of
9 law very easy.

10 MR. GAVIN WOOD: Sir, with regards to
11 hydrological matters, could you tell the -- the Board of
12 -- of any involvement you've had in -- in that field?

13 DR. ATIF KUBURSI: Well, I -- I would not
14 say I was in hydrological. I was dealing with water
15 systems, and the water systems that we were working with
16 were primarily ones that would manage water allocations,
17 particularly in regions where water is very scarce among
18 different sectors.

19 One (1) of the most disturbing issues in
20 the Middle East is 80 percent of the water is allocated
21 to agriculture, and there is very little left for
22 residential uses. And as water became more scarce,
23 actually it dropped in less than thirty (30) years to
24 less of a third of what used to be. In 1970, the average
25 cubic metre per person was around twelve hundred fifty

1 (1,250) and went down to five hundred (500) cubic metre
2 per person per year.

3 The other issue is the role of prices.
4 Physical scarcity in the region is also joined by what we
5 call economic scarcity. There is no place in the Middle
6 East where they use what we call efficient prices. Most
7 of the people typically use water at a metered position,
8 irrespective use. You -- you get a 1-cubic-metre
9 pipeline and you could run it all day long without being
10 charged for the exact use. There was no continuous
11 metering.

12 The issue was to what extent can one
13 devise economic pricing that would reflect scarcity of
14 this water and would allow people to make rational
15 decisions on this allocation of extremely scarce resource
16 in a more rational way.

17 MR. GAVIN WOOD: Thank you. Similar
18 question to Dr. Magee. Your -- Your CV has -- has been
19 provided through an answer to an IR, and certainly you
20 confirm it and are available to be questioned on it if --
21 if -- sorry, and -- sorry.

22 Do you have this CV available and -- and,
23 should it be necessary, you can be questioned concerning
24 it?

25 DR. ATIF KUBURSI: Yeah, I'll be

1 prepared.

2 MR. GAVIN WOOD: Okay. Finally, Sir, in
3 terms of Dr. Magee and -- and the expertise he brings to
4 this project, why did you approach him to become
5 involved?

6 DR. ATIF KUBURSI: Well, first and
7 foremost, he's a nice guy. But besides that, he is
8 absolutely well known. He's a renowned econometrician
9 with extensive experience, and what exactly I thought
10 would be necessary here.

11 Two aspects; one is time-series analysis.
12 We're talking about variability of water flow and over a
13 continuous string of time, from 1912 all the way to 2005,
14 when I first came in; maybe 2007.

15 The other thing is that he is also known
16 to be a probability expert, a person who can take numbers
17 and fit to them probability density functions and would
18 be able to tell you what would be the confidence levels
19 at different estimates of probabilities.

20 MR. GAVIN WOOD: Thank you for that.
21 With that then, Mr. Chair, point 1-D. I'm at page 4 of
22 the direct examination. I'm requesting that Drs. Kubursi
23 and Magee be certified as experts in the areas set forth
24 at that page.

25 THE CHAIRPERSON: Thank you, sir. Ms.

1 Southall, do you have any questions on this?

2 MS. ANITA SOUTHALL: I don't have any
3 questions on qualifications. Thank you.

4 THE CHAIRPERSON: Mr. Williams...?

5

6 CROSS-EXAMINATION BY MR. BYRON WILLIAMS: (Qualification)

7 MR. BYRON WILLIAMS: Perhaps just a
8 question of clarification, and perhaps Mr. Wood can
9 assist me. In terms of Dr. Magee, is -- is Mani -- or
10 are you seeking to qualify him on -- under item number 1,
11 i.e., economics desi -- statistics, including time-series
12 analysis, or do you go -- so I'm just seeking
13 clarification, Mr. Wood, in terms of . . .

14 MR. GAVIN WOOD: I -- I think that's
15 fair, Mr. Chair. The -- the -- I think there's clearly -
16 - we've -- and we tried to set it out in the
17 qualification stage. And -- and certainly in the -- in
18 the direct examination I think you'll see Dr. Magee is --
19 is -- will be answering questions with regards to 1(I) on
20 that page.

21 MR. BYRON WILLIAMS: And just for -- to -
22 - along that, in terms of Dr. Kubursi, is it roman
23 numeral II, or are you seeking for -- for all?

24 MR. GAVIN WOOD: For -- for both in his
25 case.

1 MR. BYRON WILLIAMS: With that
2 clarification, and also thanking counsel in terms of his
3 questions regarding hydrology, my clients have no
4 objections to the qualifications as presented.

5 THE CHAIRPERSON: Thank you, sir. For
6 MIPUG, Mr. Hacault.

7

8 CROSS-EXAMINATION BY MR. ANTOINE HACAULT: (Qualification)

9 MR. ANTOINE HACAULT: I have a couple of
10 questions of clarification also of both doctors. Am I
11 correct in understanding that neither of you have
12 previously consulted for a hydro-electric utility
13 specifically?

14 DR. ATIF KUBURSI: No, I -- I consulted
15 with Ontario Hydro. And I was with the Energy Board and
16 Minister of Energy, and in several respects to -- with
17 hydro in third-world countries. And -- and Ontario Hydro
18 I -- I basically worked on impact of energy conservation,
19 and this was also part of the -- what's now known as
20 Smart programs, what would be the economic return on some
21 of the -- the DSM activities.

22 We also had to do some forecasting of
23 prices of energy, particularly related to alternative
24 energies because we were suggesting at the time that
25 there are substitution possibilities, and that these

1 should be exploited.

2 But the substitution possibilities would
3 not be worth considering unless we see that there are
4 consumer responses to them. If the price change does not
5 provoke any response on the part of the consumers, then
6 probably one should not be changing these prices.

7 MR. ANTOINE HACAULT: And in what years
8 did that consulting occur?

9 DR. ATIF KUBURSI: Over a number of
10 years, but particularly in the '80s.

11 MR. ANTOINE HACAULT: About when did it
12 end then, in the late '80s, or...?

13 DR. ATIF KUBURSI: I -- I would say more
14 towards the late '80s.

15 MR. ANTOINE HACAULT: Is this the first
16 time you're qualified as an expert in a hydro-electric
17 rate utility hearing?

18 DR. ATIF KUBURSI: Yeah, this is the
19 first time.

20 MR. ANTOINE HACAULT: And -- and that's
21 true of both doctors, is that correct?

22 DR. LONNIE MAGEE: That'S correct in my
23 case, too.

24

25 (BRIEF PAUSE)

1 MR. ANTOINE HACAULT: Based on your
2 previous answer then, am I correct that it's the first
3 time that you would be reporting on hydro-electric
4 production systems, as opposed to the demand side, as you
5 indicated?

6 DR. ATIF KUBURSI: Yes, that would be
7 correct.

8 MR. ANTOINE HACAULT: And it -- would it
9 also then be the first time that you would report on
10 hydro-electric optimization models? Is that correct?

11 DR. ATIF KUBURSI: That would not be
12 correct. Let me explain. I've -- I've looked at
13 production system optimization models for a couple of
14 utilities; one (1) is in the middle east, and another one
15 (1) in Africa.

16 There we were basically and fundamentally
17 trying to minimize generation costs and establish avoided
18 cost prices.

19 MR. ANTOINE HACAULT: And so that
20 involves the markets in those countries, not in Canada?

21 DR. ATIF KUBURSI: That would be correct.

22 MR. ANTOINE HACAULT: Thank you. Those
23 are all the questions that I have.

24 THE CHAIRPERSON: Thank you, sir. I
25 don't see Mr. Anderson here, so Mr. Gange for RCM/TREE.

1 MR. WILLIAM GANGE: Yeah, I have no
2 questions. Thank you.

3 THE CHAIRPERSON: I don't see Ms.
4 Pambrum. Ms. Ramage for Manitoba Hydro?

5
6 CROSS-EXAMINATION BY MS. PATTI RAMAGE: (Qualification)

7 MS. PATTI RAMAGE: Yes. Thank you.
8 Manitoba Hydro recognizes Dr. Kubursi and Magee as
9 experts in the areas of expertise outlined on page 4.

10 We do have a couple of questions we'd
11 like, again for clarification, to provide some context on
12 what their expertise allows them to do, and where there
13 may be limitations. And I'll address these to you, Dr.
14 Kubursi, but Dr. Magee, feel free to jump in if I've
15 mixed up your two (2) areas.

16 Dr. Kub -- Kubursi, you've indicated you
17 have expertise in optimization models. When developing
18 an optimization model, you would need to understand or
19 recognize key relationships, and turn them into
20 constraints in the model, and you have expertise in -- in
21 doing that, is that correct?

22 DR. ATIF KUBURSI: Yeah, that's correct.
23 I mean, the issue here is not just purely the
24 constraints, although it's important. There are also
25 what we call commodity balances, constraints on demand

1 and supply by the different sectors because they are
2 different users.

3 There's upper-bound and lower-bound
4 constraints, but it's also the objective function. What
5 do you ultimately optimize. We optimize consumer
6 surplus, producer surplus, the sum of the two (2). Would
7 you optimize on net revenue or would you optimize on
8 minimization of costs? And each and every one (1) of
9 these objective function specifications will have
10 different implications.

11 MS. PATTI RAMAGE: You would be typically
12 working with your client, or a subject matter expert, to
13 gain an understanding of the business in order to model
14 it. Would that be correct?

15 DR. ATIF KUBURSI: Absolutely. I mean,
16 this is not the work of only economists. In -- in many
17 respects, this is ultimately the joint product of
18 engineers and economists and technicians actually. I
19 mean, this is a situation where you have to bring
20 different types of knowledge to bear.

21 MS. PATTI RAMAGE: So -- and -- and prior
22 to commencing this work, and that's the work I mean with
23 respect to the Public Utilities Board hearing we're at
24 here today, you didn't have specific knowledge of the
25 issues Manitoba Hydro faces in its power-system

1 operations. Instead, the knowledge you've gained with
2 respect to those power-system operations is primarily
3 based on interviews with Manitoba Hydro personnel. Would
4 that be correct?

5 DR. ATIF KUBURSI: Well, in -- in many
6 respects, yes. I -- I had the general familiarity before
7 of the issues involved in any production system, whether
8 it's oil, whether it's electricity, even widgets and --
9 and -- and things. You know, one (1) of the things that
10 I've done when I was at Purdue is I've taken four (4)
11 courses in industrial engineering, and they were all
12 basically fundamentally concentrated on production
13 systems and the way things -- but I would admit, too,
14 that my familiarity with Manitoba Hydro was not
15 extensive, and I learned quite a lot from my discussions
16 with people at Manitoba Hydro.

17 MS. PATTI RAMAGE: Would it be fair to
18 say that your expertise in optimization modelling and the
19 ability to opine on Manitoba Hydro's models, we shouldn't
20 be confusing that with expertise in Manitoba Hydro power
21 system operations? Would that be correct?

22 DR. ATIF KUBURSI: Yes, it would be, but
23 after a year and a half on the job here, which I thought
24 will only take two (2) months, I guess -- no, no
25 complaints. You don't pay very well, but there's no

1 complaints. But the point that is -- but the story is, I
2 learned quite a bit, and, you know, I -- I honestly would
3 -- would say that my familiarity with production systems
4 of Hydro's proven to be very small after I finished
5 working with you.

6 MS. PATTI RAMAGE: Thank you. And -- and
7 the same question that would apply to water management:
8 You have general understanding of different water
9 management principles of the past, but you acquired a --
10 a great deal of knowledge over the last year with respect
11 to Manitoba Hydro's from Manitoba Hydro personnel, is
12 that correct?

13 DR. ATIF KUBURSI: Well, that -- that
14 would be correct. I mean, every watershed has its own
15 specificities and exceptionalism, and Manitoba Hydro was
16 an incredibly rich area, having all these disparate,
17 different climatic zones and different watersheds. But
18 the water-management issue of how much you keep in
19 reservoir, how much you release, how do you anticipate
20 the levels that you would have to release, these are,
21 honestly, common problems everywhere. They become more
22 so in areas like Manitoba Hydro. It's 95 to 98 percent
23 dependent on hydro. What happens to water is all what
24 counts.

25 MS. PATTI RAMAGE: You would look,

1 though, to Manitoba Hydro for beyond those common
2 principles, for example, stakeholder issues, something
3 like that, that would be something that you didn't come
4 in with? That would be something Manitoba Hydro would
5 have had to identify for you, is that correct?

6 DR. ATIF KUBURSI: It's not correct. I
7 worked as an economist for the Board of Economists of
8 IJC, the International Joint Commission, and my whole
9 work was basically -- and they use what they call 58-D,
10 which is a marker in Lake Ontario, and they will try to
11 make sure that this marker of 58-D is the optimum one,
12 and optimum in the sense that they have satisfied all the
13 stakeholders.

14 People who use the lakes, the Great Lakes,
15 for transportation would like to have a high level
16 because then they can use larger whole ships that would
17 save them more trips. People who produce hydro would
18 like to have head, which means they really need
19 elevation. Cottagers and marina people, they like it low
20 because it destroys their beaches. And what we really
21 have to do here is basically try to satisfy the multiple
22 stakeholders, and by God, what I learned at IJC is far
23 more complex than your problems here. Besides, we have
24 to deal with the Americans, and not easy people to deal
25 with.

1 MS. PATTI RAMAGE: You didn't -- you
2 didn't create a model that -- that modelled those
3 specific Manitoba Hydro issues, though, stakeholder
4 issues, I think you've said, cottage owners on the -- on
5 the waters, the public safety issues, those sort of
6 issues, is that correct?

7 DR. ATIF KUBURSI: No. I mean, we had to
8 actually develop different types of models than you have
9 here. What we really needed there is a metric, and what
10 we tried to do -- and -- and we really had the same
11 problem because we needed to know exactly, you know, the
12 precipitation, the -- the inflow versus outflow and
13 precip -- and, you know, and evap -- evaporation.

14 We had to develop what we call extended
15 cost-benefit analysis to see if we were to look at the
16 beach holders, the beach owners, and these people are
17 going to lose land. If we look at the Hydro people, we
18 like to really see that if we give one (1) extra foot of
19 water, what would it mean in terms of extra generation of
20 power at the given prices versus what would the utility
21 that people would lose? And we have to estimate at that
22 time at the average cost per foot of land. And, you
23 know, it's very expensive around some of these things,
24 especially Lake Ontario and other places. So there was -
25 - there were more micro-type, you know, modellings.

1 MS. PATTI RAMAGE: Just to clarify,
2 that's what you did in Ontario, correct, not Manitoba?

3 DR. ATIF KUBURSI: No, it's not Ontario
4 only; it's Ontario, Michigan, and Ohio, Indiana. I mean
5 it was the IJC, but not in Manitoba, no, no, no. We
6 didn't come that far.

7 MS. PATTI RAMAGE: Okay. I think that's
8 all the questions Manitoba Hydro has. As I indicated,
9 Manitoba Hydro has no objections whatsoever to these
10 gentlemen being qualified as experts. We just wanted to
11 get an understanding or gain an understanding of -- there
12 -- there's a line in here, and we're trying to hone in on
13 it. And I thank Dr. Kubursi for his answers.

14

15 RULING (Qualification)

16 THE CHAIRPERSON: So be it. We look
17 forward to the doctors' evidence. Mr. Wood, do you want
18 to --

19 MR. ROBERT MAYER: You'd better say that
20 they're qualified.

21 THE CHAIRPERSON: Yeah, and they are
22 qualified as requested. Mr. Wood...?

23

24 EXAMINATION-IN-CHIEF BY MR. GAVIN WOOD:

25 MR. GAVIN WOOD: Thank you, sir. The --

1 the next section in the direct examination will go
2 through somewhat more quickly. Dr. Kubursi, would you,
3 at the top of page 5, be kind enough to explain how you
4 came to be involved in this project?

5 DR. ATIF KUBURSI: I guess it must be my
6 association with Mr. Roger Cathcart, who had approached
7 me even in -- sometime in October or September, asked me
8 if I have done anything on risk analysis. And I -- I
9 didn't take it extremely seriously, so I said, Of course,
10 I've done that. And no consult would turn a job. But
11 all of a sudden, you know, it was extremely specific. It
12 was talking about hydro and droughts and things, and I --
13 I was a bit hesitant, although I've -- I've done the
14 work.

15 But then ultimately I was invited to come
16 in January, mid-January. I think the 19th of January I
17 came here where I made the presentation on enterprise
18 risk management and fielded lots of questions from Mr.
19 Bob Peters, Chairman Mr. Graham Lane and Mr. Mayer. And
20 there was also, I think, a third member.

21 Afterwards, I thought -- I was told by Mr.
22 Lane that I would be offered the job, and I was very
23 happy to accept it.

24 MR. GAVIN WOOD: And we've already
25 touched on this, but how did you come to have Dr. Magee

1 involved in the -- in the project?

2 DR. ATIF KUBURSI: Well, I -- I knew this
3 was a very large undertaking, and I also recognized that
4 multiple expertise would be required. And I could easily
5 understand from my limited knowledge of whatever risk and
6 enterprise management, I mean, there are going to be
7 incredible assignments and -- and challenges in fixing
8 probability estimates, and I wanted to have somebody who
9 is an expert in probability estimation and in time-series
10 analysis.

11 I looked at the water flows and the fact
12 that it is so variable. And I just took one (1) look, I
13 remember, about the variability of water flows, and I
14 knew that this is going to be a statistical process of
15 sorts, and it would be quite important that somebody who
16 is versed and an expert in this area with particular
17 credentials would be extremely important, and I could
18 think of no better than my colleague, Lonnie Magee.

19 MR. GAVIN WOOD: Dr. Magee, why did you
20 become involved in this project then when you were
21 approached?

22 DR. LONNIE MAGEE: Well, Atif described
23 the problem -- or the project to me in February, 2010,
24 and it sounded interesting. And so that was one (1)
25 obvious reason. But, also, I've -- I've known Atif for -

1 - since I was in the department in '83, and we've always
2 had a good relationship, but I've never worked with him
3 on something before, so I thought it would -- that would
4 -- that would be a good experience that way as well.

5 MR. GAVIN WOOD: At that time, sir, I --
6 I understand you -- you didn't have access to the terms
7 of -- of reference, that that -- that would have come
8 later?

9 DR. LONNIE MAGEE: That's right. I think
10 the terms of reference were two (2) or three (3) months
11 after that.

12 MR. GAVIN WOOD: So you would have been
13 given a general understanding at -- at the time that you
14 came onboard?

15 DR. LONNIE MAGEE: That's right.

16 MR. GAVIN WOOD: Going on at the bottom
17 of page 5, Dr. Kubursi, the terms of reference are -- are
18 referred to there. One (1) convenient point where they
19 can be file -- found is at page 1 of the KM Report, the -
20 - the basic report of these gentlemen.

21 If I could bother you just briefly to turn
22 to page 1 of your actual main report, and I don't expect
23 you to go through them in any detail now, but rather your
24 -- your overall conception of what the Board has called
25 upon you to do, sir, and which I'm sure you -- you hope

1 you've been able to respond adequately to.

2 DR. ATIF KUBURSI: Yes. We found that
3 the Order 30/'10 and Schedule C defined in a very
4 succinct way the various undertakings that this project
5 would -- would involve, but primarily is focussed on risk
6 management and concepts, procedures, activities.

7 And always to look at best practice, and
8 see to what extent this risk management, and its best
9 practices, apply to Manitoba Hydro. So first you have to
10 -- and it was the first order of business, is to look at
11 best practice, look at the literature on risk management,
12 and then look at and evaluate all these reports.

13 There were several reports that had been
14 written and were available on risk management,
15 particularly affecting risk management at Manitoba Hydro.

16 We also had to look at the water supply
17 data, and we -- we saw pictures of it but we did not see
18 this data, but this time there was a specific reference
19 to the supply data over time that existed between 1912
20 and 2005 at the time, and also the way this data was
21 generated, the way it comes together.

22 We had to also review and get all the
23 information from Manitoba Hydro, that it was part of our
24 undertaking, and the overriding thing was that we are
25 independent experts, that we provide objective assessment

1 that would be open to every, and different groups, and
2 that our overriding commitment is to obtain all the
3 relevant data, and to see all the stakeholders.

4 We were also to look at the --
5 specifically the operation of, and business risk that MH
6 would -- and is likely to face, and to prepare
7 quantification.

8 I mean, it was a major responsibility that
9 we don't only look at these risks as just numbers, or
10 issues, but that we would engage in actual quantification
11 of these risks, and that we would also provide our own
12 views on how this risk would be identified, quantified,
13 and reported, and mitigated, and that we should really
14 remain always as consultants, and resource people, to the
15 different Intervenors, and should be prepared at any time
16 to respond to these things.

17 And that we ultimately have to provide a
18 report, and write a report, on the seven (7) items that
19 were ident -- identified, and that we will participate as
20 independent witnesses.

21 MR. GAVIN WOOD: And at the bottom of
22 page 5, and then the top of page 6 of the direct
23 examination, you've -- you've both attempted to summarize
24 the -- the most essential parts of what you -- you both
25 brought to the project, and it's there, and -- and we can

1 move on from that.

2 Two (2) things I did want to ask you
3 though, sir, is -- and of course Dr. Magee may want to
4 respond as well to this, there -- there has been frankly
5 some indication, some questioning of whether the project
6 that you were being asked, the royal you, the two (2) of
7 you, were being asked to do, was -- was too much, too
8 comprehensive, given the resources that were available to
9 yourselves.

10 Firstly, do you have concerns in that
11 regard, that you did have adequate resources to carry out
12 the terms of reference adequately, and if you wanted to
13 comment further on the scope of the project, and -- and
14 just how substantial it was.

15 DR. ATIF KUBURSI: Yeah. No question the
16 scope was wide, and the challenges were, in many
17 respects, important, and not, you know, simplistic. But
18 we knew all too well that this is a doable thing. I mean
19 -- and the way we were told, and I appreciated this right
20 at the beginning, that you have to tell us what resources
21 you need, and we'll be prepared to provide these
22 resources. And we want you to have full access to
23 Manitoba Hydro people and data, and that we give you and
24 enable you with all the necessary requirements.

25 I -- I felt very comfortable at this. And

1 in may respects, the fact that we did it is itself
2 testimony that -- that it was not -- it's a doable thing,
3 and we did it.

4 MR. GAVIN WOOD: Anything further, sir?

5 DR. LONNIE MAGEE: Yes, the -- the terms
6 of reference are very broad, but we also interpreted them
7 as being flexible so that we weren't -- didn't feel
8 obligated to, say, give the last word on everything that
9 you could possibly imagine falling under the terms of
10 reference, which would be impossible.

11 So we decided to learn as much as we could
12 and take what we already knew, combine those together and
13 try to say constructive things that -- and organize them
14 according to the terms of reference.

15 DR. ATIF KUBURSI: I -- if I may. I
16 mean, I knew all too well that much of what's happening
17 here is going to fall quite a bit on me because I knew of
18 the time the professor -- that Lonnie Magee was still
19 teaching, and he's the chair of the graduate studies and
20 things. But I was comfortable, and I knew all too well -
21 - and, in hindsight, I'd say it was really a very good
22 working relationship that I -- when I needed Lonnie he
23 was always available for me.

24 MR. GAVIN WOOD: The -- the other thing
25 that I wanted to just put on the table right at the

1 outset is the person that we're going to, for
2 understandable reasons, refer to as the NYC. Sir, did --
3 this is to Dr. Kubursi.

4 Did you see your role as to largely
5 consider the NYC's concerns under those terms of
6 reference?

7 DR. ATIF KUBURSI: There's no question
8 that there were lots of rumours and there were lots of
9 propositions here about -- that the NYC had made certain
10 claims. And we wanted to come at it in a very objective
11 and independent way when we knew all too well that we
12 would like, and we would seek and spare no effort, to
13 listen to NYC and to see what are her claims and
14 allegations, how did she arrive at these claims, and how
15 did she put forward these things.

16 Because at that time and under your
17 guidance, Gavin, that we should not look at KPMG; we
18 should not look at any of the documents because at that
19 time there was still some concerns. But we knew all too
20 long and all along that we need to seek and meet and
21 avail ourselves of her positions.

22 MR. GAVIN WOOD: What about the -- the
23 specific question though? Did you see your role as
24 largely considering her concerns?

25 DR. ATIF KUBURSI: No, we had much

1 broader concerns. I mean, the issue of looking only at
2 her was she was one (1) of the parties, but in no way did
3 we really see that our commitment, job, and assignment
4 was solely to examine and see, you know, what she claims
5 and the counterclaims. No. I mean, the issues were far
6 too -- more defined in broader terms and more reasonable
7 terms than ju -- just evaluating what one (1) single
8 consultant had come up with.

9 MR. GAVIN WOOD: And just for the Board,
10 there -- there was a reference to not looking at KPMG
11 report, and -- and that'll come in in the next few
12 minutes if you'll bear with us on that rather than
13 jumping into that.

14 Sir, beginning at page 6 Dr. Magee and
15 yourself then, over the next pages, try to explain to the
16 Board and -- and to all the parties participating,
17 through to page 8, the initial steps that you took; it --
18 it's set forth there. And appreciating we have
19 considerable to go through today, would you just briefly
20 comment on the initial steps you took that -- and such.

21 DR. ATIF KUBURSI: There's nothing brief
22 for professors, but I'll try. We're programmed to speak
23 for fifty (50) minutes on anything. But the -- the --
24 all right. But -- but I came five (5) times.

25 MR. GAVIN WOOD: Are you sure you don't -

1 - are you sure you don't have that law degree, eh?

2 DR. ATIF KUBURSI: No, no. The prices
3 are too low. The -- the -- I came five (5) times, and I
4 -- I would like to put for the record that all the
5 parties we talked to were open, helpful and forthcoming.
6 I met extensively with many staff from Manitoba Hydro,
7 and many times, several times, even on the same issues.
8 I came one (1) time in February alone, and then I came
9 with Lonnie another time. We came and attended the
10 conference.

11 Manitoba Hydro has been always
12 forthcoming. They spend quite a bit of time. There
13 wasn't a single person we wanted to see that Ms. Ramage
14 was not able to deliver on it, and when we had some
15 particular issues, I recognized that Mr. Cormie had come
16 all the way to Burlington to meet with us to explain
17 these things.

18 We gained a lot from these meetings, and
19 we met with everybody, with all the components. I mean,
20 we -- we went with the corporate ech -- you know, higher
21 echelons, with Mr. Warden, Mr. Adams. We met several
22 times with Mr. Cormie. We met with Don Deviaene and Ms.
23 Huskins -- Hoskins in the risk management. We met with
24 the --

25 MR. GAVIN WOOD: But -- but, with -- with

1 respect, sir, that -- that's set forth at pages 7 and
2 such, and rather than going through them individually --

3 DR. ATIF KUBURSI: I was going to show
4 off how many names I remember.

5 MR. GAVIN WOOD: Well, but let me -- let
6 me ask you another question, though: What about material
7 sets and such? How did you -- what did you receive? How
8 did you assemble that material and -- and work with it?

9 DR. ATIF KUBURSI: There was a process
10 and we respected it. We went first through you and then
11 to Ms. Ramage, and we got most of the things we want.
12 Once in a while, you know, we got a bit of surprise. We
13 discovered some model that we didn't know about, but it -
14 - it turned out it was not so important. But we -- and
15 I'm sure our colleagues at Manitoba Hydro would tell you
16 we did not leave a stone unturned. We wanted to know,
17 and we probed as much as we can, and we got quite a bit
18 of cooperation.

19 And we met, by the way, with also Mr.
20 Singh, with the consultants from the Board. We -- we
21 felt that there are more than just the stakeholders that
22 Mani -- Manitoba Hydro, you know, represents. We met
23 also with Mr. Antoine Hacault, with Mr. Bowman, with
24 other people, too. We tried to be as open as we were,
25 given the mandate from the Board that we should be open

1 and available to others, and should seek to get as much
2 information as we can get.

3 MR. GAVIN WOOD: Concerning the
4 consultants with the Public Utilities Board, why were you
5 involved with them directly, sir?

6 DR. ATIF KUBURSI: Well, I mean, there
7 were lots of issues that we wanted clarification, and we
8 wanted to hear their take on it. We knew that Mr.
9 Cathcart is a recognized expert; I worked with him on a
10 number of issues, and I recognize his expertise and
11 abilities in financial matters. I was also quite
12 impressed with Mr. Larry Buhr's knowledge of hydrology
13 and numbers of waters. We were -- we had two (2) ears
14 and we want to use them to the full extent.

15 MR. GAVIN WOOD: Finally, before asking
16 Dr. Magee to comment on this, if I could turn everyone to
17 page 7, and item D under Dr. Kubursi there, page 7. No,
18 you're -- oh, yeah. I notice there's reference to you
19 attending on a Dr. Michael Proctor.

20 Could you explain what that involved, sir?

21 DR. ATIF KUBURSI: I knew all along that
22 MISO is a very important node that -- that we need to
23 understand. I know that Manitoba Hydro is a unique
24 utility in terms of the ratio of exports to generation, I
25 mean 31 percent, and it could be corrected, and that 80

1 percent of this is in the MISO market, either with, you
2 know, counterparties or in the day-ahead or real-time
3 trading in the opportunity market.

4 And MISO's quite important, and I recog --
5 realized and recognized early on that it would be
6 important for me to learn more about how this system --
7 it's a new development, it came about in 2005, and that
8 it would be worthwhile going and seeing how the system --
9 what models do they use, what do they mean by -- thanks -
10 - by this node prices and marginal prices?

11 And I was quite lucky that the person they
12 nominated to see is Dr. Michael Proctor, who came to
13 Purdue when I was leaving, and we met literally for --
14 months before, you know, I left and he stayed, and it was
15 really good to see him back.

16 And we spent a very extensive intensive
17 two (2) days, where he shared openly, and very
18 generously, all the systems they have. I learned a great
19 deal from that, and I valued this, and he was open, and -
20 - continuously open, and I had called on him several
21 times to explain things when I felt I did not get it from
22 the first time.

23 MR. GAVIN WOOD: Finally, sir, just in
24 terms of the -- the way in which Dr. Magee and yourself
25 functioned, should the Board understand that you would

1 periodically come here as you required to interview
2 people or assemble materials, your work was done back at
3 your home office in Burlington?

4 DR. ATIF KUBURSI: Yeah. Most -- most of
5 the work was done at my home office.

6 MR. GAVIN WOOD: And, Dr. Magee, and I
7 don't suggest you necessarily have to, but is -- is there
8 anything you wish to add to what Dr. Kubursi has just
9 explained to the Board?

10 DR. LONNIE MAGEE: Well, I could just
11 reinforce that -- that the contacts with people that --
12 that I had were all very positive, and were a subset, but
13 a large subset of the ones that Atif has described.

14 Two (2) trips to Winnipeg, meeting many
15 people at Hydro, and also Roger and Larry at -- at PUB,
16 and in -- during the workshop sessions, met with some of
17 the in -- Intervenor group's representatives.

18 MR. GAVIN WOOD: Thank you. Turning to
19 page 8 then, and dealing specifically with contacts with
20 the NYC at Section 3(d), sir, I'm sure that the Board has
21 noticed that there's an Appendix A, which consists
22 primarily of a set of emails between the NYC and myself.

23 You had mentioned a few moments ago, and I
24 just want to clarify something -- or let -- let me maybe
25 start in, and then I'll ask you this. Why was it

1 important to you that you have an opportunity to meet
2 with the N -- NYC if at all possible in this project?

3 DR. ATIF KUBURSI: Well, as I said, we
4 realized right from the outset that -- and it was
5 basically press reports and rumours that the NYC had made
6 some serious allegations, and had different thinking on
7 the risk assessment and risk practices at the Manitoba
8 Hydro.

9 And it would be important, and I -- we
10 thought it would be only fair that we listen to this
11 strand and this position. And it would be far more
12 important to hear it from the mouths, you know, from the
13 horse's mouth rather than to wait for the rumours.

14 And we were all too happy, and I remember
15 you -- you know, that we told you, and you were very
16 gracious in trying to arrange this, and we were quite
17 happy, you know, at the time we learned that she would be
18 willing to meet with us, and we insisted that we go there
19 without any prejudice, or prejudicial, or prior
20 information, giving her the full platform, full chance to
21 explain her position without any preconditions.

22 And even went as far as saying, and giving
23 you the empowerment. I mean, saying look, if you need us
24 and you want -- she wants a confidentiality agreement,
25 restriction agreement, because we -- we could gather very

1 quickly that she was so obsessed with intellectual
2 property, that even if she whispered to you, Good
3 morning, that maybe she had signed a royalty agreement on
4 it. I mean, it -- it was a -- a willingness on our part
5 to do whatever it takes so that we would listen to this
6 person.

7 MR. GAVIN WOOD: Okay. And bits and
8 pieces. Small -- small pieces. There's a reference in
9 the emails that Dr. Magee and yourself hadn't reviewed
10 certain materials, that -- particularly the KPMG report
11 and materials that we -- that you understood the NYC had
12 -- had produced over the course of the previous two (2)
13 or three (3) years.

14 DR. ATIF KUBURSI: Right, the --

15 MR. GAVIN WOOD: To begin with, that
16 representation certainly was true?

17 DR. ATIF KUBURSI: Yeah.

18 MR. GAVIN WOOD: Why -- why did you
19 determine to approach her in that manner, without having
20 mat -- materials reviewed before you -- you attempted to
21 see her?

22 DR. ATIF KUBURSI: Well, for a number of
23 reasons. Things pertaining to us and things pertaining
24 to her.

25 To her, because we recognize all too quick

1 that she is extremely jealous and very protective of her
2 ideas and feels that anybody who would come to know what
3 she is doing is likely to exploit it commercially later
4 on. So we were quite sensitive to this and we respected
5 that.

6 The other one (1) is that we are
7 independent consultants. We want to hear every side to
8 the issue and she is one (1) side, not the only one (1),
9 but at least she's one (1) side, an important side, and
10 we wanted to give her a full chance to discuss and convey
11 her position.

12 MR. GAVIN WOOD: Thank you. Now
13 ultimately you did attend actually with myself to meet
14 with the NYC. Dr. Magee was -- was not present. What
15 happened that he wasn't there?

16 DR. ATIF KUBURSI: Well, actually, when
17 we -- we were here, if you remember when we got -- we
18 were attending a conference that was organized by
19 Manitoba Hydro. We were in Winnipeg when we learned that
20 she finally wanted to see us and she wanted to see us
21 immediately, if you recall.

22 So we were prepared, I mean, if she wanted
23 to meet us hanging from a tree at that time, we were
24 prepared. And we very quickly arranged, you know, the
25 meeting. But we discovered that our cosmopolitan

1 colleague didn't have a passport with him, so we had to -
2 - we had to arrange a passport and we could not get it in
3 time. And she insisted that she wants to see us on that
4 weekend, if you recall, but she couldn't see us on
5 Saturday, so we went on Sunday, on the 5th --

6 MR. GAVIN WOOD: And, Dr. Magee, I
7 understand you stood in line trying to get a passport on
8 Thursday or Friday of that week?

9 DR. LONNIE MAGEE: Yes, PUB kindly
10 provided a letter indicating the urgency of the situation
11 and it did help. I did get a passport, but it was a
12 couple of days too late.

13 MR. GAVIN WOOD: Okay. And then -- just
14 -- and I appreciate it that you've -- you've set out the
15 -- the background at page 8, the section 3-D. Dr.
16 Kubursi, though, is -- if I could just summarize, I
17 understand that the NYC was prepared to meet with you
18 starting on the Sunday of that week and then through the
19 Monday and then the Tuesday?

20 DR. ATIF KUBURSI: Right. Right. We
21 arrived Sunday, and Mr. Wood and I we went to dinner with
22 her. And --

23 MR. GAVIN WOOD: Well, let's -- let's
24 just take it -- my understanding, as I recall, we -- your
25 -- you and she met through Sunday afternoon and evening,

1 largely with her somewhat getting to know you and -- and
2 frankly, making sure you were the -- the real enchilada,
3 that you could talk at her level, to be blunt about it?

4 DR. ATIF KUBURSI: Yeah. Yeah. And --
5 and -- and we were -- were -- you know, I mean, it was a
6 very open discussion and a technical discussion in many
7 respects. I think Mr. Wood is correct, she was trying to
8 see if we had any knowledge that we pretend to have and
9 she was asking many questions. We -- we also qualified
10 because I carried late George with me through the streets
11 of New York. If you don't know George, George is her
12 bird. And it -- it --

13 MR. GAVIN WOOD: You weren't -- you
14 weren't going to do that to me.

15 DR. ATIF KUBURSI: Well -- well, you
16 carried the baby.

17 MR. GAVIN WOOD: I carried --

18 DR. ATIF KUBURSI: But, I mean --

19 MR. GAVIN WOOD: The --

20 DR. ATIF KUBURSI: Yeah.

21 MR. GAVIN WOOD: The NYC has a -- a -- a
22 young child -- and that I ended up babysitting on the
23 Sunday so that you could -- you could meet with her.

24 DR. ATIF KUBURSI: Yeah, we met for three
25 (3) hours and --

1 MR. GAVIN WOOD: Okay.

2 DR. ATIF KUBURSI: -- she was quite open
3 actually. I mean, I was kind of surprised.

4 MR. GAVIN WOOD: Okay.

5 DR. ATIF KUBURSI: And --

6 MR. GAVIN WOOD: Did -- did the real work
7 with her started, in terms of exchanging matters on
8 Manitoba Hydro, on the Monday, sir?

9 DR. ATIF KUBURSI: Yes, it started on a
10 Monday. She came to our hotel and we met -- she was
11 quite open in -- in her special way. I mean, open in the
12 sense that she was quite generous in making
13 pronouncements and generalizations. Nowhere was she
14 willing to explain at lengths the methodology and the way
15 she reaches these conclusions or allegations.

16 And it went very well because she could
17 outline exactly her concerns, which I will go through in
18 details, but issues about drought and the estimation of
19 drought, the governments, the lack of existence of a
20 middle office. She was also all too generous to make
21 snide remarks here and there, but I just -- you know, we
22 dismiss all these things. The substance was -- was good
23 and -- and -- and we were able to get quite a bit of
24 things for her until I made the big mistake. It was
25 really my mistake.

1 And she asked us if -- you know, what are
2 you doing. Are you going into the nitty gritty?

3 I said, Yes, Lonnie and I, we're trying to
4 sketch a model that integrates the financial and the
5 power generation and the delivery. And the minute I
6 mentioned models, she felt like we are pre -- you know,
7 preparing or developing an alternative to her system, she
8 withheld everything. It became an absolute mummy. I
9 mean, she -- we could not get anything from her. She was
10 prepared to talk about the weather, about the world, but
11 nothing in any specific terms.

12 And we tried, Gavin and I, in different
13 ways, trying to unlock this jam and even to explain to
14 her that nothing of the sort. We're not preparing an
15 alternative model to your system, and that we would not -
16 - and prepared to even write and sign agreements to the
17 extent that anything we hear from you we will not use for
18 years. It became extremely difficult to take things.

19 We -- we met on Tuesday. But, again,
20 almost a rehash of all the positions that she had made in
21 general terms, nothing very specific, no calculations, no
22 methodology the day before.

23 MR. GAVIN WOOD: Thank you for all of
24 that. And -- and I appreciate, and I think the Board
25 does, that you've summarized the situation at pages 8 and

1 9. Just briefly possibly before the break, sir, just
2 going on to pages 9 and -- and 10, there's a further
3 indication of further work that was -- was carried out,
4 further people that were seen and -- and such.

5 And I -- I don't think it's necessary to
6 take any time with that. At page 10, Dr. Magee, please,
7 at the top there you -- you make reference to writing of
8 programs and such. Could I ask you to explain that in
9 particular, please.

10 DR. LONNIE MAGEE: Yes, this was to carry
11 out both the estimating the coefficients in the
12 statistical models and to generate the numbers in the
13 simulations. So I just -- I mention there that I use
14 GAUSS programming language just because that's what I'm
15 used to using, but there are many other programs that
16 would have done this. It's basically a program that just
17 carries out mathematical calculations and is designed to
18 -- to work well with random number generators and matrix
19 operations.

20 MR. GAVIN WOOD: And then, finally,
21 gentlemen, the -- the KM report is produced in mid-
22 November of -- of 2010 based on all of the -- the work
23 set forth in the prior pages of the direct examination?

24 DR. ATIF KUBURSI: Absolutely. As you
25 can tell, this is a joint product. I mean, it's very

1 hard to really say you did this, you did that, and
2 things, but it's a joint project. And we produced the --
3 the report very quickly, the early ten (10) days, and it
4 was a requirement that we share it with --

5 MR. GAVIN WOOD: And we'll go on to that
6 --

7 DR. ATIF KUBURSI: We'll go over that.

8 MR. GAVIN WOOD: -- possibly after the
9 break.

10 DR. ATIF KUBURSI: Yeah. But, I mean, if
11 -- in details, what happens that, with the exception of
12 Chapter 4 --

13 MR. GAVIN WOOD: Well, maybe -- maybe
14 we'll just pause for a moment.

15 DR. ATIF KUBURSI: Sure.

16 MR. GAVIN WOOD: Did you want us to go
17 on, sir?

18 THE CHAIRPERSON: I think we'll take the
19 break now.

20 MR. GAVIN WOOD: Yeah.

21 THE CHAIRPERSON: Thank you very much.

22

23 --- Upon recessing at 10:49 a.m.

24 --- Upon resuming at 11:09 a.m.

25

1 THE CHAIRPERSON: Okay, folks, let's get
2 going again.

3

4 CONTINUED BY MR. GAVIN WOOD:

5 MR. GAVIN WOOD: Sir, going on then at --
6 at page 10 of the direct examination. At 5(b) of that
7 material the Board is made aware of who wrote the various
8 chapters initially. Dr. Kubursi, I had cut you off just
9 before the break, but in -- without going through it in
10 detail, overall, whose work product is the KM report?

11 DR. ATIF KUBURSI: Well, it is both
12 Kubursi and Magee. I mean, this is a joint product.
13 It's very difficult to partition it; this is for this
14 person's contribution and this word is somebody else's.
15 We work jointly and very closely together.

16 I, typically, with the exception of
17 Chapter 4, wrote the first drafts, but then Lonnie went
18 over them and made contributions, made comments, made
19 changes, edited, and then came back to me. I mean, it
20 was an interactive, joint product in every single
21 respect.

22 MR. GAVIN WOOD: Thank you. And then, at
23 page 11, there's another name introduced at section 5C,
24 Mr. Graeme MacQueen. I don't -- it would -- you'd
25 possibly take that, sir, what -- who was Mr. MacQueen?

1 DR. ATIF KUBURSI: Right. Mr. MacQueen
2 is a colleague of ours, is a professor of philosophy and
3 religious studies at McMaster. He's noted for being a
4 very competent writer. His PhD is from Harvard, he's
5 contributed -- published numerous articles. He looked at
6 the style. He really looked at it, and we wanted that
7 two (2) pairs of eyes to see that economists do not write
8 only for other economists, that if there were any places
9 where he felt that it had too much jargon and had
10 complicated presentations we had asked him to pinpoint
11 it, and he did a good job.

12 MR. GAVIN WOOD: Thank you. Was Mr.
13 MacQueen involved in the content of the KM report?

14 DR. ATIF KUBURSI: No, he was not. I
15 mean, this was totally outside his realm of expertise.

16 MR. GAVIN WOOD: Sir, if I could turn,
17 then, to section 5-D, and here to the Board if -- if I
18 could bother you to look to page 20 of the -- of the
19 Direct Examination as well, we've decided it's best to
20 combine those two (2) sections together so that you --
21 you understand the overall of -- of how the report came
22 to be finalized.

23 To begin with, sir, there was a form of
24 confidentiality agreement that was entered into by Dr.
25 Magee and yourself, is that correct?

1 DR. ATIF KUBURSI: That's correct.

2 MR. GAVIN WOOD: And it's found at the
3 answers to undertaking of IRs of PUB-KM-1, Schedule 2 --
4 Schedule 2 of that, and -- and I appreciate it's there.
5 Why did that document come about, Dr. Kubursi?

6 DR. ATIF KUBURSI: Well, there were
7 concerns that, inadvertently or negligently, we might
8 divulge confidential data, commercially-sensitive data.
9 And we had to deal with future prices, with terms and
10 conditions in term sheets and contracts, and Manitoba
11 Hydro felt that this is material that they are obliged,
12 with their counterparties under contracts, not to
13 divulge, and they wanted to make sure that we would not
14 divulge either. These are terms and conditions in
15 contracts, these are about commercial prices,
16 commercially-sensitive data.

17 MR. GAVIN WOOD: Thank you. And
18 specifically, sir, at page 3 of that confidentiality
19 agreement that again is set out at Schedule 2 of the PUB-
20 KM-IR-1 materials, Section 4 references review of
21 reports. This is a somewhat unusual situation. Just --
22 I appreciate it's set out there and there's no need to go
23 into it in detail, but what were the mechanics once --
24 once your draft report was prepared vis-a-vis Manitoba
25 Hydro and yourselves?

1 DR. ATIF KUBURSI: As you can appreciate,
2 we were a bit reticent in the beginning that we would
3 give our report to Manitoba Hydro before it's shared with
4 everybody else. But we also accepted the principle that
5 there may be confidential materials that need to be
6 redacted, and that we would like to see that Manitoba
7 Hydro would go over some of the facts.

8 So there was also issues of verification
9 of facts. So confidential material, commercially-
10 sensitive data and issues of facts. But we reserved the
11 right that any issue that we considered to be matters of
12 opinion, that this would be up to us whether we accept it
13 or not.

14 MR. GAVIN WOOD: And then -- and then
15 turning to page 20, section 5G of the direct-examination,
16 just for the convenience of the Board and -- and the
17 Intervenors and such, you -- you see that the draft
18 version of the KM report came over to MH in two (2)
19 installments on November 8 and November 12th, 2010.

20 You -- you see that, sir?

21 DR. ATIF KUBURSI: Yes, absolutely. As
22 you know, we -- we did not see the KPMG Report until
23 probably late October. I mean, we had very limited tim -
24 - time to finish the entire report. And we tendered the
25 possibility and Manitoba Hydro was gracious to accept

1 that we will do it in two (2) installments.

2 So we send them Chapters 1 to 4 and then
3 sent the remaining chapters on a later date, the first
4 one (1) November 8, the second installment came November
5 12th.

6 MR. GAVIN WOOD: And then just directly
7 below that at page 20, there's reference to two (2)
8 letters from Manitoba Hydro, Ms. Ramage and Ms. Boyd
9 noticed just in the last couple of days to the Board that
10 there is actually three (3) letters that came back from
11 Manitoba Hydro, no -- not two (2), and that's an
12 oversight on -- on my part.

13 The -- the third letter is in the middle
14 and there's a -- there's a letter of November 12th, 2010
15 where Manitoba Hydro commented on aspects of the report
16 and then one (1) on November 15th. They're set --
17 attached as -- set out at Schedule 3 of PUB-KM-1. And
18 then the other letter that I overlooked is November 14th,
19 2010.

20 So -- and I've -- I'm going to ask that in
21 those circumstances it be marked as -- as a separate
22 exhibit. How it -- how it breaks down is the first
23 letter deals with Chapters 1 to 4 -- the draft Chapters 1
24 to 4. The letter of November 14, 2010 deals with Chapter
25 5 of the draft, and then the letter of November 15th,

1 2010 deals with Chapter 6 and 7.

2 So if I could ask, Mr. Chair, that this --
3 this additional document possib -- it would be easiest
4 with -- with the -- the memo from Ms. Boyd to myself be -
5 - be marked as Exhibit KM-5, please.

6

7 (BRIEF PAUSE)

8

9 THE CHAIRPERSON: It'll just be a moment,
10 Mr. Wood.

11

12 (BRIEF PAUSE)

13

14 THE CHAIRPERSON: Would you mind
15 repeating the exhibit number?

16 MR. GAVIN WOOD: That would be Exhibit
17 KM-5.

18 THE CHAIRPERSON: Thank you.

19

20 --- EXHIBIT NO. KM-5: Memo from Ms. Boyd to Mr.
21 Gavin Wood

22

23 MS. ANITA SOUTHALL: Mr. Wood, before you
24 go on, I've just noted for the record that you're
25 referencing the direct evidence of Doctors Kubursi and

1 Magee in section 5G as page 20, and I believe it's page
2 21.

3 MR. GAVIN WOOD: Oh, 21. Thank you.

4

5 CONTINUED BY MR. GAVIN WOOD:

6 MR. GAVIN WOOD: Those -- those -- those
7 letters really speak for themselves, sir, but you go on
8 at page 21 in -- in your direct-examination to explain
9 your -- Dr. Magee and your response to the -- the -- it's
10 the three (3) letters.

11 DR. ATIF KUBURSI: Right.

12 MR. GAVIN WOOD: There's no -- there --
13 it is -- it is the case that the draft report was
14 adjusted as a result of the receipt of those three (3)
15 letters?

16 DR. ATIF KUBURSI: Yes, we redacted a
17 number of pages that -- that were already in the report.
18 And --

19 MR. GAVIN WOOD: And -- and what about
20 with regards to content?

21 DR. ATIF KUBURSI: Well, content we were
22 a little bit reticent to see -- there were issues that
23 were raised about verification of facts, which I
24 accepted, but there were areas where we thought there
25 were matters of opinion and matters of judgment, and we

1 felt that this would be left in the report because this
2 reflected the conclusions and the assertions that we
3 would like to make, and we wanted to retain them.

4 MR. GAVIN WOOD: The -- the letters are -
5 - are available to everyone, and -- and people can judge
6 for themselves and possibly cross-examine you over them.

7 Could I ask though, ultimately, did
8 Manitoba Hydro have a second kick at the cat, so to
9 speak? After you got the letters and the -- the report -
10 - the KM Report was adjusted as a result of those
11 letters, was there any further back and forth between
12 Manitoba Hydro and yourselves?

13 DR. ATIF KUBURSI: Not that I recall.

14 MR. GAVIN WOOD: So then the KM Report
15 that gets released is after you've taken into
16 consideration those three (3) letters?

17 DR. ATIF KUBURSI: The one that we
18 accepted, yes.

19 MR. GAVIN WOOD: And then if I could
20 bother you to come back now to page 11 of the direct
21 examination. And there, sir, at section 5(d) there's
22 reference to the specific redactions that occur in the
23 report.

24 Do you see that?

25 DR. ATIF KUBURSI: Yes.

1 MR. GAVIN WOOD: And I don't think it's
2 necessary to go through those in detail. I would ask
3 though, basically and in summary for the Board, what did
4 the redactions generally in -- involve that Manitoba
5 Hydro had requested come out of the report; what in --
6 what information and such?

7 DR. ATIF KUBURSI: Yeah, this were
8 information that relate to future prices, to terms and
9 conditions in the contract, and certain curtailment of
10 provisions and the specification of these curtailment
11 conditions.

12 We felt that these are legitimate
13 concerns, and we redacted them. There was one (1) which
14 included data at the very end; this was the flow data
15 that was redacted. We felt maybe this was a matter over
16 which one could have counter arguments, but we -- we
17 redacted them.

18 MR. GAVIN WOOD: Going on to the next
19 page of the direct examination, 5(e), there's reference
20 to changes to be made, if any, to the KM Report.
21 Firstly, sir, and I appreciate there's a lot of stuff
22 coming at everyone, but in the response paper, which has
23 been marked as KM-3, section A deals with addendum and
24 corrections to the KM Report.

25 Do you see that, sir?

1 DR. ATIF KUBURSI: Yeah.

2 MR. GAVIN WOOD: Okay. My understanding,
3 though, from obviously what's set forth in the direct
4 examination at page -- at section 5(e) -- sorry, that --
5 sorry, that what's set out at section 5(e) supercedes
6 section A of -- of the response paper.

7 Wha -- what you've done over the next
8 three (3) pages is more comprehensive than the
9 corrections that initially were set forth in section A of
10 the response paper?

11 DR. ATIF KUBURSI: That's correct.

12 MR. GAVIN WOOD: So the bottom line is
13 that to see any changes to your report one should look to
14 section 5(e) of the direct examination?

15 DR. ATIF KUBURSI: Exactly.

16 MR. GAVIN WOOD: Okay. Appreciating
17 again, sir, that it's -- it's set forth there in some
18 detail, would you summarize for me what changes Dr. Magee
19 and yourself wish made to your -- the KM Report.

20 DR. ATIF KUBURSI: Yes. We first wanted
21 to elaborate further on our recommendation, that the
22 various suite of models, the collection of models at
23 Manitoba Hydro can be put on a common platform and can be
24 made -- can be harmonized and made consistent with one
25 another. And we outline, as you can see, about eight (8)

1 conditions or eight (8) benefits that this would entail,
2 which, if you want me, I could go through, but, I mean,
3 they are spelled out in the -- section 1.

4 The other one, and I would like my
5 colleague, Lonnie, to -- to explain, there were some
6 mistakes that were reported and I would like to correct
7 and to further elaborate on, particularly on the
8 calculation of the probability of a one (1) year, a five
9 (5) year, a seven (7) year, and also the estimate of what
10 we believe to be the actual drought course that would be
11 associated with these things. We also --

12 MR. GAVIN WOOD: One (1) -- one (1) sec.

13 DR. ATIF KUBURSI: Sure.

14 MR. GAVIN WOOD: If you can just break it
15 down. Thank you. Just break it down. Firstly, you
16 referenced the common platform.

17 DR. ATIF KUBURSI: Right.

18 MR. GAVIN WOOD: Okay. And as I
19 understand it, the reason for that is you appreciate that
20 Manitoba Hydro is disinclined to accept that
21 recommendation?

22 DR. ATIF KUBURSI: Well, I mean, there
23 were some questions about it. We felt like probably we
24 would like to elaborate and further argue some of the
25 benefits that we failed to do in the report and expand on

1 it a bit in response to the fact that Manitoba Hydro felt
2 that this may not really be necessary.

3 MR. GAVIN WOOD: So -- so just for the
4 Board to understand, that recommendation holds?

5 DR. ATIF KUBURSI: That recommendation
6 holds.

7 MR. GAVIN WOOD: Dr. Magee, with regards
8 to page 13, section 2 of section 5(e) of the direct
9 examination, would you comment on the -- the corrections
10 that are to be made to the KM Report?

11 DR. LONNIE MAGEE: Yes, there are various
12 probabilities here that are estimated of different
13 drought events that are coming from a simulation exercise
14 where the -- the statistical model that was estimated
15 fitted to the data was then used to generate a long
16 series of hypothetical numbers. And those are then --
17 after that, it boils down to kind of a straightforward
18 counting up exercise to come up with the -- the
19 probabilities.

20 So to be honest, I -- I've already
21 forgotten what -- why the original numbers were wrong.

22 DR. ATIF KUBURSI: I can clarify this.
23 It was my mistake because I reported a hundred when it
24 was actually ten (10) to the si -- six (6). We took a
25 million repeated samples of '94 data and then did the

1 counting. The way I put it, it was like a hundred. And,
2 actually, it was ten (10) to the six (6). But then it --
3 it was my mistake.

4 MR. GAVIN WOOD: I wonder maybe you
5 should do that once again just to be sure that that's
6 clearly on the record.

7 DR. ATIF KUBURSI: The way the
8 probability is calculated is that we have '94 year flow
9 data of water. And then you look -- typically, you say,
10 All right, this is the '94, and how many of these
11 represented low water flow, let's say three (3) of them.

12 So you say the probability of a low flow
13 would be three (3) over ninety-four (94). This is what
14 ICF and others have done. We said this is not probably
15 the best way to do it. What you really need to do is to
16 take samples, repeated samples, as if you're picking
17 things at random and see how many of these things can you
18 do wi -- with the -- the million.

19 And then in this million we counted every
20 place, what of the simple mech -- statistical mechanism
21 gave us low flow years, and we averaged these things, and
22 these were the basis of the probabilities that we're
23 reporting here.

24 MR. GAVIN WOOD: And -- and then the --
25 the error that you made, sir?

1 DR. ATIF KUBURSI: The error that I made
2 is that I reported this as if we only took a hundred
3 when, in fact, as you can see on page 13 of the evidence,
4 is nine nine nine comma nine nine six (999,996); it's
5 nine hundred ninety-nine thousand nine hundred and six --
6 ninety-six (999,996) repeated things. Okay.

7 MR. GAVIN WOOD: And -- and so, Dr.
8 Magee, as I understand it then, in the report the --
9 these numbers should be substituted for the ones that are
10 found in the -- in the actual report. Is that correct?

11 DR. LONNIE MAGEE: Yes. I think there
12 might be some of these that are additions that were not--

13 MR. GAVIN WOOD: M-hm --

14 DR. LONNIE MAGEE: There wasn't a number
15 corresponding to that in the original report.

16 MR. GAVIN WOOD: And I appreciate we're
17 going to be going through the actual re -- report later,
18 and we can reference it then.

19 And then, Dr. Kubursi, at the -- at the
20 bottom there's item 3 estimating the risk of droughts in
21 2015 and 2020.

22 Can you explain why that reference is
23 there?

24 DR. ATIF KUBURSI: It was part of the
25 questions that came from PUB and have asked us if we can

1 run the same methodology which is using at-risk -- using
2 IFF, the integrated financial forecast, for 2015 and 2022
3 using low flow, and that's why we did it. And we
4 thought, since we did it and it was not in our report, we
5 might as well add it.

6 MR. GAVIN WOOD: And -- and you're
7 available to be questioned on it, if -- if necessary?

8 DR. ATIF KUBURSI: Yes, sir.

9 MR. GAVIN WOOD: Okay. Then, going on to
10 item 4, Water Flow Predictions: Alternative
11 Methodologies.

12 Dr. Magee, to begin with, what -- what is
13 the purpose of this -- this chart that -- that you've
14 prepared?

15 DR. LONNIE MAGEE: It -- it was -- it's
16 based on Chapter 4, the different models presented there.
17 It was suggested to prepare a table that summarizes the
18 basic features of those models, and so that's what the --
19 the table is about.

20 The -- the first row, historical
21 simulation, is -- is the current method, which -- which
22 is one (1) of the standard methods, and then we were
23 suggesting some others, and just described their -- what
24 we see as their advantages and disadvantages in the
25 following lines. And they're described in more detail in

1 Chapter 4.

2 MR. GAVIN WOOD: This section -- or
3 subsection 4, is it actually an addition to the report,
4 then, or is it more of just a -- a handy guide?

5 DR. LONNIE MAGEE: A handy guide.

6 MR. GAVIN WOOD: It -- that is, it
7 doesn't actually change any of the content of the report,
8 is that correct?

9 DR. LONNIE MAGEE: Correct.

10 MR. GAVIN WOOD: Thank you. If I might,
11 then, going back to more mundane matters, at section 5F,
12 there's a series of answers to IRs that were provided.

13 And briefly, as I understand it, Dr.
14 Kubursi, you were both in -- involved overall in -- in
15 that series of answers, is -- is that correct?

16 DR. ATIF KUBURSI: That's correct.

17 MR. GAVIN WOOD: And what we've tried to
18 do is show the -- the ones that we felt Dr. Magee's
19 particular expertise required him first to answer, and
20 then you were both thereafter involved in -- in all of
21 the answers?

22 DR. ATIF KUBURSI: That's correct.

23 MR. GAVIN WOOD: Just to finish off one
24 (1) train of thought in terms of further involvements.

25 After the report came to be issued, I

1 understand, Dr. Kubursi, that you took an opportunity to
2 meet with Manitoba Hydro staff in mid-January of 2011,
3 and that's set forth at 5F(ii). What was that about,
4 sir?

5 DR. ATIF KUBURSI: We had made a
6 statement in the report that, although we saw actual
7 demonstrations of HERMES, we did not see an actual
8 demonstration of how the SPLASH system worked, and
9 Manitoba Hydro was gracious enough that I was able to
10 come and visit and spend a day with them, and we went
11 through actual demonstrations of SPLASH.

12 MR. GAVIN WOOD: Thank you. As well,
13 there was, during the course of the fall -- actually,
14 prior to the production of the KM report -- an attempt to
15 meet again with the NYC. That's referenced at (iiii) in
16 that section, and it's -- it's set forth.

17 But, could you tell me, to begin with, why
18 did Dr. Magee and yourself have me attempt to arrange
19 another meeting with the NYC?

20 DR. ATIF KUBURSI: As you recall, the
21 first meeting, we tried to meet with the NYC having seen
22 nothing of her work, and not even the various appendices
23 that reflected Manitoba Hydro's responses to the
24 allegations of NYC. By this time, we saw the public
25 document that was produced by NYC, and she has two

1 hundred and forty-six (246) points, and we went through
2 them --

3 MR. GAVIN WOOD: And can I -- just to be
4 clear, so I don't forget, what other -- would you have
5 seen by then the KPMG report?

6 DR. ATIF KUBURSI: We have seen the KPMG
7 report.

8 MR. GAVIN WOOD: And -- and there's going
9 to be reference to a large number of reports later in the
10 direct examination.

11 Generally, you would have seen all of that
12 material by the attempts to go back and -- and meet again
13 with the NYC. Is that correct?

14 DR. ATIF KUBURSI: That's correct, sir.
15 I mean, what we have really now seen are all the points
16 that counterparties and other parties have commented and
17 have evaluated and have dismissed some of her
18 allegations. We felt that it's only fair that we let her
19 defend her allegations and the counter-allegations.

20 And it would be quite useful and helpful
21 for her to explain her side of the -- of the issues. And
22 -- and we felt that there were now tangible statements
23 and actual numbers that she had produced. Before they
24 were all, you tell us. This time we're told. We have
25 something that she has produced. We have seen what

1 others have evaluated and have responded to this. We
2 wanted to see if she would be able to elaborate and can
3 explain herself, and give her side of the issues.

4 MR. GAVIN WOOD: And as I understand it,
5 sir, there were serious allegations made in the public
6 document that frankly concerns you?

7 DR. ATIF KUBURSI: Sorry, concerns us?

8 MR. GAVIN WOOD: That -- that you -- you
9 wanted to -- to -- to talk to her about?

10 DR. ATIF KUBURSI: Yeah. No, of course.
11 I mean, she had elaborated on every single aspect of her
12 concerns about risk-management practices, procedures,
13 calculations, governance, all sorts of issues, long-term
14 contracts, even calculation of the -- the probability of
15 a drought and -- we wanted -- there are lots of questions
16 that we were able to put on the sides that we would like
17 to broach and discuss with her.

18 And we felt that this is probably the best
19 opportune time now that we have seen what she's saying,
20 not that we were just going to hear her. Now we have
21 seen and we've seen what others have said. It would be
22 only fair and nice, and it would be quite helpful, we
23 thought, that she would be given the chance to explain,
24 to elaborate, to maybe demonstrate why she has reached
25 these conclusions.

1 MR. GAVIN WOOD: And was it your
2 intention to take Dr. Magee on -- on this trip if it
3 could be arranged, rather than the -- the babysitter?

4 DR. ATIF KUBURSI: Well, I don't know
5 about the babysitting, but we were hoping, and I think my
6 colleague was quite happy to -- to join me.

7 MR. GAVIN WOOD: There's a -- an Appendix
8 2 to the -- the set of -- to the direct examination
9 consisting of primarily emails between the NYC and
10 myself. And I think there's a -- a couple of letters
11 from her as well in there. The -- the bottom line is
12 what, sir, in terms of the at -- attempts you had me make
13 to -- to have you and Dr. Magee attend in -- in New York
14 again?

15 DR. ATIF KUBURSI: She was quite
16 reticent. Actually, she went overboard asking us to
17 cease and desist from reading anything and that we will
18 be included in her lawsuit infringement over intellectual
19 property rights. I mean, it became too complicated. We
20 asked Gavin, please, I mean, spare us.

21 MR. GAVIN WOOD: At -- at the sec -- the
22 sixth to the last page of that material, given that there
23 is a -- a later letter of some pages from the NYC, but in
24 an email, sixth-last page, October 28th, 2010, I asked
25 you, sir, after providing you with the last of a series

1 of emails from her, I quote:

2 "It looks as is -- as if we've
3 exhausted ourselves with her. Agree?"

4 You see that there, sir. And what
5 instructions did you give me at that point?

6 DR. ATIF KUBURSI: Yeah, I -- I saw that
7 and at that time, honestly, in exasperation we gave up.
8 We -- we -- we -- we -- I -- I remember, I -- we thought
9 there's no gain here. She seems extremely reticent and
10 unwilling. And it -- it would be a waste of time and our
11 efforts to believe that she would be forthcoming.

12 MR. GAVIN WOOD: I want you to be blunt
13 with the Board though, as I know you will be in the next
14 couple of hours for me.

15 Does the fact that you weren't able to --
16 to -- to meet with her again, and given the limitations
17 of the first meeting that you've certainly put out on the
18 record, does that limit, or limit significantly -- I want
19 you to answer both parts of that -- that the -- the work
20 that you've been able to do in the -- in the KM Report
21 and the subsequent documents that we've put before the
22 Board?

23 DR. ATIF KUBURSI: I'm going to quote
24 Oscar Wilde, you know, about his second marriage. He
25 says a second marriage is a triumph of hope over

1 experience. So it was -- it was triumph of hope over
2 experience.

3 MR. GAVIN WOOD: You promised you weren't
4 going to do that one either.

5 DR. ATIF KUBURSI: But I -- I thought
6 we'd try again, but we should have known first. On -- on
7 the second one though, honestly not. I mean, given our
8 experience. I -- I don't know. I mean, we wanted to
9 give her every chance, and we -- we bent backward,
10 forward, every which way to see if she would be willing
11 despite our, you know, difficult experience the first
12 time. We still thought and hoped that maybe she would
13 come to her senses and she would really share and openly
14 with us. We exhausted all possibilities.

15 But, frankly, I mean, looking at her work,
16 the two forty-six (246) points in the calculations and
17 the things, and the way she had reached these conclusions
18 in three (3) or four (4) lines without any elaboration,
19 if anybody in -- is right -- in her right senses would
20 look at these things, you can get more from them.

21 MR. GAVIN WOOD: And -- and I appreciate
22 that answer. But more specifically now, any limitations
23 on -- on the -- the report that the Board should be aware
24 of as a result of you not being able either, frankly, at
25 the first meeting or the subsequent attempts to get

1 certain information from her?

2 DR. ATIF KUBURSI: In a perfect world it
3 would be quite desirable to -- to hear from a party to
4 defend her claims and other things. But, as I said, in
5 total exasperation, after repeatedly trying, I mean, any
6 sensible person would come to a conclusion that if she
7 was forthcoming and willing and I don't want to say able,
8 she would have really been forthcoming; she didn't.

9 MR. GAVIN WOOD: Thank you. We go on in
10 the direct --

11 THE CHAIRPERSON: Mr. Wood, if you could
12 just hold one (1) second. Dr. Kubursi, the New York --
13 or NYC's concerns over her intellectual property, in your
14 view, are they or could they be considered justifiable?

15 DR. ATIF KUBURSI: This is very
16 legitimate questions. And at one (1) time I was even
17 asked about this by your counsel. There was a certain
18 piece of information that she had claimed intellectual
19 property over that I know are in the public domain. So
20 certainly there are certain elements where she has not
21 explained ela -- elaborated on that might be construed to
22 be generated by a methodology that is her own.

23 I was willing to give her that benefit of
24 the doubt, but on the majority of things they were
25 nothing more than the variance, co-variance method, and

1 elements that are, for all practical purposes, so
2 available -- so widely available in the public domain.
3 They're in any statistical textbook or referenced in any
4 standard elaboration on risk management.

5 THE CHAIRPERSON: Did you provide the NYC
6 the view that you've just indicated to us?

7 DR. ATIF KUBURSI: No, I -- I -- you
8 know, there was no chance, you know, like to -- to tell
9 her, Look, you know, what you're really saying -- we were
10 extremely sensitive with her, trying every which way not
11 -- especially have learned that I made that boo-boo of
12 telling her that we are thinking of developing a model.
13 And we got into this complete frenzy that we are trying
14 to supplant and compete with her to sell Manitoba Hydro
15 an alternative system of risk-calculation management to
16 hers, which was never our intention and had no knowledge
17 of anything or -- or intention even doing this.

18 THE CHAIRPERSON: Thank you, sir.

19

20 CONTINUED BY MR. GAVIN WOOD:

21 MR. GAVIN WOOD: Just going on then in --
22 in terms of summing up now on -- on the -- the production
23 of the KM Report, and I don't need you to actually review
24 it, but just for the Board's knowledge, you've set out
25 the -- the various reports that -- the fourteen (14) of

1 them that were -- were included in your -- in your
2 review, and -- and we'll be coming back to that later
3 this afternoon in terms of what you did with them and
4 incorporating materials from them into the report.

5 DR. ATIF KUBURSI: Yeah, that's correct.

6 MR. GAVIN WOOD: Okay. If we might then,
7 turn specifically now to Section 6-A, and if I could ask
8 Dr. Magee just -- I -- I appreciate it's really set forth
9 there, but if you could just briefly explain, Lonnie, how
10 the whole construction of the report came about.

11 DR. LONNIE MAGEE: We set up our chapters
12 to correspond closely to the terms of reference. So, as
13 you can see there in 6-A, well, we had an introductory
14 chapter, and then Chapter 2 addresses the first point in
15 the terms of reference and so on up to -- Chapter 6 deals
16 with two (2) of the points in the terms of reference, and
17 -- and then the last three (3) points in the terms of
18 reference are not conducive to chapters and reports. But
19 generally, it's meant to match up with the terms of
20 reference.

21 MR. GAVIN WOOD: Okay. And in that
22 regard, the Board and all -- all intervenors should
23 understand that, in terms of roman numeral vi, the -- the
24 Summary of Conclusions and Recommendations VII, that's
25 really a compilation of the summary of the conclusions

1 and recommendations found throughout the report. Is --
2 is that fair for the -- the Board to understand?

3 DR. LONNIE MAGEE: Yes.

4 MR. GAVIN WOOD: If we could then turn
5 now, Board members, to the actual KM report.

6 MR. ROBERT MAYER: Be -- before we go
7 there, Mr. Wood, I -- I'm sure that what I'm about to
8 raise isn't all that important, but it puzzles me with
9 three (3) people -- two (2) people reviewing this report
10 at least and somebody editing it.

11 Page -- I'm going now to the report. On
12 page 176, we start with number 1 of fifteen (15)
13 findings, and you'll see finding number 15 at page 220.
14 Then, if we go to page 221, we've lost one (1). We've --
15 we have arrived at fourteen (14) findings that are
16 summarized below. And then you go through that and you
17 find that finding number 7 from the previous findings has
18 been skipped altogether. And then, if you go to page
19 285, you've still got fourteen (14) findings, and the
20 fifteenth seems to have gone missing, never to be found
21 again.

22 And I don't quite understand that, because
23 -- if I have a minute -- finding number 7 deals
24 particularly with the predictive accuracy of HERMES, and
25 that's set out on page 186.

1 DR. ATIF KUBURSI: Mr. Mayer, the trouble
2 is that when we produce our report for here, we changed
3 the margins, so we have different pages than you do. But
4 --

5 MR. ROBERT MAYER: Oh.

6 DR. ATIF KUBURSI: -- but the minute
7 you're saying, you know, we're looking at the findings,
8 but we could find, you know, everything. So page -- your
9 page, you know, for finding 7 is different here, but
10 you're looking at finding number 7?

11 MR. ROBERT MAYER: Yes.

12 DR. ATIF KUBURSI: Yeah. All right. You
13 want us to talk about it?

14 MR. ROBERT MAYER: No, I -- I don't. I
15 want to know how it ended up getting -- that -- that this
16 appears to be the last time we find finding number 7
17 because you're -- you're reporting only fourteen (14)
18 findings on the rest of the -- on the rest of the report,
19 and there are fif -- and you -- there are fifteen (15)
20 when you first set them out, as you have done. Then it
21 would appear to me, from my best reading, is that finding
22 number 7 disappeared from there on in, and I wondered why
23 that was.

24 MR. GAVIN WOOD: Possibly they could
25 review that over the noon hour, sir. Thank you for that

1 point, and -- and we'll check it, and -- and they'll --
2 as -- as you can appreciate, we're going to go through it
3 this afternoon, so we'll come back to that.

4 MR. ROBERT MAYER: Thank you.

5

6 CONTINUED BY MR. GAVIN WOOD:

7 MR. GAVIN WOOD: With -- with that then,
8 if we could go on at Section 6-B. Just find yourself for
9 a moment, Dr. Kubursi. And specifically, if you could
10 summarize the purposes and -- and -- and such of Chapter
11 1 of the actual report.

12 DR. ATIF KUBURSI: Yeah. Thank you.
13 Yeah. The first chapter, as you appreciate, is setting
14 the general framework that we wanted to analyze the
15 specific, special, unique characteristics of a public
16 utility.

17 We automatically found ourselves that
18 we're doing and dealing with a complex issue. The issue
19 is that you have a business entity and, at the same time,
20 an entity whose shareholders are the people of Manitoba,
21 unlike any other business, and whose general mission is
22 to serve the people of Manitoba.

23 So you have basically here a dual
24 function. A commercial business enterprise that has to
25 generate sufficient revenues, if not maximum revenues,

1 and at the same time a -- an enterprise that has to serve
2 the public interests whose shareholders are the people of
3 Manitoba.

4 We also felt that there were other unique
5 attributes. This is a hydro that is with all the
6 characteristics in economics we call a natural monopoly.
7 You can get every company to come and join in and enter
8 this business. The capital requirements building dams,
9 the generators are prohibitively expensive so that you
10 can't possibly get free entry and exit, and this
11 automatically puts this entity in a situation we call
12 natural monopoly.

13 There are also so many economies of scale
14 and scope that you don't want to waste by having
15 duplicates and duplication. But the minute you are in
16 such a position, a monopoly with no competitors, it
17 automatically bestows on this business a terrible
18 economic muscle that the people of Manitoba would like to
19 see moderated, modulated by a regulatory regime, and
20 there is no entity where our public utilities have
21 operated without this regulatory regime.

22 It's not about ideology, it's about the
23 technology, about the structure of the market that would
24 call for this. So here we have the dual functions, the
25 natural monopoly. It's also characteristically dependent

1 on a very variable situation. You depend on weather.
2 You depend on the environment. You depend on water. The
3 reliability, stability, predictability, are all very
4 complex and difficult things to expect.

5 You also have a situation in which this is
6 a very serious, important and substantive economic node
7 in the economy of Manitoba. You rarely find this. I
8 mean, Manitobans are absolutely and naturally should
9 think of this node the same way Albertans would think
10 about their oil, or anybody would think about a very
11 serious, important contributors to their economy. The
12 health of this industry is about the health of the
13 economy of Manitoba.

14 So these complications automatically put
15 us into a framework where we have to be quite careful
16 about the way we look at this heavy dependence on
17 hydrology, this natural monopoly, this duality of
18 structure.

19 And this has implications. We found right
20 of -- at the outset for risk management. First and
21 foremost we have really three (3) issues that are typical
22 of any corporation, but they become so important when you
23 talk about a public corporation. The principal agent
24 problem, all right, you have a principal, which is the
25 people of Manitoba. The agent is Manitoba Hydro. The

1 principal -- the principal has different objectives, or
2 probably have different perspectives than the agent.

3 In any corporation the shareholders may
4 want the maximum profit and return, but a manager might
5 want to expand the size of his bureau, or the manager of
6 personnel would like to have the least amount of
7 turnover. The sales manager would have the maximum
8 revenue. All these objectives do not necessarily come
9 out to be consistent of what the shareholders want. And
10 in a public utility what the objectives and the various
11 departments which Manitoba Hydro seek may not really be
12 consistent, totally coherent with what the people of
13 Manitoba want. So this is the situation.

14 Regulatory regime would like to really
15 have the maximum amount of information. They can't
16 possibly get all the information, are not in a position
17 to know all the information or the expertise that
18 Manitoba Hydro possesses. There is an asymmetry of
19 information. If Manitoba Hydro or any corporation does
20 not -- do not -- is not willing to share this
21 information, the regulators, the shareholders are not
22 privy to it. There is asymmetry of information implicit
23 in any of this relationship.

24 Then there is the issue of what we call
25 moral hazard in the sense that the public in Manitoba and

1 in the name, the government, or other regulatory
2 agencies, would guarantee certain activities, like they
3 insure the debt, and they have a stake in the health and
4 performance, direct six thousand (6,000) jobs, maybe
5 indirectly twenty thousand (20,000) jobs, that are
6 contingent on the health of this entity.

7 So here, what we really have is a
8 situation in which this insurance, this guarantees by the
9 public may, and no necessity here, but may, and one has
10 to be careful about this, invoke, give incentive to the
11 performer to engage in greater risks than is the
12 appetite, exposure, and willingness to undertake on the
13 part of the public.

14 And this misalignment possibility becomes
15 an important one and would require that the regulatory
16 agencies would always have to make sure that they align
17 their tolerance of risk, their exposure to risk, their
18 assessment of risk with those that they think are
19 representative of the public and not the choices of the
20 insured, the agent itself.

21 And that possibility of misalignment is a
22 very important one and should provoke and necessitate on
23 the part of the regulatory board or the government,
24 others, that they remain vigilant to make sure that the
25 agent is working in the best interest and in a manner

1 consistent and aligned with the tolerance and appetite
2 and expectations of the principal.

3 So these were the -- the main issues that
4 we have to grapple with and deal with, and felt that they
5 really need to be set right at the outset because they
6 define the general framework that explains the concerns
7 for quantification, the -- you know, the whole focus on
8 the issues of risk management, that there is here a very
9 implicit issue to make sure that there is coherence,
10 there is consistency, there is alignment, there is
11 symmetries that we need to look for, ensure, create the
12 mechanisms and the governance systems that would make the
13 operation of this public utility in the best interest of
14 the people that are the owners and clients at the same
15 time of this corporation.

16 THE CHAIRPERSON: This is probably a good
17 point to have the lunch break because at one o'clock I
18 believe we have a presenter, do we not? Okay, so we'll
19 take the break.

20 MS. ANITA SOUTHALL: That's correct.

21 THE CHAIRPERSON: We'll come back at 1:00
22 and we'll have the presenter. Is there just one (1)
23 presenter?

24 MS. ANITA SOUTHALL: I'm just looking at
25 Mr. Hacault. I believe it's a representative of MIPUG.

1 Yeah.

2 THE CHAIRPERSON: Okay. Very good.
3 We'll see everybody at 1:00.

4 MS. ANITA SOUTHALL: Thank you.

5 MR. BYRON WILLIAMS: Mr. Chairman, if I
6 could just ask of Mr. Wood the -- we thank him for the
7 provision of the -- the direct evidence. The scanned
8 pages 15 and 16 are very difficult to read; those are the
9 -- the histograms. And it's impossible to read the means
10 or -- or the minimums and the maximums, and I was just
11 wondering if it would be possible to get clean copies
12 provided.

13 I -- I've checked with a couple
14 colleagues, and I think it's -- it's just not restricted
15 to ourselves as well.

16 MR. GAVIN WOOD: I -- I'll take -- I'll
17 take a look at Mr. Williams' copies and see -- his copy
18 and see if mine is better than -- than his.

19 DR. ATIF KUBURSI: No, we can bring you a
20 new one.

21 MR. GAVIN WOOD: One (1) -- one (1) way
22 or the other, we can get better copies made.

23 THE CHAIRPERSON: Very good. So they'll
24 take that as an undertaking and we'll take the break.

25

1 --- UNDERTAKING NO. 140: Doctors Kubursi and Magee to
2 provide better copies of
3 scanned pages 15 and 16
4

5 (INDEPENDENT EXPERT PANEL RETIRES)
6

7 --- Upon recessing at 12:00 p.m.

8 --- Upon resuming at 1:00 p.m.
9

10 THE CHAIRPERSON: Okay. Welcome,
11 everybody. My understanding is is we're going to have a
12 presentation from MIPUG, Mr. Turner.

13 Ms. Southall, is that what's on now?

14 MS. ANITA SOUTHALL: Yes, Mr. Chairman,
15 that's next.

16 THE CHAIRPERSON: Very good. Mr. Turner,
17 anytime you're ready.

18 MR. ANTOINE HACAULT: There's just a
19 preliminary matter. I think we've distributed to
20 everybody a present -- presentation. And as a
21 housekeeping matter, I -- I would suggest that we would
22 mark that as MIPUG Exhibit 13. I think that's the next
23 number.

24 THE CHAIRPERSON: Okay, that's fine.
25

1 --- EXHIBIT NO. MIPUG-B: Presentation

2

3 MS. PATTI RAMAGE: If -- if I could just
4 jump in. I think it should probably be an exhibit for
5 identification purposes because it's not actual evidence.

6 THE CHAIRPERSON: It's not evidence,
7 right.

8 MR. ROBERT MAYER: Has anybody been
9 keeping track of lettered exhibits, which is what do when
10 they're for identification?

11 THE CHAIRPERSON: Just put ID behind it.

12 MS. PATTI RAMAGE: I was going to guess
13 'A' because I think it's the fir --

14 MR. BYRON WILLIAMS: 'B'.

15 MS. PATTI RAMAGE: Oh, 'B'?

16 MR. BYRON WILLIAMS: I think, but I think
17 there's been one (1) before it.

18 MS. PATTI RAMAGE: See, we told Ms.
19 Fernandez she didn't need to be here, and look what
20 happened.

21 THE CHAIRPERSON: I'll defer to the legal
22 beagles. Do we want 'B' or 13? We'll sort it out.

23 Mr. Hacault, do you have another
24 introductions or can we go to Mr. Turner?

25 MR. ANTOINE HACAULT: No. So Mr.

1 Turner's a plant manager at Canexus in Brandon, and he's
2 been the chairman of MIPUG since 2000. And it's my
3 pleasure to introduce him this afternoon to make the
4 presentation.

5 THE CHAIRPERSON: Okay, welcome again,
6 Mr. Turner. Welcome back.

7 MR. BILL TURNER: Thank you.

8 THE CHAIRPERSON: Longest hearing that
9 PUB has ever experienced, so it's good to see your face
10 again. Do you -- you can start at any time, sir.

11

12 PRESENTATION BY MIPUG - MR. BILL TURNER:

13 MR. BILL TURNER: Okay. Good afternoon,
14 Mr. Chairman and Vice-chair. As stated, my name is Bill
15 Turner -- Turner, and I am the plant manager at Canexus
16 in Brandon. I have been the chairman of MIPUG since the
17 year 2000. There is the slide presentation, and as we
18 get into the slides I'll try and list the slide numbers
19 so that I'll give a little bit more information and
20 background to the slide itself.

21 Slide number 2; MIPUG's an association of
22 ten (10) major industrial companies operating in
23 Manitoba. Most of the members belong to the general
24 service large greater than 100 kV class, while a few
25 belong to the general service large, 30 to 100 kV class.

1 Presently, MIPUG member companies are
2 Canexus Brandon, Vale Thompson, HudBay Minerals Flin
3 Flon, Enbridge Southern Manitoba, Gerdau Ameristeel of
4 Selkirk, ERCO Worldwide out of Hargrave, Coke Industries
5 Brandon, Tolko Industries, The Pas, Griffin Wheel
6 Company Winnipeg, and TransCanada Southern Manitoba
7 Keystone.

8 We would like to thank the Board for the
9 opportunity to address Intervenors, the Manitoba Hydro
10 panel, and the Board itself today.

11 On slide number 3; first I'd like to start
12 by noting some of the benefits MIPUG industries bring to
13 Manitoba and Manitobans in general.

14 MIPUG Industries employ in excess of four
15 thousand (4,000) people directly in the province; those
16 are high value jobs. On average, wages and salary
17 awarded by MIPUG Industries are over eighty-three
18 thousand (83,000) per year, more than twice the average
19 industrial wage in Manitoba, which is around forty
20 thousand (40,000), according to employment standards
21 Manitoba.

22 MIPUG industries have assets with a
23 replacement value of over \$2 billion in today's dollars
24 and these assets must be maintained in order to keep
25 production processes running.

1 In addition, MIPUG members support
2 countless numbers of regional networks of secondary
3 industries and contracting services and their employees
4 through which MIPUG Industries order supply parts,
5 materials, and professional and trade services.

6 Workers earning high industrial wages have
7 spent money on retail goods and hospitality services in
8 their communities. Indirectly, more employment
9 opportunities are created in these sectors. Secondary
10 economic benefits of MIPUG industries are difficult to
11 measure, but they are important, especially when one
12 considers the fact that most MIPUG industries are
13 situated in rural and northern areas of the province.

14 Indust -- industries such as Vale, Tolko
15 and HudBay Minerals account for a large part of the
16 employment opportunities in the north. Municipalities in
17 the provincial and federal governments benefit from MIPUG
18 members as well. Corporate taxes are estimated to be in
19 the range of seventy-five (75) and a hundred million.

20 Individual employees of MIPUG industries
21 pay in excess of 50 million collectively to the
22 provincial and federal governments in personal income
23 taxes.

24 We have not completed a detailed survey in
25 recent years. However, with Tembec shut down, I've used

1 approximate values. If anything, these are conservative
2 values and probably would be higher if we did the full
3 detailed analysis. MIPUG industries also make
4 considerable donations to charities on an annual basis.

5 On slide 4; in order to contribute to
6 Manitoba economy in the long run and remain competitive
7 in a global marketplace, MIPUG industries must protect
8 specific interests. These interests are related to the
9 challenges they face.

10 The purpose of MIPUG is to allow
11 industries to work together on issues related to rates
12 and electricity supply in Manitoba. As such, MIPUG has
13 participated as an Intervenor in Manitoba Hydro General
14 Rate Applications since 1988, and the review of Centra
15 Gas acquisition in 1999 and the review of Manitoba
16 Hydro's major capital projects in 1990.

17 On slide 5; returning to the challenges
18 faced by MIPUG industries, for the most part these
19 challenges relate to being geographically isolated for
20 markets. Reliable transportation networks to import raw
21 materials for manufacturing are important. So is keeping
22 avenues open to export goods to various markets.

23 We estimate that around 60 percent of
24 MIPUG products are exported globally and that, overall,
25 90 percent of products made by MIPUG Industries are sold

1 outside of the province.

2 The steadily appreciating Canadian dollar
3 also makes it difficult to keep manufacturing costs low
4 and continue to be competitive. We will be elaborating
5 on some of the specific challenges that we face here at
6 Canexus later on in the presentation.

7 On slide 6, MIPUG industries must protect
8 key interests in order to remain competitive in external
9 markets. Access to a reliable sup -- supply of energy is
10 critical to running production processes. Depending on
11 the industry, interruptions in power supply can translate
12 into thousands of dollars of lost revenue when a
13 production line shuts down or causes spoilage.

14 Restarting the production line after
15 shutdown can also be very costly. Part of the reliable
16 energy is continuing on Manitoba Hydro -- is counting,
17 pardon me, is counting on Manitoba Hydro to maintain and,
18 when necessary, update their regeneration and
19 transmission infrastructure.

20 Stable and predictable energy rates are
21 critical. We all sign contracts with buyers every fiscal
22 year and we must estimate our product prices based on our
23 production costs knowing that we can rely on paying a
24 certain amount of -- for energy is -- in a given year.

25 If rates were to fluctuate dramatically

1 from year to year, we would risk alienating our buyers,
2 because that volatility would be reflected in our product
3 prices.

4 Slide 7; MIPUG members look to ensure
5 stable rates at the lowest reasonable cost. In this
6 General Rate Application, as in the past rate
7 applications, MIPUG has expressed an interest in keeping
8 firm power rates relative to the cost of providing
9 service to that specific class. Revenue-to-cost-coverage
10 ratios for each class should be moved within the zone of
11 reasonable at 95 to 105 percent. Currently we sit at 112
12 percent.

13 To keep rates predictable and stable, the
14 Cost of Service Study should be a reliable, verifiable
15 method of assessing costs for each class. Reviews of the
16 Cost of Service Study and rate design should be conducted
17 to ensure that they continue to be reasonable and
18 appropriate.

19 Slide 8; the downturn of markets all over
20 the world -- world in the fall of 2008 changed the
21 economic landscape MIPUG industries operate in. The
22 downturn placed significant market pressures on MIPUG
23 members. As we've discussed in the hearing, the load
24 growth initially projected in IFF-08 for the top twenty-
25 six (26) consumers has been delayed by about fifteen (15)

1 years in IFF-10, a very significant change of
2 circumstance from that originally forecasted.

3 In some cases, MIPUG members had to
4 implement efficiency measures to maintain -- remain
5 competitive and, in another case, a plant closure was
6 scheduled. You'll be hearing about efficiencies and
7 cost-cutting measures from another MIPUG presentation in
8 June.

9 I'll just carry on then and talk about the
10 -- the Canexus plant itself. Just -- I labelled mine
11 just Stability of Hydro Power Cost and Reliability
12 Essential to Viable Operation. That is reflective in
13 most of the industries that are represented in MIPUG, and
14 maybe moreso with industries like ourselves and the --
15 the ERCO plant at Hargrave.

16 Canexus, as well as all other chlorate
17 producers utilizing the electrolytic process, we all have
18 different processes, but they all relate to the same: It
19 takes electricity to boil off water in order to produce
20 our product. Electricity accounts for approximately 65
21 to 70 percent of our variable costs. That is a huge cost
22 to any of our producers, and especially within the
23 chlorate industry itself.

24 Salt is the next most costly raw material
25 and accounts for approximately 18 percent of our variable

1 costs. The balance of our raw materials make up the
2 remainder of the variable costs. Those other materials
3 or some of the other products that we import into the
4 Brandon plant, caustic and chlorine, soda ash and
5 peroxide.

6 Where do these materials originate from,
7 and how do we transport?

8 On page 11; salt, it's a residue of the
9 potash industry. We consume approximately sixteen
10 hundred (1,600) railcars per year, and we share that load
11 between CN and CP Rail.

12 Caustic, which is manufactured in our
13 Vancouver facility, there's approximately a hundred and
14 sixty (160) railcars that are brought into our plant each
15 year.

16 Chlorine, again, manufactured at our
17 Vancouver facility, approximately seventy-five (75)
18 railcars.

19 Peroxide, manufactured in British
20 Columbia, and approximately forty-five (45) trucks per
21 year.

22 Soda ash, manufactured in Wyoming,
23 approximately twenty (20) trucks per year.

24 Something new that I put into the
25 presentation this year is shown on -- on slide 12. This

1 gives a little bit better presentation of where the raw
2 materials are actually coming from, and it was
3 coincidence that we put a bigger triangle for the Hydro.
4 That is our -- our largest cost raw material that goes
5 into the manufacturing process, as you can see that we do
6 have to transport these raw materials from fairly great
7 distances abroad.

8 On 13; all Brandon chlorate produced is
9 shipped by rail; that accounts for about thirty-three
10 hundred (3,300) rail cars per year.

11 Brine sludge from cleaning up our salt
12 supply is trucked to a secure landfill site at Virden,
13 and that's approximately seventy-five (75) trucks per
14 year.

15 Sulfate sludge is shipped in drums to
16 Quebec for disposal, and that sulfate sludge can contain
17 chrome, therefore, it's considered hazardous waste and we
18 have to actually truck it to Quebec for disposal.

19 The next slide then, basically, shows
20 where we ship our products to. We have a fairly wide and
21 diverse portfolio of customers across mostly western
22 Canada and into what I call that south-central eastern US
23 part of North America. We do not export any of our
24 product outside of North America, like our other
25 facilities do, but Brandon's product basically goes from

1 coast to coast.

2 On 15; Brandon must compete with other
3 Canexus plants, basically Nanaimo and Beauharnois.
4 Brandon must also compete with other chlorate producers
5 in North America: ERCO, Eka, Chemtrade, et cetera.

6 And on 16; you'll see where I've shown
7 some of the other competitor plans that -- where we have
8 to work and market our product to be -- remain
9 competitive and stay viable in an operation. A fairly
10 diverse group of companies, especially on the eastern
11 seaboard, some out west, and the one in Saskatchewan.

12 On 17; chlorate competitiveness is
13 determined by three (3) key considerations: power price
14 stability and availability; salt price and availability;
15 transportation to markets. Of the three (3), power is
16 the most important due to the large volumes required for
17 electrolysis. Canexus consumes about \$49 million per
18 year of Manitoba Hydro power, and we strive to utilize
19 power efficiently.

20 We're continually trying to upgrade our
21 process and approve the operation of that process. And
22 when we talk about energy consumption, we talk about
23 kilowatt hours per tonne of product produced. We have
24 been able to improve our efficiency and reduce the power
25 that we bring into the plant by about 250 kilowatt hours

1 per tonne; that's a fairly large volume of electricity
2 that we have saved over the years by implementing energy
3 efficiency within the plant site.

4 Canexus is one (1) of Manitoba Hydro's
5 largest DSM customers. We can supply Manitoba Hydro with
6 168 megawatts of short notice curtailment. Basically,
7 there's three (3) -- three (3) types of -- of
8 curtailment; the 'A' -- we utilize the 'A' and the 'R'
9 within Brandon. On five (5) minutes notice we can shut
10 down and give Manitoba Hydro the power that they need to
11 satisfy their demands for reliability and/or export.

12 Canexus and Manitoba Hydro have worked
13 well together to make this a win/win program for both
14 parties. And I say that with all sincerity because it
15 has been a lot of work to develop the programs that we've
16 got. And we've had to work out some of the wrinkles in
17 it over the years, but, overall, it has been an excellent
18 program for both parties.

19 In 2010 Canexus achieved an all time high
20 production record exceeding three hundred thousand
21 (300,000) tonnes up here, and mostly that was exported to
22 the USA.

23 Canexus currently has several large
24 projects in -- in stages of development, working with
25 Manitoba Hydro to replace the hydro line between Canexus

1 and the GS to allow more consistent power loading.

2 Currently, we do get trimmed back if -- if
3 there is a shortage of power in southwestern Manitoba.
4 Hopefully this line replacement then will alleviate that
5 and we can run a more steady operation. Once completed,
6 it will allow Canexus to increase plant capacity and
7 allow load swings in the facility to improve the
8 operating efficiency. And that's one (1) of our goals is
9 to try to further improve the efficiency of the operation
10 so that we consume less electrical energy.

11 Our goal is to operate at a low kilowatt
12 per tonne to reduce variable costs and minimize hydro
13 waste. And I think that's the end of the presentation
14 unless you have some questions.

15

16 Questioned by the Board:

17 THE CHAIRPERSON: Thank you, Mr. Turner.
18 I do have a few, if you don't mind. And since we didn't
19 give you any notification that we might have a few
20 questions, if you're unable to respond, we'll understand.

21 With respect -- just taking the
22 opportunity to the fact that you're here, with respect to
23 the energy intensive industrial rate proposal, what
24 feedback has MIPUG received from its members on the -- on
25 the proposal before it?

1 MR. BILL TURNER: We're currently working
2 with Manitoba Hydro on an alternate to the original EIIR
3 rate. And I think at this point in time we're still
4 having meetings. We just had another meeting here this
5 week. We seem to be having meetings on a monthly basis
6 trying to get to that point of -- of getting consensus
7 between all the groups.

8 THE CHAIRPERSON: Does MIPUG support the
9 original premise that under an EIIR scheme industrial
10 consumption growth should come at the marginal cost of
11 electricity?

12 MR. BILL TURNER: As a group, we're
13 looking at the -- the time-of-use rate as a better means
14 of controlling that -- that cost impact.

15 MR. ROBERT MAYER: We -- we've heard from
16 other members of MIPUG that that's not a unanimous
17 position. I believe when we last heard from Vale, they
18 indicated that time of use was not helpful at all to
19 them.

20 Now, that may not be an issue in four and
21 a half (4 1/2) years from now when they shut down their
22 refinery and the smelter, but are the rest of your
23 members of the same view as you?

24 MR. BILL TURNER: I would rather go back
25 to our intergroup and -- and poll all the members again -

1 - once again. And if you would like that answer, we can
2 get it for you.

3 MR. ROBERT MAYER: I'm not sure how
4 relevant it was. I -- if you had it off the top of your
5 head, I would -- that would have been fine, but I -- I'm
6 not going to ask you to go and poll everybody.

7 MR. BILL TURNER: Okay.

8 THE CHAIRPERSON: If there is to be
9 consumption baselines established, how does MIPUG
10 consider it be done; like percentage of historical
11 consumption, credits for past DSM savings, upward
12 adjustments to the baseline to account for greenhouse gas
13 reduction initiatives, downward adjustments to the
14 baseline for operational cutbacks?

15 Do you have any comments on that issue?

16 MR. BILL TURNER: Baseline numbers are
17 difficult to -- to I think -- rate, I think for each
18 individual industry. We've -- we've looked at
19 consumptions over the years and trying to come up with
20 that baseline is very, very difficult.

21 THE CHAIRPERSON: Does MIPUG have a
22 position on new industry, or major new industrial
23 expansion being assigned a -- a minimum consumption
24 baseline?

25 MR. BILL TURNER: That, I think, has to

1 be determined yet.

2 THE CHAIRPERSON: You answered the other
3 question that you had -- in a sense you've basically used
4 your previous economic impact study.

5 You haven't done a new one (1) since?

6 MR. BILL TURNER: We haven't done a new
7 one (1) since then, no.

8 THE CHAIRPERSON: Has Hydro proposed a
9 new or amended Service Extension Policy to MIPUG?

10 MR. BILL TURNER: We've -- we've just
11 started looking at that over the last two (2) meetings
12 that we've had.

13 THE CHAIRPERSON: So that's an ongoing
14 issue too as well?

15 MR. BILL TURNER: Yes, it is.

16 THE CHAIRPERSON: Does MIPUG appreciate
17 IM -- or Manitoba Hydro's IIF-09/01 Financial Forecast
18 Projection that average domestic rates would raise by --
19 rise by 66 percent by 2029?

20 MR. BILL TURNER: I would rather get the
21 formal group to -- to respond to that.

22 THE CHAIRPERSON: Because we were
23 wondering what MIPUG's view would be on the implications
24 of such an increase, although, it's over a lengthy period
25 of time.

1 MR. BILL TURNER: I would say it's high.
2 It appears high, but I would rather -- rather have the
3 group make a formal presentation on it.

4 THE CHAIRPERSON: It's not part of an
5 application, it's just, you know, they -- they take a
6 twenty (20) year outlook and look at it from that point
7 of view.

8 You already answered the other question we
9 had for it, you're still looking at the zone of
10 reasonableness and wanting it to fit within the existing
11 arrangement, correct?

12 MR. BILL TURNER: Right.

13 THE CHAIRPERSON: In this hearing you
14 have agreed with the information that we've received at
15 this hearing as well, that the forecast for industrial
16 consumption has -- has been revised.

17 Do you have a view as to industrial growth
18 going forward? In your presentation you talk about a
19 fifteen (15) year deferral.

20 MR. BILL TURNER: Yeah, we -- I can talk
21 about Canexus. We -- we did have to reduce rates in --
22 in 2009 and early 2010. I think there -- there has been
23 some increase in some of the -- the smaller industries
24 within Manitoba, but as a large general huge jump in
25 increase, I personally don't -- don't think that that's

1 going to be happening.

2 THE CHAIRPERSON: Because you're --
3 you're slide talks about a fifteen (15) year --

4 MR. BILL TURNER: Yeah.

5 THE CHAIRPERSON: -- basically deferral
6 as well, and that's -- does that take into account the
7 HudBay and Vale --

8 MR. BILL TURNER: I think that -- that
9 was reported by Vince Warden in one (1) of his --

10 THE CHAIRPERSON: So you've got it
11 incorporated in your charts --

12 MR. BILL TURNER: Yes.

13 THE CHAIRPERSON: -- too? Okay.

14 MR. BILL TURNER: Yep.

15 THE CHAIRPERSON: Would MIPUG agree that
16 events since IFF-09 was released, included a number of
17 different events; like major increases in the forecasts
18 for capital expenditures, a drop in opportunity
19 electricity export prices fall off and natural gas
20 prices. You refer to it in your brief, significant
21 changes in the exchange rate with the US dollar. The
22 industrial load, you've confirmed, and the fact that the
23 term sheets have yet to be converted into firm contracts.

24 You're aware of all of these events?

25 MR. BILL TURNER: Yes.

1 THE CHAIRPERSON: Does MIPUG have a view
2 on Manitoba Hydro's preferred Development Plan?

3 MR. BILL TURNER: I think we recognize
4 that the industry has to grow eventually and that -- that
5 we've seen over the years that -- that as domestic load
6 increases, that Manitoba Hydro is going to have to expand
7 as well.

8 THE CHAIRPERSON: You haven't put a lot
9 of analysis into their -- the relative -- or the
10 projections that surround the preferred development plan
11 then?

12 MR. BILL TURNER: No.

13 THE CHAIRPERSON: The im -- potential
14 impact for rates and things of that nature?

15 MR. BILL TURNER: There -- there's been
16 some by our intergroup people, but I personally haven't
17 delved into it that deeply.

18 THE CHAIRPERSON: Over the last, I think
19 it's seven (7) or eight (8) years now, domestic customers
20 have received across-the-board rate increases.

21 MIPUG doesn't prefer that particular
22 approach; is that correct?

23 MR. BILL TURNER: I --

24 THE CHAIRPERSON: I'm referring back.
25 I'm not -- it's not a trick question, because you were

1 talking about getting back within the zone. So if you
2 were going to go --

3 MR. BILL TURNER: Right.

4 THE CHAIRPERSON: -- within the zone of
5 reasonableness, one couldn't just continue with across-
6 the-board increases.

7 MR. BILL TURNER: I think increases are a
8 fact of doing business. Cost of living does go up every
9 year. We find that in -- in our industry as well, so you
10 expect some -- some degree of increase.

11 THE CHAIRPERSON: Does MIPUG accept that
12 factors other than costs should be taken into
13 consideration in setting rates for various classes?

14 MR. BILL TURNER: What would you include
15 as "others"?

16 THE CHAIRPERSON: Environmental matters,
17 things of that -- that nature.

18 MR. BILL TURNER: I think that would have
19 to be reviewed as a group to -- to come up with a
20 consensus amongst our group as well.

21 MR. ANTOINE HACAULT: Mr. Chair, if
22 there's any of these questions which you feel you wish to
23 have additional information which can't be answered
24 today, we'd be more than happy to take those questions
25 and provide responses, if that's the Chair's wish.

1 THE CHAIRPERSON: Okay. We'll --

2 MR. ANTOINE HACAULT: Just trying to be
3 helpful.

4 THE CHAIRPERSON: We'll -- we'll think on
5 that. Does MIPUG have any views on the relative cost
6 allocation of incremental new generation and transmission
7 revenue requirement between the various classes?

8 MR. BILL TURNER: I think that -- that is
9 a part of the ongoing discussion on the time-of-use rate
10 structures and that.

11 THE CHAIRPERSON: If demand concessions
12 sought by a limited number of firms are made permanent,
13 does MIPUG have a view on how the cost of those
14 forgiveness, if you like, would be allocated among the
15 various industrial classes and the cost of service?

16 MR. BILL TURNER: We, as a group, have
17 not sat down and come up with a definitive answer on
18 that, and I think if that's -- again, if that's a -- a
19 question that you would like an answer on, we can meet as
20 a group and -- and supply you with a formal response.

21 THE CHAIRPERSON: I think that would fall
22 into Mr. Hacault's suggestions.

23 MR. BILL TURNER: Right.

24 THE CHAIRPERSON: Does your group support
25 a variance from a long-accepted practice of an energy and

1 demand charge for electricity?

2 MR. BILL TURNER: Again, I'd want the
3 group to -- the -- these are questions that we may not
4 discuss on a -- on a monthly basis when we're in
5 communication with one another.

6 THE CHAIRPERSON: We just thought we'd
7 take advantage of the fact that you took the time to come
8 down. We appreciate that.

9 Do you have anything else, Mr. Mayer?

10 MR. ROBERT MAYER: Yeah. More of a
11 comment than -- than a question. I noted with interest
12 on -- on page 18 that Canexus achieved an all-time high
13 production record --

14 MR. BILL TURNER: Yes.

15 MR. ROBERT MAYER: -- in your output.
16 I'm assuming that, at least for Canexus, any effects of
17 the recession appear to have disappeared.

18 MR. BILL TURNER: This -- this past year
19 was unique. We did have some curtailment in January, but
20 after that point in time, then we did start to pick up a
21 lot of our production capacity.

22 A couple of other things happened as well.
23 One (1), we're limited by cooling, and if it starts to
24 get a little bit hot or extremely cold, that does affect
25 our production limits drastically. This past year

1 temperature-wise, we had all the stars aligned and -- and
2 we were able to maintain a higher production rate than
3 normal.

4 THE CHAIRPERSON: Thank you very much,
5 Mr. Turner.

6 MR. BILL TURNER: Thank you.

7 THE CHAIRPERSON: We appreciate your
8 presence and participation.

9 So we'll go back to Dr. Kubursi and Dr.
10 Magee.

11

12 (BRIEF PAUSE)

13

14 INDEPENDENT EXPERTS PANEL RESUMED:

15

16 DR. ATIF KUBURSI, Resumed

17 DR. LONNIE MAGEE, Resumed

18

19 THE CHAIRPERSON: Any time, Mr. Wood.

20 MR. GAVIN WOOD: Thank you.

21

22 CONTINUED EXAMINATION BY MR. GAVIN WOOD:

23 MR. GAVIN WOOD: Picking up where we left
24 off at section 6C of the Direction Examination, and
25 specifically now to page 17 of the KM Report.

1 There's a number of findings, Dr. Magee,
2 at that page with regards to a whole listing of
3 improvements that you and Dr. Kubursi were suggesting in
4 the report.

5 Would you briefly describe the principal
6 ones of those to the Board?

7 DR. LONNIE MAGEE: Yes. There are, in
8 our view, no -- no grounds to believe that there exists a
9 serious material risk for blackouts in Manitoba. The
10 financial losses stemming from a severe drought are
11 large, can deplete accumulated retained earnings of
12 Manitoba Hydro in less than three (3) years.

13 Regarding the models, we feel there -- the
14 models are serving their purposes and can be relied upon
15 for operational planning and long-term planning. We
16 recommend certain courses of action for improvement --
17 further improvement, upgrades, authentication procedures,
18 documentation, and integration of the models. We deal
19 with that in more detail later.

20 The middle office is evolving, and we
21 recommend that it be placed directly in the office of the
22 senior vice-president for administration and finance and
23 be charged with reviewing and quantifying all risks,
24 including long-term contract risks.

25 Regarding the long-term contracts, we feel

1 they're -- they're well structured. We would like to see
2 them staggered over time and diversified over a larger
3 group of counterparties, recognising the challenges
4 involved there.

5 And our exercise where we -- we quantify
6 the -- the risks, we emphasise that the combination of --
7 of drought and high import prices is -- is -- that high
8 import prices really compounds the negative impacts of
9 drought, and so we show that effect without attempting to
10 nail down a probability of such an event occurring.

11 There -- there are other -- oh, I have a
12 few more. We argue in favour of trying to avoid massive
13 borrowing. Having said that, we recognize that expansion
14 of the system is necessary. The capital will be needed.
15 And we -- we are in favour of a flexible view regarding
16 the timing and the -- the scale of -- of the expansions.

17 MR. GAVIN WOOD: Thank you. Turning next
18 to section 7 of the direct examination. Dr. Kurbursi,
19 there's a appendix A to the report at page 290.

20 Would you explain the -- the purpose of --
21 of that appendix and -- and what it's specifically
22 structured to carry out.

23 DR. ATIF KUBURSI: Yes. It concerns what
24 we call risk eversion. Why are people risk adverse? And
25 this has come from a mathematician called Bernoulli who

1 was actually explaining issues of why people have
2 different appreciation or willingness to pay different
3 amounts for a gamble.

4 His major insight was that value does not
5 depend on price but on utility. The price is the same
6 for everybody, but utility and the way people value
7 things depends on their own circumstances and their own
8 appreciation of things. But he gained basically two (2)
9 insights.

10 He felt that this diversion between
11 utility and value and utility and price comes from two
12 (2) things; one, people have different aversions to risk,
13 and as long as they have different appreciation of risk
14 and willingness to pay for it, and, two, that there is
15 something called declining marginal utility of wealth,
16 which means that every additional unit of income or
17 wealth would give positive utility, people appreciate it,
18 but it increases at a decreasing rate.

19 And because of these two (2), people are -
20 - feel differently about a dollar increase that they
21 would gain than a dollar loss. People find it more
22 painful to lose a dollar than to gain a dollar. And as
23 long as this is true it really means that they will not
24 enter into a fair gamble where the utility of loss is
25 equal to the utility of gain.

1 They will be only prepared to enter into a
2 gamble if the utility of a gain exceeds the utility of a
3 loss. And the reason for this is because they value the
4 dollar that they gain far less than the dollar they lose.
5 And this risk aversion is at the very heart of what we
6 were arguing in the first chapter, that maybe different
7 circumstances for different individuals, and yet this
8 aversion is different for the Utility than the citizens.

9 And then the issue would be to what extent
10 can we arrange it in a manner that would make the Utility
11 behave with respect to its risk evaluation, and risk
12 exposure, and risk appetite in a way that would
13 correspond and parallel those that are the risk aversion
14 appetite of the people who are typically more
15 conservative and typically more risk averse.

16 MR. GAVIN WOOD: Thank you. Turning now
17 to the actual terms of reference and -- and the -- the
18 chapters dealing with them as -- as were set out earlier
19 at section 6-A of the -- of the direct-examination, and
20 firstly now to Chapter 2.

21 Would you, Dr. Kubursi, summarize the
22 first part of that chapter, Chapters 2.1 through 2.4?

23 DR. ATIF KUBURSI: Well, the first thing
24 we started with is that now there is an increased
25 recognition at every enterprise that business resilience

1 and business operations depend heavily on the
2 appreciation of risk exposure and the ability of
3 enterprise to manage its risks appropriately.

4 The whole study begins with what we call a
5 Plato's dictum in the sense that the future carries more
6 possibilities than would happen. And, therefore,
7 prudence and prudent behaviour would take into account
8 more possible outcomes in the future than would occur,
9 and prepare for these adverse possibilities, because risk
10 is about uncertainty, about inability to predict
11 accurately the future.

12 And it's also about the fact that an
13 action or inaction may affect outcomes of business
14 objectives in an adverse way. And the way to deal with
15 it would be to assess the likelihood of this and the
16 consequences that would occur or would follow from this
17 risk event occurring.

18 What we tried to do is -- as -- as much as
19 possible -- to assess what we considered to be the best
20 practice, and particularly best practice in other
21 utilities. There is here a recognition right at the
22 outset that there is no one-size-fits-all, and that there
23 are different circumstances, and that these have to be
24 taken into account.

25 A utility that depends on thermal does not

1 have the same risk exposure than one (1) that depends on
2 volumetric amounts of water. And what we began saying
3 there are certain steps and, and certain appreciations,
4 and certain strategies that enterprise risk management
5 will take into account, but this is not a one (1) shot
6 deal. This is not window dressing.

7 This is about being a systematic process
8 that would identify, assess, quantify, prioritize,
9 mitigate, control, all significant risks, with a view to
10 optimizing the balance between risk and return. That
11 this is not that you continue to do -- I mean, if
12 everybody would think about the possible risks and taking
13 every risk into account, people would stay at home, would
14 never do anything.

15 This is about, basically and
16 fundamentally, assessing, identifying, measuring, and a
17 way to optimize the balance between this risk course and
18 returns. And this is -- as I said, this is a semantic
19 thing. It's not something you do once, you do
20 haphazardly, you do any way just to satisfy certain
21 cosmetic things. It's serious things.

22 It begins with risk maps, and this is
23 something that is quite important. You might want to
24 qualify things in the sense that you put two (2)
25 parameters and you put every event that is likely to

1 affect you on this map by trying to say every point on
2 that map would have a probability of occurrence and has
3 also a consequence. And then you try to see to what
4 extent you can -- instead of looking at everything
5 equally, to prioritize, to rank, and there you would find
6 that you want to go to control maps.

7 Certain risks that you -- are part of your
8 daily life and they're not going to have very large
9 material consequences, you might as not -- might as well
10 not spend too much time and money on these types of risk,
11 but there are certain risks that have high probability of
12 occurrence and can have very large consequences, and
13 these have to receive a greater priority, more interest,
14 more resources, more focus than the lower ones.

15 But there are also a few things that one
16 needs to take into account when your prioritize these
17 things, and it should not be just purely on issues of
18 colour-coding and judgmental and emotional perception and
19 digestion. Ultimately, risk management is about
20 numerical quantification, that you need to basically and
21 fundamentally be able to be in a position to assign a
22 particular probability and looking at the distribution
23 and see how this probability at the ninety-five (95)
24 level, confidence level, or 5 percent, what would it
25 entail.

1 It would also mean that you have to always
2 assign responsibility for these risks. I mean, one (1)
3 thing that we found to be extremely important, and one
4 that we would recommend very strongly, is to have what we
5 call the risk-assignment matrix. There should be, to
6 every risk, a sense of ownership, that this begins at
7 this level, and Mr. So-and-So or Ms. So-and-So would be
8 responsible for it, and that there is these
9 correspondences, and people know exactly what to do, and
10 they have exact and clear procedures as how to report
11 these risks and how to deal with these risks.

12 And we have also said that you don't do
13 these things just as a matter of course or routine, that
14 you have to have a purpose. You ultimately want to be in
15 a position where you devise strategies to mitigate, deal,
16 and spend resources, and be in a position to deal with
17 it.

18 You also have to continuously monitor,
19 track these components that work for you. This is not
20 something you do once; you learn, you fine tune, you
21 continue the evolving process. I mean, this is something
22 that we also notice, that MH has an evolving system, and
23 that it's growing and that there is now greater clarity
24 and more focus, and this is something that has to
25 continue and is something that we would encourage that it

1 would continue to be done.

2 What is also important for us is that you
3 have to have a clear governance structure, that now it's
4 taken for granted that there is a front office, a back
5 office, and a middle office, and there is now a general
6 recognition that the middle office would be the one
7 entrusted with this.

8 And the story is that you need always
9 cross-check. There should be checks and balances. It
10 can't be done at the front office only; it has to be
11 vetted, verified, and responded to by the middle office.
12 And that this middle office position is quite important.
13 It's not that it should be done at the middle office, but
14 where in the middle office counts quite a bit.

15 Most corporations who have taken the risk
16 management seriously have elevated the risk management to
17 the top level. It has to be on the organization
18 organogram or whatever word it is at the top level, in
19 the senior vice-president office, and directly reporting
20 to the senior vice-president's office, and that there is
21 very clear lines of reporting and decision making.

22 It also takes into account that there
23 should be preparation plans, and this is not just the
24 drought preparation plan, but risk-preparations plans, in
25 the sense that each and every unit of the organization

1 dealing with risk must know, must have drills, and they
2 should go through these exercises.

3 And, also, risk management is a very
4 professional thing. I mean, it would require
5 statisticians, econometricians, and people that are
6 called subject-matter experts. And the organization can
7 benefit and would find it worthwhile expenditure of
8 resources on beefing up the skill sets of people who can
9 identify, quantify, monitor, and deal with risk.

10 And that the story is then we went and
11 tried to see that if this best practice section that I've
12 talked about were applied to the Manitoba Hydro on a
13 piece-by-piece basis, on a point-by-point basis, how does
14 the picture come about? We were happy with what Ma --
15 Manitoba Hydro is doing. We'd be happier to see it
16 assign a responsibility matrix. That's something we did
17 not find.

18 We would be far happier to see that
19 there's an individual-responsibility matrix that we know
20 corresponding to every risk, even in the CRMC, the
21 Corporate Risk Management Report, that there would be a
22 person or a name or an office corresponding to every
23 colour-coded things that would report to the vice-
24 president or the manage -- you know, the front office and
25 to the corresponding middle office people.

1 We would be very happy to see that the
2 MCP, which has really been a major contribution, and
3 evolving one, and -- and a step in the right direction,
4 where you have defined stop losses or statute of
5 limitations and exact restrictions, that this would
6 become part and parcel of the overall organization, and
7 this kind of MCP -- MCP would be available to every other
8 structure.

9 We want a beefing up of the middle office.
10 We want --

11 MR. GAVIN WOOD: And -- and maybe -- I
12 see you've turned the page again in the direct. Just --
13 just so that, for the record, we're all with you, you've
14 now gone on to the recommendations --

15 DR. ATIF KUBURSI: Yeah, I'm -- I'm
16 beginning with the recommendations.

17 MR. GAVIN WOOD: Right, at Chapter 2.5,
18 which --

19 DR. ATIF KUBURSI: Right.

20 MR. GAVIN WOOD: -- which runs pages 47
21 through 51. And I think you're trying to -- not the --
22 the whole list of them, but just the major ones that --

23 DR. ATIF KUBURSI: No, no, just the most
24 -- the major one. The -- the -- as I said, I mean, we
25 find it extremely important that there would be an

1 individual responsibility matrix. We felt like the
2 middle office should be beefed up, should be elevated to
3 the highest level.

4 We also wanted to emphasize that you have
5 the tools, you have already PRISM. You need to get also
6 some other tools of risk that are coming on the market
7 that would be also important to -- to put up. You have
8 to beef the skill set of statisticians, econometricians.

9 Okay, forget the econometrician; get
10 statisticians, but people whose life depend on estimating
11 properly probabilities. And that is really quite
12 important, and measures, back-to-market measures so that
13 it's always at replacement cost, at market costs, and
14 that this issue of SMEs, in every single corner there --
15 there would be a recognizable subject-matter expert that
16 will be dealing with these things.

17 I can go on. We have about fifteen (15),
18 but I'm sure you've seen them in the report.

19 MR. GAVIN WOOD: Yeah, and -- and they're
20 set -- it's set forth there. Thank you. Turning next to
21 Chapter 3 of the report beginning at page 52. This is at
22 page 30 of the -- page -- page 30 of the direct
23 examination at the bottom of the page there.

24 Dr. Magee, I -- I appreciate there's been
25 earlier references to Manitoba Hydro models. I wonder if

1 you would briefly set out the -- the role of models and
2 their importance for Manitoba Hydro as you -- you and Dr.
3 Kubursi perceive it.

4 DR. LONNIE MAGEE: Yes, the models are
5 used for operational and planning purposes. And they can
6 be ordered across a spectrum, from -- or -- or some of
7 them can, from short-term operational reasons or -- or
8 uses to long-term planning uses. The -- these models all
9 involve linear programming, which I think could be -- you
10 could describe briefly as the -- involving relationships
11 that are modelled linearly, but that have -- get cut off
12 at certain points, so just the -- they're -- they're not
13 straight lines that go on forever. It matters which --
14 when they cross, or whether one (1) is bigger than a
15 certain number or not. And that's because of the nature
16 of the -- the hydrological system, so they all share that
17 aspect.

18 The short-term operational models need to
19 be -- the relationships that are in the models that are
20 programmed into computers that crunch the numbers have to
21 be very accurate. And that's the -- the MO -- MOST is
22 the name of the model, M-O-S-T, that is used for that
23 purpose. And because of that it's -- the people that
24 work the most with that are -- are located over in the --
25 the control centre.

1 And then moving into the longer-term
2 models, the -- the equations, because they're describing
3 relationships over longer periods of time by, you know --
4 cannot be as accurate, but they're still accurate enough
5 for planning purposes and some of the -- most -- a lot of
6 the inaccuracies that some of the variables that matter
7 aren't known yet because they have to be -- we -- you
8 know, they -- they occur in the future, like prices and
9 interest rates and so on, and -- and water flows.

10 So moving into the long term then,
11 generally the -- the programs, the models, are used more
12 for planning purposes to see what would happen if we did
13 this, what would the average outcome be, or the outcome
14 over a variety of scenarios.

15 And so moving from the shortest-term model
16 MOST, the operational one, to HERMES is the next one down
17 the -- the spectrum, and then SPLASH is the -- the -- the
18 next one down, SPLASH for longer-term planning, and then
19 there's another one (1) that we looked at called PRISM,
20 which is a -- has a more probabilistic structure built
21 into it which is used for load forecasting and risk
22 quantification.

23 MR. GAVIN WOOD: Thank you. Dr. Kubursi,
24 you wish to comment on the -- the whole issue of Manitoba
25 Hydro models as well?

1 DR. ATIF KUBURSI: Yeah, I mean, we ought
2 to recognize that models at their best are
3 simplifications. They're abstractions, generalizations.
4 They cannot in any way capture the complexity of the
5 underlying system. And specifically in economics and in
6 ecology they are small changes. They're very sensitive
7 to small changes in the sense that most of the systems
8 depend on balances, equilibrium of opposing forces.

9 And then any minor little change would
10 have a magnified effect on -- on the systems. And as
11 such, one -- one has to be quite careful about the extent
12 to which one relies on a model. There is no question
13 about it that no person, no -- or persons, no matter how
14 large the set may be, could replace a model. I mean
15 there is no way in which persons, no matter what their
16 expertise and experience can deal with such complex
17 systems and -- I mean, HERMES, you are talking about
18 seven thousand (7,000) more equations.

19 I mean, no person, no mind could possibly
20 process these things. These are indispensable tools. We
21 have recognized this and we were quite happy that they're
22 being done. Now they're not only SPLASH, or MOST, or
23 HERMES, we also have the load forecasting. We have the
24 economic outlook. I mean, you have a whole family of
25 models at Manitoba Hydro.

1 And the issue is that how do these models
2 fit with one another. How do they speak to one another.
3 How do they lie on that spectrum and how do they cohere
4 together. These were the kind of questions that we were
5 quite interested in.

6 And -- and most we recognize, I mean,
7 these are really about hourly things, they check even
8 twice an hour. And these are basically control and
9 operation. When it comes to HERMES they are a little bit
10 longer, but they have different time strips, but they --
11 still they are intermediate models. And then you go to
12 SPLASH as Lonnie mentioned, you're talking about forty
13 (40) years horizon and you're talking about a complete
14 different use of the system, and that these multi-
15 purposes may differentiate these models, but does this
16 mean that they should be separate systems?

17 I mean, we came in and we tendered here a
18 proposition, that these models need to cohere with one
19 another, and that there is a community of modellers, that
20 they should be speaking to each other, learning from one
21 another, that there are economies of scale and scope from
22 getting these people together.

23 We also felt that if you have different
24 parameters in these models, and -- and sometimes it's
25 necessary from these models. All right. I mean, the one

1 that, for example, NYC had mentioned is that the energy
2 efficiency coefficient that translates water or head into
3 power -- water flow into power. It's different in HERMES
4 than it's in SPLASH.

5 Well, first of all, this is a non-linear
6 relationship. I mean, if you look at the forebay minus
7 the tail race times that efficiency divided by the
8 quantity you put through, I mean, it's a non-linear
9 system. It's a linear model; you have to linearize.
10 HERMES keeps running them until they converge; SPLASH,
11 they average them over the month. It's impossible to
12 believe that the same coefficients are going to be the
13 same for -- for both models, but these two (2)
14 coefficients have risen and have awakened or have raised
15 questions: Ah, the two (2) system may be incoherent and
16 inconsistent. I mean, this perception, even when it's on
17 a minor level, is something that would call that you want
18 to look around and see to what extent you want to cohere
19 the system.

20 You want also to make sure that they have
21 and they're based on common sets of assumptions. You
22 can't have perfect foresight in one and then another one
23 source for late balances at the end as a solution of an
24 optimization problem. I mean, there are issues, and we
25 wanted to be helpful.

1 I mean, we felt that the systems at
2 Manitoba Hydro are well done. They're run by excellent
3 people, knowledgeable people with lots of expertise,
4 commitment, dedication, and knowledge, but we wanted this
5 to be more codified, we want it to be more documented, we
6 want it to be vetted.

7 We felt that sometimes, because they're
8 homegrown -- which makes it so easy because it's now a
9 sense of ownership is defined over these models. But
10 then, because they're homegrown, they need to be
11 verified, validated, vetted with external authorities.
12 We recommended that these would be subjected to
13 continuous testing validation by outside and internal
14 people, and that we create a community of modellers so
15 they can learn from each other.

16 And we felt that -- and we tendered a very
17 heuristic things in one (1) of our appendices -- I
18 believe it's Appendix B, isn't it? Where we -- we -- we
19 felt like maybe you could put all these things together,
20 and we wanted to go beyond the linear specification. We
21 felt like there's so many non-linear propositions that
22 have been approximated linearly by successive iterations
23 of running. Well, why don't you go directly to a non-
24 linear system?

25 We felt that most of these models are

1 basically and fundamentally deterministic, but now you
2 have PRISM. Instead of entering an array of prices, why
3 don't you enter it as a probability distribution? Try to
4 see if you can capture some of these uncertainties into
5 the system, so it -- it's no longer just purely a linear
6 and a deterministic model that may be some non-linear.

7 Now, we recognize -- we're -- we're not
8 oblivious to this, you know, Lonnie and I have worked
9 with these models -- that if you go to a non-linear
10 system, it's far more difficult than a linear system.
11 But increasingly, incredible new improvements have been
12 made on some of these solvers. The World Bank uses GAMS,
13 general applied mathematical systems; Tinbergen Group in
14 Holland, they use AIMMS, A-I-M-M-S, and -- and these are
15 huge solvers that are for non-linear systems.

16 You might have to cut maybe the size, but,
17 my God, I believe maybe it's worth the price. You get
18 non-linear results, because, you see, the system, you
19 have options. Every time you use water, you could store
20 it up to a limit, you could sell it, you know -- you
21 know, I mean, you could let it through the system, you
22 could spill it. I mean, the fact that you have to worry
23 from one (1) period to the other, from one (1) season to
24 the other, sometimes from one (1) week to the other, from
25 one (1) hour to the other. You have a string of some

1 dynamic things. You -- you can model them by strips,
2 time strips. And, Gavin, I see you would recognize this.
3 But it would make a lot of sense if you have a dynamic
4 balance system so that, you know, this is the amount of
5 water that goes out, this is the amount that comes in,
6 this is the precipitation.

7 I mean, you could model these things on a
8 continuous-time basis. It makes a lot of sense. And if
9 you can really introduce the element of uncertainty it
10 would make a lot more sense. It may be more expensive.
11 It may really require that you move out from the black
12 box that you're on, but that's really maybe the price of
13 progress, and then this is the way we evolve, this is the
14 way we move forward.

15 And we would like, at least on a
16 experimentation basis, that some of these ta -- you know,
17 propositions to be entertained, to be taken into -- into
18 account. Now --

19 MR. GAVIN WOOD: And -- and possibly,
20 unless there's anything specifically further on -- by way
21 of overall comment --

22 DR. ATIF KUBURSI: Well, I mean, you
23 know, they have so -- so many models and --

24 MR. GAVIN WOOD: I -- I appreciate. And
25 just -- just for everyone to be with us, at the bottom of

1 page 32 through to page 37 of the direct examination
2 there's then a cross reference to a number of pages in
3 the -- the KM Report where the -- the different models
4 that you've just been referring to, gentlemen, are -- are
5 detailed. And there's a set of more specific --

6 DR. ATIF KUBURSI: Recommendations.

7 MR. GAVIN WOOD: -- recommendations for
8 each of those models. That -- that's certainly correct.

9 Could you tell me in -- in terms of what
10 has -- has just been said by Dr. Kubursi in terms of the
11 specific individual models, is there anything that stands
12 out in that series of recommendations, or did they --
13 they largely stand ba -- based on what's set out in -- in
14 your report and -- and as we've -- we've summarized in
15 the -- in the direct examination, please?

16 DR. ATIF KUBURSI: I mean, no -- no
17 question, I mean, we have -- like on page 33 and 34 in
18 our report we have tendered some very specific
19 recommendations on each of the systems, and then in
20 combination. And these are already there, and I -- I
21 don't need to maybe bother and bore my colleagues with.

22 But definitely, if I want to use some
23 buzzwords here, I want coherence, consistency across
24 models. I want a community of modelers. I want outside
25 vetting and verification. I want, you know, development

1 of skills and legacy so that if one (1) person goes to
2 the others, I don't want these models to remain as black
3 boxes. I want basically come codification and
4 documentation.

5 These are, you know, like bread and butter
6 in terms of the modelling community. And I'm not in any
7 way saying that Manitoba Hydro has any lack of
8 recognition here. Maybe it's about resource a location.
9 Maybe it's about making some steps into that direction,
10 but this would be, in our view, quite helpful steps.

11 MR. GAVIN WOOD: And, Dr. Magee, is -- is
12 there anything that strikes you particularly in terms of
13 the series of specific recommendations concerning the
14 various models that you would want to emphasize from
15 either the KM Report or -- or from the -- the direct
16 examination?

17 DR. LONNIE MAGEE: No comments regarding
18 specific models, no.

19 MR. GAVIN WOOD: Let me then turn to
20 section --

21 THE CHAIRPERSON: Mr. Wood, if you don't
22 mind. Absent the reconation -- recognition and
23 implemation -- implementation of your suggestions, would
24 you consider it prudent to proceed with the preferred
25 development plan?

1 DR. ATIF KUBURSI: In thi -- Mr.
2 Chairman, I mean, this is, you know, a quite legitimate
3 concern, I mean, in -- in the sense that what you are
4 doing, we're really going from a Chrysler to a Cadillac.
5 The Chrysler will take you to where you're going, but the
6 Cadillac would get you more comfortable and probably a
7 more predictable one because the Chrysler might break on
8 you on the road.

9 I mean, in some sense -- I'm not saying
10 anything bad about Chrysler here, okay, but -- okay, I --
11 I will use Volkswagen. Okay, but the point that is --
12 all right. But in some sense here, the issue of
13 probabilistic models when you're talking about the future
14 is something I feel strongly about.

15 I find that deterministic models, even
16 when you entertain a number of -- and this is done at an
17 -- of scenarios where you probe different things, that's
18 fine, but these scenarios, unfortunately, they become
19 arbitrary.

20 I mean, what is a pessimistic scenario.
21 Who is determining what is this pessimistic or what is
22 optimistic. I would have preferred that it would let
23 this to be decided by a probability distribution, of all
24 possible cases, a Monte Carlo thousand ones, then I feel
25 a little bit more comfortable that I have mapped this --

1 all the possible alternatives that are likely to come,
2 and what would be my proclivity to do something with a 5
3 percent or 95 percent level of confidence that what I'm
4 doing is right on what I consider to be a safe
5 proposition.

6 MR. GAVIN WOOD: Thank you. Turning then
7 to page 37 of the direct-examination, Dr. Magee, and to
8 section 9(g), please -- or pardon me, 9(f) first of all.
9 This starts at page 104 in the KM Report. As -- as you
10 can see, it's -- it's set out in the direct-examination.

11 Would you explain the electric load
12 forecast role with Manitoba Hydro as you -- you refer to
13 it in the -- in the -- the report and in the direct-
14 examination?

15 DR. LONNIE MAGEE: The -- the load
16 forecasts are crucial for planning purposes because of
17 the central mandate of Hydro, the Utility to meet the --
18 the domestic load. So they have a -- a number of -- of
19 regression models, principally that use information from
20 a lot of surveys, technical and engineering information
21 about changes in, you know, what the -- the -- the energy
22 use of different kinds of appliances and so on,
23 population growth and so on to project in -- what -- what
24 the load is going to be.

25 And we were generally quite happy with --

1 with what we saw in that regard. Our suggestions would
2 be 1) is to -- they -- they could experiment further with
3 different specifications of the regressions and more --

4 MR. GAVIN WOOD: And -- and -- and, Dr,
5 Magee, here --

6 DR. LONNIE MAGEE: Yes.

7 MR. GAVIN WOOD: -- every -- everyone is
8 going on to --

9 DR. LONNIE MAGEE: Oh, sorry.

10 MR. GAVIN WOOD: -- page 116 of the
11 report. Sorry to interrupt.

12 DR. LONNIE MAGEE: Okay. Regression is a
13 -- is a linear equation that -- that's used to predict
14 one (1) variable as a function of a -- a number of other
15 variables. So, it's choosing these other variables that
16 predict the one (1), which would be the load, is -- is
17 the issue here, where different specifications could --
18 could be considered.

19 The -- also in -- in -- in thinking about
20 how accurate -- excuse me, the predictions are, there's
21 an extra source of uncertainty in -- in the predictions
22 that comes from the fact that the coefficients in the
23 regression models have to be estimated, and that source
24 of uncertainty could be easily incorporated in their
25 procedures. It would probably only have a small effect.

1 We would like -- this is linking back to
2 Atif's point about bringing the -- the different model
3 groups together more, that the load forecast group could
4 be -- become part of this model -- a bigger part of this
5 model community group and interact more with the other
6 modelers.

7 One (1) of the -- weather is another
8 variable that -- as -- as an example of one (1) of the
9 other explanatory variables that even though it's hard to
10 predict, it could be used as a -- as a variable in these
11 procedures as a predictor.

12 MR. GAVIN WOOD: Thank you. And then,
13 Dr. Kubursi, at section 9H, I'd ask you to comment on the
14 overall recommendations as well, please.

15 DR. ATIF KUBURSI: I mean, two (2) things
16 I'd like to add to Lonnie's points. He mentioned most of
17 them. I would like to note with approval, and -- and we
18 were quite satisfied that, in the load forecasting, there
19 was an attempt here to survey households and know the
20 vintage of the machinery and appliances, and incorporate
21 this technical information in the forecast, and -- and --
22 and we note with satisfaction that this would be great.

23 There was an attempt on the part of people
24 with the load forecast to -- to -- to map things by
25 looking at the standard, at this is the error around the

1 coefficients from these regressions. We thought that was
2 great, but it has to be also brought into with PRISM
3 maybe, with the Monte Carlo routine on the possible
4 outcomes that would come if you were to use a more
5 generalized probing of the differences in the forecast.
6 I thought that would really be, you know, quite helpful.

7 Weather is -- is -- is another thing. You
8 know, I mean, the demand and load, you know, especially
9 in the province of Manitoba, is very sensitive to
10 climate, weather, to degree days and heating degree days.
11 The involvement -- we saw that some equations had the
12 weather but others not. It would be good -- it would
13 make good practice if we were to use weather variables in
14 all these equations. They're so crucial determinants of
15 -- of -- of this, and especially that in HERMES you --
16 you get quite a bit of that.

17 MR. GAVIN WOOD: Thank you. Just
18 briefly, this is the first time in the Direct Examination
19 at top of page 39, we reference -- there was a series of
20 response papers that were done.

21 Dr. Kubursi, it -- it references there
22 pages 3 through 6 of the -- of section D of the response
23 papers. This is dealing in response to the rebuttal that
24 Manitoba Hydro had done, and this is now specifically
25 with regards to the models, page 3 of that document,

1 please.

2 Just to be -- just so that the -- the
3 panel -- the Board understands, why did Dr. Magee and
4 yourself take some additional time to respond to Manitoba
5 Hydro's rebuttal on the models and, more generally, on a
6 number of matters that Manitoba Hydro had -- had raised
7 after reviewing the KM Report? Why, in general, did you
8 take that further time?

9 DR. ATIF KUBURSI: There were a number of
10 issues that we wanted to maybe focus on and redirect the
11 energies towards, all right? One (1) -- one (1) -- I
12 take one (1) example. At one time, you know, we felt
13 like precipitation is an important variable, all right?
14 It -- it's -- especially month by month and for any
15 knowledge of what will probably be transpiring, say, in
16 April, and then what will happen if we were to look at
17 the spring rain, that somehow some hydrological variables
18 would be nice to have into the system.

19 So we were trying to, basically, argue
20 that it would be nice to introduce some of these
21 variables in the equations, especially, you know, we felt
22 like the antecedent forecasts -- and this is when you use
23 flow in one (1) year to be the basis for predicting flows
24 in the next period, so you prepare yourself for what sort
25 of expectation of releases that you might have to plan.

1 And what we wanted here is basically
2 saying, Okay, it may be worth looking at expanding these
3 regressions from dependence on one (1) variable to maybe
4 more. I mean, when we ran our auto regressives, we found
5 that more than one (1) leg was something that it would be
6 worth looking at, so we wanted to be more helpful in this
7 thing.

8 We also noticed that when we looked at the
9 predictive capacity and accuracy of HERMES, that it
10 predicts very well generation. It doesn't predict as
11 well -- it's not bad, but it does not predict as well,
12 and I'm emphasizing the word "as well" -- the revenues,
13 net revenues of export or the costs. And we felt that if
14 you do the forecasting say in the spring, you'll have
15 completely different errors if -- that you made the same
16 forecast in July, when you knew what the spring rain was.

17 So, I mean, all these things were
18 indicative that maybe a different richer leg structure
19 could be introduced into these equations. We also felt
20 that maybe this linear structure is -- is something to --
21 to voice, so we came back to talk about this non-linear
22 issues.

23 We -- we wanted the greater role for
24 PRISM. We have the system. There's expertise being
25 developed about it. Is it possible to integrate it with

1 the other system so that it's not left alone as an add-on
2 but could be integrated with the -- with the other
3 systems?

4 And then we came back and we argued for
5 how important, how necessary, and what are the great
6 benefits, and we mentioned eight (8) of them on page 5
7 that would come from a more coherent, consistent,
8 integrated, one (1) platform set of models.

9 MR. GAVIN WOOD: And is it fair, sir,
10 that the Board should understand that at thi -- at this
11 finer end in terms of all the matter of the models, that
12 there's a degree of disagreement bet -- between the --
13 the persons at Manitoba Hydro that have presented those -
14 - that rebuttal paper and yourselves, and you're just
15 taking an additional time in the -- the further response
16 paper to explain to the Board what's joined in terms of
17 issues between Manitoba Hydro and yourselves?

18 DR. ATIF KUBURSI: I -- I mean, I would
19 characterize it that we probably should persuade them
20 more. I mean, there is always comfort in keeping with a
21 system that works well for you. And there is always
22 reticence that of the people who have been using these
23 models for years and have developed a great expertise to
24 come and have professors come and tell them to do things
25 otherwise.

1 All what we're asking them is basically
2 and fundamentally to experiment, to entertain, to move a
3 little bit forward on these things. We are quite
4 satisfied with our systems. We are quite happy with what
5 we've seen. We are quite happy and recognize the
6 capacities, the skills, and the dedication of the people,
7 but we wanted a little bit more.

8 And -- and I think from a very top of the
9 line, one (1) of the best utilities in Canada and any
10 place, that it would be worthwhile looking into making it
11 non-linear, integrating these models, putting more
12 stochastic things, getting all these models together
13 creating a community of modellers vetting these things,
14 documenting things.

15 I -- I think we wanted to earn our money.
16 And I -- I thought we -- we -- you know, we're -- we're
17 basically being positive. I thought our marching orders
18 were to what extent can you come from outside, shake a
19 little bit of fire here, and get things moving in a
20 direction that you think would be beneficial and in the
21 best interests of Manitoba.

22 MR. GAVIN WOOD: Maybe staying away from
23 the car analogy thi -- this time, specifically in answer
24 to the Chair, should this Board be confident or have
25 concern that if Manitoba Hydro doesn't accept the whole

1 series of recommendations in the sixty (60), seventy (70)
2 pages that we just quickly covered of the KM Report, that
3 it is going, nevertheless, to be able to go forward
4 confidently with its proposed capital -- series of
5 capital projects over the next decade?

6 DR. ATIF KUBURSI: I -- I'm sure you all
7 -- and it's not an understatement, some hesitation on my
8 part, and this hesitation comes from three (3) reasons.
9 I would not -- I cannot and I will not suggest that you
10 base decisions solely on models, all right. These are
11 instruments. These are tools. They inform decisions but
12 cannot be relied upon totally and exclusively in making
13 series decisions of the type we're on.

14 Two; I am confident that what they
15 have works, but it could be better made. And I thought
16 there would be improvements and it would be worth
17 looking, especially the probabilistic things when you're
18 talking ten (10), fifteen (15), twenty (20) years
19 horizons in the future.

20 Three; I would really like to see some
21 sort of vetting coming out from modellers who have really
22 great experience, who exist in universities or in
23 practitioner offices and consulting houses, come in arm's
24 length, not on the -- that would be able to basically vet
25 and, you know, create a good evaluation and verification

1 of these models.

2 THE CHAIRPERSON: Is your argument, in
3 your view, stronger because you're not talking about an
4 ongoing status quo operation, but one (1) that's
5 intending to spend say close to \$20 billion over a period
6 of ten (10) years?

7 DR. ATIF KUBURSI: Absolutely. I mean,
8 if it was a minor adjustment of things, I think it -- it
9 could be incorporated well with the system that have
10 worked in the past, but now we're talking about something
11 much bigger. And these models are extremely sensitive to
12 small changes. What if you really start working with
13 much larger changes.

14 THE CHAIRPERSON: Thank you.

15

16 CONTINUED BY MR. GAVIN WOOD:

17 MR. GAVIN WOOD: Sit back. Going on to
18 page thir -- thir --

19 DR. ATIF KUBURSI: Do -- do I have the
20 right to?

21 MR. GAVIN WOOD: I'm just afraid you're
22 going to come out of the chair in a moment.

23 DR. ATIF KUBURSI: I'm not just speaking
24 sitting down, that's what it is.

25 MR. GAVIN WOOD: There's a -- a good

1 friend of -- of mine in the room here today that I'll
2 have to explain to him later, the lawyer that I'm up
3 against next week, Dr. Kubursi, at times reminds me of
4 him.

5 9(j), Dr. Magee, just briefly, if you'd be
6 kind enough to explain to the Board the -- the role of --
7 the -- the -- the purpose of Appendix B, please.

8 DR. LONNIE MAGEE: Appendix B describes
9 the -- the model that we use for our net revenue
10 simulations, which contains three (3) subsystems linked
11 to each other, or submodels, I suppose, hydrological,
12 power generation and financial.

13 So, for example, the hydrological
14 component is considerably simpler than it would be for
15 some of Hydro's own purposes, but this -- this was made
16 for a longer term kind of examinations of the effect on
17 net revenue of different scenarios and different events.

18 So we -- we also let a lot of other
19 variables, rather than setting them at specific values
20 and looking at a limited number of scenarios, we let them
21 be random variables and ran a large number of
22 replications where the values of those variables were
23 generated randomly by fitting distributions that
24 described their actual -- or their behaviour as best as
25 we could and seeing what happens to net revenue.

1 So the model isn't a -- a kind of black
2 box proprietary thing, I don't think. It's just meant as
3 a sort of a prototype suggestion of a way that -- that
4 this could be done, something to both conduct our
5 planning exercise with and as something that we think
6 they might -- people at Hydro and others might find
7 interesting.

8 MR. GAVIN WOOD: Something that could be
9 employed.

10 DR. LONNIE MAGEE: Or used to develop
11 something further and employed.

12 MR. GAVIN WOOD: And if I could then ask
13 you to go on at page 128 of the -- the KM Report, and at
14 page 39 of the direct-examination, to the findings with
15 regard to the load forecast model as -- as Dr. Kubursi
16 and yourself found them.

17 DR. LONNIE MAGEE: Okay. And if I --

18 MR. GAVIN WOOD: That -- that -- that's
19 correct.

20 DR. LONNIE MAGEE: Okay. So I'll comment
21 on the findings with regards to the economic outlook.
22 This is something different. This is the -- the
23 corporate strategic review division prepares an economic
24 outlook, which is a -- you can think of it as a way of --
25 as -- as forecasts of the economic variables that need to

1 be taken into account when evaluating production and
2 pricing decisions. Our view is that -- that it would be
3 good if they didn't have to rely as much on a small
4 number of external forecasts purchased from external
5 consulting companies.

6 One (1) reason is that, if you take a
7 variety of different forecasts from different companies,
8 you're not able to account for the fact that the -- the
9 forecasts of different variables are correlated, and if
10 they're taken from different companies, we don't really
11 know how those companies have -- they -- they've been
12 created differently, and you won't have a good sense of -
13 - of how the -- the forecasts are related to each other,
14 or how the variables are related to each other, which is
15 important in forecasting.

16 So we -- we would recommend that more
17 economists, quantitatively skilled economists, join the
18 staff or become involved in that process, and that the
19 forecasts be more probablistic rather than focussing on a
20 good/bad scenario that the Hydro would be in a good
21 position to -- to do a more comprehensive kind of
22 accommodation of -- of a whole distribution of forecasts,
23 the same way that, say, at risk handles probabilities of
24 unknown random variables.

25 Again, the -- this group -- it would be

1 fruitful to have them become involved more closely with
2 the other groups of modellers at -- at Hydro, and that
3 the -- their role, general role in the Corporation be
4 expanded.

5 MR. GAVIN WOOD: Something further, sir?

6 DR. ATIF KUBURSI: I just want to echo
7 Lonnie's position, but maybe raise a different
8 perspective. I mean, the -- the worry we had there is
9 that you bring multiple forecasters, all right? As you
10 can see, they depend on Infometrica, Spatial -- Centre
11 for Spatial Economics, the different banks, the
12 Statistics Canada, Global Insight. The trouble here is
13 that, if you take an average, what you're really saying
14 is that you value all these people equally, but some of
15 them probably are better forecasters of particular things
16 than others.

17 The issue here is: To what extent would
18 you depend on an average rather than on the collection or
19 the best forecasting people with a record? And we just
20 want to raise this issue, just as a question mark, is
21 that: Don't depend on an average. Maybe some people
22 have a better history than others, and -- and it would
23 make sense.

24 The other one which Lonnie already
25 mentioned and I think is quite important and it's no

1 longer done, because at one time, when I came here, there
2 was really some issues here, but now I'm really happy to
3 see that this is not done, is you take one (1) forecast
4 from one (1) place, another forecast from another place,
5 okay?

6 I'll give you an example: You take the
7 interest rate from one (1) place and income from another
8 place, when it could easily be that a higher income or a
9 very strong growth is going to lead to higher interest
10 rates. It's impossible and doesn't make any sense to use
11 one that shows higher rates of growth and lower inflation
12 or lower interest rate.

13 It doesn't make sense at all, because what
14 Lonnie was trying to say is that these forecasts are made
15 in the context of a coherent model, a consistent model.
16 You can't pick one from here and one from there and
17 assume that they're going to cohere together. It would
18 make more sense -- and at one time, we went -- probably
19 went overboard suggesting that maybe Manitoba Hydro, like
20 Ontario Hydro, should develop its own forecasting model
21 and -- and this maybe is too farfetched. Maybe Manitoba
22 Department of Economics would love to do that, but maybe
23 it's not in the cards.

24 But let's say this: You have to be quite
25 versatile, very sceptical, very inquisitive when you use

1 these forecasts, and try to see if there is a track
2 record, there is a history that you could use.

3 THE CHAIRPERSON: Dr. Kubursi, I'll just
4 remind you that the day of the election, there's -- was a
5 website called 308 something or other, and basically what
6 it did, it predicted the seat distribution of the House
7 of Commons after the election, which was held on May 2nd.

8 And what they did was they -- they took
9 all of the people that -- all the various polls: Decima,
10 Ekos, Nanos, et cetera, et cetera, et cetera. They added
11 them all up and they divided them by whatever the number
12 was. And they predicted seventy-eight (78) NDP seats and
13 sixty (60) some Liberal seats.

14 So in the end you know what happened, the
15 NDP got a hundred and two (102), or a hundred and four
16 (104), a hundred and five (105), or whatever it was, and
17 the Liberals got thirty-four (34). That was the result
18 of adding them all together and just dividing.

19 DR. ATIF KUBURSI: Thank you, Mr.
20 Chairman. I mean, you -- you've made my point, okay.

21 MR. GAVIN WOOD: What -- what about the
22 Conservatives though?

23 THE CHAIRPERSON: They were out there
24 too. Yeah, their forecast for the Bloc was ten (10)
25 times higher on there based on the average than the way

1 it turned out.

2

3 CONTINUED BY MR. GAVIN WOOD:

4 MR. GAVIN WOOD: I -- I wonder if I might
5 then turn us to Chapter 4 of the -- the report. This is
6 set out at page 40 of the direct examination.

7 Dr. Magee, could you provide an overall
8 perspective of what was set out to be accomplished in
9 Chapter 4 of the report, please?

10 DR. LONNIE MAGEE: We start with a
11 general look at different aspects of -- of prediction
12 problems. What -- there are different things you could
13 predict: means, quantiles, different things about the
14 distribution.

15 I point out that it's very hard, maybe
16 impossible, for anybody to say what the best method is.
17 And so then -- we then show that there are some
18 alternative ways of modelling and looking at the water-
19 flow data, ways of generating hypothetical water-flow
20 data to put into the model, and ways of trying to address
21 the question of what is the distribution of -- of drought
22 probabilities.

23 So even though we have some good data from
24 Hydro when you're looking at -- on water flows, when
25 you're trying to say something about the tail of the

1 distribution, in this case the left tail, the low end of
2 possible water flow outcomes, even though you -- you
3 might have ne -- you know, almost a hundred years, you
4 don't -- you're not basing your statements about that
5 tail on very much information.

6 So there's -- there are methods that have
7 been designed to try to say whatever we can with a bit of
8 extra structure on the assumptions about that issue as
9 well, so that's -- and -- and then we will illustrate
10 some simple examples of how those methods are used on the
11 Hydro da -- Hydro data.

12 MR. GAVIN WOOD: And then I -- I would
13 remind everyone that in terms of the -- the changes
14 section of the direct examination materials at 5-E
15 there's a charting, item 4, that Dr. Magee had referred
16 to much earlier today. And I believe that's an attempt
17 to chart the -- the work that's been done -- a simplified
18 chart, of course, of the work that's been done in -- in
19 Chapter 4, sir?

20 DR. LONNIE MAGEE: Yes.

21 MR. GAVIN WOOD: All right. And then
22 Chapter 4 goes on, pages 157 through 163, to -- to deal
23 with those alternates. Is -- is that correct?

24 DR. LONNIE MAGEE: Yes.

25 MR. GAVIN WOOD: Yeah, I'm sorry.

1 Actually, it's page 136 through 156, sorry.

2 Just it -- it's a little difficult to put
3 in some of these response papers at any one (1) point,
4 but I've asked you, Dr. Kubursi, at Section 10-B, to deal
5 with Section C of the response papers dealing with Mr.
6 Wallach's re -- report, and, specifically, his comments
7 concerning the KM Report.

8 DR. ATIF KUBURSI: Yeah, Gavin, if -- if
9 you allow me, I -- I'm going to deal with this, but just
10 maybe add a couple of words to Lonnie's presentation.

11 I mean, Chapter 4, what we're really
12 worrying about is that Manitoba Hydro has ninety-four
13 (94), ninety-seven (97) years of water flows. And there
14 were two (2) periods -- more than two (2), but two (2)
15 specifically, where we had really low flow. These were
16 in 1937-1942 and 1987-1992.

17 The issue is that do we really say that
18 this minimum in 1937-1942 is the lowest on the record,
19 and, therefore, is going to guide us to what we consider
20 to be dependable energy. And what we wanted to say here,
21 wa -- wait a minute, maybe this is good. I mean, as you
22 can tell from the evidence presented by ICF and KPMG,
23 said other utilities don't even use that long series, so
24 this '94-'97 is really way beyond what is the average
25 use.

1 We said, Wait a minute. I mean, there may
2 be a statistical process, and this is really where
3 Lonnie's expertise came to contribute. Can we run this
4 thousands -- and I said a million time, actually, and can
5 we look at the minimum at every time, and then look at
6 the average of the minimum, and look at the frequency
7 distribution.

8 We found that the minimum that is used by
9 Manitoba Hydro, and there is an issue here whether it's
10 the 1987, which is the lowest of the revenues, or the
11 lowest of the flow, which will be 1937-1942, are -- are
12 reasonable, and would they put us in a situation where we
13 may get a bad surprise.

14 Fortunately, the results that Lonnie was
15 able to find is that this minimum that we deal with is
16 really inside that average of minima and that you could
17 find that the 2.5 percent, correct me, Lonnie, if I'm
18 incorrect here, of the frequency, that there could be
19 minimum lower than that. We -- we were very happy with
20 that.

21 I mean, I thought it allowed us to say,
22 Manitobans, you can sleep at night knowing that there's
23 not going to be a blackout because what we're really
24 doing, we're doing something that is acceptable and well.
25 This was really the basis of what we're doing, and using

1 two (2) statistical systems, not one (1).

2 He used the AR, the auto regressive, and
3 he found that these coefficients, if you generate the
4 statistical process they were all high T-scores, good R-
5 squared, good P-values, all what you consider to be a
6 good statistical graph. And then he was not satisfied,
7 and -- and that's why we hired him.

8 He went down with the extreme value, which
9 he told you he looks at the tail of the distribution, the
10 left tail, which is the lowest, and tried to see if there
11 are statistical properties from this that would
12 corroborate. And low and behold, we found that even the
13 extreme value statistics gave us results that were not
14 different.

15 If I misrepresented you let me know.

16 DR. LONNIE MAGEE: Just to briefly
17 clarify part of that. I think if -- if you think of the
18 -- asking the question, suppose we go another ninety-four
19 (94) years, what -- what is the worst drought likely to
20 look like compared to what we saw in the historical
21 record, what both methods said was, Well, it could be
22 worse. It could be better than the actual worst drought
23 that we saw in the last ninety-four (94) years, which I
24 guess is not too surprising. But, on average, the worst
25 drought over the next -- that you could expect over the

1 next ninety-four (94) years will be on average about the
2 same as the worst drought that we saw in the last ninety-
3 four (94) years.

4 MR. GAVIN WOOD: Then if I could bother
5 you to turn to Section C and the -- the response paper
6 concerning Mr. Wallach's comments.

7 DR. ATIF KUBURSI: Yeah, I mean, Mr.
8 Wallach has made some -- some very reasonable points, but
9 he also was very unhappy about the veil of secrecy that
10 he found in this rate hearing. He says that all this
11 redactions, all this confidentiality, he could not make
12 informed decisions, and he would have preferred -- and he
13 -- he recounted his experiencing that in other hearings
14 there were more information that was involved that would
15 have allowed him to look at the statistical matters and
16 the calculations, whether or KPMG, KM, and any other one.

17 But he made, nonetheless, and found it
18 quite reasonable to make four (4) observations. One (1),
19 he said I don't Manitoba Hydro's use of 1987 and 1992 as
20 their lowest. He would have preferred that they would
21 use 1937 and 1942, all right? Because that -- that
22 represented probably different revenue and different
23 times, different prices, but in terms of the flow, the
24 1937/'42 in his view were a more appropriate one to
25 anchor your dependable-energy calculation.

1 The other thing he made -- he said Kubursi
2 and Magee are wrong -- well, not wrong, but he told you
3 not to believe them now. Even nicer: He said, Don't
4 take their recommendation. He said that it's premature
5 and that we have to do other things first, and -- and --
6 and -- and on this we agree with him, yeah. I mean, you
7 have to look at DSM, better DSM, you have to look at
8 different portfolio of renewables, yeah, greater
9 efficiencies, great. We didn't think our recommendations
10 were in any way a substitute for these things.

11 Actually, we -- we went to great lengths
12 thinking that all the things we're recommending are very
13 much contingent on Manitoba Hydro trying to have the cost
14 of service at its lowest. Actually, we went even further
15 and recommended that the whole objective of all these
16 models that are used by Manitoba Hydro should seek to
17 minimize the cost of operations, that this is really
18 something they have control over because the market in
19 which they operate, they really don't have a handle on
20 setting the price. They're quantity constrained because
21 they have to meet the load. In firm contracts, export
22 contracts, they are constrained on the price and on the
23 quantity, so the only thing left where -- where you could
24 do something is to minimize costs, and we thought this
25 would be -- he said it's premature, but we felt a little

1 bit unhappy with this.

2 Literally, he's arguing -- and we thought
3 all these things were an insurance scheme -- he's really
4 arguing saying, you know, Don't buy insurance until your
5 house is on fire. I mean, we didn't think this is really
6 -- all the issues here is basically to have this
7 insurance in place on a prior basis, before things really
8 happen, where you can possibly create the insurance
9 capacity and have an ability and build up a cushion that
10 will allow you to deal with these bad eventualities if
11 and when they occur.

12 And we said we really need four (4)
13 things, as you know, and I'm not going to go through
14 them, because there will be room to do, but we said,
15 Don't depend only on the retained earnings. Retained
16 earnings have so many functions, they are absolutely
17 looked at by rating agencies and others. I mean, the
18 last thing you want is one (1) single drought to wipe
19 everything out and then literally put you in a very
20 compromised position in terms of your financial health.

21 To this we said, Okay, let's balance our
22 water on a more conservative basis. Let's put a rider,
23 transparent one, on the rates so that the partners
24 everywhere, whether they're consumers or anybody else,
25 would become partners in creating the risk fund that

1 would deal with these things. Mr. Wallach was not happy
2 with this.

3 MR. GAVIN WOOD: Sir, I'm going on to
4 Chapter 5 now, which is quite a different topic. I
5 wondered if you'd like to take the afternoon break.

6 THE CHAIRPERSON: Yeah, I think we'd
7 probably like a break, but I -- I -- I'm no
8 mathematician, and I'm not an economist either, so here's
9 a real layperson-type question. I know in this province,
10 we oftentimes refer to floods, and we build the floodway
11 to withstand the one (1) in seven hundred (700) year
12 occasion, and they talk about the greatest flood known
13 presumably because of -- I don't know how they know it,
14 but is 1826.

15 We know, for example, that the Mayan
16 civilization allegedly, some people claim, died out
17 because of a hundred (100) year drought. I mean, we know
18 experiences in Australia. I was there when the drought
19 lasted well over a decade. A hundred (100) years in a --
20 in a planet that's been around for 4.6 billion if you
21 don't believe in -- you don't believe in creationism,
22 it's a pretty short period of time, isn't it?

23 DR. LONNIE MAGEE: Sure it is. The --
24 we're talking about a hundred (100) years I think mainly
25 because that's the -- the length of time that we have

1 this data set to work with. As you -- as you extend
2 further back, even for a system seemingly as stable as --
3 as a water system, you would get changes. So, in other
4 words, the system's not stationary if you go -- you know,
5 the ice age, we -- we would have had different water-flow
6 systems. So I don't think there's -- and in economics we
7 always have to worry about that too, where you're -- you
8 -- you specify a model, you use data to estimate it, but
9 if you go back far enough, well, you know, Germany was
10 East Germany and West Germany. So if you're modelling
11 Germany, all of a sudden you have a problem. So the
12 world is changing.

13 So there's always that -- those changes in
14 the -- the structure of what you're studying that -- that
15 limits how far back you can go or what you can say. But
16 another general -- another reaction to some of those
17 things you were saying is that I think they get picked up
18 by the media and become kind of viewed as facts, whereas
19 I bet if a number of different people studied the problem
20 they could all have legitimate approaches and come up
21 with quite different results, but one (1) of them kind of
22 gets picked up by the media and -- and gets -- often gets
23 viewed as -- as more of a solid fact than it really is.

24 THE CHAIRPERSON: What you're saying
25 basically is the modelling, even the -- multiple

1 possibilities has to be based on something?

2 DR. LONNIE MAGEE: Right, yeah. So it's
3 important to -- in -- in a newspaper story you can't go
4 into all the detail, but I guess in an academic setting
5 or more -- where you have more time you'd want to lay out
6 all -- everything about what you assumed, what you looked
7 at that underlies your conclusion. And then, when two
8 (2) people come up with different answers, they -- they
9 can try to resolve or see why their answers are
10 different.

11 THE CHAIRPERSON: Okay. We'll reflect on
12 that, and we'll take the break now. Thanks.

13

14 --- Upon recessing at 2:53 p.m.

15 --- Upon resuming at 3:18 p.m.

16

17 THE CHAIRPERSON: As they say, time
18 flies. Okay, Mr. Wood and the panel.

19 MR. GAVIN WOOD: Mr. Chair, we -- we --
20 the doctors and I had an opportunity to speak at the
21 break, and we wondered that I -- it got a little ragged
22 there at the end. I was pushing maybe a little too much.
23 Does the Chair wish to just have them speak a moment
24 further on what I might refer to as a Ba -- Black Swan
25 event in -- in terms of the calculations?

1 THE CHAIRPERSON: That's what I was
2 getting at, actually.

3

4 CONTINUED BY MR. GAVIN WOOD:

5 MR. GAVIN WOOD: I -- I wonder then, Dr.
6 Kubursi, we -- we were talking at the break about that,
7 the context of the -- those -- that questioning and the
8 comments just before the break. If -- if you could
9 elaborate on that, please.

10 DR. ATIF KUBURSI: I mean, it's -- it's
11 probably more in the -- in the preview (sic) of Lonnie's
12 things, but let me say this. We have only a hundred
13 years of data. Actually, there were some questions
14 whether the data before 1942 are acceptable or not
15 because they don't have the same accuracy or reliability
16 that some people have raised questions.

17 As you know, McCulloch (phonetic) and
18 others said: Okay, forget about all these things. We
19 need four hundred seventy-seven years (477) years. Let's
20 go to paleoclimatic data and look at tree rings and
21 things.

22 What we felt is that within the given
23 hundred years that we have, and if you sample them over
24 so many things, indeed we're going to get things that are
25 embedded into the structure of this hundred years. If

1 things were to change, climate change or there is a
2 structural break, this hundred years that we have sampled
3 within will no longer be valid. You know, there may be
4 things that would come that would be beyond what we have
5 really been able to talk about, a Black Swan of the type
6 that you're talking about.

7 But is -- what we thought is the extreme
8 value distributions may contribute something to this.
9 And -- and I maybe ask my colleague to -- to comment on
10 this.

11 DR. LONNIE MAGEE: Yeah, I think -- I
12 think the extreme value theory idea isn't quite the same
13 as -- as a Black Swan event. It's -- it's more of a -- I
14 see it as a way of saying something about what might
15 happen a little bit off outside of the range of what
16 you've already seen, assuming that the same process
17 continues.

18 So if the weather system stayed the same
19 as it has been, it's still possible that you could get a
20 drought worse than what we've saw in the last hundred
21 years, even if there wasn't any fundamental change in --
22 in the weather systems.

23 And -- and it -- it's that kind of
24 situation that extreme value theory can -- can deal with.
25 One (1) way of dealing with it, it can look at what's

1 actually happened and kind of poke a little bit outside
2 the range of what you've already seen; whereas Black Swan
3 events, my understanding is some totally unexpected
4 combination of things that you've never seen before and -
5 - I -- I think -- well, I know from when we were at the
6 control centre we -- they were -- engineers were telling
7 us about how they look at, you know, how -- imagining
8 what if various components failed at the same time, what
9 would they do.

10 You know, thinking through all kinds of
11 different combinations of things that haven't happened
12 before. So, I mean, within the -- the possibility of
13 your imagination to -- to think of what could happen, you
14 can study those, you know, what to do, but the Black Swan
15 thing, you know, nobody -- the definition of it is that
16 nobody even kind of imagined it happening before. So
17 it's -- it's kind of a challenge in risk management to
18 prepare for something that you can't even imagine.

19 So I -- you know, it kind of gets outside,
20 I think, even the realm of probability theory. It's more
21 just hunches and -- and trying to prepare for things as
22 best you can.

23 THE CHAIRPERSON: In our practice and to
24 do with auto insurance, they have something they call the
25 rate stabilization reserve and it's supposed to be there

1 not for anything that can be expected, but for the
2 unexpected, the experiences that have not occurred per
3 se. I just only have one (1) other question in this
4 series, and again it's from the layperson's perspective
5 in a sense.

6 You focus on one (1) particular period,
7 but we also know that the -- from '28 of, I think, to
8 '41, didn't they have twelve (12) years of drought out of
9 fourteen (14)? In other words, one (1) significant
10 drought with a bit of a break, followed by another
11 significant drought?

12 DR. LONNIE MAGEE: M-hm.

13 THE CHAIRPERSON: Sort of like flipping
14 coins it would be like.

15 DR. LONNIE MAGEE: Yeah, that -- that --
16 but that -- that sort of thing could easily occur by
17 chance in a -- in a system. You'd have to -- even though
18 there's a hundred years of data, if you think of a
19 drought as an event, there were -- we only have three (3)
20 events to go by.

21 So it's just like if you're picking -- say
22 randomly picking three (3) numbers from one (1) to ten
23 (10), typically they won't be evenly spaced, two (2),
24 five (5), eight (8), you might get a one (1), a two (2)
25 and a six (6). It doesn't mean that there was anything

1 especially different about the numbers one (1) and two
2 (2). It just so happened you -- you picked them that
3 time, so.

4 DR. ATIF KUBURSI: We all recognize that
5 this, you know, Black Swan came with this book, Nassim
6 Taleb's thing. And the story he gave it was a bit funny,
7 as you probably know, is that this turkey you keep
8 feeding him every day and then one (1) day he expects
9 that you're going to feed, and then you come and he
10 slaughtered the turkey.

11 And he says that this is a situation that
12 we have to be quite often. We don't have to be turkeys,
13 all right, and we have to recognize that there are going
14 to be extreme events with very low probability of
15 occurrence, but with calamitous -- with incredible
16 consequences.

17 And what he's really arguing and then he
18 takes it to the pilots. And he said, you can't train
19 pilots on smooth flying, that you possibly have to always
20 expose these pilots to a situation where there are going
21 to be extreme weather events and to see what's happening.

22 Now, what is the conclusion from this that
23 he came out with, is that what you need here to do is to
24 have a minimum regret strategy, is that you plan
25 everything on average, but always be prepared for these

1 extreme events. He says, Look at the market. If we were
2 to believe that diversifying an average risk is what we
3 need to do, what will happen is that we will allocate our
4 assets on an average basis, but then the market goes down
5 by 10 percent and we lose the 10 percent. We could have
6 -- it could go to 20 percent, and then we lose 20
7 percent.

8 In such circumstances, he says, well,
9 probably a more prudent way would be to put 90 percent in
10 secure assets, and take 10 percent and put it in the most
11 extreme type of assets, high-risk assets. If the market
12 goes 20 percent, you only lose 10.

13 So in some sense, what he was trying to
14 argue is that there are strategies in risk management
15 that could deal with these extreme cases, and what would
16 this mean is that you put the largest risk-management
17 investment into the average things that's happening, but
18 keep a reserve that would allow you to weather even the
19 most extreme case, and that's I think the -- the -- the
20 argument that he was making, at least my understanding of
21 it.

22 THE CHAIRPERSON: Well, not to prolong
23 it, but I -- when you're talking about massive large
24 expenditures, you -- you do tend -- I think it's fair to
25 say that parties do have different views on risk, okay?

1 I mean, one party can be more aggressive than another.

2 After Rita and Katrina, for example, in --
3 in the United States, the natural gas prices exploded. I
4 mean, half of the gas production in the southern Gulf
5 states were -- was out, and part of the distribution
6 system, and helped by a -- apparently by a Calgary trader
7 -- Amaranth, I think the name was, anyway, the -- the
8 price went up to pretty well fifteen dollars (\$15) a
9 gigajoule.

10 At that price, if it -- if it was
11 sustained, it would be a significant economic blow to the
12 consuming provinces as opposed to a producer province.
13 And I can remember discussions at that time about -- the
14 decision was taken at that time to moderate the rate
15 increase, and some of the discussion around that time
16 was, Well, if it stays at fifteen dollars (\$15), the
17 price is the least concern, in a sense, because you'd
18 have 85 or 90 percent of the households un -- unable to
19 pay for the fuel supply.

20 But it's just -- the subject of extreme
21 events is -- is of considerable interest. We get into it
22 a lot in the auto insurance.

23 MR. ROBERT MAYER: Well, what -- you
24 know, nobody's -- we -- we've talked about extreme
25 events, we've talked about Black Swan, we -- we've talked

1 about failures of Hydro's particular systems and what may
2 happen, and if anything ever looked like a Black Swan
3 event, it seemed to be the combination of the earthquake
4 and the tsunami, both of which had never been seen
5 together in -- in Japan.

6 I don't know how anybody plans for
7 something like that in any kind of a system, and not only
8 I don't know how, I don't -- well, I have no idea what it
9 would cost to protect any kind of a system from that kind
10 of an event. And other than squirrelling whatever money
11 you have away somewhere that it can't be got at by
12 whatever disaster you've been hit by, I don't know where
13 you go to deal with that kind -- with -- with -- I mean,
14 that had to be a Black Swan event if one has ever
15 actually been seen by our neighbours.

16 DR. ATIF KUBURSI: Well, I'm glad you
17 brought this, Mr. Mayer, because that's exactly what
18 happened. What -- what the story is now about Japan is
19 that they have targeted and took into account the worst
20 hundred (100) years earthquake, and they multiplied it by
21 ten (10) and reached eight point four (8.4), and made all
22 the planning and all their insurance on eight point four
23 (8.4), and they experienced an eight point nine (8.9).

24 And -- and -- and this is really where --
25 where -- where all the issues are. I mean, what Nassim

1 Taleb is saying, Keep that 10 percent whatever you do,
2 and then make sure that you take that worst possible
3 case, so that in the event it happens, with all this
4 small, little probability, you are prepared.

5 THE CHAIRPERSON: Thank you. Mr.
6 Wood...?

7

8 CONTINUED BY MR. GAVIN WOOD:

9 MR. GAVIN WOOD: Turning to page 41 of
10 the Direct Examination, again, trying to put these things
11 in some orderly context, Dr. Kubursi, I would ask you to
12 turn to, firstly, Section 10(d) and the response paper
13 'B' to the work of Bowman and McLaren, and -- and then,
14 in turn, to 10(e) and Section D, dealing with the first
15 part of -- first parts of the response to the rebuttal of
16 Manitoba Hydro.

17 If you could deal with Section B first,
18 please.

19 DR. ATIF KUBURSI: Well, the two (2)
20 issues Mr. Bowman and McLaren had raised -- and I already
21 talked a little bit about it, but maybe it's worth maybe
22 taking some time to reoutline the issues. Both Mr.
23 Bowman and McLaren had felt that our suggestion that
24 there should be rate adjustments and riders are probably
25 not advisable.

1 And they felt that somehow we're arguing
2 that we build a large reserve in retained earnings is
3 perhaps an overkill. Well, I mean, the -- the issue here
4 is basically that we don't want to depend solely on the
5 retained earnings. And we still believe, given the
6 calculation every five (5) year drought course and a
7 seven (7) year drought course and the revised submission
8 that they could be up to \$4.3 billion and that one (1) of
9 these droughts could wipe out the total amount of
10 retained earnings.

11 So, in some sense, we felt like if you
12 were to depend solely on retained earnings, you probably
13 don't have enough. And if you depend on it even when
14 it's enough, it's not advisable because retained earnings
15 would be used for other things, and you don't want to
16 totally devote it and reserve it for dealing with this;
17 you have to compliment it, and we came up with three (3)
18 complements to it. One (1) is the overrider that we
19 talked about.

20 This by way of, let me emphasize again,
21 inviting the consumers to be partners in a transparent
22 way. You know that Ontario Hydro now, part of the bills
23 we receive, one (1) of which is for the cost of
24 generation delivery, but also there is a part in which we
25 are, as residents of Ontario, participating in paying the

1 debt that Ontario Hydro had raised.

2 So, I mean, in some sense is it
3 precautionary, but also a transparent partnership is
4 created by inviting the consumers to be part of the
5 group. The -- the other one is to maybe use more
6 cautiously the water because water is energy and storage;
7 it has value, and we're arguing that maybe a more prudent
8 one. It is not only good for creating the reserve; it's
9 also giving you a chance to probably be better prepared
10 in the event a drought is taking place.

11 We also talk about really some sort of
12 willingness to go into borrowing up to a particular
13 level, but in a way that this would be a capacity
14 facility that is available, that Manitoba Hydro could
15 avail itself of it on a limited and devoted basis.

16 The -- the other point is they were
17 unhappy with us suggesting that Manitoba Hydro should
18 refrain from maximizing net export revenue. And we have
19 suggested that probably they should target minimizing
20 system cost, production cost, generation delivery.

21 And -- and we wanted this for a number of
22 reasons; one is cosmetic. I mean, this is a public
23 utility. The last thing you want to basically advertise
24 is that it's using its natural monopoly position to
25 maximize its profits or net income, net exports; whatever

1 word you want to give it. We thought that this perhaps
2 is not a very appealing situation.

3 The second thing is more technical coming
4 purely from microeconomics. The way the Manitoba Hydro
5 operates, it's a price taker in the export market because
6 it's a small participant and cannot influence the price.
7 It's a price taker, and, in some of the contracts, is
8 constrained quantity and price. And in the domestic
9 economy it doesn't set its price, it has to come to you
10 to get the price.

11 So if in all these cases there is only a
12 limited amount, the opportunity market where it
13 maximizes. Why doesn't it alternatively look at all
14 these given production limitations. It minimizes the cost
15 of production. That would probably be a more efficient,
16 a more reasonable and, in our view, perhaps a more
17 advisable realistic thing to do.

18 MR. GAVIN WOOD: And -- and then if you'd
19 look to Section D of the same response paper, the -- the
20 first two and a half (2 1/2) pages of the re -- response
21 to the Hydro rebuttal, is there anything specifically you
22 wanted to highlight there or -- I -- I think you've
23 covered off the part at page 8, for example now.

24 And I think you've talked earlier about
25 risk tolerance differences, so.

1 (BRIEF PAUSE)

2

3 DR. ATIF KUBURSI: Yeah, I want to
4 emphasize two (2) things. One (1) is -- is the issue of
5 -- and we're talking here primarily about wind being part
6 of the dependable energy. I mean, we know, I mean, a
7 reasonable argument could be made either -- either way.
8 We -- we fell on the side of saying that since wind is
9 not dispatchable, it's not a -- a way in which you could
10 say let's -- let there be wind, there will be wind, it's
11 not subject to decision options, that it -- it probably
12 is not reasonable or legitimate to consider it to be part
13 of the dependable energy. We were bold to consider it in
14 this way. The fact that FERC, the Federal, you know,
15 Energy -- the U.S. does not consider wind as part of its
16 reliable sources, so this was really our position.

17 The other -- the other point, and maybe
18 you want me to talk about it is in terms of the data, or
19 you -- you prefer . . .

20 MR. GAVIN WOOD: No, I think later on.

21 DR. ATIF KUBURSI: Later on.

22 MR. GAVIN WOOD: Sorry, I -- I think
23 we'll refer to that --

24 DR. ATIF KUBURSI: Okay.

25 MR. GAVIN WOOD: -- in -- in the norm --

1 in the due course.

2 DR. ATIF KUBURSI: Yeah. Yeah.

3 MR. GAVIN WOOD: Okay.

4 DR. ATIF KUBURSI: All right. So if you

5 --

6 MR. GAVIN WOOD: Let me then -- sorry.

7 DR. ATIF KUBURSI: I was going to -- you
8 mentioned that -- yeah, you mentioned that we talk about
9 the misalignment issue. I mean, in no way did we suggest
10 that Ont -- that Manitoba Hydro is trying to enrich or --
11 a group or itself on these things. All we were really
12 suggesting that the way that the things are rigged, the
13 way the things are run, if Manitoba Hydro were, for
14 example, in a period of time when it's not yet so certain
15 about what the likelihood of precipitation is going to be
16 and it has this water, and instead of storing it, thinks
17 that this is a time maybe to sell it and -- into the
18 opportunity market.

19 Whatever returns that come from
20 undertaking this risk is going to be Manitoba Hydro's.
21 It's not going to pass to the consumers. And in some
22 sense it may really be taking a position, in our view,
23 that is more risk engaging than is the appetite and the
24 choices of a more risk adverse citizenship that would
25 have preferred really not taking these risks.

1 And therefore, there is a possibility of a
2 misalignment not in the sense that somebody is enriching
3 somebody else, that we would like to be voting and
4 weighing on the side of caution rather than on more risk,
5 just because we feel that the people of Manitoba are far
6 more risk adverse than that proposition.

7 MR. GAVIN WOOD: Going on now to page 42
8 of the Direct Examination and now to a different matter
9 of Chapter 5, if I might just first summarize for the
10 Board and -- and the -- the counsel, the -- the first
11 part of it dealing with the NYC has -- has, of course,
12 been covered earlier today. And the -- the -- the
13 attempts partially successful to meet with her.

14 Moving on to 10 -- 11(b), I'd ask you, Dr.
15 Kubursi, to explain the format of how you approached the
16 whole matter of the reports and -- and the NYC's
17 concerns.

18 DR. ATIF KUBURSI: We mentioned earlier
19 that we had fourteen (14) documents to go through. And
20 we had several options. We could take every single
21 report on its own. We go through it, we summarize it, we
22 evaluate its evidence and its propositions, or we could
23 group these together under general themes and then each
24 theme with the issues that were raised and look at how
25 each one (1) separately or in combination have dealt with

1 it. We opted for that.

2 We thought, let's look at themes and see
3 what one party came up with, what another party came up
4 with. And -- and -- and in many respects, we felt that
5 this is a preferred one, because not all of these reports
6 have touched on every aspect, and not all of them are of
7 equal quality. So it's -- probably a more prudent and
8 reasonable approach would be to look at themes, general
9 themes, and collate all these things around themes.

10 It so happens, too, is that some of these
11 reports were almost solely devoted to looking at another
12 report and then looking at the pros and cons, and -- and
13 we felt that maybe, as independent consultants, we'd look
14 at the arguments, the counter-arguments, and come up with
15 some finding or our assessment of the evidence and the
16 claim, counterclaim, not engaging ourselves into the
17 adversarial relationship, but passing what we consider to
18 be reasonable judgment and evaluation on these.

19 So the way we organized it is to look at
20 themes, and there were maybe, you know -- Mr. Mayer
21 already caught us in this. You're absolutely right:
22 There are fifteen (15), and we only reported fourteen
23 (14), and there was number 7 missing, and I apologize.
24 It's my mistake. So --

25 MR. GAVIN WOOD: And -- and we're coming

1 -- we're going to be coming up on that, sir, but the --
2 the themes that you're referencing --

3 DR. ATIF KUBURSI: Yeah.

4 MR. GAVIN WOOD: -- just -- just for the
5 -- the sake of the Board, is -- is at pages 166 and one
6 on -- on to 167, and it's summarized at page 43 of the
7 Direct Examination.

8 What I was going to ask you then to go on
9 to is section 11(c) of the Direct Examination, where I
10 believe you attempt -- we've attempted to summarize the -
11 - the approach taken at page 167 through 189 of the -- of
12 the report.

13 DR. ATIF KUBURSI: Yeah.

14 MR. GAVIN WOOD: Could -- could you just,
15 again, summarize that, please?

16 DR. ATIF KUBURSI: Yeah. I mean -- I
17 mean, the major -- the major themes: We looked at the
18 effectiveness and appropriateness and the predictive
19 accuracy of the suite of models. There were some
20 questions, whether from NYC or others, about the
21 predictive power and the feasibility and accuracy and
22 utility of some of the suite of models at Manitoba Hydro.

23 The second basic theme was, and a major
24 one is: How important is the volumetric drought risk?
25 And what would be the best metrics to measure this risk?

1 And what are the consequences likely to follow, whether
2 of a one (1) year or a five (5) year or seven (7) years?

3 Then there are issues, and we thought the
4 theme is quite important, is our risk governance: What's
5 the relationship of the front office to the middle
6 office? And who's responsible for what? And what
7 mechanisms and procedures and policies and documents that
8 exist that deal with this?

9 And then the fourth one was basically
10 talking about risk management, actual risk management, in
11 regards to production, generation, sales, merchant trade,
12 human resource, finance, things that we -- we -- we dealt
13 with, things we -- we felt like probably outside our --
14 you know, outside our expertise. Like human resource
15 risk, we didn't deal with it, but we tried to deal with
16 what we consider we can contribute something on, and --
17 and -- and especially we did not go beyond the fourteen
18 (14) reports that came in. Unfortunately, the fourteen
19 (14) reports, in their majority, concentrated on
20 financial risks, and this had limited, therefore, in --
21 in some respects -- it defined boundaries for us that we
22 had to live with.

23 And the fifth one, we -- we tried to talk
24 about self-insurance, capital reserve adequacy. NYC had
25 made a big issue of this and tried to assign a certain

1 a -- the gist of what considered to be the analysis that
2 you went through. We tried to capture the most important
3 and most salient and most relevant issues. And -- and in
4 many respects, we were prepared to stand up and say our
5 opinion, our evaluation led us to say the following.

6 MR. GAVIN WOOD: Let me -- and -- and I'm
7 sorry, I'm throwing this at you, I think, at just a touch
8 of a curve ball. But maybe before going on and asking
9 you to highlight some of the most important of the
10 findings -- and, again, I appreciate the -- the KM Report
11 goes into them in detail and -- and it's set out there.

12 Overall, in terms of the concerns that the
13 NYC raised in all of their complexity, and I believe
14 again there's been an attempt to summarize them in the
15 report, but, overall, your -- Dr. Magee, and -- and
16 certainly yourselves, overall sense of the NYC's
17 concerns. Just take your time, and in -- in terms of
18 giving the Board an overall assessment as -- as best you
19 are able to with the access you did have and -- and the
20 documents that were available to you.

21 DR. ATIF KUBURSI: Let -- let me start by
22 saying the following. I mean -- and -- and this is -- I
23 don't know, Dr. Magee didn't have the same contact with
24 her as I did. I -- I would -- I would honestly say, and
25 looking at her CV, this is a new basically theoretical

1 physicist from Cambridge University; studied with Steven
2 Hawking. I mean, thi -- this is not an average person;
3 no question about it. Her education, her intelligence
4 and things is without any -- any doubt.

5 But this -- honestly, this education and
6 this expertise did not come quite clear in the written
7 reports that we got. And, in some sense, we were
8 constrained to only examine one (1) single document given
9 all the intricacies that we talked about in -- in the
10 morning and her unwillingness to share things openly and
11 freely.

12 We were literally forced to look only at
13 the public document. In the public document she made two
14 hundred and forty-six (246) claims, some of which are
15 absolutely, I would say, unreasonable, all right, in the
16 sense that they were not documented and that if she uses
17 any estimation, if we tried to recalculate we did not
18 come to the same calculations.

19 And when others, like KPMG or other people
20 have attempted the same, they have also reached the same
21 conclusion. But there were many points too where she has
22 raised concerns that we felt they were justified. They
23 were reasonable concerns. They were reasonable questions
24 that would be worthwhile looking into them and dealing
25 with them.

1 And I would go, as I go in details here,
2 to point out some of these reasonable ones, as I would
3 also go, as -- as we did in -- in the details here, to
4 say some of these allegations are without foundation;
5 they don't seem to jive.

6 Eve -- even when we do our own
7 calculations, we can't come out. I mean, I give you one
8 (1) glaring example. She has felt all the way through
9 that volumetric risk is far below what Manitoba Hydro
10 estimates. And she has done this, in our view, on a
11 faulty presumption of looking at only one (1) year and
12 assuming every year -- that drought only in one (1) year,
13 and you have '94, then it's one (1) over ninety-four
14 (94). Actually, she took only '93, so one (1) over
15 ninety-three. Every event is independent, totally
16 uncorrelated, and, therefore, the joint probability of
17 this independent events is one (1) over ninety-three (93)
18 times one (1) over ninety-three (93).

19 And if it's five (5) years then, she takes
20 it one (1) ov -- you know, over ninty-three (93) raised
21 to the power of five (5). And -- and -- and came up that
22 you'll get a drought -- a chance for five (5) years from
23 the sample -- like one (1) in 6.9 billion years or
24 something like this.

25 I -- it didn't -- it didn't make any sense

1 at all. So in -- in -- in many respects what -- what --
2 what we wanted to do is to take very seriously, and we
3 took very seriously her contentions and we subjected them
4 to scrutiny and validation and tried to give her even the
5 benefit of the doubt and see when we thought there was
6 some element of reasonableness, we were not shy about
7 saying, she raises reasonable concerns, valid concerns
8 and we follow them through.

9 MR. GAVIN WOOD: And the Board then
10 should understand that in terms of the findings that
11 we're about to go through in -- in a summary way, where
12 appropriate, her -- her concerns have been tested and --
13 and if found valid, have been incorporated into the
14 findings?

15 DR. ATIF KUBURSI: Yeah, in -- in most
16 cases yes. I mean, we took them very seriously and we
17 followed through by analysing, by deconstructing,
18 constructing, doing whichever way we thought it would be
19 reasonable to give her the best benefit of doubt about
20 her claims.

21 MR. GAVIN WOOD: Then going on to section
22 11(d), specifically of the direct at page 45, and -- and
23 appreciating, again, that starts at page 166 of the
24 report, the first finding, for example, ultimately being
25 reached at page 176 and thereafter.

1 Would you -- would you summarize then over
2 the next several pages the -- the -- the principle
3 findings in whatever manner you -- you wish.

4 DR. ATIF KUBURSI: Yeah. I mean, her
5 major claim was that the models that Manitoba Hydro uses
6 are primarily faulty and they use faulty prices. And she
7 calls them stale prices, that somehow -- old prices that
8 -- somehow the MISO deregulated markets have come in and
9 created new sets of prices, that they are not
10 incorporated in HERMES.

11 And that this forecast that are generated
12 by HERMES are based on this old decrepit prices. Our
13 first finding found that these were not correct. I mean,
14 we knew that HERMES make adjustments. It purchases these
15 forecasts. It tries to adjust them. In many respects
16 they have examined certain forecasts and felt that they
17 were optimistic, they bring them down. If they found to
18 be very pessimistic they might bring them up.

19 She made one (1) important recommendation
20 which we felt may be reasonable, is in the sense that you
21 should really -- Manitoba Hydro would be good to look at
22 alternatives, one (1) of which is to construct what she
23 called the forward price curves, based on expected
24 prices, try to calculate the spot price.

25 We thought that she brought a point here.

1 She did not elaborate on it. We did not have any clue
2 how she really suggesting this, but it made sense that
3 you don't depend on one (1) alternative and that you
4 probably need to look at this.

5 And -- and for all practical purposes
6 whenever Manitoba Hydro buys a certain response for
7 twelve (12) months, it uses one (1) month and then the
8 next month it uses for twelve (12). I mean, we thought
9 they were doing something with this, but we wanted it to
10 be documented, formalized, so that we have really basis
11 to believe that they are considering this alternative.
12 So this was number 1.

13 On the second one the -- the issue that --
14 and I talked to you about it here, she was looking at the
15 water flow data and she suggested that the accuracy of
16 this water flow data be below -- before 1942 they're not
17 good and she went and recommended discard all this data,
18 don't use it, because it's not of equal quality to data
19 from 1942 onward.

20 We -- we looked into it and KPMG has done
21 this before us. They looked at these numbers before.
22 They're coming from gauging stations. They were subject
23 to interpretation. But like we wanted to see what sort
24 of bias would this inclusion would do and we found the --
25 the inclusion bias sinks into the conservative lower

1 side. So if there were really any worry here that these
2 numbers are there to -- in order to boost things and make
3 things more optimistic, they're actually doing exactly
4 the opposite.

5 So in many respects, we said, No, it would
6 be quite important to keep the '94. We suggested that
7 you should not be restricted to this '94, and felt that
8 the kind of things that Lonnie has done in terms of
9 sampling repeated samples of millions of these things
10 would probably be a more appropriate way. So this was
11 our finding number 2.

12 She was -- and I -- we thought it was
13 reasonable that it would not be, on a optic level, a good
14 thing that people could find that in HERMES and in SPLASH
15 there are different production coefficients. It would
16 make so -- more sense if these were to be rationalized
17 and integrated. But we also looked and saw what other
18 people calculated, and back of the envelope calculations
19 that we went through, any changes in these or
20 discrepancies of production coefficient, the impact on
21 export revenue was so small that it was not, in our view,
22 such a great, important point to make big hay out of it.

23 MR. GAVIN WOOD: And that's found at page
24 179 of the KM Report.

25 DR. ATIF KUBURSI: We -- we also felt in

1 -- in -- in -- in this finding, you know, finding 4, that
2 -- and -- and -- and here she was suggesting that somehow
3 there is a problem in the way -- the structure of the
4 model. She did not articulate it well. We felt maybe
5 she was talking, and -- and -- and this was really our
6 view more than hers, is that it -- it would be really
7 nice to bring in some hydrological information because
8 she was in some sense arguing that the antecedent
9 forecasts are probably heavily relied upon. And if you
10 really look year by year at the statistical properties,
11 particularly in number of months, we felt that, yeah, the
12 T-score, which is the way we could tell whether that
13 variable is a meaningful variable or not. Like, you
14 usually test the hypothesis of a T-score of something
15 that's high, it says that the inclusion of that variable
16 and its coefficient is important, is different from zero.
17 And -- and we felt, yeah, okay, it was
18 from zero, but we found that the R-squared, which is the
19 goodness of fit of the whole equation, was still low,
20 which gave us the impression -- and if I'm wrong, correct
21 me, Lonnie -- that they're missing variables. And we --
22 we felt that an improvement can be made by maybe
23 considering multiple lags or maybe putting some
24 precipitation variables into the equation. Since it's a
25 hydrological equation anyway, why would it make sense to

1 maybe include things? So we gave her the benefit of the
2 doubt. I said, Yes, maybe antecedent forecasts could be
3 supplemented and improved.

4 And in finding number 5 --

5 MR. GAVIN WOOD: Could I bother you just
6 to amplify for the Board the reference to BC Hydro --

7 DR. ATIF KUBURSI: Yes.

8 MR. GAVIN WOOD: -- and Hydro Quebec
9 there, please?

10 DR. ATIF KUBURSI: Yeah. I mean, we --
11 we -- we found that there were articles published by
12 people who are at Hydro Quebec and people at BC and other
13 aca -- academicians who were arguing and trying to say,
14 Look, if you're dealing with models over time, it would
15 make more sense to have dynamic specifications rather
16 than the static one year to year, and that some of them
17 are moving towards stochastic programming where they
18 would maximize the expected value of something or
19 minimize the variance of something.

20 So we felt that this is an area where it
21 would be beneficial for Manitoba Hydro, and I've talked
22 about it before, to -- to consider. It was not NYC that
23 she brought these things, but since we felt that other
24 people had brought it up in these -- in the -- in the --
25 in the various reports, we thought we brought -- would

1 bring it here.

2 MR. GAVIN WOOD: And that finding 4 is at
3 pages 180 and 181, I noticed. Please go ahead.

4 DR. ATIF KUBURSI: The -- the model
5 governance, I mean, there she was arguing very strongly
6 about an improvement in the role of the middle office,
7 and we felt that this was reasonable. She wanted the --
8 she was very much concerned about having more than one
9 (1) pair of eyes looking at things. She always was
10 arguing that you cannot be in the front office, the judge
11 and the jury; that if you were to calculate certain
12 things, it would be better that you give it to somebody
13 else to vet it in the middle office, and that more than
14 two (2) sets of eyes to look at things. And lone wolf, I
15 mean, she is quite expressive about things.

16 MR. GAVIN WOOD: And -- and I think that
17 middle office has been covered earlier today.

18 DR. ATIF KUBURSI: And -- and we have
19 covered it earlier.

20 MR. GAVIN WOOD: Then going on to --

21 DR. ATIF KUBURSI: The -- the lake
22 balance is --

23 MR. GAVIN WOOD: -- fi -- finding 6.

24 DR. ATIF KUBURSI: Yeah. The -- the lake
25 balance is -- is an issue here. She found some

1 discrepancy between what she calls a Generation Estimate
2 and HERMES solutions. But then we found that these are
3 not as serious as she has purported them to be. But we
4 felt that maybe some of the problems she's talking about
5 -- and she did not mention this, and it's our view that
6 maybe they're coming because of the fact that we're using
7 static deterministic models, and it would have been
8 better and things.

9 The -- the issue that there is also
10 discrepancy between HERMES and SPLASH in the sense that
11 SPLASH is predicated on the assumption that they know
12 with certainty what the amount of water you need in the
13 next period, and it's built in, whereas in HERMES the
14 lake balances at the end of the period is a calculation
15 from the optimization.

16 And there is an issue here in trying to
17 see to what extent can you have a more coherent
18 consistent dealing with this water balances. If
19 predictive accuracy --

20 MR. GAVIN WOOD: Just -- just pause for a
21 moment. Ju -- just so that the Board is aware thou --
22 those references to HERMES and SPLASH, are they also
23 reflected in the earlier discussion of the models in
24 Chapter 4 of your report?

25 DR. ATIF KUBURSI: Chapter 5.

1 MR. GAVIN WOOD: Chap --

2 DR. ATIF KUBURSI: Chapter 3 in our
3 report.

4 MR. GAVIN WOOD: Chapter 3, sorry.

5 DR. ATIF KUBURSI: Yeah.

6 MR. GAVIN WOOD: But they -- they should
7 understand that where the -- the matters you're
8 summarizing now have been picked up on at other points
9 where there's recommendations being made in your report?

10 DR. ATIF KUBURSI: Right. And -- and,
11 Gavin, also we have -- as you can see, these are the
12 summaries. They were four (4) or five (5) pages of
13 discussion earlier that would take into details what we
14 have summarized here.

15 MR. GAVIN WOOD: And they're -- they're
16 certainly aware. I'm trying to follow it for them in the
17 report as we go along, sir. Nu -- number 7 then, please.

18 DR. ATIF KUBURSI: Yeah, I mean, here, we
19 -- we felt that back -- she has suggested back-testing.
20 We -- we bought this. We thought this was a good idea,
21 that in any forecasting you usually have to do forward
22 testing and backward testing.

23 I mean, typically in models what they do,
24 they estimate over a period. They get the coefficients.
25 And then they say, Wait a minute, let's really look at

1 the models and leave the last three (3) observations away
2 from the estimation and use the model to predict them
3 because you have already the numbers, see if what the
4 models would predict these values to be. And then you
5 will be able to get the errors of forecast.

6 And if the model is predicting, well,
7 these errors of forecast, all right, whether it is the
8 absolute value -- errors means absolute value, errors or
9 square of the errors is a test of the predictive accuracy
10 of the model. So this back-testing, and she's suggesting
11 that -- we felt that it was reasonable, and we called for
12 it too.

13 MR. GAVIN WOOD: Then utility and
14 relevance?

15 DR. ATIF KUBURSI: Yes. Well, in -- in
16 some sense, she was suggesting, and we did not see any
17 evidence of this, as if her means and models at Manitoba
18 Hydro are directly used in the trading room, and that she
19 was saying that the web trader was already reporting
20 estimates and errors from HERMES.

21 We saw no evidence that -- that trading
22 decisions are made solely or automatically on HERMES
23 results. We felt that HERMES should and could and must
24 inform decisions, but it's in no way a substitute for
25 making the decision. They -- they just don't replace

1 traders who should really be informed and use this
2 information, and on the basis of which they could make
3 certain decisions, but these are not automatic things.

4 So her claim that HERMES and its mistakes
5 are basically resulting in large trading losses we found
6 not to be tenable.

7 MR. GAVIN WOOD: And, again, just so the
8 Board understands how you approach these matters, would
9 there have been a discussion with Hydro staff on an
10 allegation such as the one you've just referenced?

11 DR. ATIF KUBURSI: Yeah, we -- we
12 certainly talked to the people in the trading room, and
13 we got enough comfort that they're not doing what she has
14 alleged that they are.

15 MR. GAVIN WOOD: And that's found, sirs,
16 at pages 186 and 187 of the main report. Then going on
17 to the finding 9, please.

18 DR. ATIF KUBURSI: Yeah, I mean, she
19 seems to have found that the drought cost in her view is
20 overestimated and is used purposely, this overestimation,
21 by Manitoba Hydro to mask what she considers the true
22 risks which are in the long-term contracts.

23 So -- so she felt that the drought risks
24 are exaggerated at Manitoba Hydro and are used as a
25 pretext for covering up inefficiencies or greater

1 exposure in the long-term contracts. We did our
2 calculations, and our calculations were actually higher
3 not lower than Manitoba Hydro. The five (5) year and the
4 seven (7) years, with a magnitude of between 500 million
5 and 1 billion, our estimates are higher than those of
6 Manitoba Hydro.

7 Her estimates are of between three fifty
8 (350) and seven fifty (750) and then went up to one point
9 two (1.2) are -- are low estimates. And -- and
10 predicated on -- in our view on a wrong calculation of
11 probabilities.

12 MR. GAVIN WOOD: And -- and what about,
13 sir, the underlying serious allegation of misconduct on
14 the part of Manitoba Hydro staff on that matter, any --
15 any suggestion of that in -- in your review with Dr.
16 Magee?

17 DR. ATIF KUBURSI: We have no basis at
18 all to believe that there is any misconduct on the part
19 of the staff at Manitoba Hydro.

20 MR. GAVIN WOOD: In -- in regard to the
21 matter we've just been discussing?

22 DR. ATIF KUBURSI: In -- in the matter of
23 trading based on this or in exaggerating the cost of a
24 drought.

25 MR. GAVIN WOOD: And then going on --

1 sorry, and going on at pages 191 and thereafter of the
2 main report, at page 48 now, finding 10 of the -- the --
3 the direct, would you summarize that, please?

4 DR. ATIF KUBURSI: Yeah, I mean, there
5 was almost a consistency among all the reports that the
6 middle office should be elevated in importance and should
7 be credited with more responsibilities, and that it
8 should be beefed up with more staff and -- and expertise
9 to do its job properly, and there was also, you know,
10 recog -- recong -- recognition and recommendations on the
11 part of most people that middle office should also be
12 involved in long-term contracts and negotiations.

13 MR. GAVIN WOOD: And I -- I -- I think
14 just going on now to the next section. I'll just pause
15 for a moment and -- and confirm that Dr. Magee and
16 yourself had checked at noon hour, and for some
17 inexplicable reason, finding 7 got dropped later when
18 you're dealing more in a summary with the findings.

19 So that's -- it just simply is a -- just
20 an oversight --

21 DR. ATIF KUBURSI: An oversight on my
22 part.

23 MR. GAVIN WOOD: -- on -- on -- on the
24 part of yourselves and -- and my part, frankly, in -- in
25 trying to review it for you afterwards. If -- if we

1 could then go on to page -- the bottom of page -- the --
2 the bottom of page 47 of the direct, Section 11-E.
3 That's quite a long section in the --

4 DR. ATIF KUBURSI: I'll -- I'll summarize
5 it.

6 MR. GAVIN WOOD: -- in the report, pages
7 191 through 220. Would you -- would you do that for me,
8 please.

9 DR. ATIF KUBURSI: Yeah. I mean, there's
10 wide discrepancy here between ICF, KPMG, Dr. Patchatoria
11 (phonetic), Deloitte, and ourselves, and the NYC. I
12 mean, the claims of NYC was that Manitoba Hydro should
13 stop immediately any long-term contracts. That the terms
14 of the contracts, the prices that were negotiated are all
15 defective, they are far below what the spot prices were.

16 I mean, she was right on one (1) thing, in
17 2006/2007, the spot off-peak prices were really higher
18 than some of the con -- but in every other year if you
19 look at them in the whole sweep over the contract, the
20 average price of the contracts were higher than the spot
21 peak or off-peak prices for most of them.

22 So the -- the way the things came out is
23 that her recommendations and assessment of the long-term
24 contracts were a bit on the exaggerated side. And her
25 recommendations were, to some extent, a -- a bit far-

1 reaching. They're not reasonable. I mean, completely
2 stop any long-term contracts, cut out all the long-term
3 sales.

4 Where she has really a point is that she
5 wanted to make sure that whatever risk exposure -- and
6 this risk exposure comes from the fact that, when you
7 engage into long-term contracts, and in times of your
8 inability to deliver, where you have to either fire
9 expensive thermal or buy imports at congestion prices,
10 that the exposure is extremely high, and that the losses
11 become real, and that Manitoba Hydro must and should be
12 always ready to assign what she calls reserve capital,
13 risk capital to back up these exposures.

14 And here the -- the -- the situation is --
15 is important, and -- and in many respects, in our
16 considered judgment at the moment, that the new term
17 sheet that we saw, and reviewed only one (1) contract,
18 that -- and these are all confidential, but it's our
19 judgment that now there are worked into these contracts
20 what we consider to be curtailment provisions that would
21 allow a safety valve, and there is an upset price on heat
22 rate that would protect, to some extent, not fully but to
23 a good extent, the exposure of Manitoba Hydro in the
24 long-term markets if they were able to sign contracts
25 that would include all these provisions. At the moment,

1 you know, we saw these as part of the negotiation, and we
2 felt comfortable with it and could address easily these
3 things.

4 Now, the -- the issues that she dismissed
5 very quickly -- and ICF we thought did a very thorough
6 job -- is that these long-term contracts are part of the
7 balancing act and the mitigation strategy in the sense
8 that if you have a really diversified portfolio between a
9 50 percent or thereabout in long-term contracts and 50
10 percent in the spot market, you probably have a good
11 balance between the two (2).

12 I mean, one -- without good fore --
13 foresight, knowing what the situation -- if we know that
14 the price that we negotiate is going to be over the whole
15 contract period, higher than what the spot prices are, I
16 mean, it would be great to put 100 percent of your
17 electricity into long-term contracts. If, on the other
18 hand, you're going to have seller's regret in the sense
19 that the prices might really turn out to be really, at
20 the spot market, higher than the contracted one -- but
21 nobody knows, and in such circumstances, it's prudent and
22 acceptable, if not reasonable and totally advisable, that
23 you would diversify.

24 I mean, the -- the -- my grandmother
25 taught me that the best thing is don't put all the eggs

1 in one (1) basket, and there is no better place to do it
2 than here. And -- and we felt that this is basically
3 what was coming around.

4 THE CHAIRPERSON: Dr. Kubursi, is there a
5 difference between entering into long-term contracts when
6 the -- the capital assets that will be used to generate
7 and transmit the power are in existence and the costs are
8 all known, as compared to a situation where you have to
9 build new generation and transmission and you don't know
10 for certain what the costs will be?

11 DR. ATIF KUBURSI: If I understood
12 correctly, Mr. Chairman, your question, there is no
13 question here about the argument that has been advanced
14 by ICF, and I understand also one that is defended by
15 Manitoba Hydro, that in the absence of these long-term
16 contracts, Manitoba Hydro would have itself to invest
17 into this transmission, and has to go into areas over
18 which it has no sovereignty and capacity to site and to
19 engage in this activity; that these long-term contracts
20 assure Manitoba Hydro that the counterparties would
21 invest into these transmissions. And that in -- in --
22 these long-term contracts would not only assure the new
23 investment in transmission facilities, but would also
24 qualify the delivery of electricity as firm, and this has
25 a higher priority on the transmission rights.

1 MR. GAVIN WOOD: I -- I think what --

2 THE CHAIRPERSON: I understand all of
3 that. But I'm just asking, doesn't whether a particular
4 long-term contract has a value or not depends in part on
5 how much the -- you indicated before that one (1) par --
6 the primary objective of the Utility could be to produce
7 the lowest cost production cost.

8 DR. ATIF KUBURSI: Right, right.

9 THE CHAIRPERSON: If the production costs
10 were higher than the receipts, the long-term contract
11 wouldn't necessarily be a good strategy, would it?

12 DR. ATIF KUBURSI: No, absolutely. If I
13 -- let me see if I -- this is right. The argument here
14 you're -- you're -- the question you're asking, Mr.
15 Chairman, is that --

16 THE CHAIRPERSON: Just a hypothetical.

17 DR. ATIF KUBURSI: Is hypothetical. What
18 -- what if the production costs are really higher than
19 what the proceeds you're going to get? No matter whether
20 you have transmission or not, the issue here is what are
21 you recovering on these things. And -- and certainly it
22 would not make sense. No utility is there in order to
23 satisfy the demand of importers at the expense of its own
24 viability and feasibility.

25

1 CONTINUED BY MR. GAVIN WOOD:

2 MR. GAVIN WOOD: And I think -- I think
3 what the Chair wa -- was asking as well, Doctor, is is
4 there, in your mind, a distinct difference if there's an
5 existing capacity in a system to sell, in this case, out
6 of province in long-term contracts versus entering into
7 long-term contracts which are going to then require the
8 utility to build facilities given things such as
9 uncertainties of -- of the costs of -- of building those
10 -- those facilities?

11 DR. ATIF KUBURSI: There's no question.
12 I mean, the whole issue here would -- would boil down to
13 what are the expected returns. And the expected returns
14 would depend on a number of considerations, one of which
15 is the future price of electricity and the future costs.

16 And the -- the issue here is to make sure
17 that the expected net difference between this is large
18 enough to pay you not only your production generation
19 delivery cost, but also could compensate you for all the
20 costs that you have to incur in order to build this.

21 THE CHAIRPERSON: Would you take into
22 account the fact that the long-term contracts would be
23 for only a percentage of the estimated service life of
24 the new assets. In other words, the assured exports are
25 of much shorter duration than the committed costs for the

1 new construction?

2 DR. ATIF KUBURSI: Yeah, absolutely. I
3 mean, one of the strongest arguments why one would go
4 into long-term contracts is that they usually pay for
5 your fixed cost. And this fixed cost is over a much
6 longer period. And it would make a lot of sense that you
7 negotiate your contracts in a way in which you match the
8 contract period for the amortization of your fixed cost.

9 THE CHAIRPERSON: You're suggesting
10 something that would be normally found in a pension plan,
11 where you match liabilities of assets with your pension
12 obligations. Is that what you're saying?

13 DR. ATIF KUBURSI: Precisely. I mean,
14 this is not a different problem.

15 MR. ROBERT MAYER: Dr. Kubursi, if I'm
16 hearing you and the Chair correctly and our generating
17 stations have a shelf life of a hundred years, surely
18 you're not suggesting hundred year long-term contracts,
19 are you?

20 DR. ATIF KUBURSI: No. I mean, depending
21 on what generation stations we're talking about. I mean,
22 no. I mean, what we're talking about is a longer period,
23 as long as you can, because you're not going to amortize
24 these dams and generating stations over a hundred years.
25 Typically, you're trying to get this amortization on a --

1 on a shorter period.

2 What I would really like to argue here is
3 that, if you can, try to match as far as you can. But, I
4 mean, if it -- it lasts a hundred years and -- and we're
5 going to amortize over a hundred years, I don't sign a
6 contract for five (5) years. I mean, I'd like to really
7 have some sort of symmetry between the period of maturity
8 and the -- the period of amortization.

9 MR. ROBERT MAYER: But, Dr. Kubursi, we
10 know that the -- we know that the generating stations do
11 in fact last a hundred years. We know that the Company
12 was relatively successful with -- I'm being -- in being -
13 - I'm going to use a word I don't like much. I'm being
14 relatively conservative when I suggest that -- that
15 Limestone was a relatively successful project which
16 appeared to have recovered most of its costs within a
17 relatively short period of time, but that generating
18 station is going to continue to provide power to
19 Manitobans, and whoever else may need it at this point,
20 for generations into the future.

21 DR. ATIF KUBURSI: Right.

22 MR. ROBERT MAYER: And at no time did we
23 have a single existing contract, I don't believe, that
24 actually could suggest we could pay for it out of the
25 proceeds of that single existing contract.

1 DR. ATIF KUBURSI: No, no, you're --
2 you're absolutely right. I mean, okay, there are three
3 (3) issues here. Let -- let -- let me maybe address them
4 by -- by taking the three (3) issues. One (1) of the
5 issues is that any utility has extremely large fixed
6 costs. The variable cost is very low; the fixed cost is
7 extremely high. You make it low by extending the life as
8 long as you can.

9 The second idea is the fact that what is
10 the amortization schedule that you're using. Are you
11 using a linear line, so I would really take the useful
12 life of the asset over one hundred (100) years or do I
13 use a declining or double-declining -- if anything, I'm
14 arguing it would be nice if we were to amortize most of
15 this in as short a period as we can, and that if we can
16 match the life of the long-term contract to meet at least
17 that short-period amortization.

18 I mean, I know, I recognize, and I don't
19 think it is in the realm of possibility that we -- we
20 sign one hundred (100) year contracts. I mean, sometimes
21 ten (10) years look to be a long period that people are
22 not willing to go.

23 But nonetheless, what I really am arguing
24 here is that if I'm able to get for the people of
25 Manitoba the largest coverage of their asset amortization

1 in the period of the contract, that would be a -- a
2 preferred one (1) if I were to elongate it in the
3 presumption that this asset is going to last me for one
4 hundred (100) years and that I'm going to get it with or
5 without that long-term contract.

6 THE CHAIRPERSON: Mr. Kubursi, I -- I
7 might be able to -- there -- there are two (2) possible
8 ways, obviously, to recover costs, okay. If you build in
9 advance of domestic need then you need some form of
10 contract to cover the costs off. Once the domestic need
11 develops then you have the local need.

12 So you're just -- as I hear you, I
13 interpret it as saying that matching could involve two
14 (2) phases, in a sense, but matching -- you're arguing
15 basically for security of return. In other words the --
16 the argument for -- of building plants ahead of domestic
17 need is that you're able to sell the excess capacity
18 until the domestic need arises. Okay. You don't want to
19 be selling contracts for export when you need it for
20 domestic, so there's a -- a -- a matching there of some
21 sort.

22 DR. ATIF KUBURSI: I -- I'm taking this
23 into account. I mean -- you know, the strongest
24 argument, why Manitoba Hydro is thinking of going into
25 this decade of investment is on the presumption that we

1 will build it ahead of time so that we make the people
2 who import our electricity pay the bulk of the early
3 period where the amortization is probably fastest.

4 But in no way I'm suggesting that we're
5 going to depend on these contracts to pay totally. I'm
6 trying to say if I have a really choice, and if there are
7 two (2) schedules, one (1) is steep and one (1) is flat,
8 I would prefer, really, to structure my contracts in a
9 way, especially if by presumption all my justification
10 for going into this is that, oh, I need it in the final
11 analysis for the domestic users, but my God, if I can
12 really make people pay for it so that I have it for my
13 future at much reduced costs, so much the better.

14 I -- I -- I'm going for the greedy
15 alternative here.

16 THE CHAIRPERSON: I think, if you don't
17 mind, I think we'll call it -- call it day. It's been an
18 intensive day. Thank you very much --

19 DR. ATIF KUBURSI: Thank you.

20 MR. GAVIN WOOD: Thank you, sir.

21 THE CHAIRPERSON: -- to Dr. Kubursi and
22 Dr. Magee and Mr. Wood. And we'll see you back tomorrow
23 morning at 9:30.

24 MR. GAVIN WOOD: Yes, and --

25 THE CHAIRPERSON: So have a good night.

1 MR. GAVIN WOOD: -- just to give you --
2 everyone a sense, to -- the best estimate I would have
3 now is we'd be about another hour and a half to finish
4 the direct.

5 THE CHAIRPERSON: That of course
6 depending on interjections.

7

8 (INDEPENDENT EXPERTS PANEL RETIRED)

9

10 --- Upon adjourning at 4:25 p.m.

11

12

13 Certified Correct

14

15

16

17 Cheryl Lavigne, Ms.

18

19

20

21

22

23

24

25