



“When You Talk - We Listen!”



MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA HYDRO  
GENERAL RATE APPLICATION  
2014/15 AND 2015/16

Before Board Panel:

- Regis Gosselin - Board Chairperson
- Marilyn Kapitany - Board Member
- Richard Bel - Board Member
- Hugh Grant - Board Member

HELD AT:

Public Utilities Board  
400, 330 Portage Avenue  
Winnipeg, Manitoba

June 2, 2015

Pages 1689 to 1961

1	APPEARANCES		
2	Bob Peters		)Board Counsel
3	Sven Hombach	(np)	)
4			
5	Odette Fernandes		)Manitoba Hvdro
6	Brent Czarnecki		)
7			
8	Bvron Williams	(np)	)Consumer Coalition
9	Mechan Menzies		)
10	Jared Wheeler	(np)	)
11			
12	William Ganoe		)GAC
13	Peter Miller		)
14	David Cordinglev	(np)	)
15			
16	Antoine Hacault		)MIPUG
17			
18	Michael Anderson	(np)	)MKO
19	George Orle		)
20			
21	Tomas Masi		)MMF
22	Kris Saxberg	(np)	)
23			
24	Denise Pambrun		)Citv of Winnipeg
25			

1	TABLE OF CONTENTS	
2		Page No.
3	List of Exhibits	1693
4	Undertakings	1694
5		
6	MANITOBA HYDRO PANEL 4 - FINANCE:	
7	DARREN RAINKIE, Previously Sworn	
8	SANDY BAUERLEIN, Previously Sworn	
9	LIZ CARRIERE, Sworn	
10	MANNY SCHULZ, Sworn	
11	IAN PAGE, Affirmed	
12	Presentation	1702
13		
14	Presentation by Mr. Dave Mouland	1817
15	Presentation by MIPUG	1822
16	Presentation by Ms. Pam Pugh	1838
17	Presentation by Bipole III Coalition	1844
18		
19	MANITOBA HYDRO PANEL 4 - FINANCE RESUMED:	
20	DAVID CORMIE, Previously Sworn	
21	Presentation by Mr. David Cormie	1872
22	Cross-examination by Mr. Bob Peters	1899
23		
24		
25		

	TABLE OF CONTENTS (Con't)	
		Page No.
1		
2		
3	MANITOBA HYDRO PANEL 4 - FINANCE RESUMED:	
4		
5	DARREN RAINKIE, Previously Sworn	
6	SANDY BAUERLEIN, Previously Sworn	
7	LIZ CARRIERE, Previously Sworn	
8	MANNY SCHULZ, Previously Sworn	
9	IAN PAGE, Previously Affirmed	
10	Cross-examination by Mr. Bob Peters	1910
11		
12	Certificate of Transcript	1961
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

LIST OF EXHIBITS		
EXHIBIT NO.	DESCRIPTION	PAGE NO.
1		
2		
3	MH-47 Response to Undertaking 11	1696
4	MH-48 Response to Undertaking 17	1696
5	MH-49 Response to Undertaking 21	1696
6	MH-50 Response to Undertaking 50	1697
7	MH-51 Curriculum Vitae	1697
8	MH-52 Presentation of Manitoba Hvdro	
9	Finance Panel	1698
10	MH-53 Presentation by Mr. Cormie with	
11	respect to the Great Northern	
12	Transmission Line and an answer	
13	to the question regarding the	
14	percentages of capital on the	
15	funding timeline	1870
16	MH-54 Response to Undertaking 16	1871
17	MH-55 Revised response to Information	
18	Request MMF-I-40 (c)	1871
19	MH-56 Response to Undertaking 3	1871
20		
21		
22		
23		
24		
25		

1	UNDERTAKINGS	
2 NO.	DESCRIPTION	PAGE NO.
3 33	MIPUG to provide a list of	
4	alternative programs to this	
5	Board	1838
6		
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 --- Upon commencing at 9:02 a.m.

2

3 THE CHAIRPERSON: Good morning. It's  
4 about nine o'clock, so I think we should start today's  
5 proceedings. I want to welcome the -- the new members  
6 of the Hydro panel. Welcome. Looking forward to  
7 hearing from -- from you.

8 Today's proceedings, at one o'clock  
9 we're going to have five (5) presenters addressing the  
10 panel. So we are estimating that'll take about an  
11 hour, but things may not follow according to script.  
12 But we'll try to make it work for one (1) hour.

13 And we -- we propose to adjourn today at  
14 4:30. So, we have no flexibility at the end of the day  
15 to add more time for questions.

16 So with that, I'll turn the microphone  
17 over to you, Ms. Fernandes. Good morning.

18 MS. ODETTE FERNANDES: Good morning.  
19 Thank you, Mr. Chairman, Board members Kapitany, Bel,  
20 and Grant.

21 Prior to commencing today, Manitoba  
22 Hydro does have some responses to undertakings to file  
23 this morning. We've provided them to Mr. Simonsen.  
24 The first one is a response to Undertaking number 11,  
25 which was Manitoba Hydro to report back on landowner

1 expropriations. And that would be marked as Manitoba  
2 Hvdro Exhibit number 47.

3

4 --- EXHIBIT NO. MH-47: Response to Undertaking 11

5

6 MS. ODETTE FERNANDES: We also have a  
7 response to Manitoba Hvdro Undertaking number 17, which  
8 was for Manitoba Hvdro to file the six (6) series of  
9 amendments to the CPJs on the Bipole III project. And  
10 that was actually provided in a response to a PUB  
11 Information Request, and we've provided that reference  
12 in the response. And that would be Manitoba Hvdro  
13 Exhibit number 48.

14

15 --- EXHIBIT NO. MH-48: Response to Undertaking 17

16

17 MS. ODETTE FERNANDES: We also have a  
18 response to Manitoba Hvdro Undertaking number 21, which  
19 was for Manitoba Hvdro to provide the intended typical  
20 average year operation for the Bipoles, which achieve  
21 equal losses. And that would be marked as Manitoba  
22 Hvdro Exhibit number 49.

23

24 --- EXHIBIT NO. MH-49: Response to Undertaking 21

25

1 MS. ODETTE FERNANDES: And then  
2 finally, we also have a response to Undertaking number  
3 22, and that was for Manitoba Hydro to make inquiries  
4 as to whether we examined an alternative to Bipole III  
5 that involved the hardening of the Bipole I and II  
6 system. And that would be filed as Manitoba Hydro  
7 Exhibit number 50.

8

9 --- EXHIBIT MH-50: Response to Undertaking 50

10

11 MS. ODETTE FERNANDES: Now, yesterday,  
12 we also emailed copies of CVs for our current finance  
13 panel. Unfortunately, we don't have paper copies  
14 available first thing this morning, but we hope to do  
15 so later today. And that would be Manitoba Hydro  
16 Exhibit number 51.

17

18 --- EXHIBIT NO. MH-51: Curriculum Vitae

19

20 MS. ODETTE FERNANDES: And then finally  
21 we -- we had also sent out a PDF copy of the direct  
22 presentation that the finance panel will be presenting  
23 today. And that would be filed as Manitoba Hydro  
24 Exhibit number 52.

25

1 --- EXHIBIT NO. MH-52: Presentation of Manitoba  
2 Hvdro Finance Panel

3  
4 MS. ODETTE FERNANDES: Now, in terms of  
5 introductions, this -- the Board will be aware of Mr.  
6 Rainkie and Ms. Bauerlein, as they were present on the  
7 operations panel. We also have with us seated right  
8 beside Mr. Rainkie, Ms. Liz Carriere, who is the  
9 manager of Financial Planning. Directly to the left of  
10 Ms. Bauerlein is Mr. Manny Schulz, who is also familiar  
11 to this Board and he is our corporate treasurer. And  
12 to Mr. Schulz's left is Mr. Ian Page, who is the  
13 division manager of Corporate Planning and Strategic  
14 Review.

15 And just in terms of introductions of  
16 our back row, we have Mr. Greg Epp, who is our major  
17 projects analysis supervisor; Mr. John Van Den Bussche,  
18 who is the financial forecasting supervisor; Ms.  
19 Kristen Perrault, who is the regulatory financial  
20 analyst. Beside Ms. Perrault is Ms. Gina Borschawa,  
21 who is the manager of man -- sorry, manager of  
22 Management Financial Services. And beside her is Ms.  
23 Susan Stephen, who is the manager of Financial Markets.  
24 And just before we have the -- the three (3)  
25 individuals who haven't been present on the previous

1 panels sworn in, I just have a couple of questions for  
2 them.

3 Ms. Carriere, could you please outline  
4 your experience, qualifications, and areas of  
5 responsibility with respect to the portion of Manitoba  
6 Hydro's filing?

7 MS. LIZ CARRIERE: Yes. Good morning,  
8 Mr. Chair, panel members Kapitanv, Bel, and Grant, and  
9 Intervenors. I am the manager of financial planning in  
10 fina -- in Finance and Regulatory. I'm a professional  
11 accountant and I've been with Hydro for a little more  
12 than twenty-five (25) years. My primary area of  
13 responsibility is the preparation of the integrated  
14 financial forecasts and capital expenditure forecasts  
15 which form the basis for this general rate application.

16 I've held several accounting positions  
17 throughout my career at Manitoba Hydro in asset  
18 management, non-energy billings, and through -- but  
19 I've spent most of my career in financial planning.

20 I've also spent some time in Aboriginal  
21 relations, primarily involved with the Wuskwatim and  
22 Keevask northern training initiative. And my  
23 department is also responsible for the evaluation of  
24 the financial and customer impacts related to major  
25 projects and negotiating the commercial arrangements

1 with First Nations communities.

2 MS. ODETTE FERNANDES: Thank you, Ms.  
3 Carriere.

4 Mr. Schulz, can you please outline your  
5 experience, qualifications, and areas of responsibility  
6 with respect to Manitoba Hydro's filing?

7 MR. MANNY SCHULZ: Certainly. Good  
8 morning, panel members, intervenors, all others  
9 present. My name is Manny Schulz. I joined Manitoba  
10 Hydro in 2006 as the corporate comptroller and  
11 performed that duty for two (2) years before being  
12 moved into the corporate treasurer position. Perhaps  
13 coincidentally, when our borrowing program started to  
14 rise and with the onset of the financial crisis as  
15 well, so it's been an interesting ride.

16 By way of education, I have an  
17 undergraduate degree from the faculty of architecture  
18 at the University of Manitoba. As well, I have an MBA  
19 from the University of Manitoba as well. I received my  
20 certified management accounting designation in 1995,  
21 and received my fellowship in 2009.

22 In terms of the application, I will be  
23 providing testimony on capital financing and finance  
24 expense, debt management strategy, as well as the  
25 financial markets and credit ratings. Thank you.

1 MS. ODETTE FERNANDES: Thank you, Mr.  
2 Schulz.

3 Mr. Page, could you also outline your  
4 experience, qualifications, and areas of responsibility  
5 with respect to Hydro's filing?

6 MR. IAN PAGE: Good morning, Mr. Chair,  
7 panel members, ladies and gentlemen. My name is Ian  
8 Page. I am the division manager of Corporate Planning  
9 and Strategic Review. I am a certified management  
10 accountant as well, and I also have an MBA and a -- a  
11 BSE from -- from the University of Manitoba.

12 I will be giving evidence to -- today on  
13 the corporate strategic plan, economic outlook, ener --  
14 and -- and these documents are -- are -- they're --  
15 they're fou -- they're important in -- in that they  
16 feed into the other parts of the -- Manitoba Hydro's  
17 planning cycle, and ultimately culminating with the  
18 IFF.

19 MS. ODETTE FERNANDES: Thank you, Mr.  
20 Page. With that, Mr. Simonsen, if we could please get  
21 the witnesses sworn or affirmed? Thank you.

22

23 MANITOBA HYDRO PANEL 4 - FINANCE:

24 DARREN RAINKIE, Previously Sworn

25 SANDY BAUERLEIN, Previously Sworn

1 LIZ CARRIERE, Sworn

2 MANNY SCHULZ, Sworn

3 IAN PAGE, Affirmed

4

5 MS. ODETTE FERNANDES: Thank you, Mr.

6 Simonsen. Mr. Chair, with your permission, the panel

7 is prepared to go through their direct presentation.

8

9 PRESENTATION:

10 MS. LIZ CARRIERE: Good morning. I'll

11 just walk you through, at this point, the order of

12 things we expect to proceed in. I will be covering the

13 integrated financial forecast. I will be followed by

14 Mr. Schulz, and he will cover capital financing and

15 finance expense, the debt management strategy, and

16 financial markets and credit ratings.

17 Mr. Schulz will be followed by Mr. Page,

18 and he will cover the economic outlook, the interest

19 rate forecast methodology. Then Ms. Bauerlein will

20 follow with the OM&A cost containment effort -- efforts,

21 accounting policy, and estimate changes.

22 And then I will conclude with a -- the

23 Wuskwatim Power Limited Partnership agreement changes,

24 our -- Manitoba Hydro's earning sensitivity to risks,

25 alternate rate scenarios, and our summary observations

1 for this presentation.

2 I'd like to remind you that -- stop us  
3 at any point if you require clarification or any  
4 questions. With that, I'll move on to the integrated  
5 financial forecast section. I knew I'd do that. Too  
6 many buttons.

7 So I'm sure you're familiar with this  
8 graph from Tab 2 already. This is our carrying costs  
9 and OM&A compared to revenues for MH14. The OM -- M&A  
10 expenditures at the bottom are in the blue bars. And  
11 as you can see, they're relatively flat, and they are  
12 not driving our revenue requirement.

13 You can see the red bar and the green  
14 bar, which are the carrying costs, the interest and  
15 depreciation associated with the investments that we're  
16 making over the next five (5) -- or the next ten (10)  
17 years. They're expected to double over the next ten  
18 (10) years, increasing from about 1 1/2 billion to \$3  
19 billion, including capital taxes.

20 The dotted line on this -- this graph  
21 represents the general consumers revenue at currently  
22 approved rates. As you can see, that is fairly flat  
23 and incorporates only the load growth over time.

24 The solid black bar is our general  
25 consumers revenue, which includes the 3.95 proposed and

1 indicative rates. And you can see that in all years,  
2 it falls short of meeting all of our revenue  
3 requirements, our costs. And then the dash line is the  
4 general consumers revenue, including the 3.95 rate  
5 increases, as well as the net ex-provincial revenues.  
6 So that's our ex-provincial revenues less water rentals  
7 and fuel and power purchases.

8                   Now, we show in the ten (10) year period  
9 seven (7) years of losses in -- in that and you can see  
10 that the bars peak out -- peak out over the top of the  
11 dash line and that's -- that reflects those losses.  
12 For comparative purposes, this is the same graph  
13 showing the carrying costs in OM&A compared to revenues  
14 from the 2013 forecast.

15                   Even though our -- our costs have  
16 increased, the -- the general shape of the graph hasn't  
17 changed. Carrying costs in MH13 still nearly doubled.  
18 But 2014 forecast is slightly higher over the ten (10)  
19 years due to those higher capital costs.

20                   OM&A is -- is slightly lower in the  
21 current forecast compared to last year. But again,  
22 it's relatively flat and not driving rate increases.  
23 The 2014 GCR, including additional, is slightly lower  
24 compared to this line here. And that's primarily due  
25 to the DSM savings. But overall, net ex-provincial

1 revenue is approximately the same over the ten (10)  
2 year period, because any savings from the DSM are sold  
3 on the export market, so that the net between domestic  
4 and export sales results in almost no change over that  
5 ten (10) year period.

6                   On slide 6 we are now looking at net  
7 income for electric operations. In the first four (4)  
8 years you can see that MH14 net income has improved  
9 slightly over MH13. In the first two (2) years that's  
10 primarily because of favourable water flows compared to  
11 the previous forecast.

12                   In the next two (2) years -- in all four  
13 (4) years, actually, the lower interest and  
14 depreciation rates also contribute to net income being  
15 favourable compared to MH13. The higher net income --  
16 or you can see immediately after that period that --  
17 under both forecasts net -- we're showing net losses  
18 for a period of time. I think that's five (5) years  
19 compared to the nine (9) years here -- or eight (8)  
20 years and the losses are -- are greater in this  
21 forecast and that's primarily due to the increase in  
22 the capital costs related to Bipole III, Keevask, DSM,  
23 and the sustaining capital expenditures.

24                   In the back end of the forecast we see  
25 improvement in net income with the Keevask revenue and

1 domestic rate increases. So it's important to note  
2 that under both forecasts these include the three point  
3 nine five (3.95) rate increases in MH14 till 2030 -- or  
4 2031 and throughout the entire forecast in MH13.

5                   Even though we show favourable earnings  
6 in -- in the front end period, the losses in the -- in  
7 the mid-period demonstrates that reasonable regular  
8 rate increases, even in years where there's favourable  
9 water flows, are important to maintain the -- the  
10 financial sta -- stability of the Corporation and  
11 protect the customers from -- for ris -- from risks of  
12 higher rate increases in that -- that period of losses.

13                   MS. MARILYN KAPITANY: Ms. Carriere,  
14 when we were speaking vesterday of the increases they  
15 were 3.95 percent and then dropped down to 2 percent  
16 for some of the years in the period. So you said here  
17 that this reflects 3.95 percent through the whole...

18                   MS. LIZ CARRIERE: For MH13.

19                   MS. MARILYN KAPITANY: Oh, okay.

20                   MS. LIZ CARRIERE: MH14 has the 3.95  
21 percent rate increases till 2031, and then followed by  
22 three (3) years of two (2) percent.

23                   MS. MARILYN KAPITANY: Thank you.

24                   MS. LIZ CARRIERE: On slide 7, we're  
25 looking at retained earnings for electric operations,

1 comparing current forecast to 2013 forecast. Our  
2 retained earnings level is currently at \$2.7 billion  
3 and deteriorates to 2 billion by 2024.

4 Over the period, we see -- with the net  
5 income in the first four (4) years, you can see that  
6 there's a very slight increase in the slope of the  
7 retained earnings, followed by the period of losses  
8 where you say -- see it dipping to the \$2 billion.

9 In this period, the retained earnings  
10 are just sufficient to absorb the 1.7 billion financial  
11 impact of a five (5) year drought, which puts customers  
12 at risk for higher rate increases in that period,  
13 should we experience low water flows.

14 Other risks have those -- have financial  
15 impacts as well. And in Appendix 3.6, we show the rate  
16 -- or the -- the risk sensitivity that we do for the  
17 integrated financial forecast that's on page 22 of the  
18 IFF14. And you can see that other variables, such as  
19 interest rate and export prices, have significant  
20 impacts as well.

21 These could occur at the same time and  
22 suggesting -- and suggest that -- that our retained  
23 earnings could be -- deteriorate even further than what  
24 is projected here. Rate increases lower than three  
25 point nine-five (3.95) increase the risk of higher rate

1 increases in the future during that period of losses.

2 Manitoba Hvdro's financial strength is  
3 measured by its key financial targets. The balance  
4 sheet target is to maintain a minimum debt-equity ratio  
5 of 75:25. For the operating statement, the gross  
6 interest coverage target is to maintain a minimum ratio  
7 of one point two (1.2) times.

8 And the cashflow statement target is to  
9 maintain a capital coverage ratio of greater than one  
10 point two (1.2) times, excluding major new generation  
11 and transmission expenditures.

12 It's recognized that Hvdro may not  
13 maintain these financial targets during the period of  
14 significant investment in major new generation and  
15 transmission. And as you've heard over the last week,  
16 those targets are currently under review, but in the  
17 interim they remain in effect as Manitoba Hvdro's long-  
18 term financial targets.

19 Just by way -- as a bit of an  
20 explanation on how they are used both internally and by  
21 ratings agencies, the debt-equity ratio measures the  
22 portion of assets that are paid for by debt versus  
23 earnings.

24 Now, these -- that doesn't equate to  
25 cash in the bank. What it really means is that it's

1 the ability of the assets to generate revenues in  
2 excess of our costs. Or in times when cash -- cash is  
3 un -- we're under a cash crunch, it's debt that's  
4 available to borrow.

5 Interest coverage ratio. It's --  
6 represents the ability of net income or of -- of net  
7 income or cashflow to pay for our debt obligations, so  
8 the coupon payments on our -- on debt issues. An  
9 indicator -- it's an indicator of whether debt and the  
10 resulting financing charges are manageable.

11 And capital coverage ratio measures the  
12 sustaining capital expenditures paid for with cashflow  
13 from operations. It's effective in maintaining the  
14 debt and resulting financing charges at manageable  
15 levels, and works in concert with the interest coverage  
16 ratio and debt-equity ratio.

17 Moving on to the equity ratio on slide  
18 10. Here we have a comparison of MH14 and 13 and  
19 compared to the consolidated target, the red line of 25  
20 percent. Our current equity ratio of 22 percent  
21 deteriorates to 10 percent by 2023, and then gradually  
22 improves after '26 with increasing net debt -- or  
23 decreasing net debt and increasing retained earnings  
24 with the revenues from Keevask and the 3.95 rate  
25 increases which are assumed throughout up to the 2031.

1                   The 10 percent equity ratio is well  
2 below our 25 percent target, and it's the minimum  
3 equity ratio we believe is acceptable to Hydro to  
4 maintain our self-supporting status and protect  
5 customers for risk -- from risk. Equity ratio compares  
6 -- compared to MH13 to 2028 is -- is lower due to the  
7 higher capital costs. And then it's higher due to the  
8 suspension of Conawapa.

9                   So this graph sort of breaks out the --  
10 or compares the equity ratio to the capital  
11 expenditures. So you can see -- and the capital  
12 expenditures are broken down by sort of major project,  
13 and -- and then sustaining capital expenditures. In  
14 the light on the bottom of that graph is our sustaining  
15 capital expenditures. The darker blue is the other  
16 major new generation and transmission.

17                   The sort of -- Wuskwatim is barely  
18 visible on the very left-hand side of that graph. The  
19 sort of brownish-green is the Bipole III capital  
20 expenditures. And then Keewask is layered overtop of  
21 that in the orange. Again, Conawapa is barely visible  
22 and the very top area is related to DSM.

23                   So the point of this graph is to see  
24 that as -- as capital expenditures are peaking over  
25 three thousand (3,000) we start to see decline in the -

1 - in the -- the equity ratio. And then, by 2021, when  
2 capital expenditures are -- are -- for major new  
3 generation and transmission projects are slowing down  
4 you see it sort of -- the decline slows down, but it  
5 takes several years before the -- the equity ratio  
6 starts to show gradual improvement again by 2027.

7                   And that indicates that it takes a fair  
8 amount of -- of cashflow to turn that -- that equity  
9 ratio around. You're seeing several years of 3.95 rate  
10 increases plus the -- the revenues -- the incremental  
11 revenues from Keevask.

12                   Moving on to interest coverage.  
13 Interest coverage is below the one point two (1.2)  
14 times target for fourteen (14) years.

15                   THE CHAIRPERSON: Ms. Carriere, could  
16 you go back -- by the next -- the previous slide,  
17 please?

18                   MS. LIZ CARRIERE: Sure.

19                   THE CHAIRPERSON: I'm looking at the  
20 second set of data, the dark blue line above the  
21 electric. And you refer to it as major new generation  
22 and transmission. What's in there? That isn't --

23                   MS. LIZ CARRIERE: That's the -- well,  
24 in the major new generation and transmission category  
25 in the capital expenditure forecast there are other

1 projects included in there other than Bipole III,  
2 Keevask, Conawapa, and DSM. There's also Kettle,  
3 Kelsev. Oh, the interconnection is included in there,  
4 the Manitoba-Minnesota transmission project, and Gillam  
5 redevelopment, and the tail end of the -- the spillway  
6 replacement. Okay.

7 Interest coverage is below target, the  
8 target one point two (1.2) times for approximately  
9 fourteen (14) years and is below one (1) for nine (9)  
10 years. It declines to about point eight-five (.85) by  
11 2022 before showing gradual improvement with Keevask  
12 revenues and domestic rate increases. It's lower than  
13 the 2013 forecast to 2028 due to the higher capital  
14 costs that we've talked about before, and then higher  
15 due to the Conawapa suspension.

16 This graph is just -- breaks out the  
17 components of the interest coverage ratio. The blue  
18 bars represent the net income and the green bars  
19 represent finance expense. So interest coverage  
20 deteriorates as net income turns to losses and fri --  
21 financing charges more than double from the -- from  
22 about 600 million to 1.3 billion at its peak once  
23 Keevask and Bipole III are in service.

24 Again, interest coverage gradually  
25 improves with improved net income and financing charges

1 gradually decrease as cashflow implo -- improves with  
2 the additional revenue.

3                   The capital coverage ratio is below  
4 target one point two (1.2) times for nine (9) years and  
5 below six (6) -- or below one (1) for six (6) years.  
6 The capital coverage ratio below one (1) indicates that  
7 the internally generated funds, or cashflow from  
8 operations, are not sufficient to fund sustaining  
9 capital expenditures and need to be augmented by  
10 borrowed funds. Capital coverage ratio is lower  
11 compared to MH13 in most years due to the higher  
12 capital cost of Keevask, Bipole III, and sustaining  
13 capital expenditures.

14                   So this graph breaks out, again, the  
15 components of the capital coverage. And I think you've  
16 seen this one before in -- in Tab 2 as well. The  
17 yellow bars represent our sustaining capital  
18 expenditures with DSM and -- and major new generation  
19 and transmission immediately above on those bars.

20                   And as you can see, the black line shows  
21 our cashflow from operations and it dips -- it hovers  
22 right around the total of sustaining capital  
23 expenditures for the first three (3) or four (4) years  
24 and then dips below the -- the sustaining capital  
25 expenditures. And that's where we would have to fund

1 sustaining capital expenditures with additional  
2 borrowing in the amount of about approximately \$400  
3 million.

4 In the longer term you can see that the  
5 cashflow is sufficient, more than sufficient to cover  
6 the sustaining capital expenditures and the major new  
7 generation and transmission and indicates that we're in  
8 a position to be paying down debt at that point.

9 MS. MARILYN KAPITANY: Ms. Carriere,  
10 you said that you would have to borrow to the extent of  
11 \$400 million at some point on this graph?

12 MS. LIZ CARRIERE: That's the shortfall  
13 of -- of cashflow from operations over that period of  
14 time where there's insufficient cashflow from  
15 operations to cover the sustaining capital. So it's a  
16 cumulative amount.

17 MS. MARILYN KAPITANY: Cumulative.  
18 Okay.

19 MS. LIZ CARRIERE: Yep.

20 MS. MARILYN KAPITANY: Thank you.

21 MS. LIZ CARRIERE: Yeah, and that  
22 includes the 3.95 percent rate increases. So what  
23 we're saving is -- is that the rate increases are not  
24 sufficient to provide revenue to pay for those and we  
25 could actually be asking for higher rate increases in

1 that period of time to cover -- to cover those  
2 expenditures.

3 And now we're going to move on to Mr.  
4 Schulz.

5 MR. MANNY SCHULZ: Thank you, Ms.  
6 Carriere. If you have any questions at any point in  
7 time, please feel free to interrupt and let's have a  
8 conversation. The topic area that I'll be talking  
9 about is capital financing, finance expense, debt  
10 management strategy, financial markets, as well as the  
11 credit ratings.

12 And the first slide here is a bit of a  
13 segue from what Ms. Carriere just spoke about. It's  
14 the -- the intersection, really of -- and I kind of see  
15 this as a visual explanation of our cashflow statement,  
16 because you see on here the investing activities and --  
17 and the bars that you see. And then the question is:  
18 How do we finance that?

19 And the other key point to this is  
20 construction requires cash. While I certainly enjoyed  
21 my time as corporate comptroller and doing all of the -  
22 - the accounting, at the end of the day, we pay for our  
23 goods and services with cash and not with accounting  
24 entries. And so at the end of the day, we need cash.  
25 And how are we going to be funding this investing

1 activities is through cashflow from operations, which  
2 you can see there in the lines, as well as anything  
3 that's above that is what the treasury division will  
4 have to finance through our work with the Province of  
5 Manitoba and so on.

6                   So our cashflow pos -- from operations  
7 provides a valuable partial source of funding for  
8 Manitoba Hydro's investing activities and the balance  
9 of the capital investments will be funded through new  
10 debt financing. And without the proposed and  
11 indicative 3.95 percent rate increases, Manitoba Hydro  
12 would need to secure additional debt financing and  
13 incremental incre -- interest costs would need to be  
14 borne by customers through rates.

15                   When looking at the amounts of financing  
16 that's required above and beyond the cash from  
17 operations, you can see here that the investment  
18 requirements will lead to unprecedented levels of debt  
19 financing. And so this is the challenge that's  
20 certainly before yours truly and -- and Ms. Stephens,  
21 who behind me is the -- the guru of financial markets.  
22 It's a big challenge for us. You can see that  
23 including debt refinancing requirements for existing  
24 debt, the total debt requirements will peak at levels  
25 in excess of \$3 billion per year, which are

1 unprecedented levels in Manitoba Hvdro's history.

2           And I wanted to bring this chart up  
3 here. And this is the interplay between net fixed  
4 assets and net debt. And I -- I recall the -- the  
5 testimony that was once given by Mr. Vince Warden. And  
6 many of you will recall him and he said that, Debt is  
7 good. And I think, really, he was referring to  
8 Manitoba Hvdro debt is good. Because what we're doing  
9 is financing all of the assets that are constructing  
10 and providing safe and reliable and economic service  
11 for Manitoba Hvdro and its ratepayers.

12           And so the debt that we have been  
13 accumulating through the years has been beneficial for  
14 Manitoba Hvdro. And I just pressed the off button.  
15 There we go. There. But moving forward, both the  
16 level of net fixed assets and net debt are forecasted  
17 to grow until, you know, the 2020s before the projected  
18 level of net debt begins to decline after 2025. And  
19 that picks up on some of the comments that Ms. Carriere  
20 spoke to. When the cashflow from operations increases,  
21 that gives us an opportunity to what I would refer to  
22 as 'off ramp' some of the -- the debt maturities that  
23 come, and we can have the opportunity to do debt  
24 retirement.

25           And capital investments drive interest

1 expense. The curve that you're seeing here with that  
2 upward slope is very similar, and -- and not  
3 surprisingly so to the increase in net assets, as well  
4 as net debt. And the first category of finance expense  
5 is the total interest on short and long-term debt. And  
6 it's primarily the gross interest paid on debt, as well  
7 as the associated provincial debt guarantee fee. And  
8 again, this is the amount of cash largely that is being  
9 moved out of Manitoba Hydro to the coupon payments and  
10 to the investors and bondholders, and that the actual  
11 and forecasted level of total interest in short and  
12 long-term debt, which is the green line, generally  
13 follows the path of the size of the total debt  
14 portfolio.

15                   But it's interesting to note as well  
16 that the total interest is reduced by capitalized  
17 interest. And in this chart, which is also shown in  
18 section 5.6 in our application, you can see that the  
19 interest that's allocated to construction, which is the  
20 lightly shaded blue bars, is the primary factor that  
21 reduces the total level of the -- the green line, as  
22 you can see, to arrive at net finance expense, which is  
23 what you're seeing on our financial statements and that  
24 is in our revenue requirement.

25                   And you can see that as we're going up

1 the -- the curve of the -- the green line, there is a  
2 substantial portion of our gross interest that is being  
3 paid out that is being capitalized to our construction  
4 projects. And while we're paying that out, we're only  
5 getting the revenue requirement on the net finance  
6 expense, which is the dark blue bars. So there's a  
7 cashflow differential that's seen through finance in  
8 this -- in this chart.

9                   And so during periods of intensive  
10 capital construction, the net finance expense, and  
11 hence the revenue requirement, is temporarily shielded  
12 from the full weight of the gross finance expense by  
13 the interest allocated to construction.

14                   So turning to debt management strategy,  
15 Manitoba Hydro's fundamental debt management objective  
16 is to provide stable, low-cost funding to meet the  
17 financial obligation's liquidity needs of the  
18 Corporation.

19                   The low interest rate environment over  
20 the past few years has provided the opportunity for  
21 Manitoba Hydro to secure stable, low-cost funding. And  
22 in order to mitigate the refinancing risk and to  
23 maintain the financing flexibility that we'll certainly  
24 be needing during the upcoming decade, and in keeping  
25 with the concept of matching the Corporation's long-

1 lived assets with long-term debt, Manitoba Hydro will  
2 continue to favour long-term, fixed-rate financing with  
3 maturities of ten (10) years and longer.

4           And we have two (2) objectives with the  
5 debt management strategy. One is for stability, one is  
6 low cost. On the aspect of stability, we are extending  
7 the weighted average term to maturity of our debt  
8 portfolio. And since 2006/2007, to enhance the debt  
9 portfolio stability, the weighted average term to  
10 maturity of the market debt portfolio, as you can see,  
11 has increased by over three (3) years. And for  
12 Manitoba Hydro's new long-term debt issuance in the  
13 previous year, which was '13/'14, just to give you an  
14 indication, the term to maturity of our new long-term  
15 debt issuance ranged from three (3) to fifty (50)  
16 years, with a weighted average of twenty-eight (28)  
17 years.

18           And the year that was just completed --  
19 because, Mr. Chairman, you had asked for recent  
20 information wherever possible. To give you that, our  
21 range was from ten (10) to forty-eight (48) years on  
22 our -- our debt issuance for new debt. And the average  
23 -- or the weighted average of that was twenty-eight  
24 (28) years.

25           Low cost is also very important.

1 Reducing the weighted average interest rate is a big  
2 portion of -- of what we look at every day. And since  
3 2006/'07, the debt portfolio's weighted average  
4 interest rate has decreased by nearly 2 percent. And  
5 fixing those low interest rates for extended term to  
6 maturity is beneficial to ratepayers, as it avoids the  
7 interest rate reset risk associated -- associated with  
8 floating rate debt and reduces the number of times that  
9 the debt stream is exposed to higher refinancing rates.

10 So the longer period we go, to the point  
11 where we have the possibility to ultimately terminate  
12 that debt with retirement, if we don't have any  
13 intervening periods of time, no refinancings, we  
14 essentially eliminate refinancing risk on that at the  
15 same time as having these amazingly low interest rates.

16 I spoke a little bit about the interest  
17 rate risk. We are reducing interest rate risk port --  
18 exposure on our existing debt portfolio. You can see  
19 here it's the chart from the debt management strategy.  
20 And this is a summary of our interest rate risk  
21 profile. And in 2014, Manitoba Hydro adopted a new  
22 interest rate risk policy and guidelines. It's  
23 described in the debt management strategy, which is in  
24 Appendix 3.7. And you can see here in the composition,  
25 this is at March 31, 2014. The summation of our

1 floating rate debt at that time plus the short-term  
2 debt was at 19 percent. And we're also looking at the  
3 fixed-rate, long-term debt to be refinanced within the  
4 next twelve (12) months, and that at that time was at 7  
5 percent.

6                   Key as well is that during the years  
7 when there's high levels of refinancing and/or new  
8 borrowings -- and we're currently in that area right  
9 now -- in order to manage the overall interest rate  
10 risk portfolio, the Corporation's interest rate risk on  
11 its existing debt portfolio will be reduced by  
12 decreasing the percent of floating rate debt and short-  
13 term debt to a level below 15 percent of the total debt  
14 portfolio.

15                   And again, looking at what's the most  
16 current information, our financials have not yet  
17 finally closed, but as a preliminary indication, we're  
18 in and around 15 percent for the summation of floating  
19 rate debt and short-term debt within our existing debt  
20 portfolio.

21                   Topical as well and important for us is  
22 that Manitoba Hydro ratepayers benefits from Manitoba's  
23 high credit rating. We receive a flow-through credit  
24 rating from the Province of Manitoba. We don't have a  
25 separate rating that we have for Manitoba Hydro. It's

1 a -- a flowthrough. And you can see here in --  
2 highlighted in green, the Manitoba rating. So its  
3 Standard & Poor's is double 'A', DBRS is 'A' high, and  
4 Moody's Investors Services, AA1.

5 And the benefit of this is that it  
6 reduces the cost of borrowing the customer's paying  
7 rates, and it provides us an excellent opportunity to  
8 obtain the financing needed for capital financing.

9 I also wanted to sort of make a point  
10 here, too, that currently Manitoba has a -- what's  
11 called a split rating. So if you look at that green  
12 line there for Manitoba, you'll see that Standard &  
13 Poor's -- they have different nomenclature for each of  
14 the rating agencies, but Standard & Poor's is clearly  
15 double 'A'.

16 Moody's is also AA, and they have three  
17 (3) categories, AA1, AA2, and AA3, but they would still  
18 be within the double 'A' category. However, DBRS is  
19 single 'A', although high.

20 And so one needs to always sort of keep  
21 this in mind. And you can see this with some of the  
22 other provinces, as well. Their -- split ratings is  
23 fairly common within -- within the landscape. The  
24 different rating agencies have different, not only  
25 nomenclatures, but different categorizations and

1 criterias. It is a complicated matter.

2                   With respect to the benefit that we  
3 derive from the flowthrough credit rating, on behalf of  
4 ratepayers, Manitoba Hydro recently set a new record  
5 for the lowest fixed rate long bond issuance in a  
6 corporation's history. So sixty-three (63) years of  
7 Manitoba Hydro, we issued in April of -- 16 of 2015, an  
8 all-time record. So that was \$300 million of fixed  
9 rate debt with a September 2046 maturity and an all-in  
10 yield of just under 2.9 percent, which is quite  
11 remarkable.

12                   I should also indicate, and -- and  
13 perhaps Mr. Page will speak and elaborate on this  
14 further, as the indicative long bond rates are now  
15 higher -- so when I checked on Bloomberg this morning  
16 and overnight the Bank of Canada -- or the Government of  
17 Canada rates moved up slightly, but I think that we're  
18 in for a long bond of about three point one-six (3.16).

19                   So you can see that almost twenty-six  
20 (26) basis points already the markets have moved up.  
21 It's largely on the underlying Government of Canada  
22 bonds that have moved up. So there's a dynamic  
23 interplay that's always happening, but we were  
24 fortunate to capture it at that point in time to  
25 achieve those record lows.

1 But it's more than just the low interest  
2 rates. It's also about the access to financing. And  
3 the last bullet speaks to our ultra-long fixed rate  
4 financing. So anything that's beyond thirty (30)  
5 years, we refer to as ultra longs. And so in the last  
6 fiscal year, we secured \$300 million of bonds with  
7 maturities that were in excess of thirty (30) years,  
8 and they were all relatively flat to thirty (30).

9 So what that means is that the interest  
10 rates that we would have been able to achieve at thirty  
11 (30) rates -- thirty (30) years is what we were able to  
12 get at these extended terms, and so that was also  
13 beneficial. It's -- it almost is like we're getting  
14 the free extension without any additional cost.

15 And so you can see that \$175 million of  
16 the 2052 maturity, 75 million of the 2054, and 50  
17 million with maturity in 2063, which will far exceed my  
18 lifespan, I -- I'm quite sure, so.

19 Manitoba Hydro's contingent liability is  
20 low, and it is necessary that the risk remain so. This  
21 is a chart that shows the general depiction of the  
22 Province of Manitoba's debt. The red piece is the  
23 portion that's for the Province of Manitoba. And the  
24 self-supported piece, which is blue, is for Manitoba  
25 Hydro, and so at March 31, it was approximately 35

1 percent.

2                   And so the important aspect here is that  
3 it's -- it's what -- what's referred to as self-  
4 supporting. So the credit rating agencies, the  
5 financial markets, they look at the Province of  
6 Manitoba's debt, and they take a look at Manitoba  
7 Hydro. They look at the blue piece here on this pie  
8 chart and they say, Are you self-supporting, i.e., do  
9 you have the financial wherewithal to make all of your  
10 coupon payments and to meet all of your financial  
11 obligations? And if you are, then you are essentially  
12 factored out of their equations when they do the  
13 calculation of the entire Province of Manitoba  
14 portfolio.

15                   So when assessing the province's ratio  
16 of tax-supported provincial debt as a percent of GDP,  
17 the credit rating agencies exclude the Manitoba Hydro  
18 debt levels from the evaluation of the provincial debt  
19 portfolio.

20                   And to the extent, and I had this  
21 bolded, to the extent that Manitoba Hydro remains and  
22 maintains its self-supporting status, the contingent  
23 liability, and that's a phrase that the credit rating  
24 agencies, that's how they refer to it, the contingent  
25 liability represented by Manitoba Hydro's debt to the

1 Province of Manitoba is low, and Manitoba Hvdro's  
2 capital investments plans and capital structure should  
3 have no significant impact on the Province of Manitoba  
4 credit rating.

5                   But it's also very important to point  
6 out that we need to continue to generate sufficient  
7 cashflows to meet our obligations. That's absolutely  
8 critical. The liquidity and assess to capital will be  
9 essential for business continuity as well. And on the  
10 concept of self-supporting, the credit rating agencies,  
11 they all have their different definitions. There's no  
12 great precision to it. It's a bit of a frustration for  
13 us too in terms of what defines self-supporting.

14                   But what I can tell you, I don't have  
15 complete, you know, clarity to what the precision of  
16 the definition is, but what I can tell you, that this  
17 is a very important concept. There are no do-overs  
18 here with this, no Mulligan. It's a bright line for  
19 us. It's a line we dare not cross or get close to in  
20 terms of self-supporting. And that's why you would  
21 have heard us at the NFAT speaking about the importance  
22 of the self-supporting concept. We will maintain our  
23 self-supporting status. That's really important and  
24 critical for us as we move forward.

25                   And I'll leave you with a view from the

1 -- the credit rating agencies, and this is from the  
2 most recent report on the Province of Manitoba from  
3 Moody's. It's dated October 17th, 2014, and it's a --  
4 it's a long excerpt and this is the piece in that  
5 Provincial Report that's pertaining to Manitoba Hvdro.  
6 And you can see some vellow highlighted portions there  
7 on slide 28, the inherent risks related to increasing  
8 debt at self-supporting entity Manitoba Hvdro.

9 The -- and the first sentence indicates:

10 "The province issues debt on behalf  
11 of its wholly owned utility company,  
12 Manitoba Hvdro."

13 They indicate the -- the total reported  
14 net debt. And highlighting there as well:

15 "The anticipated increase in debt in  
16 Manitoba Hvdro could increase the  
17 contingent liability for the Province  
18 of Manitoba in the next few years."

19 That's why it's so important that we  
20 maintain and have the -- the ability for us to have the  
21 cashflow from operations, and to have the rate  
22 increases that we have been put forth in our  
23 application. The credit rating agencies are aware of  
24 our rate applications. They're aware of the -- the  
25 CEFs, the IFFs. They are certainly aware of that and

1 they've indicated, as well, that they will monitor the  
2 increase in Manitoba Hvdro's debt ratios in the  
3 progress of construction of these projects.

4 And they also indicate:

5 "We note positively that Manitoba  
6 Hvdro has flexibility to increase  
7 utility rates given the fairly low  
8 rates compared to other provinces and  
9 that it has already negotiated future  
10 long-term export contracts with  
11 customers in the United States."

12 So with that, unless you have any  
13 questions, I will move it on to Mr. Page.

14 THE CHAIRPERSON: I have a few  
15 questions. Could you go back to slide 17, please.

16

17 (BRIEF PAUSE)

18

19 MR. MANNY SCHULZ: There we go.

20 THE CHAIRPERSON: Now, that -- that red  
21 line, the -- the drop in that red line, is that  
22 stemming from interest costs?

23 MR. MANNY SCHULZ: Well --

24 THE CHAIRPERSON: What -- what's  
25 causing the -- that very significant drop in the...

1 MR. MANNY SCHULZ: So, I thank you for  
2 pointing that out, Mr. Chairman. The red line here is  
3 the line that results -- that's our cashflow from  
4 operations without the rate increases. So if we had  
5 under the assumption of a zero rate increase, this is  
6 what would happen to our financials and to -- our net  
7 income would drop accordingly and then we would have  
8 this impact as demonstrated in our cashflow from  
9 operations.

10 And the differential then would then  
11 need to be debt financed. The cashflow -- you know,  
12 under the assumption that we wouldn't have any change  
13 to our investing activities, we'd have to go and obtain  
14 debt financing for that.

15 THE CHAIRPERSON: But -- but the point  
16 I'm -- I'm trying to get at is I'm trying to understand  
17 what's causing a drop in -- in that red line. Is it  
18 the higher interest costs related to the Bipole and the  
19 -- and the Keeyask projects?

20 MR. MANNY SCHULZ: Well, it would be a  
21 whole company kind of impact, but the major  
22 manifestation of that would be in finance expense.

23 THE CHAIRPERSON: Okay.

24 MR. DARREN RAINKIE: Mr. Chairman, just  
25 -- just -- sorry to interrupt you, but just to that I

1 think if we flip back even further to slide 4 of the  
2 deck just to make sure the Board understands this  
3 point. Sorry, and we'll come back to page 17 or slide  
4 17 for your further questions. But it's an important  
5 point I think we want to be clear. We can see the red  
6 bars in this chart. That's finance expense. And  
7 that's finance expense assuming the approval of 3.95  
8 percent rate increases throughout that whole period.

9           And you can see that is the primary  
10 driver of the increase in our cost of service or  
11 revenue requirements for those years. So if one were  
12 to assume no rate increases or 2 percent rate increases  
13 those red bars will just increase exponentially. You  
14 know, Mr. Bowman says in his evidence, Well, you're --  
15 you're already borrowing a lot so it doesn't really  
16 matter if there's lower rate increases. You know, it's  
17 only an extra 15 or \$30 million that you borrow every -  
18 - every year if there's a, you know, 1 or 2 percent  
19 lower rate increase.

20           But that's a -- that's kinds of like  
21 saving, you know, when your credit card's maxed out  
22 let's phone the credit card company and ask for an  
23 extension because that's going to, you know, be the --  
24 be the answer to it. And, of course, it isn't. We  
25 have to manage this finance expense. We have to manage

1 cash flow and debt.

2                   And that's why we've been harping on  
3 this I suppose in the last, you know, five (5) or seven  
4 (7) days because this is with the rate increases. This  
5 -- these red bars. And I would hesitate -- I wouldn't  
6 -- wouldn't even want to show you what these red bars  
7 look like without the rate increases. So with that we  
8 can return to page 17 for your further questions.

9                   THE CHAIRPERSON: Now, slide 25 shows  
10 the relative percentages of the types of debt, you  
11 know, you've got floating rate debt, short-term debt.  
12 Now, this is indicating zero debt. Short -- zero  
13 short-term debt. My understanding of the short --  
14 short-term debt is -- is debt that you use to tide you  
15 over until you get a new bond issue to -- to bring in  
16 long-term funds.

17                   Is that right?

18                   MR. MANNY SCHULZ: The short-term debt  
19 facility which we have up to \$500 million capability is  
20 intended primarily for bridge financing for those  
21 purposes that you indicated. We could also use it for  
22 -- and I think we discussed this, for instance, at the  
23 NFAT -- for liquidity relief. For instance, if we had  
24 periods of drought and so on that we could sort of lean  
25 on that as an additional short-term bit of bridge

1 financina. So it would be for both of those purposes  
2 typically.

3 THE CHAIRPERSON: Now, just -- just a  
4 question about what's happening to your cash levels all  
5 through this, you know, '13/'14 and '14 -- what's been  
6 happening to the cash levels of the Company? Have they  
7 -- have you been maintaining the same level of cash  
8 reserves all the way through or...

9 MR. MANNY SCHULZ: Are you referring to  
10 our --

11 THE CHAIRPERSON: You know, what I'm --  
12 what I'm getting at is, you know, you have -- you --  
13 you're -- we know that we are in a long-term -- we --  
14 we know we are in a low interest rate environment. And  
15 I guess what I'm wondering is, you know, one (1) of the  
16 strategies would be to -- to increase your cash levels  
17 and borrow as much money as you can at these long-term  
18 rates while markets are -- I realize that, you know, it  
19 -- you can't predict a trend of -- of future rates.

20 But I guess what -- what I'm asking is  
21 that given that you know you can get long-term money at  
22 very interesting rates why not increase your cash,  
23 borrow more from the market? Is -- is that part of  
24 your strategy or...

25 MR. MANNY SCHULZ: The answer is yes.

1 And the manifestation of that we have zero short-term  
2 debt right now. Why? Because we're in a long cash  
3 position because we've done exactly as you've described  
4 which I think is -- is very prudent. And so some of  
5 the long-term financings that we executed at the end of  
6 last quarter and -- and even this issue that we  
7 undertook in April are representing our pre-funded  
8 status in order to maintain long-term -- the cash  
9 liquidity at hand particularly at these low interest  
10 rates.

11 And you can see even the backup in the -  
12 - in the Government of Canada bond rates that I just  
13 spoke to not that long ago we were very fortunate to be  
14 able to do exactly that. And -- and Ms. Stephen behind  
15 me was one (1) who was advocating for that exact same  
16 point. Let's take on the cash now while we can because  
17 the indicators are that the interest rates may yet rise  
18 and so let's take on that cash.

19 There is a little bit of a negative cost  
20 to carry because you're having to keep cash and you're  
21 not plowing it into investments and so on. But over  
22 the long thirty (30) year term of it, it's the best  
23 thing for us to do. And it also reduces and mitigates  
24 our liquidity risk -- risk particularly through the  
25 summer months, when the bond markets are less active

1 and our construction season is high and the cash burn  
2 is high.

3 So for all of those reasons, Mr.  
4 Chairman, we're certainly following through on that.

5 THE CHAIRPERSON: Now, just -- just to  
6 make sure I understand, I mean, the -- the purchaser of  
7 these bonds is purchasing Manitoba government bonds,  
8 not purchasing Manitoba Hydro. So even though the bond  
9 rating agency is telling us that it's good that -- you  
10 know, it's important that Manitoba Hydro keep on an  
11 even keel from -- from the standpoint of paying for the  
12 debt, I mean, the -- the buyer in New York is buying  
13 Manitoba government bonds, not buying Manitoba Hydro  
14 bonds.

15 MR. MANNY SCHULZ: Yes and no. Just as  
16 a clarification, on the long-term bonds, that's the  
17 Province of Manitoba. For short-term debt, we can  
18 issue in our own name. But for what we're talking  
19 about in terms of the long-term debt issuance, that  
20 would be -- they would -- the investors would be buying  
21 Man -- Province of Manitoba bonds.

22 THE CHAIRPERSON: Okay. So -- so let's  
23 save for -- you know, the Manitoba government's folding  
24 in your requirements along with their requirements for  
25 -- for debt. So can you go to the Manitoba government

1 and say, I'd like -- we'd like to get 50 million right  
2 now?

3 Do you have to fold in that -- that 50  
4 million with whatever the Manitoba government needs, or  
5 are you -- are you free to say to the Manitoba (sic),  
6 You know, we want to go right to the market now. We --  
7 we -- you know, we think rates are good. Let's go 50  
8 million right now.

9 MR. MANNY SCHULZ: Manitoba Hydro works  
10 with the treasury folks at the Province of Manitoba,  
11 and our relationship is excellent. To the extent that  
12 we need financing for the pre-funding status that we  
13 for instance just undertook or we may take as we move  
14 forward in the next days and weeks to follow, we  
15 certainly have that capability to undertake the  
16 financing for our needs.

17 So there's never any restrictions that  
18 we have felt, and certainly since the time that I've  
19 been treasurer, there has never been any push-back  
20 saying, Thou shalt not have cash, because we need it  
21 for our -- for our prudent delivery of our -- of our  
22 requirements. So there's never been any impairment in  
23 that regard.

24 DR. HUGH GRANT: Could I just ask about  
25 this -- I'm just curious about this same slide. So

1 this chart is telling me mv -- mv -- the rate risk  
2 profile.

3 And I guess I'm -- I'm wondering about  
4 that big piece of the pie there, because in a sense I  
5 feel as if I've gone to the bank and the banker's told  
6 me, Relax, you've got a lot of fixed-interest debt and  
7 you're good for a year. And I think my response would  
8 be, Yeah, but what about after a year?

9 So is there any way that you can provide  
10 more detail on that big piece of the pie?

11 MR. MANNY SCHULZ: So what you would be  
12 -- and just so I can understand this, you know, you  
13 really would be thinking about what we would refer to  
14 as our debt maturity schedule. You know, what is the -  
15 - what is the schedule of -- within that dark blue  
16 piece, what is likely to be maturing within the next  
17 two (2) years, three (3) years, and so on and so forth.

18 We certainly have that information. I  
19 think it's in the PUB book of documents in Volume IV.  
20 I think it's in one (1) of the tabs. We can certainly  
21 call that up if you like. We can go through that now  
22 if -- if that's important to you.

23 DR. HUGH GRANT: I guess I'm -- I'm  
24 worried about the time -- the potential timing.

25 MR. MANNY SCHULZ: Right.

1 DR. HUGH GRANT: So -- so is it quite  
2 possible that you've got a lot of long-term debt  
3 maturing that you're going to have to refinance at a  
4 time when your -- you know, other financials are at  
5 their low ebb? I'm -- is there any --

6 MR. MANNY SCHULZ: Well, we take a very  
7 close, hard look at that. And what, for instance, we  
8 have been doing is doing what we call leapfrogging. So  
9 you can see and recall that first slide where we had  
10 all of the debt financing requirements.

11 And so here you can see up through to  
12 2020, we have a lot of interest rate risk just on the  
13 new debt that's coming on. So what we've taken a look  
14 at is to ensure that we don't have a lot of  
15 refinancings that are coming in coincidentally with  
16 that. So I think that's playing in to your -- your  
17 comment, Dr. Grant.

18 And so we leapfrog as much as possible  
19 with our debt maturity plans over this period of time  
20 and try to layer in debt in the 2020 and beyond periods  
21 of time so that we're not creating a further crowded  
22 house, so in terms of the interest rate risk during  
23 this period of time.

24 We have looked at the interest rate risk  
25 profile through all of the periods of time within our -

1 - our forecast period to do exactly that.

2                   And that's why, on our debt management

3 strategy, we tend to favour financings that are in

4 excess of ten (10) years in large measure for that.

5 And we've made a conscious attempt to layer in lots of

6 maturities in that period of time when we have within

7 our plan sufficient cashflow from operations to

8 potentially have debt retirement. We call that 'off-

9 ramping'.

10                   So if we're on the freeway of taking on

11 debt financing, seeking the opportunity when the

12 opportunity is there, should that be available for us,

13 to then reduce our debt loads. And so that's something

14 that we have consciously made an attempt do that, so I

15 thank you for that question, Dr. Grant.

16                   MR. DARREN RAINKIE: Mr. Grant, sorry,

17 if -- if we can go back to slide 25, I -- I think I'm

18 interpreting your question slightly -- slightly

19 different. Maybe I've got it wrong. You let me know

20 if I have. I think it's just our nomenclature on the

21 slide. We've said that 74 percent of our port --

22 portfolio is not subject to interest rate risk within

23 the next twelve (12) months, so that's \$8.1 billion.

24                   But if you go over to the other side of

25 the pie, the fixed-rate long-term debt that's to be

1 refinanced within twelve (12) months is 7 percent, or  
2 800 million. So I wasn't sure if your question was  
3 just the way we've named this slide, if that 74 percent  
4 slice of the debt is coming due within the next twelve  
5 (12) months, but it's all long-term debt. It's only  
6 the 7 percent that's coming due in the next twelve (12)  
7 months on this slide.

8 DR. HUGH GRANT: The oth -- let me try  
9 again. I think I was trying to say, Could you take  
10 that big piece of the pie and split it into segments  
11 where I know that so much is coming due in five (5)  
12 years, and ten (10) years, and fifteen (15) years? But  
13 I think slide 18 sort of addresses that fairly well. I  
14 get a sense that it's fairly evenly spread out over...

15 MR. DARREN RAINKIE: I'm sure we've  
16 provided an IR that provides that maturity, or in our  
17 debt management strategy. There's a -- there's a  
18 picture of that somewhere on the record, sir.

19 MR. MANNY SCHULZ: And actually, we can  
20 call that up for you very quickly. Diana, if you can  
21 pick up on page -- it's on Tab -- on Volume IV of the  
22 PUB book of documents, page 45.

23

24

(BRIEF PAUSE)

25

1 MR. MANNY SCHULZ: So the Y-axis is --  
2 is quite large, going up to \$4 billion, but it's  
3 somewhat in scale to what you would have seen in that  
4 new borrowings chart that was shown in our direct  
5 evidence. And so you can see what's referred to -- and  
6 in fact, here's a quote from DBRS in this midst of this  
7 text, saying that we have a -- a relatively smooth  
8 maturity profile. And you can see the variability and  
9 you can see the layering in there.

10 We've tried to minimize the amount of  
11 debt that's coming up for refinancing in this crowded  
12 house period. And you can see that we've got a fair  
13 amount of layering that goes on in the years subsequent  
14 to that.

15 THE CHAIRPERSON: Okay. Looking at  
16 that, you might want -- 2020 kind of says the opposite  
17 of what you've been telling us. You know, it -- it  
18 look at the -- look at the -- the maturity schedule.  
19 It -- it -- there's a lumpiness to that schedule. Then  
20 2020 is showing -- 2020 -- I can't read -- 2017 -- '19,  
21 so it's showing a -- a fair chunk of debt that has to  
22 be addressed, a billion dollars. And this would be  
23 over and above what you're trying to get for new?

24 MR. MANNY SCHULZ: Yes, sir, but this  
25 is also -- this chart is also without any application

1 of sinking funds and so on, so --

2 THE CHAIRPERSON: Oh, I see. Okay.

3 MR. MANNY SCHULZ: -- so many of these  
4 pieces of debt, we -- we would chop that off with  
5 sinking fund payments, and that we would have as part  
6 of our sinking fund strategy to -- to peak shave some  
7 of that.

8 Where we see some of the hollows, for  
9 instance, in the 2020 fiscal year, we're leaving some  
10 flexibility for potentially US dollar issuance, which  
11 tends to have a -- a shorter term to maturity just  
12 because of the way the financial markets are. So we're  
13 leaving some flexibility in there for us, as well.

14 THE CHAIRPERSON: But coming back to  
15 leapfrogging, that would presuppose that the -- the  
16 Manitoba government is also playing the same game. In  
17 other words, they know you're going to need a whole set  
18 of debt issues during that period.

19 What are they -- are they doing the same  
20 thing -- attempting to do the same thing to harmonize  
21 with what you're doing?

22 MR. MANNY SCHULZ: So our interests  
23 would potentially be slightly different than the  
24 Province of Manitoba's. Our interest, because we have  
25 long-term assets, we tend to have a bias that has long-

1 lived liabilities to match them up. So we, I think,  
2 would be -- tend to be slightly longer, leaving them  
3 potentially room to take on some of the shorter  
4 duration.

5 In the financial markets, we try very  
6 hard to maintain benchmark issues in the five (5), ten  
7 (10), and thirty (30) year time space. Those are kind  
8 of the -- the typical terms to maturity. So we tend to  
9 lean on the thirty (30) years, some tens. The province  
10 sort of goes across the entire spectrum, including in  
11 the five (5) years. So, you know, there's a blending  
12 and coordination that happens around this. Thank you.

13

14 (BRIEF PAUSE)

15

16 MR. IAN PAGE: Good morning, panel.  
17 And thank you -- thank you, Manny, for that in -- lead  
18 in. I'm going to be talking primarily about the  
19 economic outlook and the portion of the economic  
20 outlook is of particular interest to everybody in this  
21 room, and that's the interest rate forecast.

22 Our economic outlook, it's provided in  
23 the -- in the application, Annex 3.1. We prepared in  
24 the -- it was prepared in the spring of 2014 and -- and  
25 we prepare forecasts for the -- for the vari -- the

1 variables that we see on the screen there, so interest  
2 rates, short and long, exchange rates, inflation, GDP  
3 growth, disposable income, and Manitoba population  
4 growth.

5                   Those last three (3) variables there are  
6 primarily used in the preparation of the load forecast.  
7 When we get closer to the time where Ms. Carriere is  
8 preparing the IFF, we will do a -- we'll have a --  
9 revisit some of these forecast variables and have a  
10 look and see if they warrant a -- an update. And the  
11 last number of years we've been doing updates in the  
12 fall. So that fall update is on -- primarily on the  
13 interest rates and exchange rates. It's what's inc --  
14 incorporated in the IFF14 that we filed.

15                   And -- and we've talked about this in --  
16 in previous hearings, but the way we deal with a  
17 forecast is a consensus basis. We use a -- a number of  
18 financial institutions. We get their -- their  
19 forecasts. Those forecasts tend to primarily be in the  
20 short to mid-term. So some can go three (3), some four  
21 (4) years, but they're -- they're generally in that --  
22 in that sort of time frame.

23                   We do use three (3) private sector  
24 sources, IHS, Conference Board, and Spatial, and they  
25 will give us the longer term forecasts. When we're

1 doing the population forecast, which I mentioned on the  
2 previous slide, we also use the Manitoba Bureau of  
3 Statistics, but I didn't put them on this slide,  
4 because they were only used for the one (1) single  
5 variable.

6                   So this graph shows the -- the long-term  
7 forecast. So it's at ten (10) plus years. So this is  
8 a -- sort of a blending of our ten (10) year forecast  
9 and our thirty (30) year forecast of debt issues. And  
10 the -- the light blue line at the top is the -- that  
11 spring up -- spring economic outlook that was done --  
12 it -- that was in the filing. And that darker blue  
13 line, which you can see is a little bit more than a 1/2  
14 percent lower in the longer term, that's what was used  
15 in that fall update.

16                   I guess one of the big things that  
17 happened between the -- the term -- time we did the  
18 spring forecast and that fall update was the Bank of  
19 Canada in -- in September of 2014, they issued a paper  
20 which sort of discussed what they -- what they refer to  
21 as the neutral rate of interest. And so the neutral  
22 rate of interest is sort of that rate of interest where  
23 it's not either being -- interest rates aren't being  
24 used to either stimulate the economy or rein it -- rein  
25 it back in.

1                   And the assumptions that have been used  
2 over the years is that -- if we look at our forecast  
3 history, that all the forecasts have tend -- tended to  
4 be on the -- on the high side, because there was this  
5 assumption that the interest rates would be rising back  
6 -- and sort of reverting to a long-term mean. This  
7 paper that was prepared in September 2014 by the Bank  
8 of Canada basically sort of stepped back and said,  
9 Let's have a look at that. Maybe we've been -- that  
10 long-term mean that we've -- everybody has been  
11 assuming we're going to be reverting to, maybe that's  
12 not the case anymore.

13                   And so they -- they've essentially did  
14 their work and said, It looks like we're at a sort of a  
15 new normal for that neu -- neu -- for that neutral rate  
16 of interest. And they said it was probably 1 to 2  
17 percent lower than what we've been seeing historically.  
18 And so when we did that fall update, that was shortly  
19 after that -- that paper was issued, so some of the  
20 forecasters would have fully incorporated that. Some  
21 may or may not have. But -- so we do see that factor  
22 having been incorporated in that longer term fall  
23 update.

24                   The ninety (90) day T-bill rate  
25 obviously wouldn't be reflective of that sort of long-

1 term normal. So it -- we did see a very small change  
2 in that rate. We did see, however, in -- again,  
3 subsequent to the preparation of even the -- of the  
4 IFF, we did see this in January. We did see the Bank  
5 of Canada drop their overnight rate by a quarter  
6 percent. So that's something that hasn't been  
7 incorporated in this forecast.

8 Exchange rate is probably one (1) of the  
9 more volatile variables that we try to project, because  
10 in -- in essence, it's sort of the differential of --  
11 or the sum of the differentials between the -- the two  
12 (2) economies, the Canadian and the US economy, and its  
13 -- and its built-in expectations. There's a lot of  
14 hard economics in it. The financials and emotional and  
15 -- and things like flight-to-quality. So a whole -- so  
16 it -- it does tend to be the -- the variable that  
17 fluctuates the most.

18 And we did see -- and -- and we're all  
19 well aware of the dollar went from not far off par last  
20 -- early last spring to -- to a substantially weaker  
21 Canadian dollar in -- in -- by the time we were prepared  
22 -- prepared the forecast. Fortunately, Mr. Schulz's  
23 exposure management program effectively manages this  
24 risk. So this -- out of all of the -- the different  
25 variables that can impact us, this is -- this is one

1 (1) where we actually have the ability to proactively  
2 management and sort of -- and -- and essentially  
3 eliminate the bottom-line risk to Manitoba Hvdro.

4 So some of the other variables that we -  
5 - that were included in that spring 2014 forecast:  
6 Canadian CPI at 2 percent, Manitoba CPI, two point one  
7 (2.1). The real Canadian GDP was assumed last year to  
8 -- for this to -- to grow 1.9 percent, and Manitoba is  
9 a little bit less, 1.6 percent. Disposable income  
10 growth about 2.2 percent, and Manitoba population  
11 growth about .9 percent. That -- that would translate  
12 to about forty-nine hundred (4,900) new residential  
13 customers for Manitoba Hvdro every year.

14 THE CHAIRPERSON: What date is that --  
15 this forecast? This -- this one we're seeing here?

16 MR. IAN PAGE: Sorry, couldn't quite  
17 hear?

18 THE CHAIRPERSON: The -- the -- is it  
19 fall of 2014, or is it the...

20 MR. IAN PAGE: This -- these -- these  
21 were spring of 2014. The CPI numbers changed very --  
22 there was very small changes in what the forecasts were  
23 by this fall, so we chose not to update that. Because  
24 it's a fairly major effort for Ms. Carriere to  
25 incorporate some of these things. And GDP and

1 disposable income growth, there -- there's not a lot of  
2 point in us updating at that point, because the load  
3 forecast would have been already finalized in the -- in  
4 the summer. So any of the -- any changes we see in  
5 those wouldn't be incorporated until the subsequent  
6 year's forecast.

7                   Now, as -- as we know the economy is not  
8 static, and there's been a lot happening over the past  
9 year, a lot of it being sort of pared down to oil and  
10 Greece. And we're not referring to poor eating habits.  
11 But we've been -- seen a -- a -- there's a huge change  
12 in the price of oil, and the uncertainty caused by the  
13 sort of ongoing issues in Greece.

14                   Oil prices, at the time we prepared the  
15 economic outlook, we were looking at about a hundred  
16 dollars a barrel. By October, that was down to eighty  
17 (80). In January, we were down to forty-four dollars  
18 (\$44), and -- and now we're back up to -- into the --  
19 into the fifty (50) and sixty dollar (\$60) range.  
20 Natural gas prices last spring, the -- the spot price,  
21 four-sixty-six (466); October, three-seventy-eight  
22 (378); January, two-ninety-nine (299). And at April,  
23 two-sixty-one (261).

24                   And now there's significant talk -- talk  
25 of what -- this the word that they're referring to as

1 'fracklog', where there is sufficient -- or -- or it's  
2 not sufficient. There is a large amount of -- of  
3 natural gas that's available through all of the -- the  
4 widespread fracking. And the view is now that there's  
5 so much of that in there that -- that it's being held  
6 back with the low prices. So as the prices start to  
7 creep up, more of that will come into the market and  
8 that will provide a really long, drawn out recovery for  
9 the price of gas. And as -- and -- and Mr. Miles has  
10 referred to natural gas has a direct impact on our --  
11 on our export prices.

12 Canadian GDP tied to the -- tied to the  
13 drop in the price of oil. That's -- the new outlook is  
14 that actually for the first half of this year, the real  
15 Canadian GDP is going to be about zero. And as a  
16 result of that, that's why we saw that -- that quarter  
17 percent drop in the -- in the overnight rate back in  
18 January.

19 Now, interest rates, we've seen  
20 subsequent to the preparation of the -- the fall IFF,  
21 we were asked to do an update for one (1) of the IRs,  
22 January. And we did see some significant drops in the  
23 interest rates, particularly in the shorter term. And  
24 -- and Mr. Schulz has referred to those.

25 We are actually just completed the --

1 the -- our -- our economic outlook for 2015. And --  
2 and we're seeing a lot of those changes have -- have --  
3 sort of coming back.

4                   There was -- there was a little bit of  
5 an issue with the -- the January forecast as that --  
6 you know, I mentioned all that suite of forecasters we  
7 use. They're not all available at -- all the time. So  
8 the longer-term forecasts that we were -- that we used  
9 at that -- for that -- I think it was PUB-10(b)  
10 question with the -- with the updated interest rate,  
11 there was only one (1) longer-term forecaster available  
12 for that.

13                   So we're back to the full three (3)  
14 available for the longer-term forecast now, and we're  
15 seeing tho -- those interest rates are essentially --  
16 the -- the short term, we've seen a little bit of  
17 movement from what we -- it -- it's still lower than  
18 what we saw in the fall forecast. But once we get past  
19 the first couple of years, the interest rate forecast  
20 is actually higher than what we were seeing by -- at  
21 the time of the preparation of the IFF. So it's  
22 fortunate Mr. Schulz was able to take -- take advantage  
23 of that little dip in the interest rates that we're  
24 seeing, because we're already seeing some of that start  
25 to recover.

1                   And the final value I have on there is  
2 the exchange rate. As we're seeing, that's been very  
3 volatile. The Canadian dollar was -- or the US dollar  
4 was worth about a dollar ten (\$1.10) Canadian last  
5 spring when we did the update.

6                   By the time we did the fall IFF, it was  
7 about a dollar twelve (\$1.12), January, a dollar twenty  
8 (\$1.20), and as of right now, we're sitting at about a  
9 dollar twenty-five (\$1.25). So the Canadian dollars is  
10 -- is back below eighty (80) cents, or it was nearly at  
11 -- yeah, it was well in the upper -- upper nineties  
12 when we started the IFF cycle this year.

13                   If there's any questions on -- on that,  
14 I'll --

15                   THE CHAIRPERSON: I do have a question,  
16 just for Mr. Page. I mean, in terms of these -- these  
17 data, the volatility that might come in your results  
18 would be primarily from interest rates?

19                   MR. IAN PAGE: Pardon me?

20                   THE CHAIRPERSON: It would be primarily  
21 from interest rates? I mean, I -- I don't -- natural  
22 gas prices would impact the price of electricity US,  
23 but in terms of your financial results, the interest  
24 rates would be the one that would have the most impact?

25                   MR. IAN PAGE: If interest rates were

1 to move in isolation, yes. And I -- and -- and I think  
2 what we're trying to tell here, with all -- the  
3 volatility and the number of things, the -- the  
4 interrelationships. Like we're saying, oil prices --  
5 oil prices dropping, Bank of Canada responds with an  
6 interest rate drop, and -- and oil prices are dropping  
7 with lots of oils available from the fracking process.  
8 That also gives you natural -- natural gas is oft --  
9 often associated with that.

10                   So when we're seeing interest rates are  
11 dropping in response to an -- an energy price change,  
12 but that energy price change wasn't just oil. Oil  
13 doesn't really affect Manitoba Hydro directly because  
14 we're not -- we don't do a lot of contracts that are  
15 tied -- or any contracts, really, tied to oil.

16                   But there's a -- a -- there's a -- oil  
17 and natural gas have that sort of -- because they're --  
18 they're geo -- geologically associated, they tend to  
19 move together.

20                   So what we're -- what we're seeing on  
21 the interest side, the gain -- the -- any gains that we  
22 might see there, we're -- we're seeing offset by -- by  
23 energy prices.

24                   And there was, actually, in the -- in  
25 the -- the federal budget documents this spring, there

1 was a really nice graph showing the history that we've  
2 all experienced, the interest rate forecast each year.  
3 There's -- assumed that it's going to come back, and  
4 then the next year it's assumed it's going to come  
5 back.

6                   They had a parallel graph associated  
7 with it showing GDP forecasts, the IMF GDP forecasts.  
8 And it showed exactly the same thing. Everybody  
9 assumed that GDP was going to grow back, and the GDP  
10 has a direct bearing on our -- on our load, and has a  
11 direct bearing on the demand for natural gas and -- and  
12 electricity prices.

13                   So while interest rates, on their own,  
14 if they were to move in isolation, certainly, that  
15 would have -- have a -- an impact on us one way or the  
16 other, if it went up or down. What we tend to see,  
17 though, is that, the -- because of the  
18 interrelationships of all the different factors in the  
19 economy, we don't often see interest rates move just in  
20 isolation on their own.

21                   And I think that's -- that's the point  
22 we tried to make in that response to PUB-10(b).

23                   THE CHAIRPERSON: Mr. Rainkie, I'm --  
24 I'm looking at the -- at the clock and looking at the  
25 section dealing with O&M. I think it would probably be

1 wise if we took a break right now before we embarked on  
2 that next phase. So let's -- let's take ten (10)  
3 minutes right now.

4

5 --- Upon recessing at 10:24 a.m.

6 --- Upon resuming at 10:38 a.m.

7

8 THE CHAIRPERSON: I believe everybody  
9 is in position, so we could resume the presentation.

10 MS. SANDY BAUERLEIN: Good morning. So  
11 I'm going to be discussing Manitoba Hydro's operating,  
12 maintenance, and administrative expenses, and our  
13 commitment to cost control.

14 As indicated, Manitoba Hydro is  
15 committed to effectively controlling its costs in order  
16 to minimize the impact to ratepayers. As Mr. Rainkie  
17 indicated in his presentation, I believe last Monday,  
18 Manitoba Hydro feels that accounting changes, and I'm  
19 going to use his words:

20 "Have muddied the waters in trying to  
21 demonstrate to the Board that  
22 Manitoba Hydro has taken great  
23 efforts to try and control its  
24 costs."

25 Over the period, as demonstrated in this

1 chart here, over the period from 2009/'10 through to  
2 2013/'14, Manitoba Hvdro has maintained its costs to  
3 operate and maintain the Utility at the same level as  
4 Manitoba CPI, excluding our accounting changes, at 1.9  
5 percent.

6                   As we mentioned, the projected growth in  
7 our operating costs is limited to average annual  
8 increases of 1 percent, which will imply productivity  
9 savings of approximately 2 to 3 percent, given the  
10 impacts in growth, and wages, and salaries as a result  
11 of general wage increases. The growth in the 1 percent  
12 in IFF14 is to be at the 1 percent through to 2021/'22.

13                   So what are some of these cost saving  
14 initiatives that Manitoba Hvdro is embarking on? One  
15 (1) is we did an extensive review of our staff  
16 complement in the 2014 fiscal year. Primarily, as a  
17 result, and we've mentioned several times, that the  
18 most significant component of our operating costs is  
19 people, as wages and salaries. And therefore, we  
20 needed to look at -- at reviewing our -- our staff  
21 costs.

22                   That review resulted in a commitment to  
23 reduce approximately three hundred and thirty (330)  
24 operational positions over the three (3) year forecast  
25 period. And we will be achieving that primarily

1 through attrition, by taking advantage of technology  
2 changes, changes in work processes and procedures where  
3 they're appropriate.

4           The attrition opportunities are roughly  
5 -- we have about two hundred and fifty (250) to three  
6 hundred (300) employees each year that leave, primarily  
7 as a result of retirement, and it is those  
8 opportunities that we are looking to, to try and  
9 leverage.

10           As this slide shows, it's shows we've  
11 broken -- to try and provide some additional  
12 information to the -- the Board this year we've broken  
13 our EFTs into three (3) categories of staff. We have  
14 capital construction EFTs, operations and maintenance,  
15 and support and governance.

16           And you'll see that there's a decline of  
17 close to three hundred (300) operational-type EFTs  
18 which would include both our operations and  
19 maintenance, which is the red bar, and the green bar,  
20 which is our governance and support services, over the  
21 period through to 2016/'17 reflecting that  
22 comprehensive review of all positions to support our  
23 cost containment efforts.

24           You will also notice that the blue bar,  
25 which is our capital construction EFTs, is rising,

1 reflecting the cor -- the fact that the Corporation is  
2 entering into a period of extensive investment and  
3 reinvestment in its infrastructure.

4                   We do have an IR that Manitoba Hvdro  
5 filed, PUB-II-1. And in there it discusses that  
6 Manitoba Hvdro still has a lot of work to do to be able  
7 to achieve the 1 percent year-over-year growth in its  
8 operating costs through to '21/'22. We are  
9 anticipating the reduction of a further approximately  
10 six hundred (600) EFTs or equivalent cost savings will  
11 be required in that time frame in order to achieve the  
12 1 percent growth. This is an aggressive target that  
13 the Corporation is committed to achieve.

14                   This demonstrates -- this was taken from  
15 one (1) of our IR responses again, and it demonstrates  
16 our progress to December 31st, 2014. At that point in  
17 time, Manitoba Hvdro had achieved a total reduction of  
18 a hundred and seventy-nine (179) operational positions  
19 which was ahead of the committed target for that year  
20 of a hundred and forty-six (146).

21                   And I'd like to note that to end of our  
22 year-end results, to March 31st, we have committed a  
23 reduction of two hundred and twenty-six (226)  
24 operational positions that have been removed.

25                   Some of the other initiatives that we

1 are undertaking that impact our operating costs as well  
2 is that we have the consolidation of our rural district  
3 offices. And we are anticipating the closure of  
4 twenty-four (24) rural district offices. There is  
5 actually two (2) offices still open that will have  
6 final closure in March of 2016.

7                   The closure of these offices was as a  
8 result of -- we were noticing that there had been a  
9 steady decline in customer traffic in our district  
10 offices and more of a shift to online services over the  
11 past number of years. So in doing that, we initiated a  
12 review of our existing rural district organizational  
13 structure, and that was implemented over a number of  
14 phases beginning in 2008.

15                   This consolidation of our district  
16 offices allowed the Corporation also to further  
17 leverage its implementation of the mobile workforce  
18 management system. That system permits the planning,  
19 scheduling, and dispatching of work orders in an  
20 optimized manner to deliver cost efficiencies and  
21 timely service to our customers.

22                   The third initiative I'm going to  
23 discuss is the supply chain management initiative.  
24 This is one (1) I -- I understand Mr. Thomson also  
25 discussed. Manitoba Hydro is again undertaking a

1 number of supply chain initiatives to realize savings  
2 on goods and services purchased, to reduce our  
3 operating costs as well as our capital expenditures.

4                   And what that initiative involves really  
5 is stronger -- looking at our procurement processes,  
6 looking at our inventory forecasting and planning  
7 processes, and as well as trying to optimize our fleet  
8 through improved repair, maintenance, and fuel supply  
9 networking processes.

10                   So these are just an example of some of  
11 the initiatives we're undertaking. Sec -- Tab 5,  
12 Section 5.14, outlines some further initiatives that  
13 the Corporation is undertaking.

14                   MS. MARILYN KAPITANY: Ms. Bauerlein,  
15 before you leave could I just ask a question about  
16 slide 40 please?

17                   MS. SANDY BAUERLEIN: Forty (40)?  
18 Certainly. Yes.

19                   MS. MARILYN KAPITANY: So the blue line  
20 there is capital construction employees?

21                   MS. SANDY BAUERLEIN: Yes.

22                   MS. MARILYN KAPITANY: So that would be  
23 made up of people who are working on the sustainable  
24 capital side and on major capital?

25                   MS. SANDY BAUERLEIN: That is correct.

1 MS. MARILYN KAPITANY: In 2019/2020  
2 framework when Keevask comes on line and when the  
3 transmission line is going to be in-service there's  
4 going to be quite a drop in the number of major capital  
5 employees that are needed I expect. Now, I know this  
6 slide doesn't go out that far, but we've been talking a  
7 lot about cost increases, rate increases going out into  
8 the future.

9 So I would just like to know what is the  
10 plan for -- for dealing with -- with that in terms of  
11 the operating costs that are related to that? I expect  
12 quite a -- a large number of people who are working to  
13 -- to bring those two (2) capital projects to fruition.

14 MS. SANDY BAUERLEIN: Yes. So again,  
15 the Corporation is really looking to take advantage of  
16 attrition opportunities and to try and balance because  
17 there is the recognition that when Keevask and -- and  
18 Bipole are complete there will be a number of staff  
19 that -- who potentially may be -- there's a few things  
20 that can happen.

21 Some of them may be redeployed to work  
22 on some of our sustaining capital initiatives depending  
23 on their skill set. Some may be redeployed to other  
24 operational positions that are held vacant for periods  
25 of time that we feel we can manage. And then some will

1 be leaving the Corporation. Most of the positions that  
2 were for these two (2) projects are term positions. So  
3 there is no guarantee of employment for the staff on  
4 these -- on -- most of the staff on these projects.

5

6

(BRIEF PAUSE)

7

8

MS. SANDY BAUERLEIN: I did just want  
9 to note one (1) other comment, though, that in response  
10 to MH/PUB-IR-I-72, we do show a favourable performance  
11 in our OM&A results for the nine (9) months ending  
12 December 31st, 2014. And I can indicate with  
13 confidence that the preliminary year end results are  
14 also showing that we are below fore -- slightly below  
15 forecast to the end of the fiscal year. And as such we  
16 feel that Manitoba Hydro has demonstrated its  
17 commitment to prudently managing its operating,  
18 maintenance, and administrative expenses.

19

20

(BRIEF PAUSE)

21

22

MS. SANDY BAUERLEIN: So again, now I'm  
23 going to be talking a little bit about some of the  
24 accounting changes that we've had. So as mentioned we  
25 have had a number of accounting changes that were

1 previously approved by the Public Utilities Board in  
2 Board Order 43/'13. And for those Board members that  
3 weren't present for that hearing there's really sort of  
4 three (3) areas of accounting changes that occurred  
5 during these last number of years.

6                   The first is really a reduction to our  
7 cost capitalized. The most recent changes occurred  
8 with respect to the amount of overhead costs that we  
9 were capitalizing. And that took place in 2012/'13  
10 fiscal year where we now expense approximately \$30  
11 million of costs related to IT infrastructure and  
12 support, and building costs, operations, and -- and  
13 depreciation on our buildings.

14                   In total we have now expensed  
15 approximately \$60 million of costs that was previously  
16 capitalized which is aligned with the previous Board  
17 orders to -- to look at Manitoba Hydro's capitalization  
18 policies. And that these changes have been accepted  
19 for rate-setting purposes.

20                   The second change that we've had is  
21 we've had some significant changes to our pension and  
22 benefits primarily as a result of changes in our  
23 discount rate. So the discount rate has gone from  
24 approximately -- well, there was 6 1/2 percent in  
25 2010/'11 to a low of 4 1/4 percent in 2012/'13. And

1 again, is trending downward.

2                   So the discount rate is really to --  
3 used to determine the accrued benefit obligation on our  
4 post-employment benefits such as our sick leave, our  
5 pension expense.

6                   And the discount rate references market  
7 yields on high-quality bonds. Manitoba Hydro validates  
8 its discount rate with its external actuary, as well as  
9 a review of discount rates by other Canadian utilities  
10 and the Civil Super -- Civil Superannuation Board --  
11 Civil Service Superannuation Board. And it also  
12 complies with the recommendations of the Canadian  
13 Institute of Actuaries, Canadian standards -- can --  
14 accounting standards, and IFRS.

15                   And the third change was with respect to  
16 intangible assets and changes in accounting standards -  
17 - Canadian accounting standards required that research-  
18 related and promotional expenditures were to be  
19 expensed in the period incurred. And this is also a  
20 similar requirement under IFRS.

21                   THE CHAIRPERSON: You mentioned the  
22 sick leave benefits, and I'm trying to understand the--

23                   MS. SANDY BAUERLEIN: It's severance,  
24 actually. I was thinking --

25                   THE CHAIRPERSON: I'm sorry?

1 MS. SANDY BAUERLEIN: I was -- it would  
2 be pension, primarily pension impacts, and sick leave  
3 and severance.

4 So with respect to accounting policy and  
5 estimate changes, as Mr. Rainkie has indicated last  
6 Monday, our approach is to try and assess the overall  
7 impacts of the accounting policy changes for rate-  
8 setting purposes.

9 The cumulative total of all of our  
10 prospective accounting changes is actually reducing  
11 revenue requirement. We have a \$25 million reduction  
12 to revenue requirement in 2014/'15 as a result of  
13 changes as a result of our depreciation study, and,  
14 respectively, a \$4 million decrease in revenue  
15 requirement in both 2015 and '16 and 2016/'17 fiscal  
16 years.

17 We believe this approach is fair and  
18 reasonable, as there is no negative impact to  
19 ratepayers. Also, it does not necessitate the need to  
20 take a different approach for rate-setting purposes  
21 versus financial reporting purposes. And therefore,  
22 there is no need to have the two (2) sets of books, to  
23 do something different for rate setting versus  
24 financial reporting.

25 So what are some of the prospective

1 changes that we're looking at as a result of -- of --  
2 in this case, it would be IFRS? We do have some  
3 additional administrative and other general overhead  
4 costs which, under IFRS, are no longer eligible for  
5 capitalization.

6                   This includes things like technical and  
7 soft-skills training. And these would be the costs  
8 associated with employee time and related expenses on  
9 training for operational skills, trades, and  
10 apprenticeship programs, as well as soft skills which  
11 focusses on supervisory and management skills.

12                   In addition, service areas such as human  
13 resources, corporate safety, and finance functions can  
14 no longer be capitalized as an overhead cost.

15                   Administrative and clerical support.  
16 This includes employees within a department whose role  
17 is to support the staff that are directly the hands-to-  
18 tools, so the -- the construction folks, with respect  
19 to the maintenance and operations and construction of  
20 our assets.

21                   And the last area is the fleet and  
22 stores administration, which would include the  
23 management of our fleet and stores areas, including  
24 accounting and IT functions.

25                   Some other, more minor changes in

1 comparison includes an in -- slight increase in our  
2 pension costs due to the impact of wage settlements and  
3 the impact of the interest rate on the obligation,  
4 which is offset by some reductions in other benefits,  
5 which is just reflecting some changes in the  
6 methodology for calculating the obligation.

7           So this slide here demonstrates again  
8 the overall impact of changes is an increase to our  
9 OM&A expense. It's an increase of approximately \$50  
10 million upon transition to IFRS.

11           And again, this is sort of the slide --  
12 a similar slide to the one Mr. Rainkie had, which is  
13 again showing that -- the blue line is showing,  
14 including our accounting changes, the change in our  
15 OM&A costs. And the red line is showing excluding  
16 accounting changes. And again, this is focussing on  
17 our prospective accounting changes.

18           So these changes are being offset by a  
19 number of prospective changes with respect to  
20 depreciation expense. And there are three (3) main  
21 components of that. And I know we'll get into a lot  
22 more detail on the depreciation panel.

23           So the overall change in depreciation  
24 rates results in a in decreasiation (sic) in  
25 depreciation expense of \$25 million in '14/'15, 29

1 million and 30 million in '15/'16 and '16/'17  
2 respectively. So this is a result of changes in the  
3 depreciation rates as a result of the study. And that  
4 change is being, again, primarily due to extension of  
5 asset service lives, and really echoes many of the  
6 comments that was made by my colleagues on the planning  
7 and operations panel where we discussed the efforts  
8 that Manitoba Hydro has done to maintain its assets,  
9 and therefore, has resulted in longer service lives for  
10 those assets.

11                   So that decrease in depreciation along  
12 with the -- a decision by Manitoba Hydro, it was a  
13 policy decision, as Mr. Rainkie indicated, to remove  
14 net salvage upon transition to IFRS. And that results  
15 in a further \$60 million reduction in depreciation  
16 expense. And I do want to note that the inclusion of -  
17 - of net salvage and depreciation rates is a -- a  
18 common regulatory -- a sound regulatory practice and is  
19 -- is fairly common in -- in many areas. And -- but we  
20 did make the policy decision to remove net salvage in  
21 order to -- to help manage the impact to customers.

22                   And what net salvage is, is it's really  
23 the collection of decommissioning costs throughout the  
24 life of an asset. So both of these are resulting in a  
25 decrease in depreciation expense and there is a partial

1 offset. And that partial offset is the change in  
2 methodology from the ASL, which is the average service  
3 life methodology, to the equal life -- life group  
4 methodology, which will ensure compliance with IFRS.

5                   And as I mentioned yesterday, both the  
6 ASL and ELG methods are methods that you can use under  
7 IFRS. However -- they are acceptable under IFRS.  
8 However, for Manitoba Hydro to continue with the ASL  
9 method it would require us to go to a further level of  
10 componentization in order to meet the requirements of  
11 IFRS. Right now, Manitoba Hydro's asset component  
12 groups include a wide range of service lives within  
13 those groups.

14                   Which if we apply the ASL method, would  
15 not produce annual depreciation that would be compliant  
16 with IFRS. And again, the depreciation panel, which  
17 myself and Mr. Rainkie are also on, will be  
18 demonstrating for you that the ELG method of  
19 depreciation that was chosen by Manitoba Hydro is a  
20 reasonable method of depreciation. It promoted  
21 intergenerational equity and it is consistent with the  
22 results of the other methods that are used by other  
23 hydro-electric utilities. And it is a sound method for  
24 rate-setting purposes.

25                   So again, this change shows that the

1 overall impact of the change is a reduction to  
2 depreciation expense. And again, upon transition to  
3 IFRS, this results in a reduction of just over \$50  
4 million and then continues to grow.

5                   So I believe, Mr. Chairman, you were  
6 looking for a similar slide to the O&A slide in Mr.  
7 Rainkie's presentation. So again, we've done the same  
8 approach. We're showing you again the blue line  
9 includes accounting changes. So you can see that we're  
10 lower including accounting changes than if we exclude  
11 accounting changes for depreciation.

12                   So that the overall net result is a  
13 cumulative impact of a decrease of 4 million starting  
14 in the year of transition to IFRS. And you can see by  
15 this slide here we're showing, well, we've got an  
16 increase as a result of the OM&A changes. We've got a  
17 corresponding decrease to depreciation, which then is  
18 then showing you the net impact of the two (2) being  
19 the green line on the net impact of accounting changes  
20 on revenue requirement.

21                   So I'm hoping, Mr. Chairman, that this  
22 slide is hoping to address the undertaking. I'm not  
23 sure if you recall that discussion, which again trying  
24 to demonstrate the overall impact of both -- of the  
25 collective change of all our accounting changes.

1 THE COURT REPORTER: Is that an  
2 exhibit?

3 MS. SANDY BAUERLEIN: This --

4 THE COURT REPORTER: The response to an  
5 undertaking?

6 MS. SANDY BAUERLEIN: We can file  
7 something on the record that just points to this graph  
8 as our response to that undertaking.

9 MS. ODETTE FERNANDES: So as mentioned,  
10 Manitoba Hydro has managed the impact to ratepayers of  
11 the collective accounting changes and, as such, sees no  
12 reason to apply a different accounting policies for  
13 rate-setting purposes.

14 MS. SANDY BAUERLEIN: Are there any  
15 questions? And -- and did this graph answer what you  
16 were looking for, Mr. Chairman?

17 THE CHAIRPERSON: You know, let's -- I  
18 mean, we'll probably have an opportunity to address  
19 this later on, but let's go back one (1) slide, if you  
20 don't mind, perhaps even one (1) more, Diana, please.

21 MS. SANDY BAUERLEIN: This slide?

22 THE CHAIRPERSON: I'm just looking at -  
23 - bear with me a second here. Simply -- you know,  
24 simply making the point that, you know, if you pick and  
25 choose some of these elements you could materially

1 impact the rate requirement. In other words, if you  
2 sav, Let's not go with ELG, let's stav with ASL, that  
3 will mean lower depreciation, hence, that we will  
4 require lower rate for Manitoba Hvdro.

5 So the approach that's being suggested  
6 to this panel, I think, from what I've seen, is that  
7 perhaps we can pick and choose some of these elements  
8 and materially impact the rate requirement that is  
9 being requested by Manitoba Hvdro.

10 So what would be your answer to that?

11 MR. DARREN RAINKIE: Sir, the answer  
12 would be I think we would encourage the Board to  
13 maintain the same approach that you did in the last  
14 general rate application where the very same approach  
15 was being suggested to you, that you not accept the  
16 overhead changes and other changes that Ms. Bauerlein  
17 talked about in her previous slides.

18 That approach was rejected by the Board.  
19 And I think, as read the order anyway, the primary  
20 reason was, is that we can manufacture any type of  
21 better results that we want. We can change -- we can  
22 capitalize every dollar, I suppose, if we wanted to go  
23 to the end of that spectrum. But does that change the  
24 underlying economics of what we're doing? Does that  
25 change the financial position of the Corporation? No.

1                   What it does, if we use that -- some  
2 concoction of different accounting policies, is to  
3 reduce the cashflow to the Company. If we -- if we rig  
4 the accounting policies to make things look better for  
5 the purp -- express purposes of reducing the rate  
6 increase, that will reduce the cashflow to the  
7 Corporation. That will increase the debt level that we  
8 see. And those red bars that I showed you will get  
9 bigger and bigger as time goes on. And that is not a  
10 prudent approach. That's our -- our humble submission  
11 on this.

12                   Because what will happen over time is  
13 the customers will have to pay the cost of those higher  
14 red bars. So that may be a tempting, you know, interim  
15 solution, if you like, to -- to get around something  
16 that's unpopular in terms of a 4 percent rate increase.  
17 But I think what we need to do is look past the first  
18 couple years and -- and think about what that does to  
19 ratepayers long-term.

20                   In our submission, that's not a prudent  
21 approach, and I think the Board rejected that approach,  
22 and I think there was a reason. I mean, I'm -- I'm not  
23 trying to tell you what your order was, but I -- I read  
24 that part of the order very carefully, and it says,  
25 Rejected the approach. It didn't say reject the

1 specific recommendations. It said, Rejected the  
2 approach of just adjusting the accounting policies to  
3 make things look better because we can't go to sleep at  
4 night just making things look better.

5                   And I think what that does is just kick  
6 the can down the road for future -- future ratepayers  
7 to pick up the tab. I think that was the reason of the  
8 Public Utilities Board a number of years ago  
9 recommended that we look at our capitalization policies  
10 and tighten them up. Because intergenerational equity,  
11 the principal of that works both ways. It's not only  
12 about making sure that current ratepayers aren't paying  
13 future costs, but it's making sure that we're not  
14 pushing off current costs to future ratepayers, that  
15 principal that we often -- the great intergenerational  
16 equity principal works both ways.

17                   And -- and the Board recognized that a  
18 number of years ago and asked us to make changes, and  
19 we've responded. So this is all part of the same  
20 theme. This is not some new thing that came up in this  
21 general rate application I think. And -- and Mr. Orle  
22 was -- was, you know, asking us to have different  
23 options. Well, there are different options for the  
24 Board. You can change your mind I suppose and -- and  
25 take a different approach, but I think you already

1 recognized in Order 43/'13 the potential damage that  
2 could have to ratepayers in the future.

3 THE CHAIRPERSON: Thank you.

4

5 (BRIEF PAUSE)

6

7 MS. LIZ CARRIERE: So if there's no  
8 further questions for Ms. Bauerlein I'm going to move  
9 on to the changes to the agreements between  
10 Nisichawavasihk Cree Nation and Manitoba Hydro with  
11 respect to the Wuskwatim project. While these changes  
12 are not a key factor in this application or our  
13 proposed rate increases we thought that it's taken a  
14 while to come to terms with -- with Nisichawavasihk and  
15 that there's been considerable interest in -- in the  
16 outcome of those negotiations.

17 So we thought we'd put a couple of  
18 slides in even that there -- even though there is no  
19 impact on our proposed three point nine-five (3.95)  
20 rate increases. So by way of introduction the Wuskwat  
21 -- the original Wuskwatim pro -- project development  
22 agreement was executed in 2006. And the first PDA  
23 supplementary agreement was signed in 2011. Two (2)  
24 supplemental agreements were required due to the  
25 significant and involving -- evolving changes in the --

1 the partnership's financial forecast.

2                   There was significant deterioration in  
3 the profitability of the partnership primarily due to  
4 lower than expected export prices and higher capital  
5 costs compared to when we originally signed the PDA.  
6 So we signed the second supplement on April 16th for  
7 two (2) -- 2015, just a couple of months ago. And it -  
8 - it is in effect -- effective April 1st, 2014.

9                   Those changes of lower than -- lower  
10 export prices and higher capital costs resulted in a  
11 deferral and reduction in distribution to partners and  
12 consequently higher NCN equity loans and dividend  
13 loans. It was always the original intent of the 2006  
14 PDA that NCN would receive benefits from the project  
15 throughout its entire life. You're well aware that  
16 Hydro projects are characteristically higher in cost up  
17 front with more benefits generated later in its life.  
18 And we've tried to balance that for the First Nation.

19                   Although those -- those distributions --  
20 returns to the NCN are returns on the -- on the par --  
21 project are lower than what was ratified in 2006 --  
22 sorry, the NCN -- what was originally agreed to and  
23 what ha -- what the supplement 2 achieves now is lower  
24 than what was originally agreed to in 2006. The income  
25 benefits do provide a long-term source of revenue for

1 the First Nation.

2                   So starting in describing some of the  
3 changes in the terms, to start off as you're probably  
4 well aware these -- the myriad of agreements that  
5 consist of the PDA and the financing agreements are  
6 very complex. And trying to find a solution that  
7 didn't fundamentally change the original agreement took  
8 the -- the best efforts of both parties. And that's  
9 part of the reason why it took so long to negotiate  
10 this arrange -- the second supplement arrangement.

11                   So one (1) of the terms -- that change  
12 was over the period of time where we were negotiating  
13 with NCN, they've been contributing equity as we've  
14 gone along, but we'd agreed to defer their final  
15 investment date from final close, which was July of  
16 2012, to give them more time to -- to put their final  
17 investment in and deferred that to March 31st of 2015.  
18 They've now contributed \$22 million to the project.

19                   We've also increased the total equity  
20 loan available to -- to NCN to maintain -- so they could  
21 maintain the 33 percent ownership interest at the final  
22 settlement date. The previous agreement, the 2006  
23 agreement, limited the amount of leverage that -- that  
24 we would give to NCN. But from day one of negotiations  
25 the 33 percent ownership was extremely important to the

1 community and so we agreed to increase the equity loan  
2 available to them.

3                   What wasn't part of the original deal,  
4 Nisi Trust has a \$40 million bond that originally  
5 matured, I believe it was in July of 2013. We extended  
6 it to December of 2014 and we are now -- we have  
7 refinanced that \$40 million bond at market coupon  
8 rates. And that -- the coup -- the coupon payments  
9 form part of the cashflow to NCN.

10                   Annual payments of \$2 1/2 million for  
11 twenty (20) years are paid by Manitoba Hvdro and that  
12 is part of the shifting of cashflows from the later  
13 more beneficial years of the project upfront for NCN.  
14 And there's a tradeoff for them, they do get lower  
15 returns later in -- later in the project life.

16                   Because of the level of the loans we  
17 decided that we did not want to make operating cash  
18 calls available to NCN and that previously the -- the  
19 ope -- the operating cash calls were triggered by the  
20 debt-equity ratio of the partnership, which was  
21 intended to be 85:15 in the first ten (10) years and  
22 75:25 thereafter.

23                   The -- the GP -- the board of the GP now  
24 has discretion over whether -- what that -- what that  
25 debt-equity ratio should be and it's allowed to rise

1 above the 85:15 level, recognizing that we fully expect  
2 there to be returns later in the project. The interest  
3 rate premiums on TPC and NCN loans, on the equity loan  
4 there was a 1 percent premium to reflect the risks that  
5 Manitoba Hvdro was taking in loaning them the money.  
6 The -- those have been reduced -- or eliminated,  
7 actually. And now NCN and TPC pay the direct flow  
8 through cost of -- of lending that Manitoba Hvdro pays.

9           We amended the Power Purchase Agreement  
10 to align the price of the Wuskwatim energy that the  
11 partnership -- Manitoba Hvdro purchases from the  
12 partnership, such that system unit revenues, it brings  
13 into the formula the revenues from domestic sales as  
14 well as export sales for a ten (10) year period. And  
15 that's reflecting that over time more and more of the  
16 energy produced by Wuskwatim is being used for domestic  
17 purposes.

18           Eliminating the 3 percent marketing risk  
19 fee, the original 2000 agreement, reduced revenues by 3  
20 percent. So that is reduced or eliminated until the  
21 TPC equity loans and the NCN dividend loans are paid  
22 out.

23           And then we -- we apply a 36 percent  
24 marketing risk fee. And that's the mechanism where --  
25 where we're trading off the short -- the near-term

1 increase in cash and reducing the cash -- cashflow to  
2 NCN in -- in later years of the project.

3 In addition, this was a relatively  
4 recent issue that came up. A revenue adjustment to --  
5 in the PPA to account for uninte -- unanticipated lost  
6 generation. Back in 2006, Manitoba Hydro projected a  
7 certain amount of lost generation for Wuskwatim,  
8 meaning that the plant would not always operate at its  
9 -- its optimal level.

10 So what's happened this last year is  
11 that, because of the very high water flows on the  
12 Nelson River, we've had to cut flow down the Burntwood  
13 River to -- and don't ask me how this works, but we've  
14 had to cut back flow on the Burntwood River in order to  
15 accommodate the higher flows on the Nelson.

16 But we didn't anticipate the degree to  
17 which that would have to be cut back. So this provides  
18 the partnership with an increase in revenue for the  
19 amount that we did not anticipate. You might need Mr.  
20 Cormie to give you a better engineering explanation  
21 than I can provide.

22 So is there any questions on -- up to  
23 now?

24 THE CHAIRPERSON: Just a few questions.  
25 I guess the -- there was a -- there's a settlement date

1 there of March 31st, 2015. Did that happen?

2 MS. SANDY BAUERLEIN: Yes. Yeah. The  
3 agreements have been executed, and NCN's final  
4 investment is in.

5 THE CHAIRPERSON: Okay. What I didn't  
6 understand was the refinancing of the Nisi Trust.  
7 Could you go over that again, please, just to make sure  
8 I understand?

9 MS. SANDY BAUERLEIN: Yeah. This  
10 arises out of the NFA. We -- or the implementation  
11 agreement with Nisichawavasihk. Part of the original  
12 settlement with them was a \$40 million bond.

13 Now, that bond matured, and NCN can then  
14 take the principal amount, the \$40 million, and reinvel  
15 -- reinvest it in the market or, you know, wherever  
16 else they would -- they would like to. But they had  
17 asked to be able to reinvest that with Manitoba Hvdro.

18 So there's no cash effect for Hvdro. It  
19 just displaces other borrowing that we would have to do  
20 in the marketplace. So we agreed to refinance that,  
21 and it's probably a better rate than what they would be  
22 able to get in the marketplace. So -- but it's equal  
23 to our cost of borrowing.

24 THE CHAIRPERSON: And the dividend loan  
25 -- the dividend loan advances -- those were the

1 dividends that they would otherwise have had to pay if  
2 they had fulfilled the commitments to their agreement?

3 MS. SANDY BAUERLEIN: Dividend loans  
4 are -- they're repayable from future dividends. So  
5 while the -- while the partnership is not profitable,  
6 while it's incurring losses, the partner shot --  
7 partnership is not distributing dividends.

8 So in the interim, there's a facility  
9 available recognizing that the First -- the -- the  
10 First Nation has invested \$22 million. And it's  
11 reasonable to expect that you get a return even in the  
12 early years when it's not producing enough revenue.

13 So this is one (1) of the provisions  
14 they have. Hydro will loan them dividends based on a  
15 percentage of -- of their -- or their \$22 million  
16 investment that are repayable from future -- future  
17 distributions.

18 What this does is increases the -- from  
19 the -- it's -- it's -- with its -- it's a function of  
20 the int -- current interest rate, a ten (10) year  
21 interest rate, less 2 1/2 percent, so it's worth about  
22 eight hundred thousand dollars (\$800,000) a year right  
23 now.

24 So what they wanted to do was -- because  
25 when they signed the original agreement, the

1 expectation was that the community would get about \$7  
2 million a year. Over the years, they have taken the --  
3 the income returns from the trust and reinvested them  
4 back into the partnership to make up their \$22 million.

5                   So they've been sort of saving in terms  
6 of their -- their infrastructure in order to contribute  
7 to the -- to the partnership and get better returns  
8 later on. So the dividend loan advances increase from  
9 the eight hundred thousand (800,000) up and taking into  
10 consideration all of the other payments that they're  
11 getting from their coupon payments, water rental,  
12 really, from the province, the eight hundred thousand  
13 (800,000) approximately dividend loans they would  
14 normally get, and after -- and the \$2 1/2 million  
15 dividend and bump that up to \$10 million for 2014 and  
16 \$8 million for 2015 so that they can make investments  
17 in their infrastructure that they've been kind of  
18 missing out for the last several years.

19                   And those -- the top-up is repayable.

20                   MS. MARILYN KAPITANY:    So, Ms.  
21 Carriere, I believe I heard you say at the beginning  
22 that this supplemental agreement has no impact on  
23 rates. So that means that there's no impact on  
24 cashflow or on the -- the bottom line in any way?

25                   MS. LIZ CARRIERE:    Well, there's --

1 there's cashflow impact in terms of the dividend we're  
2 paying out. You know, that's \$2 1/2 million. And the  
3 amount of the loan is being paid -- paid out, but we're  
4 also accruing interest on that loan.

5                   So any incremental finance expense that  
6 we incur is being offset by what eventually gets -- you  
7 know, the interest income where we're also recording  
8 that will eventually be paid out once distributions  
9 start to flow and -- and, you know, they start repaying  
10 their loans.

11                   THE CHAIRPERSON: And lastly, I don't  
12 understand the marketing risk fee. Could you go over  
13 that again, please, just...

14                   MS. LIZ CARRIERE: The marketing risk fee  
15 is just -- it's a term in the PPA in two (2) thous --  
16 that we -- in the 2006 agreement. It simply deducts 3  
17 percent from whatever the -- you calculate as revenue  
18 under the PPA. So you take your energy times your  
19 price. And then you deduct 3 percent of that.

20                   And that was -- that was intended for  
21 the risk because it's -- it's a take or pay contract  
22 between Manitoba Hydro and -- and NCN -- or sorry, the  
23 partnership. And if we couldn't sell it in the  
24 marketplace, that was intended to cover that over time,  
25 that risk.

1                   So we are responsible for marketing it,  
2 because it was originally intended as a merchant plant.  
3 So we took all the risk in terms of being able to sell  
4 it in the marketplace. That has been eliminated in the  
5 -- in -- in the interim until they pay off all of their  
6 loans, the -- the equity loans, and then the -- and the  
7 -- the dividend loans, including interest. And then  
8 when they've done that, that it gets reinstated in  
9 the agreement, but at 36 percent.

10                   So, effectively, it is reducing  
11 distributions to partners later in the project when we  
12 expect there to be, you know, economic benefit.

13                   THE CHAIRPERSON: Now, the immediate --  
14 immediate impact of this agreement, similar to the  
15 question that Ms. Kapitanv was asking, is the -- what's  
16 the increase in cashflow to the -- to the First  
17 Nations? Pre -- pre the agreement, post the agreement?

18                   MS. LIZ CARRIERE: Pre -- so in the  
19 first two (2) years for -- for calendar year '14 and  
20 '15, the community is seeing approximately \$18 million.  
21 And after 2015, it's approximately \$6 million a year  
22 until they -- they pay off their loans. And then they  
23 get their proportionate ownership percentage of the  
24 distributions being paid by the partnership.

25

1 (BRIEF PAUSE)

2

3 THE CHAIRPERSON: There -- there's a  
4 drop in income to the Band -- for the Bands? I -- I --  
5 did I get that wrong?

6 MS. LIZ CARRIERE: You mean from the --  
7 from the --

8 THE CHAIRPERSON: Eighteen (18) to the  
9 six (6).

10 MS. LIZ CARRIERE: -- it goes from ten  
11 (10) -- it's -- 2014 is 10 million; 2015 is -- is eight  
12 (8); and then it's \$6 million a year. Originally, they  
13 had anticipated \$7 million, but because of the overall  
14 economics of the project has decreased because of, you  
15 know, now export prices are lower, the capital costs  
16 came in higher. We couldn't justify maintaining the  
17 same level of income that they had anticipated,  
18 so.

19 So just on the final slide, this shows  
20 you the impact on Manitoba Hydro's net income and what  
21 it's made up of. So I'll start with the finance  
22 expense. Primarily, the finance expense impact is --  
23 is created from the reduction -- or the elimination of the  
24 interest -- the interest premiums on their loans, which  
25 grows over time.

1                   There's another little bit -- there is  
2 also the treatment of the \$2 1/2 million payments,  
3 because that's -- that's an obligation of the Cor --  
4 Corporation. That is recorded as a liability up front,  
5 and as over time, the accretion is recorded in finance  
6 expense. And there's a little bit -- the blue -- blue  
7 bit is the amortization of that -- of that \$2 1/2  
8 million a year for twenty (20) years.

9                   The other impact is on capital and other  
10 taxes, and that's as a result of the -- the reduction  
11 in the TPC receivable in Manitoba Hydro's retained  
12 earnings. And the non-controlling interest in the  
13 earlier years is due to because we've amended the PPA  
14 and the -- it ultimately increases the value of the  
15 revenue that the partnership is recording.

16                   The losses are -- are being reduced so  
17 that has the -- an impact of reducing our net income,  
18 because not as much is being transferred over to NCN in  
19 terms of -- they're still getting 33 percent, but  
20 they're getting 33 percent of -- of lower losses. And  
21 then once the partnership is profitable, that flip --  
22 flips around and we're seeing an improvement on our net  
23 income.

24

25

(BRIEF PAUSE)

1 MS. MARILYN KAPITANY: Okav.

2 MS. LIZ CARRIERE: Okav. So I'll move  
3 on to Manitoba Hvdro's earning sensitivity to risks.  
4 Since the NFAT and -- or during the NFAT and the work  
5 we've been doing since, as well as the work that we've  
6 been doing with -- for KPMG, it's been very  
7 informative. And we have -- I mean, we've always known  
8 that -- that water flow has -- has a significant impact  
9 on Manitoba Hvdro's earnings. But perhaps what has  
10 been surprising is the -- not just the magnitude of the  
11 impact, but the timing of it. You know that the IFF  
12 represents average revenues for export sales, which are  
13 high -- which are entirely dependent on the level of  
14 water flows.

15 And what we've learned is that, of  
16 course, the duration, but also earlier water flow  
17 conditions in the forecast have a significant impact  
18 over time because of the compounding effects of  
19 interest. And what's -- what we've discovered as well  
20 is that those early water flow conditions, you know,  
21 Mr. Cormie, I believe, referenced this earlier, is that  
22 those can change extremely rapidly. And I believe he  
23 used the example of -- of this going from over the  
24 winter. We've seen the water flow conditions  
25 deteriorate relatively quickly due to lack of

1 precipitation. And then you get a -- a spurt of a  
2 rainfall like we saw a couple of weekends ago, and it  
3 changes it quite significantly. And that has a direct  
4 impact on our net earnings.

5                   This isn't a new phenomenon. It's not  
6 something new. We saw this in 2004 with the drought  
7 that we experienced that -- in that year. We saw a  
8 loss of over \$400 million fall -- followed by a \$600  
9 million net income. And, you know, the -- that, you  
10 know, was -- the \$400 million loss was tempered by two  
11 (2) things. It was incredibly favourable water flow  
12 conditions in the -- in the two (2) years immediately  
13 following that, as well as very good export prices, and  
14 the rate increases that the Board gave us at that time.

15                   Now, had we not had those favourable  
16 water flow conditions or export prices at the level  
17 that they were, those rate increases would have been  
18 significantly higher than what we were given at that  
19 time.

20                   So -- the other thing that our -- our  
21 evaluations have shown us is that the independent  
22 assumptions that we've been talking about, so things  
23 like our load forecast, and -- and interest rates, and  
24 -- and so forth, while they do have impacts on the  
25 Corporation, and there is uncertainty around those

1 assumptions going forward, when you pull all of that  
2 together, it's still the water flows that are -- that  
3 dominate the financial performance outcome, or results.  
4 It has the most significant effect on our financial  
5 performance.

6                   I think Mr. Rainkie showed you this  
7 graph in -- in his -- in his presentation on the first  
8 day. So what this shows you is the range of -- of  
9 revenues. Net int -- interchange revenue is  
10 essentially the same thing as net export revenues. So  
11 your export revenues net of fuel and power purchases,  
12 and water rentals.

13                   And if you look in 2017, it can vary  
14 around the average by about \$700 million. You know,  
15 \$500 million to the negative and 200 million positive.  
16 So that, in the very near term, is what we are dealing  
17 with, the level of uncertainty we're dealing with.  
18 Over time, that increases due to a couple of things, a  
19 forecast increase in export prices, for one thing, as  
20 well as as you add resources onto the -- into the  
21 system, you have more generation available, and it'll  
22 have a greater impact on the -- on the level of  
23 variability.

24                   So in terms of the magnitude of -- of  
25 the potential variation in our revenues and -- and

1 correspondingly, on the net income, we have very few  
2 levers to manage that. And because these happen in  
3 such a short period -- can -- they may happen in such a  
4 short period of time, there is very little that we can  
5 do to slow that or -- or mitigate that except through  
6 retained earnings.

7                   That is -- is what we rely on because  
8 all other things -- operating constraints, capital  
9 reductions, rate increases -- take time to implement.  
10 So this is the main thing that we rely on to protect  
11 our customers.

12                   So the next graph shows you -- we go  
13 through in -- it's Appendix 3.6, but this is the  
14 section in -- in IFF14 that looks at the various  
15 sensitivities of individual assumptions.

16                   So the red bar is -- the blue bars are -  
17 - are the retained earnings for MH14. The five (5)  
18 year drought replicates the -- the drought in the '80s,  
19 but occurring between 2017 and 2021.

20                   The cost of that drought we've estimated  
21 to be \$1.7 billion, and you can see that it very  
22 rapidly reduces retained earnings without any  
23 mitigating factors such as, you know, changes in --  
24 well, changes in operations and -- and rate increases  
25 and so forth.

1                   This is assuming everything stays the  
2 same. And we can see that it reduces our retained  
3 earnings below a billion dollars.

4                   The next -- interest rates can also have  
5 a significant impact. We're looking at the economic  
6 outlook in the -- in the fall update forecast, interest  
7 rates with -- that are rising over a period of six (6)  
8 years and then remain flat.

9                   So this looks at the sensitivity where  
10 you -- you increase the -- those rate -- rates in each  
11 year by 1 percent. So by the end, you're looking at  
12 rate increases -- after six (6) years, you're looking  
13 rate -- rate increases -- interest rates in the  
14 neighbourhood of 7 percent.

15                   And that can have an impact on retained  
16 earnings of -- higher interest rates will reduce your  
17 retained earnings by a billion dollars. So that is  
18 also bringing our overall retained earnings to around  
19 the billion-dollar level from the current \$2 -- \$2.7  
20 billion.

21                   Favourable interest rates and -- and  
22 export prices can significantly strengthen our  
23 financial position. Near-term interest rate and export  
24 price impacts are lower due to the fixed debt and firm  
25 contracts we have in export sales. Those take a little

1 bit longer to have an effect and compound.

2                   Capping -- Capex impacts. So we have a  
3 -- a scenario where you have \$50 million either up or  
4 down per year over that ten (10) year period. And it  
5 results in about a \$200 million impact on retained  
6 earnings.

7                   We've had scenarios in previous  
8 forecasts where you had \$100 million increase, and that  
9 results in about a \$500 million impact either way on  
10 retained earnings. You know, you might be surprised at  
11 the -- the impact on that, but it's because the costs  
12 are spread over the -- the life of the assets. So they  
13 don't come immediately into revenue requirement.

14                   These are the impacts on -- on the  
15 equity ratios. You can see again the blue bars is our  
16 current forecast, MH14. The five (5) year drought and  
17 the interest rate scenario both reduce our equity ratio  
18 to around 5 percent, which is well below the 10 percent  
19 that -- that we're comfortable with or we're accepting  
20 for a period of time. And the ca -- in -- in order to  
21 turn this around, you need about a cash injection of  
22 about \$250 million in a year to move that equity ratio  
23 up by 1 percentage point or a hundred basis points, so  
24 it takes a fair amount to -- to move that, to swing  
25 that to be positive.

1 I should note that our equity ratio  
2 currently is about twenty-two (22) and that it  
3 deteriorates fairly rapidly. Other comparable Canadian  
4 utilities are -- are have -- we are at the lower end.  
5 They are usually stronger. BC Hydro currently has  
6 about a 20 percent and Hydro-Quebec is about 30  
7 percent.

8 BC Hydro is planning on strengthening  
9 their for -- their -- their financial -- or equity  
10 ratios to 40 percent over the next ten (10) years or  
11 so. New Brunswick Power operates at a lower equity  
12 ratio, or has in the past. They too have -- they have  
13 an objective of reducing their debt by a billion  
14 dollars and improving their debt ratio to 30 percent  
15 over the next ten (10) years -- or their equity ratio,  
16 I'm sorry.

17 MS. MARILYN KAPITANY: Ms. Carriere,  
18 just the comparisons that you gave for BC and Quebec,  
19 are they in -- are they in a similar situation as  
20 Manitoba Hydro in terms of ramping up capital to the  
21 same extent that your corporation is doing right now?

22 MS. LIZ CARRIERE: Well, BC Hydro has  
23 site C, but I wouldn't -- not the extent of the capital  
24 investment in terms of major new generation and  
25 transmission. But they're in the same situation as

1 Manitoba Hydro in terms of their sustaining capital.  
2 They're in exactly the same position as we are, where  
3 they are starting to heavily -- need to heavily  
4 reinvest in their sustaining capital.

5                   In terms of rate impacts, you know, if  
6 the -- if these -- you know, these assumptions come to  
7 fruition and we're looking at -- and having to have  
8 rate increases to -- to mitigate some of these impacts,  
9 we're looking at -- in terms of real rate increases --  
10 so I've removed the inflation -- I've -- I've adjusted  
11 these for inflation. So Manitoba Hydro's by the end of  
12 ten (10) years is about 19 percent.

13                   The five (5) year drought we're looking  
14 over the ten (10) year period about a 43 percent rate  
15 increase, and that's to get to approximately the same  
16 financial position that the MH14 is projecting. So,  
17 you know, you're only looking at \$2 billion in retained  
18 earnings and 10 percent equity ratios for a  
19 comparability, about 30 percent for the low export  
20 price and -- and interest rate scenarios.

21                   And, obviously, the -- the high export  
22 price, lower capital, and -- and interest rate  
23 scenarios require lower cumulative real rate increases  
24 over that ten (10) year period.

25                   Is there any -- the net -- I'm ready to

1 move on to the alternate rate scenarios that we looked  
2 at, but were there any questions on the...?

3 THE CHAIRPERSON: I'm having trouble  
4 understanding the last one -- excuse me, that last one.  
5 The blue bars represent...?

6 MS. LIZ CARRIERE: The blue bars are  
7 the low and -- and high export pri -- or the blue bars  
8 are the current projected cumulative real rate  
9 increases -- or real rate increase over the ten (10)  
10 year period. So those are the 3.95 --

11 THE CHAIRPERSON: Yeah.

12 MS. LIZ CARRIERE: -- rate increases in  
13 real terms. We've essentially removed the 2 percent  
14 inflation from them.

15 THE CHAIRPERSON: So I'm looking at  
16 two-seventeen (217). So three-seventeen (317) would be  
17 the multiplier of two point nine-five (2.95) over the  
18 three point nine-five (3.95)?

19 MS. LIZ CARRIERE: It's -- it would be  
20 the multiplier of one point nine-five (1.95) over one  
21 point nine-five (1.95) effectively because you're  
22 removing 2 percent inflation from both years.

23 THE CHAIRPERSON: Oh, I see. Okay.  
24 Okay. Okay. Now, that -- that red bar is really  
25 assuming that there's no -- there's no response --

1 there's no management response?

2 MS. LIZ CARRIERE: That's right.

3 THE CHAIRPERSON: And that's why you're  
4 getting that long tail that goes up to -- okay. Could  
5 we go back to the very first one (1) they used which  
6 would be slide -- this is slide 61. This one (1) --  
7 this one (1) is reflecting the variability of revenues  
8 based on what's happening in the export market.

9 Now, I don't understand what's -- why  
10 we're getting a -- a difference here in terms of -- is  
11 that because the variability in export revenue is  
12 projected? The potential variability?

13 MS. LIZ CARRIERE: That's right. So  
14 the -- there's a green bar across zero. Under the  
15 lowest flow on record, we'll take 2017 for example. So  
16 if your -- if your -- if you have 300 million in net  
17 interchange revenue in 2017 -- I'm just making up  
18 numbers. It's not the actual number. But under the  
19 lowest flow on record you would have a billion dollars  
20 -- or, sorry, \$400 million reduction or loss rather  
21 than 300 million positive.

22 THE CHAIRPERSON: And -- and this is  
23 different than the -- than the five (5) year drought?

24 MS. LIZ CARRIERE: Pardon me?

25 THE CHAIRPERSON: It's a different

1 result than the five (5) year drought. We're not --  
2 the assu -- the assumption that you've made here is  
3 there would be a one (1) year low water level.

4 MS. LIZ CARRIERE: Correct. It -- it's  
5 the potential annual variability based on the lowest  
6 and the highest. The five (5) year drought takes the  
7 actual flow data from -- I think it's the '88 to '92  
8 period and replicates that from 2017 under -- you know,  
9 2017 to '21 under those prices. Under the '17 to '21  
10 prices.

11 THE CHAIRPERSON: Now, you talked about  
12 the sensitivity of revenues to a water flow. Is that -  
13 - and so I guess the question I have is in relation to  
14 a rain -- a major rain in southern Manitoba.

15 How long before that gets to -- to your  
16 reservoirs? I mean, how long does that impact their  
17 reservoir levels? Is it -- is it an immediate impact?  
18 Is it a...

19 MS. LIZ CARRIERE: No, it's not an  
20 immediate impact and it depends on where it rains,  
21 partly on where it rains. Obviously if it rains in the  
22 south it's going to take -- and I don't know the actual  
23 amount of time. That's a Mr. Cormie question.

24 THE CHAIRPERSON: I still have in my  
25 memory a rate application that we considered that it

1 was telling us that they -- we were facing low water  
2 flow and then several days after we issued our decision  
3 we found out that the -- that the water flow picture  
4 had changed considerably. And so my question is to  
5 what extent does -- do nearby water flows impact the  
6 rate requirements? So nearby water flows can -- I  
7 think what I heard you say is nearby water flows can --  
8 can have a very material impact on revenues.

9 My question is can we reliably use  
10 information -- nearby information to set rates?

11 MS. LIZ CARRIERE: I -- I don't think  
12 you can because if you have very favourable water flows  
13 in one (1) year, you know, the very next year or two  
14 (2) years later you can have very unfavourable water  
15 flows. So the -- the whole concept behind cost-of-  
16 service is that rather than, you know, under rate base  
17 where, you know, you would have -- you could have very  
18 volatile rate increases or no rates at all, because  
19 you're -- it's just flowing through a formula, whereas  
20 in cost-of-service, we can -- you know, if we collect  
21 too much -- too much in one (1) year, for example, say  
22 we get a rate increase now, and then we have very  
23 favourable water flows, good revenues, and so forth.  
24 We don't have a shareholder that we're distributing  
25 huge dividends to, so the money stays in the

1 Corporation and serves to reduce the debt and financing  
2 charges to customers.

3                   It's not going anywhere. And that only  
4 benefits customers in the following years, because it  
5 is reducing -- you know, it's -- you're reducing the  
6 revenues that are required from them in the next years.  
7 So I don't think, you know, it's near -- setting near-  
8 term rates based on current water flows is prudent.

9                   The other thing is is that our forecast  
10 is based on average water flows. And over very short  
11 periods of time that that -- those water flows can  
12 change dramatically, but over the longer term, it  
13 always comes back to average. And that's what the 3.95  
14 percent rate increases are predicated on, is you might  
15 have short-term variability, but over the long-term,  
16 the 3.95 percent rate increases are what we need. At  
17 least that's the current, you know, directional trend  
18 that we are seeing.

19                   MR. DARREN RAINKIE: So, sir, just to  
20 follow up on that, just kind of the law of averages, if  
21 -- if we were to take a short-term view on things and  
22 have a lower rate increase than three-nine-five (3.95)  
23 because of the short-term favourable water flows,  
24 mathematically, if you accept that things will revert  
25 to average at some point, and there'll be lower water

1 flows somewhere along that, then we would need higher  
2 rate increases at some point to get back to the three  
3 point nine-five (3.95).

4                   So it really depends whether you want to  
5 take a short-term view of things or a long-term view of  
6 things. If you want to take a long-term view of  
7 things, we shouldn't veer off in either direction  
8 because of short-term pluses or minuses. And Manitoba  
9 Hydro, at least as long as I've been involved in the  
10 Corporation, and as far as I can see back earlier than  
11 that, has a real gradual way of looking at this.  
12 That's -- the 3.95 percents are drawing a straight line  
13 in terms of what we need. We're accepting losses in  
14 many years of the forecast after year 3 or 4.

15                   So our -- our rate applications are not  
16 overly sensitive to short-term increases or decreases.  
17 We're taking a long-term view, and of course, we -- we  
18 encourage the Board to take a long-term view as well,  
19 so that we can maintain those gradual 3.95 percent rate  
20 increases. If we steal from the front, then we're  
21 going to have to give back at the -- at the back end.  
22 And I -- it's kind of a mathematical thing in the -- in  
23 the end, you know, if you assume that things will be  
24 average over time.

25                   THE CHAIRPERSON: But, you know, the --

1 the -- look at it from this perspective, you know, in  
2 2019, we're going to be in a situation where you're  
3 incurring losses. If we have a high flow year, those  
4 loss -- you know, those -- those high flow years will  
5 mean that we've reduced the losses, you know, so I  
6 think what we're -- there will be no relief in rates --  
7 there is no rainbow somewhere or pot of gold somewhere  
8 that will say to Manitobans, Okay, this year you get a  
9 break, I think is what you're saving?

10 MR. DARREN RAINKIE: Exactly what we're  
11 saving is I think we're trying to be open with the  
12 Board and our customers that we expect 3.95 percent,  
13 and that we're going to do as much as we can to  
14 maintain that level of rate increase, and we're not  
15 going to veer up or down unless there's a -- a big  
16 change in the long-term outlook.

17 But as -- as some of the discussions  
18 we've had in the first number of days, look at the  
19 fixed cost that's coming in in the next five (5) or  
20 seven (7) years in terms of the cost of the -- the  
21 sustaining capital, Keevask and Bipole III. I know  
22 some folks want to go to the end of the forecast,  
23 eighteen (18) or nineteen (19) years from now, and say,  
24 Well, there's a recovery. But look at -- look at the  
25 risks of that. Look at -- look at what the greater

1 likelihood is in the -- the next three (3), to five  
2 (5), or seven (7) years.

3                   We can't take money from the back end of  
4 the forecast, if it ever materializes, and bring it  
5 forward. But what we know is we're going to have a  
6 certain level of fixed costs after those investments  
7 are made. So that's why we believe that we should look  
8 at the first ten (10) years of the forecast.

9                   The -- the promised land is only after  
10 Keevask is in service and -- and we have multiple years  
11 of 3.95 percent rate increases. The IFF assumes those  
12 rate increases accumulate over time. If that doesn't  
13 happen, there isn't -- the trajectory isn't up at the  
14 back end, it's down at the back end.

15                   But if you look at this from a risk-  
16 based perspective, you look at what's coming in the  
17 next number of years. And the -- and the -- you know,  
18 the great thing -- the great thing and the perplexing  
19 thing, I guess, about a -- an electrical utility is  
20 that once those assets are in place, they have a fixed  
21 cost.

22                   They're -- they're great over time,  
23 because they're usually an inflation hedge over time,  
24 but they -- they're fixed costs. Electric generating  
25 plants and -- and Bipole III, in terms of reliability,

1 are fixed costs over time.

2                   They're both -- it's both the great  
3 thing about our business -- high capital costs, low  
4 variable costs once they're in place -- but it's also  
5 the risky thing about our business, I suppose, in terms  
6 of fixed costs.

7                   So -- so we want to stay the course with  
8 the 3.95 percents, but if we pull -- pull from the  
9 front end, we're risking higher rate increases in the  
10 back end.

11                   DR. HUGH GRANT: Can I just ask, on the  
12 last slide, this is cumulative real rate increases by  
13 sixty-four (64)? So what are you deflating it with?  
14 The --

15                   MS. LIZ CARRIERE: CPI.

16                   DR. HUGH GRANT: Manitoba?

17                   MS. LIZ CARRIERE: M-hm.

18                   DR. HUGH GRANT: Two point one (2.1)?

19                   MS. LIZ CARRIERE: Well, on a projected  
20 basis, they're the same. They're 2 percent.

21                   DR. HUGH GRANT: Two percent. And is  
22 this cumulative -- is there a compounding that should  
23 go on that there -- there is some curvature to these?

24                   MS. LIZ CARRIERE: Yeah. There --

25                   DR. HUGH GRANT: So 2 percent on the 2

1 percent, or --

2 MS. LIZ CARRIERE: Yeah.

3 DR. HUGH GRANT: -- or the one point  
4 nine-five (1.95). It's -- so it's -- it -- so it  
5 should not be a straight line. There should be a --

6 MS. LIZ CARRIERE: That's correct.

7 DR. HUGH GRANT: Okay. Thanks.

8 MS. LIZ CARRIERE: Okay.

9 THE CHAIRPERSON: We have some  
10 presenters coming in at one o'clock, so my goal was to  
11 keep on going till 12:15 so that we reserve forty-five  
12 (45) minutes for lunch. So since everybody's here,  
13 let's continue.

14 MS. LIZ CARRIERE: This is the last  
15 section, I believe, so -- so it seems there's a  
16 misconception about our 3.95 percent rate increases.  
17 We've pro -- been projecting 3.95 percent rate  
18 increases since IFF12, which was approved by our board  
19 in November 2012.

20 Mr. Rainkie made several references  
21 throughout the NFAT, as did I, but these ones in  
22 particular were from the NFAT.

23 And, you know, basically, they are  
24 saying that over the next five (5) to seven (7) years,  
25 we will be asking for 3.95 percent, and that it was --

1 3.95 percent was requi -- required no matter which  
2 development plan we were seeking, because we -- and at  
3 page 2 -- 2,775, we did say that we're requiring these  
4 rate increases because they're primarily -- primarily  
5 because of the refurbishment of existing infrastructure  
6 and reliability expenditures.

7           The NFAT -- I just have a cautionary  
8 note about the NFAT rate projections. I think the --  
9 those were used for -- for a pur -- for a purpose. As  
10 Mr. Rainkie said, there -- it was -- it was a -- a math  
11 -- a mathematical search for a number between two (2)  
12 points in time that achieved a 75:25 debt-equi -- debt-  
13 equity ratio with -- without regard to what was kind of  
14 happening in between.

15           So in the All-Gas Plan and Plan 5 or  
16 Plan 6, whichever one you're looking at, those were  
17 experiencing losses as well. And -- and it didn't look  
18 at the degree to which those losses were being  
19 incurred, so, you know, trying to do rate projections  
20 or impacts on customers for long-term assets. And we  
21 only looked at fifty (50) years of an -- of a long-term  
22 asset. It had to be done to simplify -- we had to make  
23 a simplifying assumption to be looking at the number of  
24 runs we did and the number of plans.

25           It's much simpler to do under rate base

1 type of legislation, because it's -- it's formulaic.  
2 You put the -- put that into the -- the new assets into  
3 the rate base, and, you know, you've got your rate of  
4 return and out pops a number. Well, it's not the same  
5 with cost-of-service regulation, because -- and under  
6 rate base, you would end up with much more volatile or  
7 variable rate increases for customers. You would see  
8 the huge 30 percent rate increase as soon as you would  
9 put a hydro plant in service.

10           So under cost of service, we're trying  
11 to smooth that out over time. And when you're doing  
12 that kind of analysis, it's very hard to, you know,  
13 kind of stop a run in the middle and say, Well, I'd  
14 really like to have -- you know, we could -- we could  
15 chop it off at this point when you're doing that many  
16 runs, so it was very mechanical. And the purpose was  
17 to analyze the rate differences between -- between the  
18 plans.

19           And I think we said in Chapter 11 that  
20 they're provided for the purpose of -- of comparative  
21 rate analysis, and not intended to convey specific  
22 revenue requirements, and shouldn't be used for future  
23 general rate applications. So for that purpose, we're  
24 -- we're saving that, you know, the 3.74 percent that  
25 was projected in Plan 5 isn't -- isn't applicable or

1 appropriate for this GRA, because it ignored those  
2 losses, and it was a very mechanical exercise.

3                   There was no, you know, balancing  
4 customer sensitivity with our financial prudence or  
5 things like that. And in that -- you know, Plan 5 in  
6 the -- in the GRA -- or in the NFAT, the financial  
7 position of -- of that -- for the Corporation  
8 deteriorated below that 10 percent equity that we are  
9 willing to accept.

10                   So in addition, you know, Mr. Chair, you  
11 had -- had expressed concerns about, you know, that in  
12 this -- this -- the little graph here, the -- the rate  
13 iog there where we called it 'correction factor', and  
14 it's difficult to comprehend, because it wouldn't  
15 actually happen in practice. We would tend to smooth  
16 those rates out over time.

17                   So we had provided methodologies 1 and  
18 2, where it didn't continue with three point nine-five  
19 (3.95) or the three (3) whatever over the entire twenty  
20 (20) year period, recognizing that if you do have  
21 sufficient revenue generation once those plants are in  
22 service, you can pull back on those rates, so -- but  
23 it'll -- we'll have to wait and see until we get out  
24 there.

25                   So we did look at rate options. And as

1 Mr. Rainkie has suggested that, you know, Mr. Orle look  
2 -- is looking for a \$200 million reduction in capital  
3 tax or whatever. You know, we're -- we're -- you know,  
4 we've looked at our forecast. It's an iterative  
5 process. And the three point nine-fives (3.95s) are  
6 the minimum that -- that we can accept or -- or are  
7 projecting at this time, simply because of those losses  
8 and the compounding effects of the risks that we just  
9 looked at.

10                   You know, our -- we're just not willing  
11 to put customers at risk for higher rate increases. So  
12 the 'A' and 'B' are just demonstrations. 'A', 'B',  
13 'C', and 'D', actually, are -- show, you know, what  
14 lower rate increases over the entire forecast or over -  
15 - over the front end of the forecast are going to do.

16                   And then we show, you know, deferring  
17 those rate increases, what that does to the back-end of  
18 the forecast and the rates that are required in the  
19 event of one (1) of the -- of one (1) of those risks  
20 that are occurring.

21                   But mainly, the 'G', 'H', and 'I'  
22 analysis are the rates that we really require to  
23 improve our financial position and truly protect  
24 customers, but we recognize that -- that those are --  
25 are not going to be accepted by customers very easily.

1 And we've made the balance to reduce those -- those,  
2 you know, 5 to 6 percent rate increases to three-nine-  
3 five (3.95). And these are in Appendix 3.5, the -- the  
4 discussion of the alternate rate scenarios that we  
5 looked at.

6                   So similar graphs that we saw in the  
7 risks -- the risk section of the report, the retained  
8 earnings graph shows that no rate increases totally  
9 wipes out your retained earnings by 2022. And the  
10 others are significantly -- the 2 percent from 2016 to  
11 '24, and the two point nine (2.9) or -- yeah, 2 percent  
12 from 2016 to -- to '19, and then the 2 percent over the  
13 entire forecast period both reduce retained earnings to  
14 below \$1 billion.

15                   The green line -- the -- the sort of  
16 turquoise line and the green line show what reductions  
17 in the front end do to your -- your retained earnings.  
18 They show that you get back to the two point seven  
19 (2.7) by the end, but you have to reduce retained  
20 earnings in the -- in the interim. On the next graph,  
21 we'll see that it -- it depletes the 10 percent equity  
22 ratio -- or the equity ratio further.

23                   And then what the -- the 5 to 6 percent  
24 does is significantly imp -- improves retained earnings  
25 for -- for Manitoba Hydro. In terms of equity ratios,

1 the 6 percent almost gets us to 15 percent by the end,  
2 which is a much more comfortable position to be in, in  
3 terms of equity ratio. And again, the -- the  
4 inflationary or no rate increase scenarios  
5 significantly reduce our -- our equity ratio below  
6 acceptable levels.

7                   And you can see that the deferred rate  
8 increase scenarios of -- of where we have to increase  
9 rates. If you decrease -- decrease rates in -- in the  
10 front end to 2 or 2.95 percent, you need significantly  
11 higher rate increases in the back end to recover and  
12 get us to the same -- both the same level as what's  
13 currently projected in 10 percent, which again is our  
14 minimum acceptable level. The -- that's what we're  
15 saving is the most that -- or the minimum acceptable  
16 level of risk we're willing to take on to protect  
17 customers from higher rate increases.

18                   Cumulative rates. You know, no rate  
19 increases and inflationary rate increases result in  
20 lower cumulative real rates than -- than the MH14, but  
21 at a significant cost to the -- to the financial  
22 position. Deferral of -- of the rate increases from  
23 the front end to the back end of the ten (10) years  
24 results in significantly higher cumulative rate  
25 increases by '24 compared to MH14. And higher near-

1 term rate increases result in marginally higher  
2 cumulative rate increases and significantly strengthen  
3 our financial position at the same time.

4                   So, you know, I think that just  
5 demonstrates the -- the points that we've been making.  
6 Like, the higher -- higher rate increases up front do  
7 more to protect customers from higher rate increases  
8 later on, higher than they would otherwise have to be,  
9 and at the same time improve our financial strength.  
10 Though -- so truly the -- the 2 per cent -- 3.95 percent  
11 are the minimum that we require.

12                   Our final observations on this section  
13 are the rate increases of three-nine-five (3.95) -- or  
14 rate increases were -- have been about one and three-  
15 quarter (1 3/4) times inflation ever since November of  
16 2009, before -- before the reduction in electricity  
17 export price forecasts and before cost increases in  
18 Wuskwatim, for that matter, Keewask, and Bipole III.

19                   Three point nine-five (3.95) percent  
20 rate increases projected since 2012 are following  
21 electricity export forecast reductions and the capital  
22 -- capital cost increases. Manitoba Hydro has  
23 maintained the projected three point nine-five (3.95)  
24 rate increases despite the continued reductions in  
25 electricity export price forecasts and the higher

1 capital costs for Bipole III, DSM, Keevask, and  
2 sustaining capital expenditures.

3 Rate increases of 5 1/2 to 6 percent  
4 would be required to maintain stronger financial ratios  
5 significantly higher than the proposed 3.95 percent  
6 rate increases. And the proposed 3.95 percent rate --  
7 rate increases balance the rates required to maintain  
8 that minimum acceptable financial ratio level and  
9 impacts to customers.

10 And that's everything.

11

12 (BRIEF PAUSE)

13

14 THE CHAIRPERSON: I do have a question.  
15 I wonder if we could go back to -- if we could go back  
16 to sli -- slide 62. Now, one (1) of the risks that I'm  
17 very concerned about is the -- the risk of construction  
18 cost inflation. I'm -- I'm very concerned about -- the  
19 reality is that most recent projects undertaken by  
20 Manitoba Hydro have come in at significantly higher  
21 costs than what was initially projected.

22 And I'm thinking, for example, there's  
23 the recent experience of Bipole III being increased  
24 from two point two (2.2) to -- to four point six (4.6).  
25 So materially different projections. You didn't plot

1 any of -- of the risks involved in the construction  
2 cost area.

3                   Is that -- is there a reason for that?  
4 Did -- did KPMG address that?

5

6                   (BRIEF PAUSE)

7

8                   MS. LIZ CARRIERE:    The -- the  
9 sensitivity of the -- for the capital scenario, the up  
10 \$50 million, that's equivalent to a half-a-billion  
11 dollar increase over the ten (10) year forecast.  So, I  
12 mean, there's different -- different timing in terms of  
13 you can take those -- those results, or the impact on  
14 retained earnings.  And, you know, there'd probably --  
15 it would probably be a little bit higher, because if it  
16 comes into service at some point, you know, in 2021,  
17 you may have three (3) years of -- of interest --  
18 additional interest compounding on that.

19                   But, I -- I mean, in terms of the -- the  
20 range, you could say that the half-a-billion dollar  
21 increase, that scenario that looks at 50 million each  
22 year is a proxy for a half-a-billion dollar increase in  
23 one (1) project.

24

25                   (BRIEF PAUSE)

1 THE CHAIRPERSON: I believe those are  
2 all the questions for today. Ms. Fernandes, please.

3 MS. ODETTE FERNANDES: Thank you, Mr.  
4 Chairman. Just before we break, there was some  
5 discussion you had, I believe with Mr. Cormie,  
6 regarding the Great Northern Transmission Line and the  
7 percentages of capital and funding timeline. And I  
8 believe we advised that that would be best set with --  
9 during the finance panel portion of this hearing.

10 And if it's all right with the Board,  
11 Mr. Cormie is available after the presentations this  
12 afternoon to come in and speak with you briefly about  
13 that.

14 THE CHAIRPERSON: That would be fine.  
15 Thank you. So we'll recess for forty-five (45)  
16 minutes. Back here at one o'clock to hear the  
17 presenters. Thank you.

18

19 (PANEL RETIRES)

20

21 --- Upon recessing at 12:16 p.m.

22 --- Upon resuming at 1:00 p.m.

23

24 THE CHAIRPERSON: Good afternoon. It's  
25 -- it's one o'clock, and I'd like to -- good afternoon.

1 It's one o'clock, and I'd like to get these proceedings  
2 started, please. So if you could position yourselves  
3 accordingly, we'll start -- we'll start the procedures  
4 for this afternoon.

5

6

(BRIEF PAUSE)

7

8 THE CHAIRPERSON: So before -- before  
9 we hear from the first presenter, I'd just like to  
10 remind people that we are working with a restricted  
11 schedule. So we have to limit the amount of time made  
12 available to the presenters.

13 Before you start, I think I should read  
14 something that I've been reading, different steps in  
15 the procedure -- pardon me, in the -- in the hearing  
16 process. So the Manitoba ombudsman has recently issued  
17 privacy guidelines for administrative tribunals.

18 The PUB is mindful of its obligation  
19 under those guidelines. Its decisions in respect of  
20 the application being considered will be sensitive to  
21 the guidelines issued by the ombudsman.

22 Personal information will not be  
23 disclosed un -- unless it is appropriate and necessary  
24 to do so. However, the PUB advises participants that  
25 these proceedings are public, and as a result, personal

1 information protections are reduced.

2                   So with that proviso, I would like to  
3 welcome our first presenter, Mr. Mouland. Welcome.  
4 You were -- you were here before the panel at the last  
5 hearing, I believe.

6                   MR. DAVE MOULAND: Yes, I did, as part  
7 of a group, this afternoon, just as myself.

8

9 PRESENTATION BY MR. DAVE MOULAND:

10                   MR. DAVE MOULAND: Good afternoon. My  
11 name is Dave Mouland. I would like to speak to you  
12 today about the increasing Hydro rates and the effect  
13 these increases have on people living in poverty.

14                   When we hear that Manitoba Hydro is plv  
15 -- is applying for another 3.95 percent increase,  
16 again, most of us just roll our eyes and continue on  
17 with our lives. For those of us living in poverty,  
18 it's not that easy.

19                   Our budgets do not go up by 3.95 percent  
20 every year. If I were living on EIA, welfare, as a  
21 single person with no dependents, after housing costs  
22 or partial housing costs, depending on whether the  
23 housing is owned by Manitoba Housing or privately  
24 owned, plus all utilities paid by EIA, I would have a  
25 budget of one hundred and ninety-five dollars (\$195)

1 per month to top off the rent payment not covered by  
2 EIA, pay for food, clothing, transportation, and any  
3 other expenses that may come up.

4                   This works out to about three dollars  
5 and ninety-six cents (\$3.96) per day for food. Many  
6 people spend more than that, three dollars and ninety-  
7 six cents (\$3.96), on their morning latte today.

8                   When we are able to find housing and all  
9 utilities paid in full by EIA, these rates increases  
10 are still passed on indirectly to the poor in the form  
11 of higher food prices. For the working poor earning  
12 around fifteen thousand (15,000) a year, that ten (10)  
13 cent increase on a wilted head of lettuce may not be a  
14 backbreaker. But for someone living on three dollars  
15 and ninety-six cents (\$3.96) a day, it is.

16                   In Manitoba the budget for the food  
17 allowance has not increased in twenty-three (23) years.  
18 Yes, let me repeat that. The provincial government is  
19 saying that the cost of food has not gone up in twenty-  
20 three (23) years. It is true that other parts of the  
21 EIA budget have gone up over that time span, but only  
22 for specific items like Hydro rates or rent.

23                   I would also like to talk to you today  
24 about a single mom on welfare with a baby and a twelve  
25 (12) month-old who uses Winnipeg Harvest to supplement

1 her food budget. As you may know, I volunteer at  
2 Winnipeg Harvest sometimes in the call centre, speaking  
3 directly with clients. Winnipeg Harvest depends on  
4 donations to supply food to the needy. The only item  
5 we buy is baby food and infant formula.

6 I have priced one (1) can of formula,  
7 which is about enough for about a week's supply, at  
8 thirty-two dollars and ninety-nine cents (\$32.99) per  
9 can. But there are times when we don't have sufficient  
10 funds to purchase enough at Winnipeg Harvest. At times  
11 like this, we do not fill any requests for formula  
12 until every food bank has been without requested  
13 formula.

14 Winnipeg Harvest cannot decide which  
15 baby gets fed and which one does not, but every mom in  
16 this situation now has to make the choice: Pay the  
17 Hydro bill and starve baby, or feed baby and don't pay  
18 the Hydro bill and risk having Hydro cut off because of  
19 non-payment. Some choice. If there is an easy answer  
20 to this question, let me know so I can pass it on to my  
21 clients.

22 I would like to end with just some  
23 general observations about Manitoba Hydro. It seems to  
24 me that there are always some new projects underway.  
25 New dams, power lines, converter stations, all this so

1 we can sell more power to the USA. I have lived in  
2 Manitoba since 1968, and I have never lived through a  
3 power outage due to insufficient generating capacity,  
4 so these new projects are not really to safeguard our  
5 own use.

6                   Each and every major project drives Mani  
7 -- Manitoba Hydro deeper in debt. This debt will be  
8 paid for by Manitobans well into the future. There is  
9 very little being said about renewal of existing  
10 infrastructure. I see trees growing into overhead  
11 power lines, but they are not trimmed back until a  
12 major wind storm blows them down, along with the lines.

13                   Why are power lines not going under --  
14 underground in older, urban areas? Why are street  
15 lights on for days at a time? Every time a contract is  
16 signed, there are cost overruns and completion delays.  
17 Why can't these contracts be the same as when I sign a  
18 contract, which is binding on both sides? Every time  
19 Hydro rates go up, so do government revenues through  
20 the 8 percent PST. Where does this money go? Is it  
21 dedicated to Manitoba Hydro, or does it disappear into  
22 general revenue? Thank you very much for listening to  
23 me, and thank you.

24                   THE CHAIRPERSON: Explain, Mr. Mouland,  
25 to me, the -- in your case, the -- the Hydro bill, you

1 -- you have to pay Hydro bill through the EIA payment?

2 Is that...

3 MR. DAVE MOULAND: No -- no, I am not  
4 on EIA. I am speaking for people on EIA.

5 THE CHAIRPERSON: But somebody on EIA  
6 would be paying their bill using the EIE -- EIA  
7 revenue?

8 MR. DAVE MOULAND: Yes, sir. In some  
9 cases, EIA pays directly the Hydro bill. In other  
10 cases, if it's a privately owned house or housing, and  
11 it's being rented by the person on EIA, then there is  
12 either a short -- shortness from EIA. They will only  
13 pay so much, or they don't pay at all.

14 THE CHAIRPERSON: Thank you very much  
15 for having -- taking the time and trouble to -- to meet  
16 with us. Thank you.

17 MR. DAVE MOULAND: Thank you.

18

19 (BRIEF PAUSE)

20

21 THE CHAIRPERSON: Good afternoon, Mr.  
22 Turner. How are you?

23 MR. BILL TURNER: Good. How are you?

24 THE CHAIRPERSON: Good. Could you  
25 introduce your colleague, please?

1 PRESENTATION BY MIPUG:

2 MR. BILL TURNER: Okay. First of all,  
3 Mr. Chairman and members of the Board, we thank you for  
4 allowing us to come and spend some time with you this  
5 afternoon. For those who do not know me, my name is  
6 Bill Turner and I'm the chair of the MIPUG, or Manitoba  
7 Industrial Power Users Group, and the former plant  
8 manager at Canexus Chemicals in Brandon.

9 With me today is Dale Bossons, of  
10 Canexus. And Dale is the division -- Brandon Canexus  
11 plant manager and co-chair of MIPUG.

12 You will be given a copy of the complete  
13 presentation, but in order to conserve some time and  
14 spend some time on the MIPUG concerns, I'll forego  
15 going over that initial part of the presentation, which  
16 I think you've heard before, most of you have heard  
17 before on a few occasions that I've presented.

18 Basically, that introduction, just to  
19 introduce, is MIPUG and who the -- the members of MIPUG  
20 are, and some of the -- the benefits and -- and things  
21 that the group has accomplished and done over the --  
22 the last several years, including where the plants are  
23 located and the communities that they help support.

24 A few years ago, we did a MIPUG economic  
25 contribution to the Province of Manitoba and to the

1 communities that we all work in, and that is included  
2 in that open -- opening remarks, which, again, I'll  
3 forego to get into -- I think one (1) of the main  
4 reasons we're today is the concerns that the MIPUG  
5 members have on the potential increases in the power  
6 rates.

7                   This con -- current proceeding raises a  
8 number of issues for MIPUG members related to the  
9 curtailable rate program, industrial DSM, and overall  
10 trends for further and higher rate increases going  
11 forward. I will deal first with the curtailable rate  
12 program.

13                   MIPUG also has concerns regarding  
14 Hvdro's proposal to -- to reduce caps on the  
15 curtailable rate program. The curtailable rate  
16 program, as most of us know, was developed in the early  
17 1990s through joint efforts of industry and Hvdro, and  
18 supported by the PUB. The program provides capacity  
19 for the benefit of the system, helps with the  
20 reliability, and is one (1) of the few DSM options  
21 available to industrial customers in Manitoba.

22                   In order to participate in this program,  
23 companies such as Canexus and others have invested  
24 significant time -- significant time and attention to  
25 having the necessary equipment, procedures, and staff

1 training in order to respond as required when a  
2 curtailment occurs. This investment is -- in time and  
3 resources has paid off for both the MIPUG members as  
4 well as for Manitoba Hvdro and its customers.

5                   The merits of this program were even  
6 noted during the recent NFAT hearing, where the PUB  
7 recommended that DSM programming be increased and noted  
8 that the curtailable rate program had potential to  
9 result in additional capacity savings and merited  
10 further review.

11                   Given all this, Hvdro's move to reduce  
12 caps on the availabil -- availability of option A and  
13 'R' is surprising. It is MIPUG's view that Manitoba  
14 Hvdro continues to undervalue the long-term benefits of  
15 the Curtailable Rate Program.

16                   MIPUG is concerned about the development  
17 and encourages the Board to assess whether the lower  
18 interim caps sought by Manitoba Hvdro for the program  
19 are actually required. Members do not want to see the  
20 value of the program diminished, but also do not want  
21 to see this option taken away from new participants.

22                   In prior MI -- MIPUG presentations to  
23 the PUB MIPUG members have spoken about significant  
24 rate options that exist in other locations, which  
25 result in member companies having access to lower

1 overall costs for power than they have in Manitoba.  
2 Members who own plants with operational flexibility  
3 understand that their sister operations in other parts  
4 of Canada or the USA can eas -- can alter their loads  
5 to assess load daily or seasonal market prices and  
6 avoid or capture the benefits at times of high  
7 marketplace prices.

8                   For companies that generated some  
9 portion of their own power, other jurisdictions offered  
10 the opportunity to receive economic price incentives on  
11 that generation. Overall, there are minimal programs  
12 or rate options available in Manitoba to help industry  
13 manage their power costs. As a result, Manitoba's  
14 position with respect to power costs has changed.

15                   For many MIPUG members Manitoba was the  
16 among the lowest cost jurisdictions for power, but it  
17 is not at the current time. In a number of locations  
18 in North America, with only a limited degree of  
19 participation in alternative program offerings,  
20 customers can achieve overall power costs lower than  
21 what is available in Manitoba.

22                   With regard to DSM, Manitoba members,  
23 excuse me, have in the past worked with Manitoba Hvdro  
24 to develop programs to help industry managed costs.  
25 Following the NFAT review the PUB recommended that an

1 arms-length entity be established to develop and -- and  
2 implement a plan to meet mandated DSM targets. This  
3 presents a problem further -- which would further --  
4 whoops, sorry.

5                   This presents a further risk element to  
6 MIPUG members regarding uncertainty in how programs are  
7 developed in the future and the ability for members to  
8 access programs to shave or shed load. MIPUG is very  
9 concerned about industrial DSM being removed from the  
10 Manitoba Hydro.

11                   Industrial DSM opportunities are  
12 customized to suit each individual load and require an  
13 in-depth knowledge and understanding on each customer's  
14 energy usage and operations. Manitoba Hydro has the  
15 in-depth knowledge and long-standing industrial  
16 relationships with industry regarding low profiles,  
17 power needs, and customer operations.

18                   This model has proven successful for  
19 delivering industrial DSM programming in the past.  
20 Replicating this understanding in a separate external  
21 agency or third party would be inefficient and  
22 duplicate efforts that which are already required  
23 intern -- internally at Manitoba Hydro.

24                   Additionally, the ultimate knowledge of  
25 a company's operation requires, for effective

1 industrial DSM programming, usually contains a high  
2 degree of confidential and commercially sensitive  
3 information. Adding an additional relationship with a  
4 newly formed agency or third party would result in this  
5 information being spread more broadly, creating an  
6 additional element of risk for industry, which may have  
7 a dampening effect on new capital investment within  
8 Manitoba.

9                   Finally, among the largest industrial  
10 DSM programs are programs that help curtail the  
11 capacity used by eligible industrial companies for  
12 short periods, in fact, hours, at times, of -- of acute  
13 system demand. It is not clear how such programs could  
14 be managed in any form by any entity other than  
15 Manitoba Hydro.

16                   Given the customers -- give -- given the  
17 customs -- outcomes of the recent NFAT proceeding,  
18 MIPUG members were also surprised by the requirement in  
19 this GRA for an additional 3.95 percent rate increase  
20 at this time. MIPUG intervened in the NFAT proceeding  
21 and is aware of the arguments put forward by Hydro at  
22 that time. Hydro argued that with 3.95 percent rate  
23 increases each year, well into the future it could  
24 undertake massive investment -- investments in future  
25 generations while maintaining a safe and reliable

1 svstem.

2                   Now, with the 10 billion Conawapa put on  
3 hold, there are no savings for ratepayers and Hydro  
4 still needs a 3.95 percent increase each year well into  
5 the future. Following a period of recession Industry  
6 Manitoba has continued to be challenged by steady rate  
7 increases, in fact more than 40 percent since 2004. In  
8 the past rate increases were presented as a decade of  
9 investment followed by a decade of returns. With each  
10 subsequent financial forecast these returns eroded.  
11 Now, Hydro ind -- indicates that we can expect ongoing  
12 and sustained proposals for rate increases that are  
13 well above inflation for the next decade or more in  
14 order that -- and to meet ongoing operational and re --  
15 reliability requirements.

16                   For MIPUG members to survive in Manitoba  
17 we cannot have another decade of similar rate  
18 increases. Throughout this period Manitoba Hydro also  
19 produced cost-of-service studies that show industry  
20 paying 10 percent or more above its costs. Yet all  
21 rate changes were implemented on an across the board  
22 basis. It must be noted that with a 3.95 percent rate  
23 increase applied on an across the board basis the  
24 industrial customer's share of that increase is larger  
25 than the balance of the ratepayers.

1 Industrial customers also own and  
2 maintain their own transformation which is an  
3 additional cost. MIPUG companies are expected to  
4 manage costs and prioritize spending in order to  
5 survive in an increasingly competitive cost  
6 environment. In MIPUG's view there is a need at this  
7 time to review Hvdro's practices in order to ensure, in  
8 a way that is transparent to all parties, that Hvdro is  
9 pacing, prioritizing, and controlling its expenses so  
10 as to control and pace rate impacts on customers.

11 Overall, MIPUG members are concerned  
12 about persistent electricity rate increases that  
13 undermine the advantages of operating in Manitoba,  
14 especially in an environment where Hvdro is offering  
15 minimal programs or rate options to industrial  
16 customers that would be -- that would help to manage  
17 power costs.

18 Electricity prices matter greatly to  
19 industrial customers and without a cost-based, stable,  
20 and predictable regulated rate environment there is a  
21 risk that investments will occur elsewhere taking along  
22 hundreds of millions of dollars in capital investment,  
23 reinvestment, and upgrades with the associated  
24 construction and permanent, high-paying jobs.

25 In closing, MIPUG companies' involvement

1 in the Manitoba economy reflects past benefits of  
2 competitive, cost-based rates, and of clear and  
3 transparent regulation. The industrial customers of  
4 Manitoba Hvdro have been well served by these -- this  
5 utility and the PUB in the past. Hvdro is a good  
6 company to deal with and we would not want our comments  
7 to be read as criticism of the professional and  
8 competent staff that we work with at Hvdro.

9 I ask the Board to consider the  
10 presentations made by PIPUG -- MIPUG in light of the  
11 competitive challenges faced by industrial power users  
12 in Manitoba and to help us retain our competitive  
13 position in Manitoba and in North America. Dedication  
14 to providing reliable firm power at fair and reasonable  
15 rates ensure rates reflect of cost of service and  
16 developing innovative rate options that benefit both  
17 industry and Manitoba Hvdro are important for the  
18 future growth of large industry in Manitoba.

19 MIPUG's detailed position on the various  
20 issues in this GRA will be communicated by Mr. Hacault  
21 in our final argument. For today the members wanted to  
22 relate to you the customer's perspectives on Hvdro's  
23 rates and regulations. And Dale Bossons will now  
24 provide information on the importance of cost-based,  
25 predictable rates for the Canexus plant. Thank you.

1 THE CHAIRPERSON: Thank you.

2 MR. DALE BOSSONS: Thank you. This  
3 presentation is actually just an update of the one (1)  
4 that we gave a year ago at the NFAT hearing so I  
5 certainly don't want to try and walk us through the  
6 entire presentation. But if we could just skip ahead  
7 to probably, let's see, on -- on the handout Page 3.  
8 So it would be slide 5 I believe. There we go. This  
9 one (1) here.

10 So I just want to really address two (2)  
11 main issues that I think are very relevant. And -- and  
12 the first one (1) is really the impact and the  
13 relationship businesses like Canexus has on our  
14 communities within Manitoba. We've been in Brandon  
15 since 1968. We've got a long history with the  
16 community and we have a very tight relationship with --  
17 with the City of Brandon.

18 Our employee base is probably one (1) of  
19 the highest paid employee base that we have in the city  
20 and -- with over a \$7 1/2 million payroll. So the jobs  
21 are highly valued by the -- the residents of the  
22 community.

23 We spend over \$60 million a year.  
24 Actually, aside from our \$60 million a year Hydro bill,  
25 we -- we spend an additional \$60 million a year on

1 materials and services to -- to operate our business.  
2 That's raw materials, contractors, labour that we bring  
3 on site.

4                   And we also contribute over \$5 million  
5 worth of taxes, both provincially, you know, and city-  
6 wise and -- and federally. So obviously, you know,  
7 we're generating a lot of revenue within the community  
8 and income for local community members.

9                   As well, we also have a strong feeling  
10 of social responsibility with the community of Brandon.  
11 We're very closely involved with a lot of smaller  
12 organizations. Our donations budget is around a  
13 hundred and sixty thousand dollars (\$160,000), which  
14 for a city the size of Brandon is significant,  
15 everything from the United Way to the Boys & Girls  
16 Club.

17                   So Canexus's presence in the City of  
18 Brandon is very important. And our con --  
19 contributions over the past forty-five (45) years now  
20 have been extremely important to the growth of that  
21 community.

22                   So that's the first point I wanted to  
23 make was the fact that we've been here a long time, and  
24 we are very important to community that we're involved  
25 with.

1                   So the next item that I think is  
2 relevant is: How do these rate increases impact  
3 Canexus as a whole? So I think we have another slide -  
4 - it's probably -- let's just skip forward. We won't  
5 get into all the details of our process -- and the  
6 importance of power pricing.

7                   So, you know, Canexus, the Brandon  
8 facility, is -- is probably the largest single customer  
9 in the Province of Manitoba for Manitoba Hydro. My  
10 Hydro bill is over \$60 million a year, so it's rather  
11 significant. When the bill comes at the end of the  
12 month, we have to get out a really sharp pen.

13                   And a 4 percent increase, or a 3.95  
14 percent increase, is almost \$2 1/2 million a year  
15 increase to my plant operating costs. So that's \$2 1/2  
16 million basically right out of our operating revenue.

17                   We cannot pass along that expense to our  
18 customers. You know, we're generating a commodity  
19 market. Its price fluctuates up and down and, you  
20 know, price increases have a significant impact on the  
21 operating viability of our facility.

22                   Over the next five (5) years, if we were  
23 to see these 4 percent price increases, that means in  
24 five (5) years from now my -- my Hydro bill's going to  
25 be \$13 million larger than it is today annually. And

1 if you accumulate those costs, it's \$37 1/2 million.

2                   So we're pushing \$40 million of  
3 accumulated costs over a five (5) year period, and that  
4 -- those kinds of dollars obviously have a significant  
5 impact on our ability to reinvest in our facility.

6                   I would like the plant that I'm  
7 responsible for today to be here in twenty (20) years,  
8 thirty (30) years, still providing jobs for the  
9 residents of -- of Brandon and contributing to  
10 Manitoba. And that's not going to happen if eventually  
11 we're no longer able to be profitable.

12                   We're located in this province for one  
13 (1) reason. We built the plant here for one (1)  
14 reason, and that was the cost of electricity. It's our  
15 largest single variable cost, and it's the most  
16 important factor as to where we locate our facilities.

17                   As a matter of fact, we have shut down  
18 plants and walked away from them located in other  
19 jurisdictions when the price of power reached the point  
20 where they were no longer viable.

21                   So our intention is to reinvest. We  
22 have identified, you know, growth opportunities. In  
23 the past ten (10) years, we've invested over \$200  
24 million into the plant, creating more jobs and more  
25 wealth for the community.

1                   Part of that was an \$8 million  
2 transmission line that we -- that Hydro owns but we  
3 paid for to service our -- our facility. And our  
4 future growth plans in the next five (5) years are on  
5 the order of \$70 to \$120 million is what we would like  
6 to invest.

7                   But that's not going to happen if, you  
8 know, looking down the road, we see that the long-term  
9 viability of the plant's just not going to be there.  
10 And when we look at 4 percent price increases going out  
11 indefinitely, that has a major impact on our bottom  
12 line.

13                   So I just want you to kind of consider  
14 some of those points, consider the impact that these  
15 sorts of rate increases have on not just Canexus, but  
16 on all MIPUG members, and please just, you know, think  
17 of that while you go through the decision-making  
18 process. Thank you.

19                   Any questions?

20                   THE CHAIRPERSON:   How many employees  
21 work in the -- in the plant, in the facility?

22                   MR. DALE BOSSONS:   We have seventy-five  
23 (75) direct employees in the plant.

24                   THE CHAIRPERSON:   I don't know very  
25 much about the process that you have in the plant.

1 Could you describe what the raw materials are?

2 MR. DALE BOSSONS: Salt, water, and  
3 electricitv.

4 THE CHAIRPERSON: And out of that is  
5 produced --

6 MR. DALE BOSSONS: We produce sodium  
7 chloride, which is a bleaching chemical. So we sell  
8 into the pulp and paper industrv. So all of our  
9 customers are spread, actually, all over North America.  
10 We really don't have any customers in the Province of  
11 Manitoba.

12 And I -- like -- it's basically take a  
13 glass of water, fill it full of salt. If you take a  
14 batterv in your kitchen, hook up the wires and throw it  
15 in that glass of water, you're going to generate  
16 chlorine. So our electrolytic process is completely  
17 driven through electrolysis. And we generate products,  
18 chlorine, sodium hvdroxide, and sodium chloride, in our  
19 industrv used in the oil and gas, pulp and paper and  
20 water treatment industrv.

21 Our plant specifically focuses on pulp  
22 and paper chemicals.

23 MS. MARILYN KAPITANY: Mr. Turner, nice  
24 to see you again. You mentioned in your presentation  
25 that Manitoba was among the lowest cost iurisdiction

1 for power, but it's not anymore. And you said in a  
2 number of locations with only a limited degree of  
3 participation in alternative programs customers get  
4 lower prices.

5                   What kind of alternative programs? You  
6 spoke already about curtailable rate programs, but what  
7 other kind of programs are being accessed in other  
8 jurisdictions that you believe are making them more  
9 competitive?

10                   MR. BILL TURNER: Unfortunately, Dave,  
11 from Gerdau, could not be here today. And he's  
12 involved with more of the programs, and he's brought it  
13 up, I think, in the last presentation we had of just  
14 some of the different programs that they available  
15 through the Gerdau business established throughout  
16 North America, and he had quite a list.

17                   MS. MARILYN KAPITANY: Okay.

18                   MR. BILL TURNER: If you do not have  
19 that, we can make sure that we can get that from Dave  
20 and -- and forward it to you.

21                   MS. MARILYN KAPITANY: Or maybe Me.  
22 Hacaault is going to raise those in his closing presenta  
23 --

24                   MR. BILL TURNER: Yeah, I don't know  
25 whether Antoine has that or not.

1 MR. ANTOINE HACAULT: If it's of  
2 interest to the Board, we can record it as an  
3 undertaking, that MIPUG will provide a list of those  
4 alternative programs to this Board.

5 MS. MARILYN KAPITANY: Thank you.

6

7 --- UNDERTAKING NO. 33: MIPUG to provide a list of  
8 alternative programs to  
9 this Board

10

11 THE CHAIRPERSON: Well, thank you very  
12 much, both of you, Mr. Turner and Mr. Bossons, for  
13 having appeared before us and for giving us a very  
14 clear presentation about your point of view. Thank  
15 you.

16

17 (BRIEF PAUSE)

18

19 THE CHAIRPERSON: Mrs. Pugh, good  
20 afternoon.

21 MS. PAM PUGH: Good afternoon.

22 THE CHAIRPERSON: Could you -- could  
23 you just tell us who you are and what your interest is  
24 in the particular rate application?

25

1 PRESENTATION BY MS. PAM PUGH:

2 MS. PAM PUGH: My name is Pam Pugh. I  
3 farm west of Portage la Prairie. We're getting Bipole  
4 III on our land. We're right next to the elevator, of  
5 the Canadian Wheat Board elevator. The Bipole  
6 transmission lines are going to be a 130 feet away from  
7 the circular loop track which I don't know was in the  
8 plans of Bipole III, but the Canadian Wheat Board was  
9 being constructed last year right next door to our  
10 land.

11 And the thing is, the NH3 and anhydrous  
12 ammonia fertilizer tank is also on the terrorist watch  
13 list. We also have a flight training school at Portage  
14 where pilots are flying all the time. There's also a  
15 telecommunication tower right beside the Canadian Wheat  
16 Board, kitty-corner to it. And we would like to have  
17 Bipole III put underground for everybody's safety and  
18 protection in our community. And we know this can be  
19 done.

20 We're a pedigreed seed growers, also.  
21 And we want to know what you guys -- are plans for by  
22 security because, in 2011, you guys left leaning hydro  
23 poles on our land. And when we went to combine our  
24 pedigreed seed flax -- they were left like that for a  
25 whole year. And when we came to combine our pedigreed

1 seed flax there was only a foot of space between it and  
2 the combine.

3                   And so we want to know are the Bipole  
4 towers -- how you are going to look after them and make  
5 sure that they're not going to fall down, for safety  
6 reasons.

7                   The thing is, the farmers don't want to  
8 be liable if they come into contact with these  
9 transmission hydro towers and lines, because they are  
10 going to be so close to the circular loop track. And  
11 we want to know if you guys can reroute them or put  
12 them underground for everybody's safety.

13                   The Canadian Wheat Board would also like  
14 them -- which is called G3 now, would also like them  
15 put underground for safety reasons, or reroute them,  
16 because they don't want to be liable neither for -- if  
17 one (1) of those things lands on the track and  
18 electrifies the train track.

19                   And for -- the Canadian National Railway  
20 has also told us that they cannot stop a train in time.  
21 The trains are 2 miles long and they're also carrying  
22 extra oil on these trains now. And so we just don't  
23 want the responsibility or liability.

24                   There was also a derailment there in  
25 1998 where 60,000 litres of glycol went into Rat Creek,

1 which is beside it, at Bloom, and the -- it still  
2 stinks there from the glycol. And people were  
3 evacuated from there and told not to drink the water  
4 and then they were back -- allowed in after the mess  
5 was cleaned up. But we don't want that responsibility  
6 or liability with all the terrorist activity that's  
7 going on in the world. We want Bipole III rerouted or  
8 put underground for everybody's safety.

9 Portage District General Hospital has  
10 also said that they would not be able to accommodate  
11 all the people if there was a disaster to happen. And  
12 they said it needs to be rerouted or put underground  
13 for everybody's safety and protection.

14 THE CHAIRPERSON: Now, you know, that  
15 this panel is not responsible for the routing of the  
16 Bipole III?

17 MS. PAM PUGH: But, if there's -- if  
18 there's something to happen, the landowners don't want  
19 that responsibility or liability.

20 THE CHAIRPERSON: Now, have you -- have  
21 you approached the -- Manitoba Hydro with your  
22 concerns?

23 MS. PAM PUGH: Yes, we have, umpteen --

24 THE CHAIRPERSON: Yeah. Have you  
25 participated --

1 MS. PAM PUGH: -- times.

2 THE CHAIRPERSON: -- in the -- have you  
3 participated in the consultations that were done by  
4 Manitoba Hvdro and -- and expressed those concerns to  
5 them?

6 MS. PAM PUGH: Yes, umpteen times we  
7 have. I've written umpteen emails. I've written  
8 emails to Greg Selinger, to Ron Kosdyshyn, CAEPLA is  
9 also opposed to it. Keystone Agricultural Producers,  
10 the RM of Portage, the RM of North Norfolk are all  
11 opposed to it and Manitoba Aerial Applicators are also  
12 opposed to it.

13 THE CHAIRPERSON: Now, this --

14 MS. PAM PUGH: The RM of Portage has  
15 also -- has bio-security in place. And if -- if you  
16 guys don't clean your equipment before entering  
17 landowner's land it'll be denied access until the  
18 equipment is cleaned. We noticed last year when  
19 Manitoba Hvdro were cleaning their equipment -- or when  
20 they were doing work for Canadian Wheat Board, that  
21 they had put a vehicle in our vacant yard and our  
22 vacant yard had no access to water.

23 When I approached one (1) of the  
24 Manitoba Hvdro workers I asked him for -- to see bio-  
25 security and he says, Oh, I have it in my truck, but he

1 would not show it to us and he never went and talked to  
2 my husband or brother-in-law.

3 In 2011 when Manitoba Hydro came to fix  
4 the live leaning hydro poles too, they never went and  
5 talked to my husband or brother-in-law. And for -- so  
6 we want to know where bio-security was in 2011, with --  
7 because now there is club root and verticillium wilt,  
8 which is two (2) diseases that will affect your canola  
9 crops. And once you have that in your canola crops  
10 it's come over and farmers can't afford that now days  
11 with the prices of everything.

12 THE CHAIRPERSON: Now, the situation in  
13 your -- in your case, you indicated that they -- the  
14 Bipole is running through your land?

15 MS. PAM PUGH: M-hm.

16 THE CHAIRPERSON: So you have been  
17 expropriated? You have been --

18 MS. PAM PUGH: We're going to be  
19 expropriated. Manitoba Hydro is allowing us -- giving  
20 us time to sign for an easement if we want. Other  
21 landowners are doing that right now in our area, as  
22 farmers want to still own their land and be in control.

23 We want -- we -- we're just asking if  
24 Bipole III could be rerouted or put underground for  
25 everybody's safety. That's all we're asking.

1 THE CHAIRPERSON: Okav. Well, that's  
2 very clear. Thank you. I -- I don't think the panel  
3 has any further questions from you. Thank you very  
4 much.

5 MS. PAM PUGH: Thank you.

6 THE CHAIRPERSON: We appreciate your  
7 comments.

8

9 (BRIEF PAUSE)

10

11 THE CHAIRPERSON: Good afternoon. Mr.  
12 -- Mr. Laliberte, I guess you're going to be --  
13 introduce the other representatives and yourself as  
14 well as -- of the Bipole Coalition and let us know who  
15 they are and so on. Thank you.

16

17 PRESENTATION BY BIPOLE COALITION:

18 MR. GARLAND LALIBERTE: Okav. Thank  
19 you. Yes, I guess I will start with our president,  
20 Karen Friesen. She's sitting in the far end. My name  
21 is Garland Laliberte. I'm the vice president of the  
22 Coalition. And everybody else up here is our -- our  
23 directors of the Coalition. Sorry -- oh, and there is  
24 a visitor who I will ask Dennis to introduce.

25 Next to our president is Dave Ennis,

1 director. Next to me is -- is Art Derrv, director.  
2 Speaking on behalf of the Coalition today is Dennis  
3 Woodford, also a director. And he has a guest who --  
4 who has an interest in -- in our topic. I'm going to  
5 ask Dennis to introduce his dire -- his guest.

6 MR. DENNIS WOODFORD: Thank you,  
7 Garland. Mr. Chairman, members of the Board, ladies  
8 and gentlemen, I have with me Mr. Tim Yusishen, who is  
9 the president of Solar Solutions Incorporated here in  
10 Winnipeg. He's an expert on solar energy, has been  
11 marketing solar plant around the world internationally  
12 for nearly thirty (30) years. So if you have any  
13 questions on this topic he is our expert so far as  
14 solar energy is concerned.

15 In our brief to you on May the 18th, we  
16 presented the changes coming to the way we generate and  
17 use electricity, our most important commodity, no  
18 question. We are fortunate in this province to have  
19 had low-cost electricity, but reliability is  
20 questionable. The last two (2) months my office has  
21 been blacked out twice and we've lost production.  
22 Bipole III wouldn't have helped. Just last night there  
23 was an outage here in downtown.

24 Reliability is a big issue. To improve  
25 reliability and combat increasing electricity rates

1 distributor generation and microgrids are being  
2 enthusiastically developed in the US and in Europe. A  
3 microgrid is defined as a subset of an electric grid,  
4 typically at low or medium voltage, that can be inst --  
5 islanded and still supply in a controlled manner or a  
6 coordinated way all or most of the customers during  
7 such an emergency. That's intrinsically enhancing  
8 system reliability.

9                   The microgrid requires smart  
10 technologies to continue delivering electric power to  
11 customers in an islanded mode. A microgrid can be a  
12 single residence, the neighbourhood on the same  
13 distribution feeder, or a commodity, as shown in slide  
14 2. So where -- where's my slide? Okay.

15                   Here we can see a single customer  
16 microgrid, a community commercial or industrial  
17 microgrid, a feeder grid or a full substation  
18 microgrid. It includes generation, such as solar,  
19 perhaps wind, energy storage, and connection to the AC  
20 grid.

21                   Why is the microgrid going to impact  
22 Manitoba with its current low electricity rates? The  
23 very fundamental reason is that as we increase the  
24 electricity rates, then with the cost of solar panels  
25 reducing, this is going to have an impact as we have

1 for the next slide.

2                   This slide shows the point of grid  
3 parity where it will be cheaper to obtain electricity  
4 from solar panels to pay electricity rates. My brother  
5 in Melvin has a solar on his roof that came with house  
6 when he bought it. And he told me the other day that  
7 his electricity bill is very little.

8                   After parity -- after this time of  
9 parity it will become customary to buy a house or a  
10 building with solar panels on the roof and a battery  
11 inside just like we buy a house today with a furnace.  
12 I still have the furnace. Next slide.

13                   Manitoba Hydro did consider solar energy  
14 when grid parity is reached in the 2014 load forecast.  
15 This solar energy included -- was solar energy included  
16 in the load forecast, their actual load forecast? The  
17 next slide.

18                   Solar energy or its development into  
19 distributed energy or microgrids was not included in  
20 the 2014 load forecast. How deeply entrenched is  
21 Manitoba Hydro in not deviating in any way from this  
22 preferred development plan? If export prices stay low  
23 despite a possible carbon tax in 2020 and because of,  
24 and note this, significant development of solar in  
25 Minnesota, is Manitoba Hydro flexible enough to deal

1 with delaying Conawapa indefinitely? It seems that  
2 they're not flexible in any way. We hope they can  
3 prove us wrong. Next slide.

4                   Why in California, and I have a company  
5 that works very closely in those two (2) states, are  
6 the first states to reach parity? Just look at how  
7 fast the growth of solar generation is in those states  
8 compared to Manitoba's load growth at 1.3 percent.

9                   Germany, on the same latitude as  
10 southern Manitoba, has 27 gigawatt. But I was in  
11 Europe just this last week, and I found it's at 30 some  
12 -- 37 -- 38 gigawatts, and -- and they're on the same  
13 latitude as we are.

14                   They ha -- we have more sun and solar  
15 panels, if I might correct here, Tim, and more  
16 efficient in the cold?

17                   MR. TIM YUSISHEN: Yes.

18                   MR. DENNIS WOODFORD: Is that correct?

19                   MR. TIM YUSISHEN: That's right, yeah.

20                   MR. DENNIS WOODFORD: The next slide.

21 Microgrids involving more than one (1) building or  
22 residence requires sophisticated or smart control and  
23 protection systems despite this technology being still  
24 in its infancy. See how rapidly microgrids are  
25 expanding. In the past year, they've almost tripled.

1 This is not just solar. This is the microgrids, which  
2 are a little more complex.

3                   Next slide. There are a growing number  
4 of solar projects in Minnesota. This one was announced  
5 last week, and we split into twenty-one (21) sites  
6 besides substations so that no transmission is  
7 involved, and electricity delivered directly to the  
8 distribution systems where reliability is required.  
9 This power will be sold to NSP or Xcel Energy as it is  
10 often called, or it's another company.

11                   NERC. This is a market that Manitoba  
12 Hydro markets into, sells into, and so they should not  
13 expect the electric energy price in MISO Minnesota to  
14 increase too much to justify the costly Manitoba --  
15 Conawapa for export.

16                   Next slide. This is a possible impact  
17 of microgrids and solar-based on parity being reached  
18 in Manitoba, say, in 2027, just twelve (12) years  
19 hence. Should Conawapa be built with this reliability  
20 living ahead?

21                   Next slide. If the business case for  
22 Conawapa is made even riskier by the disruptive  
23 development of solar and microgrids both here in  
24 Manitoba and in -- already in Manitoba's markets in the  
25 US, then Conawapa is not required in a significant

1 lifting -- is not required, resulting in a significant  
2 lifting of stress on rates.

3                   Now, let's see if there's any further  
4 lifting on stress on -- on future rates can be gained  
5 by not building the Bipole III overhead transmission  
6 line.

7                   Next slide. A 2,300-megawatt Bipole III  
8 converters at Keewatinohk and Riel have already been  
9 purchased. These converters, at 2,300 megawatts, will  
10 easily have the capacity to carry the extra 695  
11 megawatts of Keevask now under construction.

12                   The concept is that Bipole III  
13 converters are connected to one (1) -- as this slide is  
14 showing, to one (1) of the existing Bipoles I or II,  
15 perhaps Bipole II. These lines are each rated at 3,800  
16 megawatts, and are normally operated at about 2,000  
17 megawatts or less. So there is plenty of capacity  
18 available on either of these lines to carry 695  
19 megawatts from Keevask.

20                   If Manitoba Hydro states that this is  
21 not possible, well, there are several good high-voltage  
22 DC engineering companies with two (2) of them right  
23 here in Winnipeg that include Teshmont and TGS that, if  
24 given the request and if Manitoba Hydro would let them,  
25 could engineer the connection of the Bipole III

1 converters to the Bipole II overhead transmission line.

2                   Next slide. What are the advantages in  
3 connecting the Bipole III converters to the overhead --  
4 to the Bipole II overhead transmission line?

5                   One (1) big advantage is that, if the  
6 construction of the Bipole III overhead transmission  
7 lines ceased immediately, there will be funds that  
8 could not be used, which perhaps could reach \$1 billion  
9 or more. I don't know how much is sunk in that  
10 already, but I'm assuming about 1.6 billion for that  
11 line, just the overhead line, so.

12                   That size of unspent money would also  
13 add to easing the stress of future rate increase  
14 requirements. That's \$1 billion. Okay. When I was  
15 younger in engineering, we used to say, Oh, what's a  
16 million? Seems today, What's a billion? That's not  
17 right.

18                   The size of unspent money would also be  
19 added to easing the stress of future rate increase  
20 requirement. If the Bipole III converters can be  
21 favourably re-contracted to 1,200 megawatts, then they  
22 would also reduce additional stress on future rates.

23                   Next slide. But Manitoba Hydro will not  
24 budge on their stance on Bipole III, and their  
25 justification depends on the questionable need for

1 reliability. We hear that so much.

2                   Now, let's discuss Bipole III need for  
3 reliability, which we have not been able to discuss,  
4 and accept, and -- and we have to accept it  
5 unconditionally. There are serious misrepren --  
6 misrepresentations in this statement that, We need it  
7 for reliability. That is so often quoted by Manitoba  
8 Hvdro and others to iustify it, and let's list a few.

9                   Next slide. First of all, Minister Gord  
10 Mackintosh would not allow for NFAT for Bipole III in a  
11 letter to Mr. Terry Sargeant, Chair of CEC, dated  
12 August the 22nd, 2012. Secondly, you, as the Public  
13 Utilities Board, regarding the NFAT review of Manitoba  
14 Hvdro's Preferred Development Plan were instructed by  
15 an Order in Council dated April the 17th, 2013, that  
16 under the terms of reference, Bipole III transmission  
17 line and converter station project was not in scope.  
18 No chance for discussion. No chance for debate. An  
19 accepted thing that we must have it for reliability.

20                   In both these directives, there's no  
21 investigation possible for reliability. It was iust  
22 declared and not to be questioned.

23                   Next slide. Manitoba Hvdro submitted to  
24 the PUB of Newfoundland and Labrador that a reliability  
25 study for the Muskrat Falls project should be done, but

1 never tabled one for the reliability of Bipole III  
2 specifically.

3                   Next slide. In Manitoba Hvdro's  
4 submission to the PUB NFAT on its Preferred Development  
5 Plan, in Appendix 13.1, an NFAT reliability evaluation  
6 was undertaken to compare the reliability of in -- of  
7 alternatives, of generation alternatives. Unacceptable  
8 input data was used for forced outage rates for the  
9 simultaneous outage of both Bipoles I and II overhead  
10 transmission lines, therefore invalidating that  
11 evaluation. What were these unacceptable data used?

12                   Next slide. Manitoba Hvdro insisted,  
13 through the CEC environmental impact statement hearings  
14 and the NFAT, that the simultaneous failure of Bipoles  
15 I and II transmission lines would occur once every  
16 seventeen (17) years. From this, they stated in this  
17 hearing and the NFAT submission that the desired system  
18 loss of load expectation without Bipole III was greater  
19 than the industry standard of zero point one (0.1) for  
20 the loss of load expectation.

21                   A very good detailed weather hazard  
22 report they commissioned to Teshmont Consultants and  
23 they received in January 2020 -- '12, I should say,  
24 said that the figure is once in ninety (90) years. Big  
25 difference compared to seventeen (17).

1                   Next slide, please. This slide is from  
2 the Preferred Development Plan, NFAT Appendix 13.1, and  
3 it shows the comparison of the generation alternatives  
4 that they had there. If they used the one (1) in  
5 ninety (90) years instead of the one (1) in seventeen  
6 (17) years, everything would be, in my opinion, without  
7 the study, of course, way below the loss of line --  
8 loss of load expectation level of zero point one (0.1).

9                   Next slide. Can Manitoba Hydro justify  
10 continued use of one (1) in seventeen (17) years for  
11 simultaneous loss of Bipoles I and II compared with the  
12 Teshmont report of one (1) in ninety (90) years?  
13 There's billions of dollars at stake, here. Is this  
14 misrepresentation deliberate to justify the need for  
15 Bipole III for reliability so that its cost of 4.65  
16 billion could be sunk into the rate base and not in --  
17 added to electricity export costs? We leave this for  
18 you to consider this distressing situation. Nothing,  
19 of course, that microgrids can increase reliability of  
20 supply.

21                   Next slide, the final. For centuries,  
22 horse and carriage was the main load of transportation,  
23 then came the disruptive technology of the automobile.  
24 Presently received mis -- microgrids as disruptive  
25 technology, but in time, they will be seen as

1 beneficial. Regrettably, Manitoba Hvdro has not  
2 indicated any recognition of the inevitability of  
3 microgrids in its 2014/'15 and 2015/'16 general rate  
4 application.

5                   Also regrettably, there is considerable  
6 uncertainty about how Bipole III is justified for  
7 reliability upon which many billions of dollars are at  
8 stake, include -- including the Preferred Development  
9 Plan. The Bipole III Coalition requests that the  
10 Public Utilities Board require Manitoba Hvdro to submit  
11 a detailed plan of how the emerging reality of supply  
12 of electric energy is to be undertaken as affected by  
13 the inevitable transition to microgrids and solar. We  
14 ask that such a trans -- submission be -- state the  
15 impact of microgrids on electricity rates that will be  
16 paid by Manitobans. Thank you.

17

18                   (BRIEF PAUSE)

19

20                   MR. RICHARD BEL: I -- I have a  
21 question.

22                   MR. DENNIS WOODFORD: Please.

23                   MR. RICHARD BEL: So just to get to the  
24 nub of the argument about Bipole III and reliability.

25                   MR. DENNIS WOODFORD: Yes, sir.

1 MR. RICHARD BEL: So if we use the one  
2 (1) in ninety (90) years --

3 MR. DENNIS WOODFORD: Yes.

4 MR. RICHARD BEL: -- we pass the NERC  
5 reliability criteria?

6 MR. DENNIS WOODFORD: I assume so  
7 without having done the studies, but I've done many  
8 reliability studies in the past, and I -- my experience  
9 is telling me that Manitoba Hydro should do that with  
10 the proper input data, not seventeen (17), but ninety  
11 (90).

12 MR. RICHARD BEL: And -- and where did  
13 the seventeen (17) years come from?

14 MR. DENNIS WOODFORD: I think it came  
15 from a 2001 report -- original report by Teshmont, but  
16 I need to be corrected on that. And so -- but the big  
17 one that came was the 2012 one, which was a very  
18 substantial and significant report and should have been  
19 used.

20 MR. RICHARD BEL: All right. Thank  
21 you.

22 THE CHAIRPERSON: There was a reference  
23 in one (1) of your slides to hearsay in Alberta. And I  
24 -- I wasn't sure what that --

25 MR. DENNIS WOODFORD: I had heard that

1 secondhand, and I felt that -- the slide itself, I  
2 don't believe, is incorrect. But I certainly didn't  
3 want to -- I had no confirmation on it, and so I  
4 decided it would be best to -- Hvdro themselves can  
5 indicate that, maybe. I think the main thing here is  
6 whether or not that -- that graph is correct. If  
7 there's -- if they can show that that graph is  
8 incorrect, then we're willing to listen. I think  
9 that's the important factor.

10 THE CHAIRPERSON: Am I understanding,  
11 based on the evidence we heard in the preceding days,  
12 is that Manitoba Hvdro submitted a reliability study to  
13 -- as part of the CEC hearings and -- and obviously  
14 you've seen that study?

15 MR. DENNIS WOODFORD: The reliability  
16 study that they did for the CEC hearings did not  
17 include the MMTP line, which is a major in -- factor in  
18 reliability. For example, back in the 1970s, when I  
19 was at Manitoba Hvdro, we did a fairly detailed  
20 reliability study with Dr. Roy Billinton who is the  
21 world's leader in reliability of power systems.

22 And we looked at, What's the benefit of  
23 the Winnipeg/Twin Cities 500 kV line that was going in  
24 about 1980, and Bipole II? And we wanted to make sure  
25 that we would meet this loss of load expectation or

1 those -- or the equivalent. And we included that line.  
2 And here, the CEC were told -- I wish -- the -- the  
3 reliability study that Manitoba Hydro did, did not  
4 include that MMTP line, and they used that  
5 unjustifiable one (1) in seventeen (17) years.

6 Just a minute. I might have some more  
7 information on this.

8 Is that correct? Okay. Mr. Derry, who  
9 is pretty -- more familiar with this has told me that  
10 it did not include a probability study for the  
11 transmission line. It was a deterministic study. By  
12 'deterministic', it -- I -- we don't mean that the  
13 probabilities are accounted for, just what happens if  
14 something -- goes out, and does the world come to an  
15 end?

16 And if the world -- if the -- if the  
17 lines happen to collapse right at the time of -- of  
18 peak time, we're all in the dark. That was the  
19 deterministic study.

20 Is -- is that correct, Mr. Derry?

21 MR. ART DERRY: Yes, that's correct,  
22 but I think at the hearing, it was brought up that they  
23 were asked a question: What would happen if we lost --  
24 and they said they had done the study, and they'd be  
25 700 megawatts short. That was the -- the answer.

1 Now, that's not equivalent to the  
2 probabilistic study, which gives you an outage, say, of  
3 point one (.1) day per year. You can't compare the two  
4 (2). They're not the same.

5 MR. DENNIS WOODFORD: And -- and could  
6 I just add to that, Mr. Chairman? A utility or -- like  
7 Manitoba Hydro has to compare cost versus risk. With  
8 infinite cost, we can have no risk. So there has to be  
9 a proper balance, and that is a challenging task and it  
10 needs to be done.

11 DR. HUGH GRANT: And were you  
12 suggesting there's grid parity in Hawaii? Was that the  
13 -- one (1) of the slides?

14 MR. DENNIS WOODFORD: Oh, yes.  
15 Absolutely. Hawaii is in the sad situation of having  
16 to import all its oil.

17 DR. HUGH GRANT: So just -- but just to  
18 put it in context, this is with a subsidy, subsidized  
19 production costs?

20 MR. DENNIS WOODFORD: At the moment,  
21 the solar -- solar systems are subsidized, yes.

22 DR. HUGH GRANT: And a price of  
23 electricity at what, thirty-five (35) cents a kilowatt  
24 hour?

25 MR. DENNIS WOODFORD: Oh, I can't -- I

1 don't know exactly, but it's -- it's not that high.

2 It's -- but --

3 DR. HUGH GRANT: Not over thirty (30)  
4 cents a kilowatt hour?

5 MR. DENNIS WOODFORD: No. It'd be  
6 lower than that. Sorry? It's based on oil. They have  
7 to bring in oil on a tanker to keep the steam plants  
8 going, okay? And so folks are putting up -- at that  
9 rate I showed you, putting up their own solar to -- to  
10 help offset that.

11 It's causing a problem, because they're  
12 not connected to a big system like Manitoba Hydro is.  
13 We're not connected through these wonderful  
14 interconnections to the US, which is like a big, solid  
15 anchor.

16 They're just -- Oahu I'm talking about  
17 is just a small island. They've got no anchor. The  
18 frequency's flopping around all over the place as -- as  
19 the sun comes and goes.

20 And -- and we have been asked to --  
21 well, we're -- we're working with -- I've been working  
22 with -- our company's been working with them for about  
23 six (6) years continuously. And I just had a call a  
24 week and a half ago about -- about how to handle this  
25 fluctuation of the electricity where they've got no

1 firm connection like Manitoba Hydro has.

2                   And that's something that -- and I put  
3 them onto another place where they've got that problem,  
4 and they -- it -- it's a problem, but this is where the  
5 batteries will come in as -- as they become cheaper.  
6 And every -- there's every indication that in ten (10)  
7 years' time, whether it be a solid-state battery or big  
8 super-capacitor, they'll be pretty cheap. It'll be  
9 printable. And if that happens, then -- then things --  
10 times are going to be different. Things are going to  
11 be different.

12                   DR. HUGH GRANT: I -- I just wasn't  
13 sure if it was a terribly good example for the case of  
14 Manitoba. It just seems to me the notion of grid  
15 parity when production of solar is subsidized and  
16 electricity prices must be at least three (3) times  
17 what they are here, the grid price --

18                   MR. DENNIS WOODFORD: Well --

19                   DR. HUGH GRANT: -- we still have a  
20 ways to go.

21                   MR. DENNIS WOODFORD: -- I -- I can't  
22 tell you -- answer that. I really can't. But I do  
23 know, as I've mentioned in -- in my report, that  
24 Pacific Gas and Electric in northern California -- I  
25 have a friend in -- in Pleasanton, California, who's on

1 PG&E.

2                   And a company comes to them and says, We  
3 can put solar on your -- on your roof, batteries.  
4 Won't cost you a penny, and you'll just pay us a  
5 monthly fee. Still connected to the grid.

6                   And at the moment, they've got over a  
7 hundred thousand (100,000) such applications of solar  
8 panels, and they expect about five hundred thousand  
9 (500,000) within the end -- the end of the decade.

10                  Now, the -- the State of California and  
11 -- and the PG&E's requirement is -- is debating this  
12 right now in Sacramento about the -- if we're going to  
13 get all these solar grids on their roof and they're  
14 connected to the grid, then they're not paying for grid  
15 maintenance.

16                  And so there -- there will be a law put  
17 forward, it may be passed now, I don't know, that if  
18 you're going to connect stay -- if you're going to put  
19 your solar on the roof or your -- and you're going to  
20 stay connected to the grid with your microgrid, then  
21 you'll have to contribute towards the well-being of the  
22 grid.

23                  We need the grid. There's no question  
24 we need the existing grid.

25                  MR. GARLAND LALIBERTE: I'd like to add

1 to that. The electric -- no, the Energy Information  
2 Administration in the United States tells us that the  
3 cost of solar has gone down 53 percent since 2010. It  
4 also tells us that the projection is that it will  
5 continue to go down during the coming years at the rate  
6 of 10 percent.

7                   We know as well that -- that there are  
8 jurisdictions in the United States that are  
9 contemplating pulling off the subsidy for solar. When  
10 -- when that happens, and it will because it's just a  
11 matter of time with the projections that you can make,  
12 there will be ten (10) to twelve (12) states in the  
13 United States who -- who, ten (10) years from now, will  
14 have reached parity. That's the market -- that is the  
15 market into which we seek to export. And for there to  
16 be no recognition of that either in the NFAT hearing or  
17 in a general rate application is, to me, amazing.

18                   Could I also say -- say a word about  
19 reliability? The -- the body that is authoritative on  
20 that in -- in this continent is the North American  
21 Electric Reliability Council.

22                   And -- and I think if Hydro wants to  
23 claim that Bipole III is needed for reliability  
24 with or without the -- the inter-tie -- inter-ties to  
25 the United States, it should be able to tell regulatory

1 bodies like this that it has met the requirements of  
2 NERC, that body.

3                   It's not enough to say that loss of load  
4 expectations are less than zero point one (0.1). And  
5 to claim that that is the equivalent of a probabilistic  
6 study, I think if -- if Hydro could put before this  
7 body evidence that it has satisfied NERC -- satisfied  
8 NERC that it has met reliability requirements, then you  
9 could proceed with more confidence.

10                   MR. TIM YUSISHEN: May I add one (1) --  
11 one (1) comment. I'm -- I'm president of Solar  
12 Solution Incorporated. The head office is in Canada  
13 and we're a global company. And we're all over the  
14 world. And we've been working all over the world for  
15 many years.

16                   Our head office is here because we were  
17 born here. We have relatives. It's just the way it  
18 was. But we use Manitoba as a testing ground for  
19 different materials we use, batteries, solar modules,  
20 et cetera, and different equipment.

21                   Distributor power adds tremendous  
22 security to the grid because it's not just a couple of  
23 -- of sites generating power, it's distributing from  
24 those many sources, like grid tied, rooftop PV systems.  
25 It also has an option to have grid tie with backup

1 power. In the event of a power failure, there's no  
2 fuel generators used. It just uses a super battery  
3 with very high power density that can backup the load  
4 for hours or days, or even weeks if -- if wanted.

5                   Megawatt storage is a reality. It's  
6 been happening for the past three (3) years around the  
7 world. In Manitoba, it's a very poor climate because  
8 we don't have subsidies, unlike deficits that the Hydro  
9 company is running here.

10                   You know, if we look at the deficit and  
11 what they're operating at now, like Ontario, they've  
12 gone through some pretty serious financial issues right  
13 now. Ontario Hydro, for example, is looking for 60  
14 percent, selling off their assets to foreign interests.  
15 There's a good case of what could happen.

16                   The US is diversifying. And their  
17 market -- Manitoba Hydro's market, I feel, is driving up  
18 in a big way for exporting market because they're  
19 taking action in using, not just one (1) source of  
20 power, but multiple sources of power, diversification,  
21 and that's what it's going to take because of climate  
22 change, global warming, water levels fluctuating. You  
23 need a diversified energy generation portfolio to  
24 supply what's coming in the future.

25                   So there is about half a dozen sites

1 here generating power, grid-tied very happily that they  
2 -- very happy that they did it, some with backup, some  
3 just straight grid-tie and no batteries. And they're  
4 ecstatic. They're cancelled out their power bill even  
5 at these low utility rates. You might ask yourself why  
6 are these people doing this. I think they -- they see  
7 the future. They want to fix their power utility costs  
8 for life. And they like competition. And I open up  
9 for questions.

10 MS. MARILYN KAPITANY: The people you  
11 just referred to, are they doing what was referenced  
12 earlier in terms of helping to pay for the grid?

13 MR. TIM YUSISHEN: As far as I know  
14 taxpayers paid for the grid from the start. Manitoba  
15 Hydro is a Crown utility and everybody contributed to  
16 the -- the forming of the grid and through taxpayers'  
17 funds. And the util -- the utility is really owned by  
18 taxpayers in my opinion because that's what drives a  
19 Crown corporation.

20 The -- the rural people paid the same as  
21 the -- the people in the city for power and that was  
22 subsidized so everybody would have a fair and even cost  
23 for power in Manitoba. You know, so if you look at the  
24 beginnings of Manitoba Hydro all that infrastructure  
25 was set up through taxpayers and Manitoba Hydro is a

1 necenar -- necessary evil, but should also be looked --  
2 looking at diversification or privatization in my  
3 opinion based on what I see globally.

4 MS. MARILYN KAPITANY: The grid may  
5 have been established through --

6 MR. TIM YUSISHEN: Sorry?

7 MS. MARILYN KAPITANY: The grid may  
8 have been established through taxpayer money, but then  
9 the people who are paying the rates are paying the  
10 continued ongoing maintenance of the grid. So I'm just  
11 saying when you said that people were able to cancel  
12 their power bill and just do the -- the grid tie are --  
13 should they then be paying some kind of part of -- of  
14 maintaining the grid as well? That's what was  
15 referenced earlier.

16 MR. TIM YUSISHEN: Well, I think  
17 there's a service fee attached to their power bills as  
18 well. It's not just a pure cents per kilowatt hour and  
19 so forth. So they are paying something. But they're  
20 also giving -- they're giving a reduction of  
21 infrastructure by pro -- producing power in many  
22 different places. So Manitoba Hydro's infrastructure  
23 could be lessened. The reliability factor goes up many  
24 times. So just by doing that they are -- they are  
25 contributing in a big way.

1 MR. DENNIS WOODFORD: Ex -- could I  
2 iust add to that by referring to Pacific Gas and  
3 Electric again? They have two (2) add-on rates that  
4 they can put to their rate structure which is that they  
5 will give credit if you ship power into the grid. So  
6 that if you take power back out that credit applies.  
7 So Manitoba Hvdro, of course, doesn't have that or at  
8 least to my knowledge.

9 MR. TIM YUSISHEN: Well, sor -- sorry.  
10 What they have is -- Manitoba Hvdro has agreed to allow  
11 people to generate power up to what they consume, but  
12 no more. In other provinces and countries it's open.  
13 You're encouraged to generate at a much higher rate  
14 typically and because they're taking the burden of the  
15 full cost in -- in doing the power generation and  
16 they're giving the utility distributed power, more  
17 energy security as well.

18 THE CHAIRPERSON: Thank you very much  
19 for a very thoughtful and detailed presentation. I  
20 appreciate your comments and I appreciate the  
21 information you've brought before this panel. And  
22 certainly we will be expecting Manitoba Hvdro to  
23 respond to the points you have made in your  
24 presentation.

25 I must add that, you know, we have

1 recommended to the government that -- that an  
2 Integrated Resource Plan be developed in the future  
3 before contemplating any major construction programs.  
4 And so we're hopeful that as part of that planning, you  
5 know, the use of -- of electricity generated from solar  
6 will be considered as -- as part -- as an element of  
7 that plan. So we're optimistic that that  
8 recommendation will be -- will be adopted by  
9 government. So thank you very much.

10 MR. DENNIS WOODFORD: That's very  
11 encouraging. Thank you so much.

12 THE CHAIRPERSON: Thank you.

13 MR. GARLAND LALIBERTE: M. Gosselin, on  
14 behalf of the Coalition thank you very much for  
15 allowing us the -- the time and especially for the --  
16 the interaction after. We -- we very much appreciate  
17 that.

18 THE CHAIRPERSON: I think we should  
19 stand down for ten (10) minutes or so, get people in  
20 position.

21

22 --- Upon recessing at 2:18 p.m.

23 --- Upon resuming at 2:30 p.m.

24

25 THE CHAIRPERSON: I believe that we're

1 ready to resume the proceedings of this -- of this  
2 panel. Do we have any business to attend to before we  
3 start?

4 MS. ODETTE FERNANDES: Yes, we do.  
5 Thank you, Mr. Chairman. We do have a few items to  
6 file on the record. The first item we have is a  
7 presentation that Mr. Cormie is going to be providing  
8 with respect to the Great Northern Transmission Line.  
9 And the question from the -- from yourself, Mr. Chair,  
10 regarding the percentages of capital on the funding  
11 timeline. And I believe it will be a very brief  
12 presentation, but we'd like to have that marked as  
13 Manitoba Hvdro Exhibit number 53.

14

15 --- EXHIBIT NO. MH-53: Presentation by Mr. Cormie  
16 with respect to the Great  
17 Northern Transmission Line  
18 and an answer to the  
19 question regarding the  
20 percentages of capital on  
21 the funding timeline

22

23 MS. ODETTE FERNANDES: And then we also  
24 have a response to Manitoba Hvdro Undertaking number  
25 16, which was for Manitoba Hvdro to provide the range

1 of Min -- that Minnesota Power has given for the three  
2 (3) alternate routing selections. And that would be  
3 marked as Manitoba Hvdro Exhibit number 54.

4

5 --- EXHIBIT NO. MH-54: Response to Undertaking 16

6

7 MS. ODETTE FERNANDES: We also have a  
8 revised response to Information Request MMF-I-40(c).  
9 And Manitoba Hvdro has made some revisions to some of  
10 the numbers in the table at the back. So we wanted to  
11 ensure that the correct information was before the  
12 Board.

13

14 --- EXHIBIT NO. MH-55: Revised response to  
15 Information Request MMF-I-  
16 40(c)

17

18 MS. ODETTE FERNANDES: And then  
19 finally, as indicated on the record this morning,  
20 Manitoba Hvdro has provided its response to underta --  
21 Undertaking number 3 with respect to preparing a graph  
22 of the accounting changes. And that was provided this  
23 morning in slides 51 and 54. So we've just documented  
24 that for the Board. And that would be filed as Hvdro  
25 Exhibit Number 56.

1 --- EXHIBIT NO. MH-56: Response to Undertaking 3

2

3 MS. ODETTE FERNANDES: And with that,  
4 with the Board's permission, Mr. Cormie can proceed  
5 with his presentation.

6 THE CHAIRPERSON: Mr. Cormie, welcome  
7 back.

8

9 MANITOBA HYDRO PANEL 4 - FINANCE RESUMED:

10 DAVID CORMIE, Previously Sworn

11

12 PRESENTATION BY MR. DAVID CORMIE:

13 MR. DAVID CORMIE: Yes, you thought you  
14 were getting rid of me yesterday and I'm -- I'm back.  
15 Mr. Chairman, the other day we talked about the capital  
16 structure of the Great Northern transmission line and -  
17 - and the ownership issues, but we didn't get into the  
18 issue of who was going to operate and pay the ongoing  
19 costs of the transmission line.

20 And so the purpose of my presentation  
21 today is just to cover that end of the spectrum.  
22 Firstly, I just want to go through the funding  
23 timeline, because I think that helps understand the  
24 relationship between the development period, the  
25 construction period, and the operations period.

1           As I indicated the other day, for -- for  
2 the next couple years Manitoba Hvdro and Minnesota  
3 Power are in a tenants and common relationship. Our  
4 subsidiary and Minnesota Power are jointly incurring  
5 the development cost, the engineering, the studies, all  
6 the work that's necessary prior to construction. And -  
7 - and the companies are essentially splitting those --  
8 those costs based on the capital cost ratio of 54  
9 percent being paid for by Manitoba Hvdro subsidv and  
10 the other 46 percent based on -- with Minnesota Power  
11 paying those.

12           And -- and those numbers are different  
13 from the ownership numbers, as -- as I can remind you  
14 is -- in that they -- this -- the line was upsized to  
15 883 megawatts instead of the seven hundred and fifty  
16 (750) that was initially contemplated. And we moved  
17 the ratios to these numbers to reflect that -- that  
18 Manitoba Hvdro was going to be paying for the 54  
19 percent of the -- of the 883 megawatts and we get to  
20 enjoy the benefits of that.

21           Our intention though is not to continue  
22 to own the line once it comes -- once construction  
23 starts. And we will assign the ownership rights to  
24 Minnesota Power. And -- and during the construction  
25 period, from 2016 to 2020, we will pay as a capital

1 contribution 54 percent of the construction costs of  
2 the line.

3                   Now, once that line is -- is  
4 constructed, then it goes into operation. And although  
5 the line has an economic life of forty (40) years, for  
6 tax reasons, we've -- we've had to pay our share of the  
7 operating costs over twenty (20) years. If it's longer  
8 than twenty (20) years, it's deemed to be a tax lease,  
9 which would expose Manitoba Hydro's export revenues to  
10 US income taxes. And so by keeping it under -- our  
11 contribution under twenty (20) years we've been able to  
12 structure it from a tax perspective to avoid that --  
13 that tax risk.

14                   And so for the -- for the first twenty  
15 (20) years of the operation of the line we will pay our  
16 -- the operating and maintenance costs on the 49  
17 percent of the line that -- that we were asking  
18 Minnesota Power to build on our behalf. We will also  
19 pay for the revenue requirements for the 18 percent  
20 that Minnesota Power is going to own but will lease  
21 back to Manitoba Hydro.

22                   And, in effect, we -- and we will then  
23 be paying for 67 percent of the operating and  
24 maintenance costs of the line. That's the 67 percent  
25 that Manitoba Hydro will be using. That's the 67

1 percent of the line that they don't require. So we're  
2 paying the balance of -- of the line costs.

3           Now, you notice when we go back to  
4 operating and maintenance costs we're reverting back to  
5 the 49 and 51 percent ratios, not the capital costs,  
6 because whether the line has a rating of 750 megawatts  
7 or 883 megawatts, the cost of maintaining the line is  
8 essentially the same. And so we didn't deviate from  
9 the original bargain of -- of sharing the costs of  
10 operating and maintenance based on the -- on -- on the  
11 original 750 megawatt ratio.

12           In addition, you'll see on the third  
13 line of that bullet from twenty (20) to forty (40) we  
14 are responsible for 67 percent of any transmission line  
15 damage costs that would be deemed to be insurable  
16 damage. We investigated whether we should go to the  
17 insurance company and insure the line.

18           The premiums associated with insuring  
19 the full line we just horrendous, so, in effect, the  
20 two (2) companies are self-insuring. I think the  
21 insurance company viewed it as, well, the whole line is  
22 going to go down, and so we have to insure the whole  
23 line. And the Utility's perspective is portions of the  
24 line may go down, a few towers may go down.

25           Our experience in -- in operating and

1 maintaining transmission lines is that you never lose  
2 the whole line, you -- you may lose a portion of it.  
3 And so we -- we are exposed during that period of time  
4 to paying two-thirds (2/3) of the cost of any insurable  
5 damage that -- that will be -- that will incur -- that  
6 will be incurred.

7                   For the second twenty (20) years of the  
8 line's operation our only obligation is to pay for two  
9 thirds (2/3) of damage costs that are deemed to be  
10 insurable damage. We, in a sense, prepaid our share of  
11 the operating and maintenance costs in the last -- that  
12 would be incurred in the last twenty (20) years, we've  
13 paid those upfront. And I'll show you that in the --  
14 in the second chart.

15                   So our only exposure to the cost of the  
16 line in the second forty (40) years of the -- of the  
17 line's life are the insurance costs. Now, the line  
18 will have a much longer life than forty (40) years.  
19 The line will go -- the line will essentially be there  
20 in perpetuity.

21                   Once we reach 2060, at that point,  
22 Minnesota Power is responsible for all the costs of  
23 operating and maintaining and -- and repairing that  
24 line or upgrading that line as required. Manitoba  
25 Hydro has no more cost exposure after 2060.

1                   This is a chart that -- that can --  
2 shows the -- the costs and how they flow out over time.  
3 I talked about the first two (2) bars on the left-hand  
4 side. The first three (3) years are the development  
5 costs. We're sharing in those 54:46 percent. The  
6 capital costs, again, we're sharing those on a 54:46  
7 percent basis.

8                   And then we go into the -- starting when  
9 the line comes into service in 2020, the ongoing costs.  
10 And, in effect, these costs are higher than they would  
11 normally be because you'll see there are no additional  
12 costs past 2039. Those costs have been brought forward  
13 so that we pay those future costs in the first twenty  
14 (20) years. And again, we'd remind you that we did  
15 that because if our contract with MP went beyond twenty  
16 (20) years, in effect it would be a tax lease, and that  
17 would expose us to that -- to that tax risk.

18                   So these ongoing costs are -- are for  
19 two (2) parts -- portions of the line, the 49 percent of  
20 the line that is -- that Manitoba Hydro is making the  
21 capital contribution on, and also the 18 percent that  
22 is -- we're paying the revenue requirements associated  
23 with the -- the 133 megawatts that Minnesota Power is  
24 funding.

25                   And so you add those forty-nine (49) and

1 the 18 percent, and that comes up with 67 percent of  
2 the operating costs. And again, those -- those costs  
3 will be there for forty (40) years, but we're paying  
4 for them in -- in the -- in the first twenty (20) years  
5 of the line's operation.

6                   So that's -- that's essentially how the  
7 -- the operating costs will be experienced by Manitoba  
8 Hydro. And then I think I -- we -- we did provide an  
9 IR, I think it was Coalition/MH-I-15(c) that actually  
10 shows how the -- Manitoba Hydro will account for those  
11 costs.

12                   And we will amortize the -- the -- as an  
13 intangible asset it over -- over forty (40) years, even  
14 though we're paying it over -- in -- in the first  
15 twenty (20) years. And there's some accounting  
16 treatment that I think Ms. Carriere can speak to.

17                   MS. LIZ CARRIERE:    So the capital costs  
18 that Mr. Cormie is showing in -- in his last slide  
19 here, as we incur those expenditures, those are the  
20 costs that are going to be placed into an intangible  
21 asset. And then, as Mr. Cormie says, those costs, when  
22 the line goes in service, will be amortized over forty  
23 (40) years.

24                   The reason why it's an intangible item  
25 versus a -- an asset of Manitoba Hydro is because we

1 are transferring the ownership rights. And we are only  
2 receiving the actual transmission rights. So we don't  
3 directly own the line.

4           After the in-service date, the portion  
5 of the ongoing costs, the OM&A, will be recorded as an  
6 operating expense. As -- as I said, the amortization  
7 and finance expense associated with that will be  
8 recorded in their respective categories.

9           The portion of costs that Manitoba Hydro  
10 is paying for on behalf of -- of MP will be the 18  
11 percent of the scheduling fee. So that covers their 18  
12 percent portion of operating, depreciation, finance  
13 expense, taxes.

14           And that -- we will record -- because  
15 that represents an obligation of Manitoba Hydro, we'll  
16 record on the in-service a -- an obligation that will  
17 be amortized over -- again, over the forty (40) year  
18 life.

19           In terms of the liability, we will have  
20 accretion going forward for twenty (20) years that we  
21 have the contract to pay those payments for. So those  
22 will go to finance expense.

23           And in -- in the response to 15(c) -- or  
24 -- it says scheduling fee goes to fuel and power  
25 purchases.

1 (BRIEF PAUSE)

2

3 MS. LIZ CARRIERE: Okay. That's the 49  
4 percent -- the forty-nine (49) -- represents the 49  
5 percent of the -- the scheduling fee that includes the  
6 operating, depreciation, interest, and taxes. But in  
7 terms of the -- the val -- revaluation of the liability  
8 from year to year, as we draw down the liability, we'll  
9 be putting the accretion to finance expense as well on  
10 Manitoba Hydro's books.

11

12 (BRIEF PAUSE)

13

14 MR. DAVID CORMIE: The last question  
15 that I think that you had asked about, Mr. Chairman,  
16 was the issue of -- if others used the line and  
17 Minnesota Power was to generate some transmission rents  
18 through transmission usage fees, whether -- how those  
19 would be dealt with.

20 Minnesota Power is going to record the -  
21 - the cost of the line as what they have invested in  
22 it. And so Manitoba Hydro is in effect, by making the  
23 capital contributions, reducing the cost of the line.  
24 So the only asset that will be on Minnesota Power's  
25 books -- it'll be a 500 kV line, but it'll -- it'll be

1 on their books as if it was a two (2) -- it would -- at  
2 the cost of a 250 or 230 mega -- or 250 megawatt line.

3                   And so they put that into their -- into  
4 their transmission owners filing with MISO and they --  
5 they get paid through the MISO tariff the -- the return  
6 as if they'd made only an -- an investment in a -- in a  
7 two (2) -- in a 230 kV line. Although they'll have a -  
8 - a 500 kV line standing there it will let -- they --  
9 they -- it will only go in there as if it was a -- a  
10 much cheaper line.

11                   So in effect our capital contributions  
12 just reduce the cost of the line and they only record  
13 with MISO what it actually cost them as a utility. So  
14 to the extent that -- that there is transmission --  
15 there will be no transmission payments made to  
16 Minnesota Power based on it being a 500 kV line. It'll  
17 only be there as if it was a two thirty (230) line. So  
18 there are no -- there are no transmission rents to --  
19 associated with Manitoba Hydro's upgrade.

20                   And because we control a hundred percent  
21 of the import and export capability in Canada and we  
22 control a hundred percent of the import capability in  
23 the US, plus -- what is it -- 67 percent of the export  
24 capability, essentially we control the use -- the --  
25 the use of the line. And -- and as we mentioned the

1 other day ownership of the line doesn't give you the  
2 right to use it. The use of the line is controlled  
3 through the MISO tariff. MISO determines who -- who  
4 has the rights to use and that's done in their  
5 contract.

6 In our relationship with Minnesota Power  
7 if -- if Minnesota Power leaves MISO we have another  
8 contract in place that -- that commits Minnesota Power  
9 to giving us the same rights that we would otherwise  
10 have if we were in MISO. So contractually we've closed  
11 the door to somebody else coming along and taking --  
12 make -- having use of the line in the United States.

13 So I -- I -- you know, I -- as long as  
14 we exercise our rollover rights under the MISO tariff  
15 we will be able to hold the rights to this transmission  
16 line in the United States in perpetuity. But we own  
17 the transmission and we have the transmission rights  
18 under the Manitoba Hydro tariff and -- and we will --  
19 we -- we control that as well. So it's -- it's very  
20 difficult for me to imagine a situation where we would  
21 -- we would ever lose the right to use the line.

22 So that's why ownership doesn't bring us  
23 much value. It just brings us the tax lia -- tax  
24 liability, exposing us to the -- a permanent  
25 establishment to the United States. And as Mr. Rainkie

1 reminded me, don't do anything that puts the --  
2 Manitoba Hydro's export income at US tax risk. And  
3 that's what we've structured this to do.

4

5

(BRIEF PAUSE)

6

7 THE CHAIRPERSON: The revenue that will  
8 offset these -- these costs at the moment the only sure  
9 thing is the contracts you have in place for -- with  
10 Minnesota Power.

11 Is that right? At the moment the -- the  
12 only firm commitment you have is with Minnesota Power  
13 in terms of that -- that line?

14 MR. DAVID CORMIE: Yes, the -- and --  
15 and the benefits of the -- of the Great Northern Line  
16 were explored during the NFAT. And it was the only  
17 firm contract that we had in place. And we weren't  
18 bringing forth the -- the case associated with Conawapa  
19 or with Wisconsin vet because the Wisconsin sale was  
20 tied to the construction of Conawapa. And -- and so  
21 the -- the benefits of building the Great Northern  
22 Transmission Line exist independent to whether we build  
23 Conawapa or not, or we enter into any additional  
24 contracts.

25

THE CHAIRPERSON: Now, to the extent

1 that you -- that you've said that you have the rights  
2 on this transmission line. You -- you obviously are of  
3 the belief that you will yield higher opportunity  
4 revenues from those rights have -- having access to  
5 that transmission facility?

6 MR. DAVID CORMIE: Yes, that -- that is  
7 -- that is correct. The -- the benefits were in four  
8 (4) different buckets. So one (1) it -- it allows us  
9 to defer generation in Manitoba because it doubles our  
10 import capability that -- which -- which we believe is  
11 the biggest benefit. There are system reliability  
12 benefits associated with having another 700 megawatts  
13 of firm import capability. It makes our DSM programs  
14 more attractive.

15 And it also allows us to complete the  
16 Minnesota Power 250 megawatt sale and -- and generate  
17 the premiums that that sale is bringing, compared to  
18 taking the energy to the spot market.

19 And when you look at all of those, and  
20 you add them up, there's significant net present value  
21 benefits over the -- over the cost of -- of the line.  
22 And -- and again, although we've -- we've evaluated  
23 this over forty (40) years, this will provide Manitoba  
24 Hydro with import and export -- export capability in  
25 perpetuity. And so there's this intangible benefit of

1 -- of -- from that.

2                   The last thing it gives us is that  
3 although we're only building the line to Duluth, we  
4 also, at the same time, acquired the 500 megawatts of  
5 firm export capability into Wisconsin and the 300  
6 megawatts of -- of import out of Wisconsin. And so now  
7 we have market access into Wisconsin, which doubles our  
8 -- our footprint for selling both our surplus and our -  
9 - and our long-term dependable energy. So we've  
10 doubled the -- we've doubled our market access.

11                   We're not now just dependent on the  
12 utilities that are in Minnesota to compete with our  
13 power. We are -- we have access to those. Those  
14 benefits we didn't quantify and they haven't been  
15 included in any economic evaluation that we've done.  
16 But we know that the more customers that we have -- and  
17 both Wisconsin and Minnesota are highly dependent on  
18 coal and -- and you saw Wisconsin Public Service come  
19 to the table to -- to contract for 308 megawatts out of  
20 Conawapa. There's a demand for the power there. You  
21 know, we just have to find the -- find a business case  
22 that will make that work for -- for them and for us.

23                   THE CHAIRPERSON:    And looking at what  
24 could go wrong here, I mean, it would be obviously the  
25 -- the initial capital costs, you know, a cost overrun,

1 for example, would be one (1) issue.

2 MR. DAVID CORMIE: Yes.

3 THE CHAIRPERSON: Is there anything  
4 else that -- that -- and you've -- you've sort of  
5 indicated how you're addressing that risk. What about  
6 the ongoing costs? Is there something that could go  
7 wrong here?

8 MR. DAVID CORMIE: Yes, and one (1) of  
9 our concerns was that Minnesota Power would load their  
10 utility costs onto this line and they would say, you  
11 know, we're -- if this is a bad line we need to -- we  
12 need to charge you more. The cost sharing is based on  
13 Minnesota Power's overall system cost for their  
14 transmission system and then we're picking up a pro  
15 rata share of that.

16 Those -- those costs are regulated by  
17 the Minnesota Public Utility Commission. The same with  
18 -- and -- and so they're -- they're -- we didn't expose  
19 ourselves to the specific costs of this line, but we --  
20 we've tied ourselves in almost all the cost items to an  
21 asset class that is being regulated by the MPUC. And  
22 that -- that avoids that risk of -- of them  
23 transferring costs to Manitoba Hydro that are -- that  
24 are -- that aren't appropriate.

25 THE CHAIRPERSON: I didn't understand

1 the reference to insurable costs. And could you go  
2 over that again, please?

3 MR. DAVID CORMIE: Yes. Normally a  
4 utility self-insures when it builds a transmission  
5 line. And -- and, for example, in Manitoba if we're  
6 building a line, that line is used to serve load. If  
7 that line goes down and needs to be repaired, you can  
8 rate base those costs.

9 In this case, Minnesota Power has this  
10 asset that -- that it only needs a portion of it. And  
11 so their exposure to insurable damage, they don't want  
12 to -- they don't want to expose their customers to the  
13 cost of repairing a 500 kV line. They only want to  
14 expose them to the cost of a 230 kV line.

15 And so there's additional costs --  
16 there's additional risk that -- that needs to be  
17 managed. And so they said to Manitoba Hydro, You need  
18 to -- you need to buy insurance to protect our rate  
19 base from the insurable damage costs associated with  
20 the bigger line. And -- and we said, Well, okay, we'll  
21 go get some quotes from the insurance company for the  
22 extra -- to -- to insure against that.

23 And those costs were very high. The --  
24 the premiums associated with that -- that insurance  
25 policy, they were trying to insure the whole line. It

1 was exorbitant. It wasn't something that we -- that --  
2 that we could live with. And so we said that we would  
3 pick up any costs associated with fixing that line.  
4 We'd pick up 67 percent of the cost. And their -- and  
5 they could rate base the 33 percent associated with the  
6 250 megawatts that they own.

7                   So -- because our experience, even when,  
8 you know, even on our own transmission lines, you don't  
9 lose the whole line. You don't lose a 600 mile line.  
10 It doesn't get blown down. You lose a portion of the  
11 line. You may lose, you know, a piece of the line, or  
12 a single piece of equipment, but the insurance company  
13 wanted to, in effect, insure the whole thing and they -  
14 - and they deemed the whole thing to be at risk. And  
15 our -- our transmission people were very comfortable  
16 that this was -- this was the best way to -- to reduce  
17 the costs of that -- of -- of insuring the lines, self-  
18 insure, don't go to an insurance company.

19                   THE CHAIRPERSON: Thank you very much.  
20 I don't believe the panel has any more questions.  
21 Thanks for coming.

22                   MR. DAVID CORMIE: Okay, thank you.

23                   MS. ODETTE FERNANDES: Mr. Chairman, I  
24 do believe Mr. Peters may have some questions. And I  
25 also wanted to let other legal -- legal counsel know, if

1 they do have any questions of Mr. Cormie with respect  
2 to this presentation, we can maybe chat offline and  
3 arrange for a time to have Mr. Cormie again for cross-  
4 examination.

5

6 CROSS-EXAMINATION BY MR. BOB PETERS:

7 MR. BOB PETERS: Good afternoon, Mr.  
8 Cormie. It's raining again. Your prayers are  
9 answered; mine weren't. Mr. Cormie, thank you for this  
10 presentation this afternoon. I just wanted to hit on a  
11 few points to make sure that the -- the record is clear  
12 in terms of what the -- the Board has in front of it.

13 You have on the slide that's presently  
14 on the screen a timeline chart. And I want to go to  
15 each of those sections that is broken out. But before  
16 we do -- well, let's start with the development costs.

17 What are development costs in -- in  
18 brief?

19 MR. DAVID CORMIE: Development costs  
20 include the hiring of consulting engineers, the -- the  
21 electrical studies that are needed to be done, the  
22 regulatory process in Minnesota, taking the lines to  
23 the Minnesota Public Utility Commission, getting the  
24 certificate of need.

25 And now we're in the process of -- of

1 acquiring a route permit, all the environmental studies  
2 that are necessary in order to get the wetlands permits  
3 from the Army Corps of Engineer and -- and all the  
4 other permits that are associated with the project.

5 MR. BOB PETERS: Has Manitoba Hvdro and  
6 Minnesota Power quantified what they expect the  
7 development cost to be between 2014 and 2016?

8 MR. DAVID CORMIE: Yes, Mr. Peters, if  
9 you look at the Coalition Exhibit MH-I-15(C) you'll see  
10 the development costs as the first three (3) -- for the  
11 first -- first three (3) years, 7 million in the first  
12 year, 8 million in the second year, and I'm sure a  
13 portion of the 18 million in -- in 2016. I'm not sure  
14 if -- if that full 18 million is development costs or  
15 if there is some construction or land acquisition costs  
16 in -- in that number, I'd have to check, but it's a  
17 very small amount compared to the total cost of the  
18 line.

19 MR. BOB PETERS: The numbers you've  
20 given, Mr. Cormie, are US dollars?

21 MR. DAVID CORMIE: No, these numbers  
22 are what are in the IFF. These are in Canadian  
23 dollars.

24 MR. BOB PETERS: And Manitoba - is that  
25 Manitoba Hvdro's share that you've just put on the

1 record of the development costs or is that --

2 MR. DAVID CORMIE: Yes, those are 54  
3 percent of the -- of the development costs.

4 MR. BOB PETERS: And where in the  
5 financial statements would -- Ms. Carriere, would you -  
6 - would the Board find the specifics of these?

7 MS. LIZ CARRIERE: The capital  
8 expenditures related to the 54 percent can -- are found  
9 in the property plant and equipment line on the  
10 cashflow statement.

11 MR. BOB PETERS: The -- the development  
12 costs, as well?

13 MS. LIZ CARRIERE: Yes.

14 MR. BOB PETERS: All right, let's --  
15 let's go back to that timeline chart, please, and we'll  
16 come back to the Coalition IR. From 2016 until 2020,  
17 that's the expected construction period, Mr. Cormie,  
18 for this Great Northern Transmission Line?

19 MR. DAVID CORMIE: Yes. Cons -- we --  
20 we are in the discussions with Minnesota Power. We may  
21 defer the start of construction to 2017, but it could  
22 be as early as 2016 with land acquisition.

23 MR. BOB PETERS: Does the later start  
24 put in jeopardy the in-service date?

25 MR. DAVID CORMIE: No, it doesn't.

1 MR. BOB PETERS: And during the  
2 construction period, the -- what is the total capital  
3 cost of the project?

4 MR. DAVID CORMIE: Well, I -- iust  
5 going to the Coalition exhibit, Mr. Peters, the total  
6 is five hundred and forty-two (542). There's 33  
7 million being spent in development, so the balance will  
8 be the capital construction contribution.

9 MR. BOB PETERS: Okay. I'm not -- for  
10 some reason I'm -- I have difficulty following that.  
11 The \$542 million is only Manitoba Hydro's share.

12 Is that correct?

13 MR. DAVID CORMIE: Yes.

14 MR. BOB PETERS: So the total  
15 construction cost of the Great Northern Transmission  
16 Line, capital costs are approximately a billion  
17 dollars?

18 MR. DAVID CORMIE: If you include the  
19 Canadian portion, yes. I'm -- it's in that range.

20 MR. BOB PETERS: Okay. That -- I don't  
21 understand that answer, Mr. Cormie. If we're iust  
22 talking the Great Northern Transmission Line --

23 MR. DAVID CORMIE: No, it's not a  
24 billion dollars, Mr. Peters. It's -- I'd have to look  
25 here.

1 MR. BOB PETERS: Well, 54 percent is  
2 \$542 million?

3 MR. DAVID CORMIE: That's our share,  
4 ves.

5 MR. BOB PETERS: So the total 100  
6 percent cost?

7 MR. DAVID CORMIE: Well, you have --  
8 you have some -- there are -- there are some internal  
9 Manitoba Hvdro costs, and there are foreign exchange  
10 costs as well, so.

11

12 (BRIEF PAUSE)

13

14 MS. LIZ CARRIERE: Mr. Peters, I'm not  
15 sure we would know what their total in-service costs is  
16 comparable to ours, because we don't know what they  
17 capitalize their interest at. And I'm not sure what  
18 their internal costs to the project are either.

19 I believe we do have a -- a 2013 dollar  
20 cost for that, but it won't be comparable to the five  
21 fortv-two (542).

22 MR. BOB PETERS: Thank you, Ms.  
23 Carriere. The \$542 million in construction costs that  
24 Manitoba Hvdro has included is approximately \$232  
25 million higher compared to what it was at the NFAT?

1 MS. LIZ CARRIERE: That's correct.

2 MR. BOB PETERS: And that's because of  
3 line rerouting?

4 MS. LIZ CARRIERE: Yeah.

5 MR. BOB PETERS: And so, Ms. Carriere,  
6 when we -- when we deal with the -- and we have it in  
7 front of us here now -- the capital expenditures, we  
8 can see that, starting construction, the -- the capital  
9 expen -- expenses jump up in 2018, '19, '20.

10 On the financial statements, can you  
11 again indicate where these construction capital costs  
12 will be recorded?

13 MS. LIZ CARRIERE: They can be found in  
14 the investment activities section of the cashflow  
15 statement under PP&E.

16

17 (BRIEF PAUSE)

18

19 MR. BOB PETERS: When we move on the  
20 chart from years 2020 to 2040, if we can just go back  
21 to that -- oh, there we go -- the ongoing costs, we see  
22 that in terms of ongoing costs -- and if we look at the  
23 bullets that Mr. Cormie has on his slide, they include  
24 the operating costs for Manitoba Hydro's 49 percent.

25 I have that correct?

1 MR. DAVID CORMIE: Yes.

2 MR. BOB PETERS: And they also include  
3 Manitoba Hydro paying Minnesota Power's revenue  
4 requirement associated with the 18 percent of capital  
5 funded by Minnesota Power.

6 MR. DAVID CORMIE: Yes.

7 MR. BOB PETERS: And paying Minnesota  
8 Power's revenue requirements, that will be determined  
9 by the Minnesota Public Utilities Commission?

10 MR. DAVID CORMIE: Minnesota Power's  
11 revenue requirements are made up of the operating and  
12 maintenance costs of that 18 percent, the property  
13 taxes, the cost of debt, the cost of equity, and  
14 capital recovery. So there are -- are those -- those  
15 five (5) components.

16 The operating and maintenance costs are  
17 -- let me just check here.

18

19 (BRIEF PAUSE)

20

21 MR. DAVID CORMIE: I'm just trying to  
22 determine which -- which of these costs are reviewed by  
23 the -- by the regulator.

24 MR. BOB PETERS: The return on the rate  
25 base would be certainly one (1) of them, wouldn't it,

1 Mr. Cormie? MR. DAVID CORMIE: The return on the  
2 rate pay -- the return on equity is FERC-approved rate.  
3 And -- and it is -- it is regulated. The -- the cost  
4 of -- of debt is also reviewed by their regulator and  
5 the cost of equity is also approved by their regulator.

6

7

(BRIEF PAUSE)

8

9 MR. BOB PETERS: Any cost overruns, Mr.  
10 Cormie, are shared, 54 percent falls to Manitoba Hydro  
11 and 46 percent falls to Minnesota Power?

12 MR. DAVID CORMIE: Yes, we're sharing  
13 in the in-service cost.

14 MR. BOB PETERS: I believe you told the  
15 panel last week that after the project is constructed,  
16 Manitoba Hydro has a point where it can walk away from  
17 the transaction.

18 Did I understand that correctly?

19 MR. DAVID CORMIE: No, I -- I wish it  
20 were that way, Mr. Peters. We have the right to walk  
21 away when we get the final -- at the point we get the  
22 final cost estimate for the line. As you -- as you  
23 know, in Minnesota, the route has yet to be selected.  
24 And that -- that route is -- is something that the  
25 Public Utility Commission will be determining over the

1 next year. And it's only at that point will we finally  
2 know how many miles of transmission line will be built.  
3 And it's only at that point will we have final design,  
4 how many -- how many corner towers there'll be, how  
5 much swamp and marshland that we'll be going through.

6                   And it's only at that point that we can  
7 -- that we can know what the final cost of the line is.  
8 And the Manitoba Hydro board has the -- has the right,  
9 at that point, to say, No, the -- the line is now no  
10 longer beneficial and -- and we're not -- we're not --  
11 we're no longer obligated to participate in the  
12 project.

13                   MR. BOB PETERS: That -- okay. So that  
14 -- that decision has to be made before the capital  
15 costs are incurred, but only at the point in time when  
16 Manitoba Hydro has its estimate?

17                   MR. DAVID CORMIE: Yes, we have a -- we  
18 have a planning estimate at this time, and it's their -  
19 - Minnesota Power's midpoint estimate. And it includes  
20 reasonable contingencies, but because we don't have the  
21 final route selected, it's difficult for us to say what  
22 the -- what the final cost of the line is.

23                   MR. BOB PETERS: And so once Manitoba  
24 Hydro commits or approves the estimate of the cost of  
25 the line once the routing is known, that's when

1 Manitoba Hvdro is locked in?

2 MR. DAVID CORMIE: Yes.

3 MR. BOB PETERS: And going forward, if  
4 there are any cost overruns, those are then shared, as  
5 I've indicated, 54 percent to Manitoba Hvdro and 46  
6 percent to Minnesota Power?

7 MR. DAVID CORMIE: In addition to that,  
8 Mr. Peters, we are also exposed to the cost overruns  
9 with Minnesota Power's 133 megawatts, because they're -  
10 - they're only -- they're only going to cover the --  
11 what they need for their 250 megawatts. And so they  
12 may own it, but the must-take fee covers the cost of  
13 the equity and cost of debt associated with that. So  
14 if there's -- if there is cost exposure, we're actually  
15 exposed to 72 percent of the overruns, not just the --  
16 not just the 54 percent, because you have to add the 18  
17 percent into the -- into the fifty-four (54) to get the  
18 seventy-two (72).

19 MR. BOB PETERS: If the -- if there are  
20 cost overruns, Mr. Cormie, is it going to be virtually  
21 impossible to tell if that cost overrun was on the 133  
22 megawatt additional portion or whether it was on the  
23 750 megawatt initial appo -- portion?

24 MR. DAVID CORMIE: No, it -- it'll be  
25 on a pro rata share ratio.

1 MR. BOB PETERS: All right. So you're  
2 in for 72 percent of the cost overruns?

3 MR. DAVID CORMIE: In for 72 percent,  
4 yeah. We have a -- a big stake in the cost of this  
5 line, Mr. Peters.

6

7 (BRIEF PAUSE)

8

9 MR. BOB PETERS: Ms. Carriere, the  
10 ongoing costs shown between the years 2020 and 2030 --  
11 it's actually to 2040. We understand Manitoba Hydro  
12 will then pay its 49 percent of the ongoing costs as  
13 well as the revenue requirement for 18 percent of the  
14 capital funded by Minnesota Power.

15 Where will those costs be recorded in  
16 Manitoba Hydro's financial statements?

17 MS. LIZ CARRIERE: If you turn to page  
18 3 of Coalition 15(c)? So the far right column says,  
19 "49 percent of funding of the transmission charges."  
20 That reflects Manitoba Hydro's share -- 49 percent  
21 share of the -- the ongoing operating costs.

22 The portion -- the 18 percent portion of  
23 MP's revenue requirement and their -- 18 percent of  
24 their ongoing costs are reflected in the three (3)  
25 columns in the middle. So this is where the 286

1 million... So the present value of that obligation  
2 will be recorded on the in-service date of the total  
3 cost. So whatever the projection is of the total costs  
4 as of that time period will record as an obligation on  
5 Manitoba Hvdro's books.

6 MR. BOB PETERS: Just to interrupt, Mr.  
7 Carriere, that \$286 million is the present value of the  
8 18 percent capital funded by Minnesota Power's revenue  
9 requirements as well as the operating costs?

10 MS. LIZ CARRIERE: Well, the -- their  
11 operating costs are inclu -- included in that  
12 scheduling fee. The scheduling fee consists of the  
13 operating costs, depreciation, financing charges,  
14 taxes, and their costs of equity. So the -- the 286 is  
15 the present value of the expected payments over the  
16 twenty (20) years.

17 MR. BOB PETERS: And once you indicated  
18 it's the present value, you're then going to amortize a  
19 portion of that into the --

20 MS. LIZ CARRIERE: We'll --

21 MR. BOB PETERS: -- financial  
22 statements?

23 MS. LIZ CARRIERE: -- be amortizing the  
24 542 million over forty (40) years.

25

1 (BRIEF PAUSE)

2

3 MS. LIZ CARRIERE: And then the  
4 accretion on the liability is -- is the amount that --  
5 charged to finance expense each year to bring the value  
6 of the liability to the next year.

7

8 (BRIEF PAUSE)

9

10 MR. BOB PETERS: Just to -- to assist  
11 me while the mics are on, Ms. Carriere, the -- the  
12 accretion on the liability that's going to be recorded  
13 in the finance expense, does -- does the source of the  
14 accretion come from the present value of the scheduling  
15 fee?

16 MS. LIZ CARRIERE: Yes.

17 MR. BOB PETERS: And then what is the  
18 source of the amortization of intangible asset in the  
19 other column of \$16 million starting in 2021?

20 MS. LIZ CARRIERE: It's the five  
21 hundred and forty-two (542) over the forty (40) years,  
22 oh, plus the two eighty-six (286), sorry.

23

24 (BRIEF PAUSE)

25

1 MR. BOB PETERS: Just looking at the  
2 way you've shown on page 3 that's on the screen, Ms.  
3 Carriere, of Coalition Manitoba Hydro First Round 15C,  
4 you show capital expenditures of 7 million in 2014, and  
5 8 million in 2015. Has Manitoba Hydro set up an  
6 intangible asset of \$15 million already?

7 MS. LIZ CARRIERE: The intangible asset  
8 hasn't been set up yet, but it's in PP&E, yes.

9 MR. DARREN RAINKIE: Mr. Peters, maybe  
10 I can help here. It -- it -- given that our PP&E is in  
11 excess of \$16 billion, for the first couple years,  
12 we've just tucked that in -- in our construction work  
13 in progress and -- and in PP&E, but as it grows, we'll  
14 reclassify that to an intangible asset, sir, so that'll  
15 be both the 54 percent of the capital expenditures, or  
16 the 542 million, plus the present value of the  
17 scheduling fee when -- when that actually comes into  
18 being in 2021.

19 So then the total of those two (2)  
20 amounts, the five forty-two (542) and the two eighty-  
21 six (286) -- and think of the two eighty-six (286) like  
22 a lease, right? It's the present value of the future  
23 of the -- of the revenue requirements on an ongoing  
24 basis. So the five forty-two (542) and the two eighty-  
25 six (286), if you divide those two (2) numbers by forty

1 (40) years, that's how you get to the \$21 million  
2 depreciation expense by the time the line is fully in  
3 service.

4                   But subject to check, I think right now  
5 in our 2015 financial statements, the -- the amounts  
6 right now are in construction work in progress, because  
7 we only have -- right now in our financial statements,  
8 we only have construction work in progress on the -- on  
9 the PP&E line, but as this grows, we'll develop a new  
10 construction work in progress on the intangible asset  
11 line.

12                   MR. BOB PETERS:   Mr. Cormie, maybe the  
13 last question is to you. The -- the transmission  
14 surface -- or service rights, that is, the right for  
15 Manitoba Hvdro to use the transmission line, has that  
16 been approved by the FCA?

17                   MR. DAVID CORMIE:   The facility's  
18 construction agreement is between Manitoba Hvdro  
19 subsidiary -- no, Manitoba Hvdro, Minnesota Power, and  
20 MISO. And it was -- it was approved by FERC. And in  
21 there, MISO contracts with Manitoba Hvdro to provide  
22 those transmission rights if the facility is  
23 constructed.

24                   MR. BOB PETERS:   Would the Board  
25 understand correctly then that even if Minnesota Power

1 divested itself of its ownership interests, Manitoba  
2 Hvdro's transmission rights are protected in  
3 perpetuity?

4

5

(BRIEF PAUSE)

6

7 MR. DAVID CORMIE: The -- the  
8 transmission rights are rights that MISO grants  
9 independent of who owns the line. I was pausing,  
10 because if Minnesota were to sell the asset to another  
11 party, we would want to -- to continue to have the --  
12 and -- and if MISO were to disappear, then we would --  
13 we -- we would -- we would be at risk. That's why we  
14 are negotiating a transmission rights agreement with  
15 Minnesota Power which will inc -- include an assignment  
16 clause that we -- that -- that would give us the right  
17 to object to that if we weren't allowed to continue to  
18 use the rights in the circumstance that MISO were to  
19 disappear.

20 MR. BOB PETERS: And that agreement --  
21 the status of that agreement, to Mr. Cormie, is still  
22 in negotiation?

23 MR. DAVID CORMIE: Yes, there's a whole  
24 series of agreements, Mr. Peters, and we're trying to  
25 do them in the logical order, and we have yet to get to

1 the transmission rights agreement. It's -- it's of a  
2 lower priority.

3 MR. BOB PETERS: And when we talked  
4 earlier that Manitoba Hydro pays the revenue  
5 requirement for the 18 percent of the capital funded by  
6 Minnesota Power, I had understood that Minnesota Power  
7 will look for a return on its equity, and including a  
8 return on that 18 percent equity that Manitoba Hydro is  
9 paying the revenue requirement on?

10

11 (BRIEF PAUSE)

12

13 MR. DAVID CORMIE: Yes, Minnesota Power  
14 will be putting equity into the line, and they will be  
15 -- they will be earning a rate of return on that.

16 MR. BOB PETERS: All right. But let's  
17 talk about the 18 percent of the capital that's going  
18 to be funded by Minnesota Power on which Manitoba Hydro  
19 is paying the revenue requirements.

20 Manitoba Hydro is extensively paying  
21 Minnesota Power already a return on equity on that 18  
22 percent.

23 Would that be correct?

24 MR. DAVID CORMIE: We're only going to  
25 pay it once, Mr. Peters.

1 MR. BOB PETERS: Well, will Minnesota  
2 Power be all -- be able to claim a return on equity on  
3 that 18 percent from its other customers?

4 MR. DAVID CORMIE: No. They will --  
5 their -- their customer base will pay their return on  
6 equity on the 250 megawatts that is being purchased to  
7 serve their customer load. The 133 megawatts is being  
8 built by Minnesota Power for Manitoba Hydro to use,  
9 and so we are paying all the revenue requirements for  
10 the hundred and thirty-three (133), which includes the  
11 return on equity.

12 MR. BOB PETERS: All right. I -- I  
13 understand your point now.

14 MR. DAVID CORMIE: And we -- we are --  
15 we're paying the same return on equity as their  
16 regulated rate base will be. And that rate is for  
17 wholesale customers approved by FERC, and the retail  
18 customer portion of their rate base is -- is a rate  
19 that's approved by the MPOC.

20 MR. BOB PETERS: Thank you. Mr.  
21 Chairman, those were my additional questions, and I'm  
22 not sure if any counsel in the room had questions at  
23 this time, or whether that's a matter they're going to  
24 speak to Ms. Fernandes on and perhaps schedule it at a  
25 later time.

1 THE CHAIRPERSON: I have some very  
2 basic questions I'd like to get answered, and -- and I  
3 hope you'll bear with me, Mr. Cormie. Just -- just to  
4 show my ignorance, but say you have a pipe. Power goes  
5 through the pipe, and you have rights to say three-  
6 quarters (3/4) of that pipe.

7 So your electricity has priority over  
8 everybody else's electricity on that portion that's not  
9 -- that's yours?

10 MR. DAVID CORMIE: Yes. The -- the  
11 transmission rights are -- they're -- they are firm  
12 rights. So, you know, the guaranteed capability of  
13 that line are the -- are the transmission rights that  
14 we're talking about.

15 To the extent that Manitoba Hydro's not  
16 using those rights, they would get freed up on an  
17 interruptible basis for somebody else to use.

18 THE CHAIRPERSON: And that's where MISO  
19 comes in?

20 MR. DAVID CORMIE: Yeah. MISO says  
21 that, under contract to Manitoba Hydro, you have these  
22 -- you have these firm rights, which means you have the  
23 first right of refusal on the line. And so we will  
24 hold those -- we will hold those rights to that -- to  
25 that transmission.

1 THE CHAIRPERSON: And so the same would  
2 be true if you were successful in signing additional  
3 contracts. You would have first -- you'd have first  
4 rights to those transmission --

5 MR. DAVID CORMIE: Yes. Well, we -- we  
6 hold the rights regardless of the fact that we don't  
7 have a contract yet. For example, I -- I believe  
8 Wisconsin Public Service holds 200 megawatts of rights  
9 into Wisconsin on the GNTL, so MISO assigned 200  
10 megawatts of rights to Minnesota Power.

11 Remember, Manitoba Hydro already a  
12 hundred and eight (108). That's how we came up with  
13 the three hundred and eight (308). So although there's  
14 yet to be a trans -- we don't have a transaction that's  
15 complete to go to Wisconsin, Wisconsin still will hold  
16 those rights when the line comes into service.

17 And in the -- in the circumstance where  
18 the 308 megawatt transaction dies because Manitoba  
19 Hydro doesn't choose to invest in Conawapa, we're  
20 expecting that, well before that time, we will  
21 negotiate something else with them that they can take  
22 value from the tran -- from those 200 megawatts of  
23 rights.

24 And that's -- and that's what I meant  
25 before. We have the -- we have -- we have 500

1 megawatts of rights into Wisconsin, three-hundred (300)  
2 that Manitoba Hydro holds, two-hundred (200) that  
3 Wisconsin holds. And so in effect we've -- we've got a  
4 pipeline to Wisconsin Public Service.

5 Plus we have another pipeline to  
6 Wisconsin that we haven't sold -- we're not -- we  
7 haven't -- we haven't got a committed customer for yet.  
8 And we will want to salvage that value through some  
9 type of power sale.

10 Now, all power sales don't have to be  
11 firm power sales with capacity. We can sell power  
12 that's intermittent. And we talked about a sale like  
13 that the other day. It was a 108-megawatt sale that's  
14 surplus energy, but it qualifies for holding the tran -  
15 - it -- it -- it's a qualifying transaction, as if you  
16 were a wind generator.

17 Wind doesn't blow all the time, but you  
18 need -- you need to have firm rights. And so you can  
19 qualify -- you can have a qualifying transaction  
20 that'll hold those rights. And we'll -- we'll find a  
21 way to tie up those transmission rights into Wisconsin  
22 so that we can bring value to -- to Manitoba Hydro and  
23 to Wisconsin.

24 THE CHAIRPERSON: Thank you.

25 MS. MARILYN KAPITANY: If we could just

1 take one (1) minute while Mr. Cormie moves away  
2 somewhere and Ms. Bauerlein moves to the front, and  
3 then the panel's available for cross-examination.

4

5

(WITNESS STANDS DOWN)

6

7 MANITOBA HYDRO PANEL 4 - FINANCE RESUMED:

8

DARREN RAINKIE, Previously Sworn

9

DAVID CORMIE, Previously Sworn

10

SANDY BAUERLEIN, Previously Sworn

11

LIZ CARRIERE, Previously Sworn

12

MANNY SCHULZ, Previously Sworn

13

IAN PAGE, Previously Affirmed

14

15 CROSS-EXAMINATION BY MR. BOB PETERS:

16

MR. BOB PETERS: Thank you, Mr.

17 Chairman. And while we're just getting finally

18 organized I'll remind the parties that PUB Exhibit 20

19 is a compendium of volumes of Board counsel documents.

20 And I'll be referring to Volume III of PUB-20 for my

21 questions this afternoon and part of tomorrow. And I

22 also have Volume IV to cover before the end of business

23 tomorrow. So we will -- we will move along at a -- a

24 brisk pace I hope. And if we could we'll start with

25 Volume III of PUB Exhibit 20. We'll go to Tab 2, Page

1 10 iust to orient ourselves in the book of documents.

2 And, Ms. Carriere, you'd be familiar  
3 that what's before the Board on the screen are the rate  
4 cre -- are the rate increases that Manitoba Hvdro has  
5 received from the Public Utilities Board shown here  
6 going back to 1999/2000?

7 MS. LIZ CARRIERE: That's correct, yes.

8 MR. BOB PETERS: And iust for the  
9 edification of the panel back in '99 and 2000,  
10 2000/2001, zero percent rate increases -- Manitoba  
11 Hvdro hadn't come in for a number of years including  
12 those two (2) years to seek rate increases.

13 Do you recall that?

14 MS. LIZ CARRIERE: Yes, I was actually  
15 here. Yeah.

16 MR. BOB PETERS: I'm sorry, was  
17 actually?

18 MS. LIZ CARRIERE: I was here.

19 MR. BOB PETERS: What you haven't told  
20 is Manitoba Hvdro didn't come in for rate increases.

21 Was that at the behest of the provincial  
22 government or was that a decision by Manitoba  
23 Hvdroelectric board or do you know?

24 MS. LIZ CARRIERE: That would have been  
25 a decision of the Manitoba Hvdroelectric board is my

1 understanding for each -- each time the integrated  
2 financial forecast was taken forward to the board it --  
3 there would have been a recommendation as to the rate  
4 increases.

5 MR. BOB PETERS: And Manitoba Hydro  
6 board did not authorize any general rate application to  
7 be filed for -- for those years?

8 MS. LIZ CARRIERE: Not that I'm aware  
9 of.

10 MR. BOB PETERS: And in 2001/'02,  
11 there's a negative 1.92 percent rate increase shown as  
12 a result of uniform rate legislation.

13 Were you familiar with that -- with that  
14 legislation?

15 MS. LIZ CARRIERE: Not fully.

16 MR. BOB PETERS: Would it be correct  
17 for the Board to understand that Manitoba Hydro didn't  
18 apply to reduce rates by 1.92 percent, but simply that  
19 minus 1.92 percent would be the impact on Manitoba  
20 Hydro's revenue as a result of provincial legislation?

21 MS. LIZ CARRIERE: That's my  
22 understanding, yes.

23 MR. BOB PETERS: And is it your  
24 understanding that the -- the foregone revenue from the  
25 uniform rates legislation has not been sought from

1 Manitoba Hvdro's domestic customers?

2 MS. LIZ CARRIERE: Not in that vear,  
3 no.

4 MR. BOB PETERS: Not expresslv in anv  
5 event?

6 MS. LIZ CARRIERE: Correct.

7 MR. BOB PETERS: There's a matter that  
8 -- in the cost-of-service studv there is an adjustment  
9 on account of uniform rate legislation?

10 MS. LIZ CARRIERE: I'm not familiar  
11 with that adjustment.

12 MR. BOB PETERS: The 2004/'05 -- well,  
13 before we get there, in 2003/'04, Manitoba Hvdro came  
14 in on a status update it's called, not seeking anv rate  
15 increases. But as a result of the status update the  
16 Public Utilities Board did adjust a couple of the  
17 rates.

18 Do vou recall that?

19 MS. LIZ CARRIERE: Not expresslv, no.

20 MR. BOB PETERS: And, Mr. Rainkie, vou  
21 certainly recall it. And vou're grinning, so I'll --  
22 I'll turn to vou, sir. That rate adjustment was a  
23 reduction in rates to the general service large  
24 customers based on cost-of-service results?

25 MR. DARREN RAINKIE: Mr. Peters, I was

1 busv preparing gas rate applications at that point, but  
2 that's my understanding, sir.

3 MR. BOB PETERS: And then to '04/'05,  
4 Manitoba Hvdro applied for a three (3) year rate  
5 application and -- I'm sorry, they applied for 3  
6 percent for two (2) consecutive years.

7 Have I got that correct, Ms. Carriere?

8 MS. LIZ CARRIERE: Yes.

9 MR. BOB PETERS: And as a result, the  
10 Public Utilities Board ended up ordering a 5 percent  
11 rate increase as well as two (2) conditional rate  
12 increases of 2.25 percent, correct?

13

14 (BRIEF PAUSE)

15

16 MS. LIZ CARRIERE: Correct.

17 MR. BOB PETERS: And the 2004/'05 rate  
18 application by Manitoba Hvdro was brought on as a  
19 result of Manitoba Hvdro having poor water flows and  
20 suffering a net loss of about \$426 million?

21 MS. LIZ CARRIERE: That's correct.

22 MR. BOB PETERS: And so in the IFF14  
23 and the materials you've presented to the panel up to  
24 now, if another drought occurs, is Manitoba Hvdro  
25 indicating it will not need to come to the Public

1 Utilities Board for any rate increases above two (2)  
2 point -- above 3.95 percent?

3 MS. LIZ CARRIERE: No, I think our --  
4 our sensitivity analysis shows that the rate increase  
5 could be as much as 2.2 percent higher than the 3.95,  
6 but it will depend on the circumstances of the day.

7 MR. BOB PETERS: What would the  
8 circumstances of the day include, just for the Board's  
9 understanding?

10 MS. LIZ CARRIERE: Well, it would  
11 depend on the severity of the drought, the magnitude --  
12 or the duration of the drought, what happens in the --  
13 in the years following. As we saw on '03/'04, we had  
14 very favourable water flows after that period and it --  
15 it wasn't necessary to come back for additional rate  
16 increases. Had that drought extended for more than two  
17 (2) years, it would have been very likely that we would  
18 have had to ask for higher rate increases at that point  
19 in time, so it really depends on the water flow  
20 conditions.

21 MR. BOB PETERS: And I take from your  
22 answer then that there's no promises being made by  
23 Manitoba Hydro that 3.95 is going to be the maximum  
24 rate increase sought going forward?

25 MS. LIZ CARRIERE: No, I think we've

1 said it's the minimum.

2 MR. BOB PETERS: And when you say it's  
3 the minimum, it's the minimum that Manitoba Hydro feels  
4 it can -- it can work with in terms of keeping its  
5 financial targets in relative check?

6 MS. LIZ CARRIERE: It's the minimum  
7 we're -- we're willing to accept and -- and the -- the  
8 most risk that we're willing to put customers at in  
9 terms of, you know, future rate increases.

10 MR. BOB PETERS: Would it be -- it's  
11 not meant to be trite, but Manitoba Hydro would not  
12 have surveyed any of its customers -- any of its five  
13 thousand (5,000) -- I'm sorry, any of its five hundred  
14 and fifty-six thousand (556,000) customers to find out  
15 what rate increase tolerance they would have, did they?

16 MS. LIZ CARRIERE: No, I don't believe  
17 we have.

18 MR. BOB PETERS: And it would -- does  
19 it go without saying, Ms. Carriere, that Manitoba  
20 Hydro's expectation is that every one of your customers  
21 would probably prefer there not to be a rate increase?

22 MS. LIZ CARRIERE: That's probably a  
23 fair statement, yes.

24 MR. BOB PETERS: And when you say that  
25 Manitoba Hydro is seeking three-point-nine-five (3.95)

1 based on Manitoba Hvdro's risk appetite of what it's  
2 prepared to accept, Manitoba Hvdro doesn't have any  
3 data on what its customers' risk appetite is?

4 MR. DARREN RAINKIE: Mr. Peters, we  
5 don't have a survey of six hundred thousand (600,000)  
6 customers, but I think we over the years have seen the  
7 reaction to the actual requested rate increases that  
8 you see here in the representatives of various  
9 Intervenor groups. So I wouldn't say we had no  
10 information, but -- and we have as we look back on this  
11 sched -- very schedule we have been able to contain  
12 rate increases within the rate of inflation overall.  
13 And in fact some years before this chart we actually  
14 had some more zeroes.

15 So I think we actually have -- we -- we  
16 understand the history of where we've been. We get  
17 feedback every day from our customers in terms of our  
18 call centre, et cetera. But not a -- obviously not a -  
19 - a survey of six hundred thousand (600,000) customers,  
20 but we have our own business sense informed as it is by  
21 the factors that I just -- I just mentioned.

22 MR. BOB PETERS: Mr. Rainkie, would --  
23 would a large portion of your customer base want the  
24 lowest rate increase possible today and then if there's  
25 a need for a large rate increase in the future that

1 they'll pay it at that point in time?

2 MR. DARREN RAINKIE: I'm not sure, Mr.  
3 Peters. What I do know is that the price of power in  
4 the Manitoba Hydro Act is designed that the Board  
5 regulates the price of power as de -- designed by  
6 legislation in Manitoba as I understand it. I'm not a  
7 lawyer, but I can read. To include, you know, our --  
8 our operating costs, our financing costs, plus reserves  
9 for the purposes of rate stability.

10 Rate stability and predictability is a  
11 common theme that runs amongst most regulatory  
12 proceedings I think in North America, if not the world.  
13 So while we don't have, you know, a voting -- voting  
14 button for six hundred thousand (600,000) customers  
15 individually I think we have some regulatory principles  
16 and some established legislation of the fine Province  
17 of Manitoba that provides us guidance on these matters.

18 MR. BOB PETERS: I may not word this  
19 eloquently, Mr. Rainkie, but please try to understand  
20 my question that in this rate application would you  
21 agree that -- that this rate application is a -- is  
22 somewhat landmark in the sense that Manitoba Hydro's  
23 focus isn't so much now on the test years and in  
24 developing a revenue requirement for the test years,  
25 although you've done that, but more you're alerting to

1 the Board that down the road there are some in-service  
2 costs coming that can't be avoided. And that's the  
3 primary focus of your rate application.

4 MR. DARREN RAINKIE: Well, certainly  
5 while that's the focus of our rate application and we -  
6 - but -- in today's circumstances I think Manitoba  
7 Hydro has always had a view of gradualism in terms of  
8 rate changes. You would -- you know, you would not  
9 have seen a company probably as we go over the requests  
10 of the past ask for these types of rate increases.  
11 They probably would have -- another company might have  
12 asked for higher rate increases immediately after the  
13 drought, et cetera, which we asked for 3 percent. It  
14 wasn't a 10 percent rate increase.

15 So I -- I -- while perhaps the magnitude  
16 of -- of the investments that we have on a go-forward  
17 basis is -- is significant I think Manitoba Hydro has  
18 always in the modern era anyway, since the Public  
19 Utilities Board has regulated Manitoba Hydro's rates,  
20 had as one (1) of its core principles rate stability  
21 and gradualism in its rates.

22 So I -- I wouldn't say this was  
23 something new and Manitoba Hydro's been only focussed  
24 on the test years. In fact for as long as I can  
25 remember and as long as I've been part of the Company

1 we have provided ten (10) year financial forecasts to  
2 sav, Okay, let's look at the rate increases that are in  
3 front of us in the next couple of years in the context  
4 of, you know, the next five (5) or ten (10) years. I  
5 think it's a -- it's an intelligent way of going -- and  
6 a responsible way of going through.

7                   And I think the -- as I read the Public  
8 Utilities Board orders over the -- over the years I  
9 think the -- the Board has been with us as well. So I  
10 -- I wouldn't say this was a new phenomena. Hopefully  
11 -- that's something of a rambling response, Mr. Peters,  
12 but...

13                   MR. BOB PETERS: No, I appreciate the  
14 answer, Mr. Rainkie. But the gradualism you refer to  
15 is the gradualism to get you to a point that Bipole III  
16 and Keevask will be in service. That's the gradualism  
17 that you're -- you're now targeting.

18                   MR. DARREN RAINKIE: Well, that and --  
19 and the need to refurbish our system and make  
20 investments on DSM, sir. I can't forget those -- those  
21 parts of the equation either. But -- but, yes. I  
22 mean, we -- we are looking forward in the next ten (10)  
23 years. I don't think there's any secret in the  
24 application. I think it was quite -- we've been quite  
25 open with our customers and the Public Utilities Board

1 on what our views are.

2                   We're not constraining ourselves to a  
3 one (1) or two (2) year view of it and then five (5)  
4 years from now saying, Well, geeesh, why didn't we act  
5 sooner? That -- that's not what we're -- other parties  
6 may have that position and that's fine. That's why we  
7 have these types of hearings, but I think it's very  
8 clear Manitoba Hydro is looking forward and we have a  
9 position of what we feel the -- the best balancing of  
10 the factors are. And other parties are entitled to  
11 their position as well.

12                   MR. BOB PETERS: Well, Mr. Rainkie, if  
13 your president had walked into your office and said,  
14 file a general rate application where there's either no  
15 rate increase, or it's 2 percent or less, you and your  
16 team would have combed through the materials and you  
17 could have maybe looked at just the test years to -- to  
18 try to do that, but then you'd be doing a disservice,  
19 you've told the Board, down the road to when the --  
20 when the capital costs are going to come in service?

21                   MR. DARREN RAINKIE: Well, we'd be  
22 doing a disservice to that. We'd be doing a  
23 disservice, as I said, to the very statute that creates  
24 us in terms of looking at rate stability. I think we'd  
25 be doing a disservice to the precedent in this

1 jurisdiction and so, Mr. Peters, yeah, it's -- it's --  
2 I don't think this is something new. I think this is  
3 the way we've always -- always looked at things.

4 MR. BOB PETERS: On page 12, Ms.  
5 Carriere, Mr. Rainkie had mentioned rates of inflation  
6 and increases relative to inflation. And the Board  
7 will see -- and it'll depend on where -- where one  
8 picks up the -- the calculation. This is shown back  
9 from the turn of the century here, but if one starts  
10 and goes back a decade, the rate increases have been  
11 larger than the Manitoba rate of inflation. That's  
12 just a mathematical correct statement, is it?

13 MS. LIZ CARRIERE: That's correct in  
14 that ten (10) year period, but as Mr. Rainkie said, the  
15 immed -- the period immediately before that were a  
16 series of zeros, more than shown just here.

17 MR. BOB PETERS: And the Board  
18 understands that, and that was made for reasons  
19 determined before Manitoba Hydro embarked on a capital  
20 construction program as ambitious as it now has?

21 MS. LIZ CARRIERE: That's correct,  
22 yeah.

23 MR. BOB PETERS: And on page 15 of the  
24 materials, when the Board looks at what has -- what the  
25 rates have been that have been awarded by the Board,

1 the Board can see that -- if we...

2

3 (BRIEF PAUSE)

4

5 MR. BOB PETERS: If we go down to the  
6 2014 approved rate increases and follow them across the  
7 page, we can see that cumulatively out to 2014/'15, the  
8 rate increases in past have come up to about \$395  
9 million.

10 Are you with me on that, Ms. Carriere?

11 MS. LIZ CARRIERE: Three-hundred and  
12 fifteen-thousand (315,000)?

13 MR. BOB PETERS: Sorry, I -- I mean  
14 three ninety-five (395). I'm looking at the screen and  
15 if you can look one (1) column over to the '15/'16  
16 forecast, column --

17 MS. LIZ CARRIERE: Yeah.

18 MR. BOB PETERS: -- it'll be  
19 cumulatively to over \$400 million?

20 MS. LIZ CARRIERE: Okay. Yeah.

21 MR. BOB PETERS: And that \$402 million  
22 includes the 2.75 percent interim rate award of this  
23 Board, correct?

24 MS. LIZ CARRIERE: Correct.

25 MR. BOB PETERS: And just below that

1 the \$57.3 million represents the rate increase for  
2 April 1 of 2015 that the Company applied for and that's  
3 the annualized additional revenues?

4 MS. LIZ CARRIERE: Yes.

5 MR. BOB PETERS: While we're looking at  
6 page 15, at the bottom, the Board will note -- and  
7 maybe we'll have to, heaven forbid, shrink the scale,  
8 or maybe move over to the left margin. We can see that  
9 -- that the extraprovincial revenues, and there's a --  
10 a net extraprovincial number and -- and -- well, thank  
11 you.

12 Just while we're on that, we often talk  
13 extraprovincial revenues and then we say net  
14 extraprovincial revenues. And I think you had a  
15 different word for it in one (1) of your slides today,  
16 but when you get your extraprovincial revenues that's a  
17 gross number. And then Manitoba Hydro subtracts the  
18 water rentals as well as the fuel and power purchases  
19 to get to a net extraprovincial revenue number?

20 MS. LIZ CARRIERE: Yes. That's the net  
21 extraprovincial number that the accountants use.

22 MR. BOB PETERS: And that's just  
23 generally to reflect that, when one exports, there's a  
24 water rental charge or assessment against that -- the  
25 water that was used to generate, and that the fuel and

1 power purchases are often used to facilitate the  
2 exports.

3 MS. LIZ CARRIERE: Correct. Just to  
4 note, though, that those both -- they're total water  
5 rentals and fuel and power purchases. So a portion of  
6 that would be related to domestic as well. But because  
7 of the integrated nature of the system, it's -- it's  
8 difficult to split out in a meaningful way.

9 MR. BOB PETERS: And likewise --

10 MS. LIZ CARRIERE: Generally that's  
11 what's being added to our -- our revenue base.

12 MR. BOB PETERS: Right. And -- and  
13 likewise with the power purchases. There's some wind  
14 power in there that's purchased in Manitoba that  
15 wouldn't be necessarily purchased from a US source to  
16 facilitate exports, although it may be able to be used  
17 for that even though it's wind power?

18 MS. LIZ CARRIERE: It's hard to say  
19 where it would be used. I mean, there's also US  
20 purchases that support holding back water in reservoirs  
21 that's used to help supply domestic demand as well, not  
22 just support export sales.

23 MR. BOB PETERS: And as we see in '04 -  
24 - '05/'06, the gross extraprovincial revenues of 826  
25 million. And we fast forward to 2014/'15, it's -- it's

1 less than half of that.

2 MS. LIZ CARRIERE: Yeah. That looks  
3 correct.

4 MR. BOB PETERS: And then when we get  
5 down to the -- the net extraprovincial revenue, it  
6 actually looks worse than that because the net  
7 extraprovincial revenue in '05/'06 was 570 million, and  
8 it's in '04 -- in '14/'15 it's down 150 million.

9 MS. LIZ CARRIERE: That's right.

10

11 (BRIEF PAUSE)

12

13 MR. BOB PETERS: And would the Board be  
14 correct in understanding, Ms. Carriere, then that one  
15 (1) of the reasons for Manitoba Hvdro's request for  
16 rate increases, including the -- the 3.95 percent, is  
17 that with that revenue loss from exports, Manitoba  
18 Hvdro now has to look to the domestic customer to make  
19 up a greater share of that required income?

20 MS. LIZ CARRIERE: That's true, yes.  
21 The -- the domestic revenue that's being collected at  
22 this time isn't keeping pace with the costs to serve  
23 the customers. So in addition to that, we have --  
24 we're -- we're -- we have capital expenditures going  
25 out the door, and they still have to be paid for.

1 Although they don't come into revenue requirement later  
2 for the major new generation, we do have to continue to  
3 pay the bills.

4 MR. BOB PETERS: Turning to page 18 in  
5 the Volume III PUB Exhibit 20, Ms. Carriere, when you  
6 prepare the IFF and you take the long view, the  
7 implications of the 3.95 percent rate increase that  
8 Manitoba Hydro is -- is seeking really has a greater  
9 value to the Corporation in terms of what happens in  
10 the future, correct?

11 MS. LIZ CARRIERE: That's correct.

12 MR. BOB PETERS: Because the fifty-  
13 seven (57) -- well, let's -- let's stay with Item B.  
14 The two (2) year rate application before the Board and  
15 the \$96 million that Manitoba Hydro seeks by way of  
16 increased revenues has a present value to Manitoba  
17 Hydro over the next twenty (20) years of one (1) -- \$1  
18 billion.

19 MS. LIZ CARRIERE: That's correct.

20 MR. BOB PETERS: And if you add in  
21 additional 3.95 percent rate increases going forward,  
22 the -- the rate increases today actually have a higher  
23 present value of about 1.4 bil -- million.

24 MS. LIZ CARRIERE: That's right.

25 MR. DARREN RAINKIE: Mr. Peters, that's

1 the time value of money. Rate increases will  
2 accumulate over time. If you don't get those rate  
3 increases, the debt and the finance costs will  
4 accumulate over time. That's the reverse side of that  
5 equation. That was the point I was trying to make this  
6 morning with the blue -- with the red bars, Mr.  
7 Chairman, on our -- on our cost-of-service slide that  
8 Ms. Carriere presented.

9 MR. BOB PETERS: On page 23 of the book  
10 of documents, Ms. Carriere, we have a restated IFF14.  
11 This one depicts the 2.75 percent rate increasing being  
12 a conditional rate increase?

13 MS. LIZ CARRIERE: Yes, it's just  
14 reclassified it from one (1) line to the next.

15 MR. BOB PETERS: It wasn't included in  
16 the general consumers revenue, it was moved down to the  
17 additional revenue line item?

18 MS. LIZ CARRIERE: That's correct.

19 MR. BOB PETERS: And everything else is  
20 consistent with IFF14?

21 MS. LIZ CARRIERE: The cumulative rates  
22 will be different, but everything else should be the  
23 same.

24 MR. BOB PETERS: And to that extent, it  
25 reflects the current financial view of the electric

1 operations?

2 MS. LIZ CARRIERE: Yes.

3 MR. BOB PETERS: And it was approved by  
4 Manitoba Hydro's board in preparing the GRA?

5 MS. LIZ CARRIERE: Well, effectively,  
6 yes. They had a different view of it, but -- in terms  
7 of the general consumers line.

8

9 (BRIEF PAUSE)

10

11 MR. BOB PETERS: I'm sorry, just so  
12 that I'm clear, your board viewed the interim rate  
13 increase as a done deal and, therefore, should be  
14 included in the consumer general revenue line?

15 MS. LIZ CARRIERE: It was included in  
16 the general consumer line in MH14, correct.

17 MR. DARREN RAINKIE: Mr. Peters, sorry,  
18 not -- not to leave the wrong impression on the record,  
19 it's not -- certainly we understand that was an interim  
20 rate approval by the board, and that requires  
21 confirmation. It's just our presentation. We -- we  
22 tend to concentrate with our board on the perspective  
23 rate increases and include those that are already  
24 approved in the approved line, so it's not a disrespect  
25 of the board's jurisdiction to confirm interim rate

1 increases.

2 MR. BOB PETERS: Thank you. No, I -- I  
3 understood Ms. Carriere's point. Ms. Carriere,  
4 Manitoba Hvdro hasn't prepared an update to IFF14?

5 MS. LIZ CARRIERE: No, the planning  
6 cvcle for the next forecast is only iust beginning.

7 MR. BOB PETERS: And that'll result in  
8 IFF15?

9 MS. LIZ CARRIERE: Correct.

10 MR. BOB PETERS: What would trigger an  
11 interim IFF, if that's what they're called, a midvear  
12 IFF?

13 MS. LIZ CARRIERE: In the past, things  
14 like some -- if something was in the provincial budget  
15 that had an impact, for example, changing guarantee fee  
16 or water rental rates, capital taxes, or else a PUB  
17 order coming out that would impact the -- the effect,  
18 as well, any significant internal policy changes or --  
19 or initiatives or anything like that.

20

21 (BRIEF PAUSE)

22

23 MR. BOB PETERS: When we turn to page  
24 39 of the book of documents -- we'll come back to the  
25 IFF as -- as we have further questions. I think, Ms.

1 Carriere, page 38 is what the Corporation filed in  
2 response to an Information Request, and then page 39  
3 just presents a different view?

4 MS. LIZ CARRIERE: Yeah, it looks to me  
5 that the OM&A and taxes have been flipped around.

6 MR. BOB PETERS: And would you agree  
7 that it's the OM&A costs that are controllable by the  
8 Corporation?

9 MS. LIZ CARRIERE: I believe Ms.  
10 Bauerlein has spoken to there is a certain level of  
11 discretionary. But we have cost containment measures  
12 planned and in -- in effect right now.

13 MR. BOB PETERS: We'll talk about some  
14 of those later. But -- but of all of the items that  
15 you're showing here, it's the OM&A that has the  
16 greatest control by management?

17 MS. LIZ CARRIERE: That and the capital  
18 expenditures contributing to the carrying costs.

19 MR. BOB PETERS: And I was thinking of  
20 it from the perspective that if -- if Bipole III and  
21 Keevask are committed there's no longer any management  
22 control over those items. They're going to -- it's  
23 going to occur the way you've graphed them.

24 Would that be correct?

25

1 (BRIEF PAUSE)

2

3 MS. LIZ CARRIERE: Well, yes, it's a  
4 projection. But based on the current plans we have,  
5 yes.

6 MR. BOB PETERS: And these graphs are  
7 to show the Board that for those years that are above  
8 the top line on the -- on the graph, when the bars go  
9 through the top line those are the years in which  
10 Manitoba Hvdro is expecting net income losses for the  
11 year?

12 MS. LIZ CARRIERE: That's correct.  
13 Just over 900 million.

14

15 (BRIEF PAUSE)

16

17 MS. LIZ CARRIERE: Assuming that we --  
18 that the three point nine-five (3.95) rate increases  
19 that are in the -- the forecast.

20 MR. BOB PETERS: And on page 42, 43, or  
21 -- when we look to see which years Manitoba Hvdro  
22 incurs net income losses the number of years and the  
23 severity of the losses incurred by Manitoba Hvdro would  
24 be less and fewer if the Public Utilities Board were to  
25 retain average service life depreciation expense.

1                   Would that be correct?

2                   MS. LIZ CARRIERE:    You know, I -- I'm a  
3 bit uncomfortable with this because this isn't a  
4 scenario that we produced.

5                   MR. BOB PETERS:    You'll acknowledge if  
6 we go to page 43 that the depreciation and amortization  
7 expense with the top green line being equal life group  
8 as included in the IFF by Manitoba Hydro and the bottom  
9 purple line being the average service life methodology  
10 would result in greater net income for the Corporation  
11 by using the average service life methodology?

12                  MR. DARREN RAINKIE:    Sure, if you  
13 wanted to be selective to that item.  As we went  
14 through the charts this morning I think if you look at  
15 nega -- the removal of our policy decision to remove  
16 negative salvage value you'd find that chart flipped  
17 around.

18                  MR. BOB PETERS:    I understand your  
19 point and I think the Chairman also indicated along a  
20 similar line.  But again if -- if the practical effect  
21 or the -- the actual effect of -- of a different  
22 depreciation and amortization number using ASL would  
23 result in the Corporation losing less money.

24                  MR. DARREN RAINKIE:    For one (1)  
25 factor, sir.  We did talk about the deterioration in

1 our financial position as a result of that if -- if the  
2 -- I guess there's two (2) parts to this. If you make  
3 things look better by selecting a different accounting  
4 policy, what are you doing on the rate increase? Are  
5 you correspondingly reducing the rate increase? If  
6 that happens then, of course, we would collect less  
7 cash flow than what's forecast in MH12 -- 14. We would  
8 have more debt, higher financing expense all things  
9 being equal.

10 MR. BOB PETERS: But looking at the  
11 operating statement, Mr. Rainkie, you'd agree with me  
12 that that change would result in lower losses by the  
13 Corporation?

14 MR. DARREN RAINKIE: Once again, if you  
15 want to manufacture a lower loss there's lots of ways  
16 we could do that, sir. But I don't think that would  
17 reflect the true position of the Corporation, the  
18 financial position of the Corporation or be to the  
19 benefit of customers over the long run. And I guess  
20 that's our point.

21 MR. BOB PETERS: And, Mr. Page, good  
22 afternoon, sir. On page 47 of Board counsel's book of  
23 documents which I believe you spoke to the interest  
24 rate forecast this morning?

25 MR. IAN PAGE: Yes, I have that.

1 MR. BOB PETERS: As we look at both the  
2 short term and the long term, interest rates have  
3 dropped from what Manitoba Hvdro used in IFF14?

4 MR. IAN PAGE: Yes, although I'd like  
5 to qualifv that a bit. As I'd mentioned this morning  
6 when we did that January update, we only have one (1)  
7 long-term source. So that is not something that we  
8 would typically put a high -- high degree of confidence  
9 in as opposed to -- well, we normally have our three  
10 (3) sources.

11 And that's whv I referred to -- there's  
12 -- subsequent to that January update, we now have a new  
13 forecast. And we've seen some of those changes,  
14 particularly in the long-term, have -- have completely  
15 reversed. The short-term hasn't changed very much. In  
16 the short term, we did have that multitude of sources  
17 that we usually have.

18 So the -- the short term, I would agree  
19 with you. The long term, I would sav we didn't have  
20 enough information at the time to sav that. And  
21 looking at it now, I'd sav in fact no.

22 MR. BOB PETERS: Well, the -- the  
23 January update, as it's been called, Mr. Page, it was  
24 proceeding, was it, about thirtv (30) basis points --  
25 I'm iust looking here compared to the chart on page 46?

1 MR. IAN PAGE: If -- if I'm going all  
2 the way through -- if I'm looking at the short-term  
3 rates, I see a fairly large drop in the early years, .8  
4 percent in '15/'16, 1.45 percent in '16/'17, and then  
5 it tapers off to about .4 percent in the longer term.  
6 And again .1 -- 1.1 percent drop in '15/'16, .95  
7 percent in '16/'17, and then move to -- moving to about  
8 a .45 percent drop in those years.

9 And -- and as I alluded to earlier  
10 today, if I now -- if we were to do that estimate say a  
11 month ago, which we did, then those numbers have --  
12 have -- those long-term decreases of point four-five  
13 (.45) are now increases of point six (.6). So we're  
14 virtually right back to where we were at the time of  
15 the fall IFF and the longer term.

16 So we -- we do -- do still -- still see  
17 about two (2) years where there's some beneficial  
18 interest effects. But in the longer term, the benefits  
19 have essentially come -- come and gone in the forecast.

20 MR. BOB PETERS: Sounds, Mr. Page, that  
21 you'd be in a position to redo not only the -- the  
22 chart on page 46, but prepare a table similar to that  
23 on page 47 of Board counsel's book of documents with --  
24 showing the most current updates from your economic  
25 update for 2015?

1 MR. IAN PAGE: Yeah, we can certainly  
2 provide that.

3 MR. BOB PETERS: And can you also  
4 provide the economic update document itself?

5 MR. IAN PAGE: Actually, I can't, and  
6 that's because we've changed the -- the way we do the -  
7 - the planning or the preparation of the document. In  
8 the past, we've done the spring economic outlook  
9 document, and then did a fall update. And the fall  
10 update was what actually got used in the IFF.

11 And then we were perpetually explaining  
12 the difference between what was in the spring in the  
13 economic outlook, what was in the fall update. So now  
14 what we've done, we do a table of update to the -- the  
15 numbers that the planning people can use, and that's  
16 what I have available. And the actual economic outlook  
17 document will not actually be prepared until the fall  
18 of this year.

19 MR. BOB PETERS: All right. We'll --  
20 we'll just ask you then to update the materials with  
21 the information you have, and maybe file that chart as  
22 well if you could.

23 MR. IAN PAGE: We can certainly do  
24 that.

25 MR. BOB PETERS: All right. Appreciate

1 that.

2                   When we're looking at the test years,  
3 Mr. Page, what impact does your -- and on page 46,  
4 we're looking at the weighted average interest rate,  
5 correct?

6                   MR. IAN PAGE:    Yes, and that's a  
7 combination of the -- the forecast and -- and of the  
8 existing debt. So that's -- that's questionable. So I  
9 have to -- to split between myself and Mr. Schulz, but  
10 --

11                   MR. BOB PETERS:   If one was to update  
12 for this interest rate change for the 2015/'16 test  
13 year, is the improvement about \$13 million from what's  
14 currently in the forecast?

15                   MR. IAN PAGE:    I couldn't say because  
16 I'm just looking at the interest rate and not -- and  
17 not in the quantity of -- of debt that's being issued.  
18 So I wouldn't be able to speak to the dollar value.

19                   MR. BOB PETERS:    On page 49, there's a  
20 table at the bottom, Mr. Page, and I was looking at --  
21 I've looked at this previously with other witnesses,  
22 but if we look at the difference in 2015/'16, the IFF  
23 net income base case was premised on \$115 million?

24                   MR. IAN PAGE:    Yes.

25                   MR. BOB PETERS:    And then...

1 (BRIEF PAUSE)

2

3 MR. BOB PETERS: And then if we look at  
4 the -- it -- it's called Appendix A, Schedule --  
5 "Scenario Updating Interest Rates Only," the net income  
6 rises to \$128 million.

7 Would I interpret that correctly?

8 MR. IAN PAGE: Yes, that's correct.

9 MR. BOB PETERS: And that's where I  
10 suggested there was a \$13 million improvement for what  
11 was currently forecast in IFF14.

12 Would you agree with that?

13 MR. IAN PAGE: Well, that was the --  
14 using the January update over -- over IFF14.

15 MR. BOB PETERS: Would you be able to  
16 also update this chart with your current information?

17 MR. IAN PAGE: We'd have to see if --  
18 that's not something I -- I can do. I provide the  
19 interest rate, and then Ms. Carriere's people would  
20 have to actually run the -- the forecast. So I'm not  
21 sure how long that would take them to do that. But I -  
22 - but I could advise you, though, that the interest  
23 rate that we used in the January update for '15/'16  
24 went from 2.3 percent in the IFF to one point five  
25 (1.5). And our -- and our current update for that is

1 now -- is one point seven (1.7).

2 So it's not a huge difference in -- in  
3 what was in that fall update for that year.

4 MR. BOB PETERS: All right. Well,  
5 we'll --

6 MR. IAN PAGE: Sorry -- sorry, that's  
7 on the short-term rate. And on the longer term rate,  
8 '15/'16, it went from five point one (5.1) in the IFF  
9 to 4 percent in the update, and it's actually stayed at  
10 4 percent. So -- so we'd have a small change in the  
11 short-term rate. So I would expect that we wouldn't  
12 see anything very material in that change.

13 MR. BOB PETERS: And that would then  
14 give you confidence that the numbers shown of page 49  
15 are approximately accurate still, in terms of the  
16 interest rate for the 2015/'16 test year?

17 MR. IAN PAGE: I thi -- I think that's  
18 a fair statement.

19

20 (BRIEF PAUSE)

21

22 MR. BOB PETERS: When we turn to Tab 6  
23 in the book of documents, pages 51 and 52, we see an  
24 attachment that Manitoba Hvdro prepared to an  
25 Information Request, where it showed that the finance

1 expense is lower than forecast for each of the twenty  
2 (20) years of the forecast, as found in the pages 51  
3 and 52 attachments, correct?

4 MR. MANNY SCHULZ: If I can, I'll just  
5 step into that. Yes, that's correct.

6 MR. BOB PETERS: Mr. Schulz, Thank you.  
7 And following up, Mr. Schulz, on Mr. Page's earlier  
8 comment, in terms of going -- well, in terms of going  
9 forward, are you in any position to indicate to the  
10 panel what's happened to the finance expense as a  
11 result of the most current information?

12 MR. MANNY SCHULZ: Perhaps I'll start,  
13 and then I can hand it off to Mr. Page in -- with  
14 respect to the forecasting and what we're seeing. I  
15 mean, what I can tell you is what the interest rates  
16 are today. I can tell you what the -- the landscape is  
17 like. I mean, we're looking at that every single day,  
18 and we talked about it this morning in that the -- we  
19 had a -- a bit of a dip in the interest rates. We took  
20 advantage of that through the period of -- through  
21 December and into April.

22 Now we're seeing interest rates rising  
23 up again, and they're -- but what's the trajectory of  
24 that is uncertain. What we do see is that the interest  
25 rates are dynamic and they're moving around. What will

1 they be a -- a year from now, two (2) years from now,  
2 it -- it is a bit of a crystal ball exercise, I will  
3 grant you that.

4 I think on the generalities of what  
5 we're putting forth, the interest rate -- the only  
6 piece that we put forth in -- in response to PUB-10(b)  
7 still holds, but I would put the caution to this,  
8 please, because that was just a -- a very simple  
9 scenario. When we look at our IFF, and you have the  
10 interest rate impact, it impacts more than just the  
11 debt portfolio.

12 You heard discussion about the discount  
13 rate. You heard about, you know, the other aspects.  
14 Mr. Page just talked about, you know, the complexity of  
15 the economy. It doesn't just impact the interest  
16 rates. So we just would expect a little bit of caution  
17 with respect to these kind of update scenarios.

18 MR. IAN PAGE: Yeah, I'd like to sort  
19 of expand on that, as we've provided the new economic  
20 outlook numbers, essentially. This is -- so that's the  
21 start of the 2015 planning cycle, but, you know, we  
22 have to see how that falls through on all the other  
23 variables.

24 The -- the next -- next piece in the --  
25 in the chain would be the -- would be the load

1 forecast. So the load forecast is going to be  
2 reflective of those different economic conditions that  
3 -- that are associated with these different -- with the  
4 new interest rates.

5                   Export markets are going to be  
6 different. I guess, since -- as I mentioned this  
7 morning, natural gas was close to three dollars (\$3) in  
8 January. Now it's about two sixty (260) for -- per  
9 million BTUs, so that -- that's going to translate into  
10 export prices. So -- and there'll be a new capital  
11 forecast. There'll be new operating forecasts.

12                   There'll be -- so as -- as Mr. Schulz  
13 said, it -- it's -- we're all very reluctant to -- to  
14 sort of say, Aha, we have a new interest number,  
15 therefore, that's what the new outlook is, because it's  
16 only -- the -- we have -- we haven't seen how -- how  
17 that -- those flow through all the various aspects of  
18 the forecast yet.

19                   MR. DARREN RAINKIE: That's why, Mr.  
20 Peters, if we go back to page 49 of your book of  
21 documents, there was a third column on the IR, PUB/MH-  
22 I-10(b), which, when we provided the interest rate  
23 update, we also provided an update in terms of export  
24 prices. And I think you talked to Mr. Miles about this  
25 a couple days ago.

1                   And you see, then, when we look at the  
2 very bottom of that, that the -- the difference by the  
3 time we get to the three (3) test years is about \$6  
4 million. So, essentially, once again, if we don't want  
5 to be selective in just one (1) variable, we see that  
6 when we do have a balanced approach to looking at  
7 things, that there really hasn't been much of a change  
8 in our financial outlook.

9                   MR. BOB PETERS:    Thank you, Mr.  
10 Rainkie. You might have jumped ahead of me a little  
11 bit. But on page 54, Mr. Page, Mr. Schulz, the change  
12 in interest rate that we've looked at for -- for the  
13 IFF compared to the PUB IR 10(b) appears that there was  
14 a \$1.9 billion lower finance expense over the twenty  
15 (20) years of the IFF, correct?

16                  MR. IAN PAGE:    With the proviso that  
17 that was looked at in isolation, yes.

18                  MR. BOB PETERS:   Well, and that -- and  
19 that's the point I want to come back to. And -- and  
20 Mr. Rainkie stole some of my thunder, as he often does.  
21 But do we have an update on the export prices in terms  
22 of what -- you know, if finance expense has dropped by  
23 1.8, \$1.9 billion, Mr. Rainkie, are you interpreting --  
24 or have you any knowledge of what the reduced export  
25 revenues would be over that same twenty (20) year

1 period?

2 MR. DARREN RAINKIE: Mr. Peters, I'm  
3 trving to find -- I'm assuming somewhere in your book  
4 of documents, we have the other financial run that  
5 included both -- both of these variables.

6 MS. ODETTE FERNANDES: Page 58.

7

8 (BRIEF PAUSE)

9

10 MR. DARREN RAINKIE: I think if we look  
11 at page 59, sir -- sorry, I'm trving to go through this  
12 material quickly, I think the offset was 800 million,  
13 eight thirtv-eight (838). Somebody on the panel can  
14 correct me, then, if that's wrong.

15

16 (BRIEF PAUSE)

17

18 MR. MANNY SCHULZ: Sorry, the  
19 information on pages 58 and 59 represent the -- the  
20 analysis and depiction of our PUB 10(b) that includes  
21 both for interest rates as well as for export revenue  
22 price adjustments. And -- and I think, from our  
23 perspective, this, while not a perfect representation,  
24 is a more balanced one than iust selectively moving on  
25 interest rates to the exclusion of all else within our

1 corporation.

2 MR. BOB PETERS: And there the -- the  
3 difference is still about a billion dollars favourable,  
4 Mr. Schulz?

5 MR. MANNY SCHULZ: I just want to make  
6 sure we're looking at the same number, Mr. Peters.

7 Are you looking at page 59 in the book  
8 of documents and the difference between looking at the  
9 twenty (20) year column and the difference between the  
10 1.4 billion in the six hundred (600)? Or...

11

12 (BRIEF PAUSE)

13

14 MR. BOB PETERS: I think you've got the  
15 correct numbers, Mr. Schulz. If we -- if we look at  
16 the finance expense is down 1.454 million. Net export  
17 revenues are also down 838 million.

18 And so the net income difference would  
19 be positive 628 million?

20 MR. MANNY SCHULZ: We have that now,  
21 sir. And the bigger change in finance expense, it's  
22 important to understand as well that the benefits that  
23 we arrive out of the low interest rate environment for  
24 finance expense is driven largely out of the big bulk  
25 of financing that we have in the next five (5) and ten

1 (10) years.

2                   And to the extent that we can secure  
3 those financings at fixed-rate financing, that stays in  
4 the -- in -- in the books for the very long time. So  
5 that's something that structurally we can take  
6 advantage of. Which is why you see that on the  
7 weighted average interest rate chart. There's that --  
8 that line that shows, you know, the impact of the lower  
9 interest rates and it stays constant, around thirty  
10 (30) basis points throughout that whole time. And  
11 that's a function of securing that and fixing that for  
12 the entire legacy of that period of time.

13                   And so to the extent that we have that  
14 economic cycle that we're in now with the economic  
15 malaise and low interest rate environment -- to the  
16 extent that it can stay this way for a period of time  
17 and we can lock it down, we have a permanence and a  
18 sustainability that extends for a long time. The  
19 export prices can go up and down through a longer  
20 business cycle and so on, but essentially we're locking  
21 and fixing, to the benefit of ratepayers, the finance  
22 expense through this -- this economic cycle.

23                   MR. DARREN RAINKIE:    And, Mr. Peters,  
24 if we turn to page 50 sick of -- 6 of your books of do  
25 -- book of documents for one (1) second. And if we go

1 -- pan down a little bit, Diana, in terms of -- the  
2 diffic -- the difficult part with this is that it's all  
3 iust not -- there's two (2) different time periods  
4 here.

5                   One (1) is the export revenues will go  
6 down faster. The -- the impacts of lower finance  
7 expense won't be felt until the plants come into  
8 service and we actually start amortiz -- until the  
9 interest costs on those plants, like Bipole and  
10 Keevask, actually come into service. Sorry, I -- I  
11 didn't explain that very well.

12                   Export revenues, the decrease will be  
13 gra -- will be gradual over time. The decrease in  
14 finance expense won't be in the early part of the  
15 forecast. It'll be in the later part in the forecast  
16 once the projects come into service and the finance  
17 expense associated with those projects moves from  
18 interest during construction which is capitalized at  
19 the asset to finance expense.

20                   So that's why you see if you look at the  
21 bottom, the financial ratio calculation, if you look at  
22 the equity line and you go all the way over to 2024,  
23 you'll see that that equity ratio is 11 percent which  
24 is basically what we're -- the same thing that we're  
25 looking at in IFF14.

1                   Now, the rate increases of 3.95 percent,  
2 as I said this morning, are designed to manage the dip  
3 in our financial integrity over the next ten (10)  
4 years. So unfortunately this scenario is another one  
5 (1) that the benefits come towards the back end,  
6 eighteen (18) -- you know, seventeen (17), eighteen  
7 (18), twenty (20) years from now. But our financial  
8 position, even with this scenario, doesn't  
9 significantly improve in the next ten (10) years.

10                   And that's what we're worried about.  
11 And that's what we're worried about in terms of rate  
12 stability for customers. So there -- there's different  
13 time patterns. You just can't look at an effect over  
14 twenty (20) years or -- we have to -- we have to look  
15 at when that occurs, I guess is my point

16                   MR. BOB PETERS:     That hasn't been done,  
17 Mr. Rainkie, since the changes that Mr. Page and Mr.  
18 Schulz have spoken of?

19                   MR. DARREN RAINKIE:    No, sir, that --  
20 that hasn't been incorporated in this.

21                   MR. BOB PETERS:     If we can turn to the  
22 foreign exchange topic. I believe that --

23                   MR. DARREN RAINKIE:    Sorry, sir, just  
24 that last question. This is the run that we produced  
25 in that Information Request, so it does move down to

1 the -- it's still the seven (7) -- the same 11 percent  
2 equity ratio that we forecast in IFF14. Your last  
3 question is have -- have we built in Mr. Page's most  
4 recent interest rates into this scenario, right? And -  
5 - and the answer to that would be no.

6 MR. BOB PETERS: Yes, and I had  
7 understood that to be your answer, so thank you.

8 MR. DARREN RAINKIE: Okay.

9 MR. BOB PETERS: And moving to the  
10 foreign exchange rate, has Manitoba Hydro updated its  
11 official forecast in the spring of 2015?

12 MR. IAN PAGE: Yes, we have.

13 MR. BOB PETERS: And what's the -- the  
14 new number, Mr. Page?

15 MR. IAN PAGE: There is no one (1)  
16 number, but --

17 MR. BOB PETERS: For --

18 MR. IAN PAGE: If we're looking at,  
19 say, the test years 20 -- 2015/'16, the IFF used one  
20 twelve (112) for the exchange rate, the January update,  
21 which we didn't actually incorporate in 10(b) because  
22 of the -- the effectiveness of the exposure management  
23 program, but it would -- would -- one twenty-nine  
24 (129), and now we're seeing it at one twenty-seven  
25 (127). So it -- it's -- it hasn't changed a lot since

1 -- since January, but it has significantly changed  
2 since last fall.

3                   And the -- the longer term rates are --  
4 in the fall update, we were looking at in -- in the  
5 long run, about a -- a dollar ten (\$.10) exchange  
6 rate, and -- and the number for this year is a dollar  
7 thirteen (\$.13), so a -- a smaller change in the  
8 longer term.

9                   MR. BOB PETERS:    A point that I -- I  
10 think -- well, Mr. Page, let's maybe start with you,  
11 and maybe Ms. Carriere can help.  When the export  
12 revenues receive the benefit of the updated foreign  
13 exchange rate, in the forecast, it would go up  
14 approximately 15 or 16 percent is what I -- what I hear  
15 the numbers, Mr. Page?

16                   Have I heard that correctly?

17                   MR. IAN PAGE:    Yes, that would be  
18 correct.  And then I'm sure the next thing you're going  
19 to say, What would be the corresponding change on the  
20 finance expense and so forth, and --

21                   MR. BOB PETERS:    Well, Mr. Rainkie, I  
22 think answered that question when you weren't -- when --  
23 - when you weren't here, and I'm not sure if I  
24 understood it correctly, but you had indicated we have  
25 to be mindful of the exposure management and some of

1 the US payments, but I had understood, Mr. Rainkie, and  
2 you can tell me if I heard correctly, that you  
3 estimated the foreign exchange update for 2015/'16  
4 would result in a favourable change of somewhere  
5 between 5 and \$10 million.

6 Do you recall saying that?

7 MR. DARREN RAINKIE: I recall saying  
8 that, but sorry, it wasn't that we expected that  
9 increase in the -- in the near term, sir. I was  
10 talking to our -- our guidelines that we would try to  
11 manage our exposure to FX within being long or short  
12 \$100 million and -- and a ten (10) cent movement on  
13 \$100 million would be \$10 million.

14 Typically, I think the impact on our --  
15 on our net -- net income of movements and FX rates is  
16 much lower, in the few million dollar range.

17 Mr. Schulz can probably assist more in  
18 this, but I -- I was talking more about how over the  
19 long run, we try to insulate ourselves from the effects  
20 of FX rates. I wasn't making a forecast in the -- in  
21 any particular year, sir, and I was talking about a  
22 fairly large change in foreign exchange.

23 MR. BOB PETERS: And thank you, Mr.  
24 Rainkie, and -- and you'd agree that a 16 percent  
25 change in foreign exchange rate in the forecast would

1 be a -- a large rate in -- a large change?

2 MR. DARREN RAINKIE: Yes, but you have  
3 to look at both the -- the long and the short and the -  
4 - and the change in the exchange rate, sir, to figure  
5 out the impact.

6 MR. BOB PETERS: Is -- is there a way,  
7 Mr. Rainkie, you can explain to the panel how if you  
8 got an extra -- an extra dollar on the extraprovincial  
9 revenue side as a result of foreign exchange rate, how  
10 that would translate down to net income after going  
11 through the -- the exposure management program?

12 MR. MANNY SCHULZ: Perhaps I'll step in  
13 here. You know, as the treasurer, we have bank  
14 accounts in US dollars and denominated in that manner.  
15 And so we, on a -- as a daily basis, keep track of all  
16 of our US dollar cash inflows and outflows. So the US  
17 dollar inflows would primarily be export revenues. In  
18 the past, they've also included US dollar sinking  
19 funds.

20 And we have outflows. We have outflows  
21 that would be expenses pertaining to US denominated  
22 debt. We have US -- a provincial debt guarantee fee  
23 that we pay as US dollars on that. There would be  
24 other US dollar outflows as well.

25 So what we try to do in -- on our

1 foreign exchange man -- mitigation on this is try to  
2 mitigate the difference between. So if you have the US  
3 dollar inflows that are coming in at a certain level,  
4 and you have your US dollar outflows at a certain  
5 level, your real exposure is only the net difference.

6                   So to the extent that you have a -- a  
7 change -- you know, a changing tide raises and lowers  
8 all ships. And so as in this current context there is  
9 change in US dollar, revenues are being -- when they're  
10 translated back in Canadian dollars, coming in on the  
11 Canadian equivalent is a higher number. Our finance  
12 expense and other pieces within our complicated  
13 Manitoba Hydro cashflows and so on, they come in  
14 higher. And so the whole things rises and lowers.

15                   The challenge we face on the US dollar  
16 revenues is that they're dynamically moving up and  
17 down. The debt portfolio is somewhat more structural,  
18 and I -- I can move my US debt portfolio, but I try not  
19 to. But the US dollar revenues will move up in  
20 accordance with the volume and the -- and the pricing.

21                   So as Mr. Rainkie has indicated, we do  
22 have a tolerance for our long and short position. And  
23 where we are in a position where we are beyond where  
24 we're comfortable, and by our policies, we -- we don't  
25 want to be more than \$100 million long, then we

1 undertake activities to re-balance our portfolio.

2           So that would be adding to, for  
3 instance, the US debt portfolio, taking some interest  
4 payments and adding it into the mix and so on, so that  
5 we are not in the business of speculating on foreign  
6 exchange, and so that we can inoculate ourselves from  
7 that.

8           And again, the caution that I have on  
9 this -- and it -- it's quite remarkable for me. And I  
10 look at all the financial market indicators, and -- and  
11 Ms. Stephen behind me is, as I said, a guru, and she  
12 follows this on a regular basis.

13           The exchange rate difference between  
14 Canada and the US is quite remarkable. And we talked  
15 to our forecasters, and they say it's one (1) of the  
16 most difficult things to forecast.

17           Think about this: Between Canada and  
18 the US, we have two (2) economic partners who -- they  
19 have no wars, they have a NAFTA agreement, they have a  
20 very friendly relationship, long border that's largely  
21 unmonitored. And yet you have this massive change in -  
22 - in foreign exchange. It is a big change, but that's  
23 the reason why we try to modulate this and keep that in  
24 -- largely in check.

25           So what is the balance? And so when

1 you're looking at the risk parameters -- and Ms.  
2 Carriere has done that when she provides the interest  
3 rate sensitivities within the IFF, and you can see that  
4 a plus or minus change of ten (10) cents on our foreign  
5 exchange, when it comes down to the bottom line as what  
6 Mr. Peters has asked, is a very small change when  
7 you're looking at the period cumulatively to 2017/'18.  
8 It's in the magnitude of approximately 5 million, all  
9 in.

10                   It -- lots of balances in there, but in  
11 simple terms, we're coming close to a point of  
12 inoculation. And for me, that gives me great comfort,  
13 so that I don't have to worry about foreign exchange as  
14 a major risk. It's something we look at all the time,  
15 but in the great categorization of it, you know,  
16 compared to droughts and interest rates, it's a fairly  
17 minor risk, complicated to manage, but one that we're  
18 doing our best to sort of keep it in check.

19                   MR. BOB PETERS: Well, you didn't give  
20 me the answer I was expecting, and I've got four (4)  
21 minutes to try to get it from you. But when Mr.  
22 Rainkie said that the change -- if it's a large change  
23 in the foreign exchange, maybe he sees a \$10 million  
24 positive.

25                   So I'm interpreting a -- a ten (10) cent

1 foreign exchange change for a fiscal year would result  
2 in \$10 million. So the rule of thumb is a one (1) cent  
3 change would result in a \$1 million net income gain.

4 And I'm wondering if -- if you can  
5 confirm or deny that?

6 MR. MANNY SCHULZ: I can confirm that,  
7 if you divide 10 million by -- you know, if you'd want  
8 to follow along with the arithmetic, I would agree with  
9 you. The challenge here is that if you have \$100  
10 million as your net exposure, the -- I think the test  
11 that we have is: What's a ten (10) cent change going  
12 to do that?

13 It's assuming an instantaneous change,  
14 right? A ten (10) cent change on 100 million is 10  
15 million. It -- it -- that's sort of the -- you know,  
16 what does that do for us? But these changes happen  
17 through time. The foreign exchange, for instance, it  
18 moved from July, I believe, last year, of around one-o-  
19 seven (107) to -- it's one twenty-five (125) today.

20 So it doesn't happen instantaneously.  
21 We're monitoring it as it goes along. And where we see  
22 an imbalance, we'll do our best to sort of -- where we  
23 can to -- to bring us back into check so that we're  
24 hedging effectively.

25 MR. BOB PETERS: But, Mr. Schulz, Mr.

1 Page just delivered you a 16 percent windfall that you  
2 haven't yet hedged out. So wouldn't all of that  
3 windfall come down to the net income line?

4 MR. MANNY SCHULZ: Well, to the extent  
5 that we are hedged, we would see the counterbalancing  
6 increase on the other side of the ledger. So I would  
7 say generally, no. I mean, it -- it'll only be on the  
8 net exposure on the difference, so.

9 MR. BOB PETERS: Ms. Carriere, if  
10 you've been listening with interest, are you able to  
11 undertake to calculate for 2015/'16 what the export  
12 revenue would be, the finance expense, and the fuel and  
13 power purchases based on the latest foreign exchange  
14 information from Mr. Page?

15 MS. LIZ CARRIERE: Well, before we go  
16 there we could turn to something that's already on the  
17 record. And we've been talking about ten (10) -- ten  
18 (10) cent changes. In Appendix 3.6 on page 1 of 40...

19

20 (BRIEF PAUSE)

21

22 MS. LIZ CARRIERE: It's probably slow  
23 to come up.

24

25 (BRIEF PAUSE)

1 MS. LIZ CARRIERE: Here we go. So if  
2 you can scroll down to look at the table. This is also  
3 in IFF14. About midway through the table there's a  
4 Canadian dollar versus US dollar down ten (10) cents or  
5 the Canadian dollar strengthening. And then it shows  
6 Canadian dollar weakening by ten (10) cents.

7 So you can see that in 2016/'17 there's  
8 -- there's an impact of -- of about \$5 million in that  
9 one (1) year and over four (4) years it's -- it's \$3  
10 million. So while you get an increase in your US  
11 revenue directly related to a ten (10) cent change in  
12 the exchange rate, you're also seeing a corresponding -  
13 - hang on, Canadian weakening dollar.

14 US revenue is going up and US interest  
15 payments are going up accordingly, so the net between  
16 the two (2) is virtually zero. It's -- it's -- we're -  
17 - I believe we're more closely hedged in the -- in the  
18 near-term. And in the longer-term, when we start to  
19 have the expenditures for Keewask, it gets more  
20 difficult to hedge that, but we're still over the ten  
21 (10) year per -- period fairly closely hedged.

22 MR. MANNY SCHULZ: And just to further  
23 add to that. So you'll see the numbers beyond in the -  
24 - in the retained earnings differences to 2023 and '24  
25 and to what Ms. Carriere had referred to, so it's \$159

1 million. So in those scenarios, what we would be doing  
2 very practically as part of our treasury function would  
3 be look to re-balance that.

4                   So what would that mean? That would  
5 likely be -- we would either take out US dollar debt  
6 and leave the interest payments and accumulate the  
7 counterbalance again, or we could, if we wish to, take  
8 some Canadian interest payments and swap it to US. So,  
9 I mean, there's some structural things that we could  
10 do, but at this point in time, it would be presumptuous  
11 for us to jump too far afield into that because we  
12 don't know what the -- the flows are going to be,  
13 particularly if we looked to change the structural  
14 aspect of our debt portfolio. We're not wanting to do  
15 that too far afield.

16                   In either case, we think that we're  
17 comfortably eliminating this from the main risk  
18 category that you're seeing here and that we're  
19 comfortable in our ability to effectively inoculate  
20 the revenue requirement from impacts of foreign  
21 exchange, which give me great comfort.

22                   MR. BOB PETERS: Mr. Chairman, in light  
23 of the hour, I suggest I could stand down until  
24 tomorrow morning at nine o'clock.

25                   THE CHAIRPERSON: Thank you, Mr.

1 Peters. Unless there's additional business to attend  
2 to, then we're adjourned for the day. And thanks very  
3 much, everyone. We'll see you again tomorrow at nine  
4 o'clock. Have a good evening.

5

6

(PANEL RETIRES)

7

8 --- Upon adjourning at 4:33 p.m.

9

10

11 Certified Correct,

12

13

14

15

16 Bob Keelaghan, Mr.

17

18

19

20

21

22

23

24

25