

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA HYDRO  
2004 GENERAL RATE APPLICATION

Before Board Panel:

- Graham Lane - Board Chairman
- Len Evans - Board Member
- Robert Mayer - Board Member

HELD AT:

Public Utilities Board  
400, 330 Portage Avenue  
Winnipeg, Manitoba  
June 23rd, 2004  
Volume VI  
Pages 998 to 1190

## APPEARANCES

1  
2  
3 R.F. Peters )Board Counsel  
4  
5 Patti Ramage )Manitoba Hydro  
6  
7 Byron Williams )CAC/MSOS  
8  
9 Michael Anderson )Manitoba Kewatinook  
10 Ininev Okimowin (MKO)  
11  
12 Peter Miller )TREE  
13 Randall McQuaker (np) )  
14  
15 Garnet Boyd (np) )IBEW 2034  
16  
17 John Osler )Manitoba Industrial  
18 Patrick Bowman )Power Users Group  
19 Tamara McCaffery )  
20  
21 Jurgen Feldschmid )CCEP  
22  
23  
24  
25

|    | TABLE OF CONTENTS                            |          |
|----|--|----------|
|    |  | Page No. |
| 1  |  |          |
| 2  |  |          |
| 3  |  |          |
| 4  | List of Exhibits                             | 1001     |
| 5  | List of Undertakings                         | 1003     |
| 6  |  |          |
| 7  | Manitoba Hydro Panel, Resumed,               |          |
| 8  | Cross-Examination by Mr. Michael Anderson    | 1010     |
| 9  |  |          |
| 10 | Manitoba Hydro Cost of Service Panel, Sworn, |          |
| 11 | Examination In-Chief by Ms. Patti Ramage     | 1155     |
| 12 |  |          |
| 13 | Certificate of Transcript                    | 1190     |
| 14 |  |          |
| 15 |  |          |
| 16 |  |          |
| 17 |  |          |
| 18 |  |          |
| 19 |  |          |
| 20 |  |          |
| 21 |  |          |
| 22 |  |          |
| 23 |  |          |
| 24 |  |          |
| 25 |  |          |

|    | LIST OF EXHIBITS |                                  |          |
|----|------------------|----------------------------------|----------|
| 1  | No.              | Description                      | Page No. |
| 2  |                  |                                  |          |
| 3  |                  |                                  |          |
| 4  | MKO-9:           | Water level graph for the period |          |
| 5  |                  | October 21st, 2003 to December   |          |
| 6  |                  | 21st, 2003 South Indian Lake     | 1006     |
| 7  |                  |                                  |          |
| 8  | MKO-10:          | Comparison of export revenues    |          |
| 9  |                  | and import by fiscal year        | 1007     |
| 10 |                  |                                  |          |
| 11 | MKO-11:          | Document available from the      |          |
| 12 |                  | National Energy Board's web site |          |
| 13 |                  | in respect of export summary     |          |
| 14 |                  | records                          | 1007     |
| 15 |                  |                                  |          |
| 16 | MKO-12:          | Document available from the      |          |
| 17 |                  | National Energy Board's web site |          |
| 18 |                  | in respect of the export summary |          |
| 19 |                  | records for the year 2003        | 1008     |
| 20 |                  |                                  |          |
| 21 | MKO-13:          | Winnipeg River Outflow at Slave  |          |
| 22 |                  | Falls.                           | 1008     |
| 23 |                  |                                  |          |
| 24 |                  |                                  |          |
| 25 |                  |                                  |          |

| 1  | LIST OF EXHIBITS (cont'd) |                                |          |
|----|---------------------------|--------------------------------|----------|
| 2  | No.                       | Description                    | Page No. |
| 3  |                           |                                |          |
| 4  | MKO-14:                   | Southern Indian Lake Chart,    |          |
| 5  |                           | 60 day water level, May 27th   |          |
| 6  |                           | to July 31st.                  | 1009     |
| 7  |                           |                                |          |
| 8  | MH-30:                    | Response to Manitoba Hydro     |          |
| 9  |                           | Undertaking Number 40          | 1093     |
| 10 |                           |                                |          |
| 11 | MH-35:                    | Response Manitoba Hydro        |          |
| 12 |                           | Undertaking No. 31.            | 1099     |
| 13 |                           |                                |          |
| 14 | MH-36:                    | Response to Manitoba Hydro     |          |
| 15 |                           | Undertaking No. 33.            | 1099     |
| 16 |                           |                                |          |
| 17 | MH-37:                    | Response to Manitoba Hydro     |          |
| 18 |                           | Undertaking No. 4.             | 1100     |
| 19 |                           |                                |          |
| 20 | MH-38:                    | Response to Manitoba Hydro     |          |
| 21 |                           | Undertaking No. 20.            | 1100     |
| 22 |                           |                                |          |
| 23 | MH-39:                    | Selected Cost Coverage Ratios. | 1158     |
| 24 |                           |                                |          |
| 25 |                           |                                |          |

|    |    | LIST OF UNDERTAKINGS              |      |
|----|----|-----------------------------------|------|
| 1  |    |                                   |      |
| 2  | 38 | To provide any proof of           |      |
| 3  |    | communication between Manitoba    |      |
| 4  |    | Hydro and its customers,          |      |
| 5  |    | announcing the uniform rate.      | 1014 |
| 6  | 39 | For Mr. Anderson to assemble some |      |
| 7  |    | extracts from the Hearing that    |      |
| 8  |    | are relevant to the description   |      |
| 9  |    | of how the model is developed     |      |
| 10 |    | and worked, and file it as        |      |
| 11 |    | an exhibit.                       | 1037 |
| 12 | 40 | Manitoba Hydro to provide to the  |      |
| 13 |    | Chairperson the aggregate cost of |      |
| 14 |    | mitigation paid in 2003/04        | 1095 |
| 15 | 41 | Manitoba Hydro to provide to the  |      |
| 16 |    | Chairperson the aggregate cost of |      |
| 17 |    | mitigation related to drought     |      |
| 18 |    | conditions experienced from the   |      |
| 19 |    | fall of 2003 through to and       |      |
| 20 |    | including fiscal 2003/04          | 1095 |
| 21 | 42 | Manitoba Hydro to provide a       |      |
| 22 |    | breakdown of the payments in      |      |
| 23 |    | Undertaking No. 39 into two (2)   |      |
| 24 |    | categories; required by contract, |      |
| 25 |    | paid outside of contract.         | 1096 |

1 --- Upon commencing at 9:09 a.m.

2

3

THE CHAIRPERSON: Well, much as we all miss, Mr. Williams, I think we should get underway because we could be quite interrupted at 9:50 and we'll have to make a judgment call depending on the strength of the alarm signal but we do have clearance to remain, but if it starts interfering with the taking down of the transcripts, et cetera, we'll have to call a halt to it.

10 This morning we have Mr. Anderson from MKO  
11 who's going to undertake cross-examination of the Hydro  
12 Panel. Mr. Anderson, are you ready to begin?

13 MR. MICHAEL ANDERSON: I am, Mr. Chair,  
14 thank you.

15 THE CHAIRPERSON: And we now note that Mr.  
16 Williams is here so we can start confidently ahead. Mr.  
17 Anderson...?

18 MS. PATTI RAMAGE: Mr. Chair...?

19 THE CHAIRPERSON: Yes, Ms. Ramage.

20 MS. PATTI RAMAGE: Before Mr. Anderson  
21 begins, I -- a package of materials which were marked as  
22 exhibits last night we distributed and additional  
23 materials, which I haven't had an opportunity to review,  
24 were distributed and I just wanted to make by way of  
25 preliminary comment, that some of these materials Manitoba

1 Hydro is able to speak to.

2 Others were not produced by Manitoba Hydro  
3 and I would -- I'm just making the preliminary comment  
4 that in terms of, they have been marked as exhibits or  
5 are, I assume, going to be proposed to be marked as  
6 exhibits and there isn't a witness to speak to some of  
7 those materials.

8 And in the normal course we wouldn't mark  
9 them as exhibits until we had established some degree of  
10 familiarity with them and I simply bring this to your  
11 attention as we're proceeding with these documents that we  
12 may not be able to speak to all of them.

13 THE CHAIRPERSON: I appreciate your  
14 remarks and we'll -- we'll consider them conditional  
15 exhibits as we work through them and I'm sure Mr. Anderson  
16 can speak to their origins as he introduces them.

17 Mr. Anderson...?

18 MR. MICHAEL ANDERSON: I would expect and  
19 be comfortable with that process. Mr. Chair, following  
20 along the comments made by Ms. Ramage, I have an  
21 additional set of materials, in part arising from the  
22 opportunity, of course, to review the transcript of  
23 yesterday and the materials that I had provided.

24 They are in the sequence that I would  
25 propose that they be numbered with the exception of the --

1 there is one extract from the filed Manitoba Hydro Annual  
2 Report, I'm not proposing that this be given an exhibit  
3 number, it's just for convenience.

4           So the first one in the group that was  
5 provided to you that should be before you, it has a water  
6 level graph for the period October 21st, 2003 to December  
7 21st, 2003, South Indian Lake, at the very top.

8           And we had ended off on the numbering, as I  
9 recall yesterday, Mr. Chair, at MKO-8. They're different  
10 charts, Mr. Mayer. They are -- they look very similar but  
11 they actually have quite different information in them.

12           THE CHAIRPERSON: Proceed, Mr. Anderson.  
13 You're saying provisionally we would number the first  
14 South Indian Lake Chart --

15           MR. MICHAEL ANDERSON: MKO-9, Mr.  
16 Chairman.

17           THE CHAIRPERSON: -- 9, okay.

18  
19 --- EXHIBIT NO. MKO-9:       Water level graph for the  
20                                    period October 21st, 2003 to  
21                                    December 21st, 2003 South  
22                                    Indian Lake

23  
24           MR. MICHAEL ANDERSON: The next one is an  
25 extract that MKO prepared for filed exhibits. It's just a

1 restatement on them with some calculation for convenience.

2 THE CHAIRPERSON: Is this the comparison  
3 of export revenues and import by fiscal year?

4 MR. MICHAEL ANDERSON: Yes.

5 THE CHAIRPERSON: So we'll say number 10.

6 MR. MICHAEL ANDERSON: Thank you, Mr.  
7 Chair.

8

9 --- EXHIBIT NO. MKO-10: Comparison of export revenues  
10 and import by fiscal year  
11

12 MR. MICHAEL ANDERSON: The next document  
13 is available from the National Energy Board's web site in  
14 respect of the export summary records. There was a brief  
15 discussion. Mr. Cormie had mentioned certain aspects of  
16 documents filed. I have prepared that.

17 THE CHAIRPERSON: Provisional 11.

18 MR. MICHAEL ANDERSON: Thank you.

19

20 --- EXHIBIT NO. MKO-11: Document available from the  
21 National Energy Board's web  
22 site in respect of export  
23 summary records  
24

25 MR. MICHAEL ANDERSON: The next document

1 is the same for the year 2003.

2 THE CHAIRPERSON: Provisional 12.

3 MR. MICHAEL ANDERSON: Thank you.

4

5 --- EXHIBIT NO. MKO-12: Document available from the  
6 National Energy Board's web  
7 site in respect of the export  
8 summary records for the year  
9 2003

10

11 MR. MICHAEL ANDERSON: The next is Lake of  
12 the Woods Control Board's current forecast for Winnipeg  
13 River in Manitoba.

14 THE CHAIRPERSON: This is the Winnipeg  
15 River Outflow at Slave Falls --

16 MR. MICHAEL ANDERSON: At the top, yes.

17 THE CHAIRPERSON: -- Seven Sisters?

18 MR. MICHAEL ANDERSON: Yes.

19 THE CHAIRPERSON: That's provisional 13.

20

21 --- EXHIBIT NO. MKO-13: Winnipeg River Outflow at  
22 Slave Falls.

23

24 MR. MICHAEL ANDERSON: And then the final

25 one is --

1 MS. PATTI RAMAGE: Excuse me, the last --  
2 provisional 13, the document I have is South -- in  
3 Southern Indian Lake.

4 MR. MICHAEL ANDERSON: You're missing one.

5 MS. PATTI RAMAGE: Mr. Peters' assisted  
6 and we've located it. Thank you.

7 MR. MICHAEL ANDERSON: Thank you, Mr.  
8 Peters.

9 THE CHAIRPERSON: So subject to further  
10 comment we'll call that Provisional 13.

11 MR. MICHAEL ANDERSON: Thank you. And  
12 then the final one (1) is the -- are the current water  
13 level forecasts available on Manitoba Hydro's website at  
14 the present time.

15 THE CHAIRPERSON: Okay. So the Southern  
16 Indian Lake Chart, 60 Day Water Level, May 27th to July  
17 31st, which is the top chart, provisional 14.

18 MR. MICHAEL ANDERSON: Thank you.

19  
20 --- EXHIBIT NO. MKO-14: Southern Indian Lake Chart, 60  
21 day water level, May 27th to  
22 July 31st.

23  
24 THE CHAIRPERSON: So, Ms. Ramage, you'll  
25 have the opportunity to -- if you have any objections to

1 any of these before we formally stamp them with the  
2 exhibit numbers.

3 MS. PATTI RAMAGE: Thank you. I thought  
4 it be -- I wanted to give my preliminary comment but deal  
5 with them as they arise so I can understand the use that  
6 they're intended for.

7 THE CHAIRPERSON: Thank you. Any time  
8 you're ready Mr. Anderson.

9 MR. MICHAEL ANDERSON: Thank you, Mr.  
10 Chair.

11

12 MANITOBA HYDRO PANEL, Resumed;

13

14 CROSS-EXAMINATION BY MR. MICHAEL ANDERSON:

15 MR. MICHAEL ANDERSON: Began -- begin, Mr.  
16 Chair, just by working to get a clarification of some of  
17 the basic elements of the Application, of course.

18 And I realize after having reviewed the  
19 transcripts that much of this is gone over by others. I'd  
20 like to say I'm quite interested in the examinations of  
21 all my colleagues here. I appreciate the examination of  
22 Mr. Peters in respect of export operations and water  
23 levels and the advice that the Board may have received on  
24 that.

25

I don't intend, hopefully, to touch on it

1 but I'd like to just clarify some of the information that  
2 we already have on this rather ample record. It's very  
3 interesting and I appreciate Hydro's responses to all the  
4 questions.

5                   If I began at the beginning, however, for  
6 the purposes of my examination today at Tab 1, page 1,  
7 just lined of the Application of Volume I, excuse me.  
8 Generally lines twenty-seven (27) to thirty-three (33).

9                   The statements been repeated many times by  
10 Mr. Warden and others that since 1997 Manitoba Hydro's  
11 been able to forgo projected rate increases because  
12 favourable export revenues made it possible to absorb the  
13 increasing costs without rate increases.

14                   In the 2004/05 and 2005/06 test years, due  
15 to the unusually severe impacts of the current drought,  
16 Manitoba Hydro's no longer able to achieve its projected  
17 revenue requirements without requesting rate increases.

18                   Mr. Warden, or -- that continues to be the  
19 core position of Manitoba Hydro in respect of this  
20 Application?

21                   MR. DAVID CORMIE: Yes, it does.

22                   MR. MICHAEL ANDERSON: Thank you.

23                   All right. In looking at trying to take a  
24 view of the circumstances as it would be understood by  
25 customers and certainly by MKO, citizens who are customers

1 of Manitoba Hydro, I wanted to just briefly touch on MKO-  
2 2. Which is a Provincial Government press release in  
3 respect of rate equalization and the uniform rate  
4 legislation emerged from that.

5 I refer to this only in that there has been  
6 more than -- you would agree that there has been more  
7 communication in this news release to Manitoba Hydro's  
8 customers in respect of the establishment of the uniform  
9 rate?

10 MR. VINCE WARDEN: Yes.

11 MR. MICHAEL ANDERSON: An in particular  
12 the former Zone 3 customers, many of whom are in First  
13 Nation and remote communities on grid within Manitoba,  
14 have been made aware that there is a uniform rate?

15 MR. VINCE WARDEN: Yes, they have.

16 MR. MICHAEL ANDERSON: And can you  
17 indicate your recollection of the information that was  
18 provided to Manitoba customers as to why the uniform rate  
19 was established?

20 MR. VINCE WARDEN: Well, I don't recall  
21 the exact communication. There was communication by way  
22 of bill inserts to customers explaining uniform rates. I  
23 think there was reasons given there and it was attributed  
24 to policy decision of Government.

25

1 (BRIEF PAUSE)

2  
3 MR. MICHAEL ANDERSON: If you look at  
4 paragraph 2, the press release, Mr. Warden, and I thank  
5 you for your earlier comment.

6 Would you -- would you confirm that  
7 information, at least in general terms, indicating that as  
8 it's stated by Minister Salinger, that opportunities  
9 arising out of the burgeoning electricity market in the  
10 United States, provided the basis for the establishment of  
11 the uniform rate?

12 MR. VINCE WARDEN: Well, that's what the  
13 Government news release says, yes, I'll agree with that.

14 MR. MICHAEL ANDERSON: And is that basic  
15 understanding to the best of your recollection,  
16 communicated by Manitoba Hydro to its customers?

17 MR. VINCE WARDEN: I would have to go back  
18 and review our communication that I indicated was included  
19 in bill inserts at the time. I don't know whether we  
20 specifically tied it to export revenues, we may have, but  
21 I would have to review that.

22 MR. MICHAEL ANDERSON: Without intending to  
23 add too much to the paper, Mr. Warden, would you please  
24 undertake to provide what was communicated to the Manitoba  
25 Hydro customers in respect to the uniform rate? If it's

1 present in the filings, if you could point me to it I'd be  
2 happy for that.

3 MR. VINCE WARDEN: I don't believe it's  
4 there, we can do that though.

5 MR. MICHAEL ANDERSON: Thank you, Mr.  
6 Warden.

7 MS. PATTI RAMAGE: To clarify in terms of  
8 what was communicated, I'm thinking what you are looking  
9 for is the bill insert that Mr. Warden referred to.

10 MR. MICHAEL ANDERSON: Ms. Ramage, that  
11 would be helpful. I would -- I would add to it, if there  
12 was a corresponding press release issued by Manitoba Hydro  
13 announcing the uniform rate, I'd appreciate that as well.  
14 Thank you.

15 THE CHAIRPERSON: I believe what Mr.  
16 Anderson's asking for is any direct communications from  
17 Manitoba Hydro to the customers, related to the uniform  
18 rate, whether it was by bill insert, or any other means.  
19 But from the company.

20  
21 --- UNDERTAKING NO. 38: To provide any proof of  
22 communication between Manitoba  
23 Hydro and its customers,  
24 announcing the uniform rate.  
25

1                   MR. MICHAEL ANDERSON: As always, I welcome  
2 the assistance of the chair in ensuring that the  
3 undertaking meets the question that was provided. Thank  
4 you, I appreciate that, Mr. Chair.

5

6 CONTINUED BY MR. MICHAEL ANDERSON:

7                   MR. MICHAEL ANDERSON: Going from that to  
8 trying to understand the rationale for uniform rates, as  
9 well as the financial performance of the Corporation,  
10 prior to the current Application, the document that I  
11 would point to, because it's most publicly available, I  
12 suppose, would be -- it's at Appendix 2.2, it's the  
13 Manitoba Hydro Annual Report at page 94, and, Mr. Chair, I  
14 have provided a single page photocopy for everyone's  
15 assistance, as they wish.

16                   THE CHAIRPERSON: What Mr. Anderson is  
17 referring to, it appears to be a photocopy from the Annual  
18 Report for the year ended March 31st, 2003, is that  
19 correct?

20                   MR. MICHAEL ANDERSON: Correct, it's the  
21 page -- the first page of the consolidated financial  
22 statistics, page 94 of the Annual Report for the year end  
23 March 31, 2003. Thank you, Mr. Chair.

24

25

(BRIEF PAUSE)

1 CONTINUED BY MR. MICHAEL ANDERSON:

2 MR. MICHAEL ANDERSON: Everyone has that?  
3 Thank you. Now, Mr. Warden, would you confirm that if we  
4 look at the -- this consolidated financial statistics,  
5 you'd confirm that this provides a ten (10) year overview  
6 of the Corporate -- of the Corporation's performance?

7 MR. VINCE WARDEN: Yes, it does.

8 MR. MICHAEL ANDERSON: And that the time  
9 period it covers is the fiscal year ending 1994 through  
10 the fiscal year ending 2003?

11 MR. VINCE WARDEN: Yes.

12 MR. MICHAEL ANDERSON: And to assist my  
13 understanding of the sequencing, the last General Rate  
14 increase approved for the Corporation, occurred in the  
15 fiscal year ending 1997, is that correct? April 1st, 19--

16 MR. VINCE WARDEN: Well, it would be the  
17 fiscal year ending 1998, so April 1st, 1997 was the last  
18 rate increase to -- to residential customers.

19 MR. MICHAEL ANDERSON: Thank you, Mr.  
20 Warden.

21 MR. VINCE WARDEN: And small commercial  
22 customers, sorry.

23 MR. MICHAEL ANDERSON: And just for the  
24 record, Mr. Warden, the magnitude of those rate increases  
25 was respectively for each class?

1 MR. VINCE WARDEN: The most recent -- or  
2 the increase is 1.3 percent, I believe, on average.

3 MR. MICHAEL ANDERSON: Thank you, Mr.  
4 Warden.

5 And using the revenues from that increase,  
6 as well as revenues from all other sources, the -- the  
7 corporation was able to post net income for its  
8 consolidated electric and gas operations for the remainder  
9 of the period of this table?

10 MR. VINCE WARDEN: Yes.

11 MR. MICHAEL ANDERSON: And for  
12 clarification, Mr. Warden, the consolidated operations  
13 began -- or were reported first in the year ending 2000.  
14 Is that correct?

15 MR. VINCE WARDEN: No. They're  
16 consolidated operations for the entire period. The only  
17 significance to the year 2000 was the -- that's the  
18 acquisition of -- reflects the acquisition of Centra Gas  
19 in that year.

20 MR. MICHAEL ANDERSON: Thank you, Mr.  
21 Warden. That was the clarification I was seeking.

22 If we look at the line noting net income  
23 for the fiscal year 1998 and beyond, through 2003, the  
24 presentation of that income for each of those years, for  
25 the years ending 1998 through 2003, are -- is primarily

1 represented by the net income of the electricity  
2 operations. Is that correct?

3 MR. VINCE WARDEN: That's correct.

4 MR. MICHAEL ANDERSON: And I use the term,  
5 primarily, but it's essentially substantially all of the  
6 net income reported in those years. Is that correct?

7 MR. VINCE WARDEN: I think you're point  
8 being that the gas operations did not contribute  
9 significantly to the bottom line and I agree with that.

10 MR. MICHAEL ANDERSON: That's all I -- I'm  
11 seeking, Mr. Warden. Thank you.

12 And recognizing that it speaks to the  
13 thinking of the Crown, is it these -- are these net  
14 revenues the same opportunities referred to in the May 28,  
15 2001 press release by the Government of Manitoba, as  
16 providing the foundation for the uniform rate?

17 MR. VINCE WARDEN: Well, I wonder if you  
18 could be, you know, a little more specific with your  
19 question?

20 MR. MICHAEL ANDERSON: Sure, Mr. Warden.

21 That in looking at the record of strong  
22 performance by the corporation in terms of its net income,  
23 that, that provided justification to the Government to  
24 establish the uniform rate?

25 MS. PATTI RAMAGE: Mr. Chair ...?

1 THE CHAIRPERSON: I believe that only the  
2 Government could answer that, Mr. Anderson.

3 MR. MICHAEL ANDERSON: I agree with you.  
4

5 CONTINUED BY MR. MICHAEL ANDERSON:

6 MR. MICHAEL ANDERSON: But I would then  
7 say, however, it's a -- it is a matter of -- of fact that  
8 in order to implement the uniform rate, there was a  
9 procedure developed and applied by the corporation to  
10 apply, what we now describe as a net export credit, to the  
11 customer classes arising from these revenues.

12 MR. VINCE WARDEN: No. No. There was no  
13 change in the way costs or revenues were allocated as a  
14 result of uniform rates. The only implication was that  
15 there was a -- a \$14 million reduction in total revenues.

16 And I think the point of the press release,  
17 without getting into the thinking behind it, was that  
18 Manitoba Hydro with its net income was able to absorb that  
19 \$14 million without passing further rate increases onto  
20 customers.

21 MR. MICHAEL ANDERSON: And that was what I  
22 was going to ask next. That the strong performance of the  
23 corporation enabled Manitoba Hydro to implement the  
24 uniform rate legislation without requiring rate increases.  
25 Is that correct?

1 MR. VINCE WARDEN: That is correct, yes.

2 MR. MICHAEL ANDERSON: Thank you.

3 In following along the core rationale for  
4 the Application, as we discussed earlier, and trying to  
5 understand better.

6 The requirement for the rate increase as  
7 well as what we might expect in the future. If I could  
8 ask you to turn to Volume II, Electrical Forecast, MH03-  
9 01, which is numbered page 32 within that tab, please.

10 I hope I've described that document  
11 correctly, Mr. Chair.

12 MS. PATTI RAMAGE: Could you repeat the  
13 reference, Mr. Anderson?

14 MR. MICHAEL ANDERSON: I would be happy to.  
15 It's Volume II of the Rate Application, Appendices -- it's  
16 marked as Tab, Electricity Forecast MH-03-01, the page is  
17 numbered at the lower right hand corner, 32.

18 MS. PATTI RAMAGE: Thank you.

19 MR. MICHAEL ANDERSON: It's the IFF-03-1,  
20 for Electrical Operations Projected Operating Statement.

21 MR. BOB PETERS: And, Mr. Chairman, to  
22 assist Mr. Anderson, I think that can also be found at Tab  
23 2 of the book of documents PUB counsel circulated, if it's  
24 handier for those to reference, if Mr. Anderson can just  
25 confirm that.

1                   MR. MICHAEL ANDERSON: That's correct, Mr.  
2 Peters, and I appreciate the clarification, thank you.  
3 And you're -- by the way, I wanted to compliment all  
4 parties for assembling books of documents, and hope that  
5 people bear with me as I proceed with my loose sheets that  
6 were given numbers, thank you. It's Tab 2 of PUB -- of  
7 Board Counsel's book, Mr. Mayer.

8

9                   (BRIEF PAUSE)

10

11 CONTINUED BY MR. MICHAEL ANDERSON:

12                   MR. MICHAEL ANDERSON: Do you have the --  
13 the reference?

14                   MR. VINCE WARDEN: Yes, we do.

15                   MR. MICHAEL ANDERSON: Now, I just wanted  
16 to make sure that I understand the references correctly.  
17 If I look, for example, just keeping the loose sheet, the  
18 page 94, the extract of the annual report together with --  
19 and then comparing that to the net income line on this  
20 exhibit, we don't see any projection or forecast by  
21 Manitoba Hydro to achieve a net income similar to that  
22 achieved for several of the years in the ten (10) year  
23 consolidated financial statistics page in the Annual  
24 Report, is that correct?

25                   MR. VINCE WARDEN: It's not in the IFF

1 document you had before you, that's correct. Until we get  
2 to very later in years, you can see by the time we get out  
3 to 2012, we're back into the \$100 million net income  
4 range, up to one forty-three (143) and one ninety (190).  
5 All very dependent of course on water conditions during  
6 that period of time.

7 MR. MICHAEL ANDERSON: Thank you, Mr.  
8 Warden.

9  
10 (BRIEF PAUSE)

11  
12 MR. MICHAEL ANDERSON: If I also read the  
13 Table together -- correctly, except for the year ending  
14 2005, are all the projections for the achievement of net  
15 income dependent on the implementation of a general  
16 customer rate increase?

17 MR. VINCE WARDEN: Yes, that's what's built  
18 into the forecast. However, as indicated previously in  
19 these Proceedings, we -- no decision of Manitoba Hydro to  
20 apply for a rate increase is made, until we're actually  
21 confronted with conditions of the time. At this time of  
22 course we're only apply for the two (2) years, 2004/05,  
23 2005/06.

24 MR. MICHAEL ANDERSON: Thank you, Mr.  
25 Warden. I do appreciate that. It was just the -- the

1 comparison being drawn is that the performance indicated  
2 in the consolidated financial statistics, following the  
3 year ending 1998, was done without the requirement for an  
4 additional rate increase, correct?

5 That is the achievement in net income --

6 MR. VINCE WARDEN: That is -- that is  
7 correct, yes.

8 MR. MICHAEL ANDERSON: But that for all  
9 years in the IFF, beginning with the year ending 2006, the  
10 achievement of net income is dependent on approval forward  
11 looking, based on your forecast of increases in general  
12 customer revenue, is that correct?

13 MR. VINCE WARDEN: Well, that is correct,  
14 however, that has to be really qualified, because if we  
15 were to back up and present an IFF, back in the late '90s  
16 and through 2000, we were projecting rate increases for  
17 those years as well, which we chose not to apply for  
18 because of the conditions of the time.

19 So, I'm just making the point that we'll  
20 reassess going forward what the conditions are, and make a  
21 determination of whether a rate increase is required.

22 The IFF is just one (1) look at the future,  
23 based on average water flow conditions, the conditions  
24 will vary from that, we know for sure.

25 MR. MICHAEL ANDERSON: It remains that at

1 the present moment in time, however, recognizing the  
2 forecast issues that have been discussed at some length  
3 here, this is your -- this remains your best picture of  
4 the forecast period?

5 MR. VINCE WARDEN: It does at this point in  
6 time, the forecast is updated annually. The test years of  
7 course is what we want to bring focus to.

8 MR. MICHAEL ANDERSON: Thank you, Mr.  
9 Warden. Again, doing a comparison between the ten (10)  
10 year statistics from the Annual Report, and going in this  
11 case, to the -- the line in respect of fuel and power  
12 purchased, on my extract page 94, of the 2003 Annual  
13 Report.

14 With the exception of the year ending 2003,  
15 which we've had considerable discussion about in respect  
16 of the requirement to purchase power related to lower  
17 water conditions.

18 Would you confirm that for the remaining  
19 nine (9) years of the period of record, that the fuel and  
20 power purchased ranged from \$10 million in 1995, to a high  
21 of \$71 million in the year ending 2002?

22 MR. VINCE WARDEN: Yes, I agree with that.

23 MR. MICHAEL ANDERSON: Thank you. And then  
24 if I turn to the fuel and power purchased line in IFF-03-  
25 01, the reference I referred to earlier, would you also --

1 would you also confirm that power purchases are being  
2 forecast to -- from a low in the year ending 2006 of \$91  
3 million to a high ending last year, the forecast period,  
4 year ending 2014, of \$169 million?

5 MR. VINCE WARDEN: That's what's in the  
6 forecast, yes.

7 MR. MICHAEL ANDERSON: Would you please  
8 explain the reason why Manitoba Hydro is forecasting  
9 substantial fuel and power purchases through the forecast  
10 period, relative to the last ten (10) years of operations?

11 MR. VINCE WARDEN: Well, those power  
12 purchases are mainly to support export revenue, however,  
13 Mr. Surminski could probably give you a better answer than  
14 that, or a more detailed answer than that, if you need it.

15 MR. MICHAEL ANDERSON: That would be  
16 appreciated. Thank you.

17 MR. HAROLD SURMINSKI: Yes, that would be  
18 correct. In -- in recent years it has been economic to --  
19 to purchase and use thermal -- our own thermal generation  
20 to generate export revenues.

21 MR. MICHAEL ANDERSON: I'm sorry, would you  
22 mind just repeating the last part of that answer please.

23 MR. HAROLD SURMINSKI: In many years the  
24 thermal generation can be imported in the off peak hours  
25 at low prices, and exported at non peak hours at higher

1 prices. So there is economy in -- in importing for  
2 export, creating energy by importing and exporting at high  
3 prices.

4 MR. MICHAEL ANDERSON: I just wanted to be  
5 clear, Ms. Ramage, whether that is in fact what is being  
6 forecast in terms of system operations over this period,  
7 or whether that's something that might happen? That's why  
8 we asked for the answer to be repeated.

9 Is the scenario you've just described, what  
10 these costs represent?

11 MR. HAROLD SURMINSKI: Yes, they're  
12 representative of eighty-six (86) different flow  
13 conditions. They come from my area, we simulate the  
14 eighty-six (86) different possible stream flow conditions,  
15 and in various flow conditions, there's different levels  
16 of -- of imports required, in the very low flow and lower  
17 ten (10) percentile flows, imports and purchases are  
18 required because the -- the hydro system is not producing,  
19 but say in the remaining 90 percent of the time, there is  
20 economy in -- in purchasing and running thermal for export  
21 purposes.

22 MR. MICHAEL ANDERSON: Thank you. And just  
23 so that I'm clear and perhaps it has been asked and  
24 answered. I was interested in the eighty-seven (87)  
25 simulations question. And if you -- while we're working

1 on that, if you don't mind please, turning to PUB-MH1-28,  
2 in which this matter was responded to.

3 MR. HAROLD SURMINSKI: There are many  
4 parts to this. Do you have a (a) or a (b) or a (c)?

5 MR. MICHAEL ANDERSON: I -- I beg your  
6 pardon. Yes, of course. It's PUB-MH-I-28D.

7 MR. HAROLD SURMINSKI: D?

8 MR. MICHAEL ANDERSON: D as in Delta,  
9 thank you.

10 This response provides similar to the  
11 discussion that we've just had, a narrative describing how  
12 Manitoba Hydro arrives at flow related production revenue  
13 and costs for the purposes of developing an -- an IFF. Is  
14 that correct?

15 Would this be -- would this process be  
16 applicable to the development of an IFF?

17 MR. HAROLD SURMINSKI: Yes. And it's a  
18 combination of -- of the first two (2) years that are done  
19 by Mr. Cormie's group and -- and the remaining years that  
20 are under my responsibility.

21 MR. MICHAEL ANDERSON: Thank you. And I  
22 know that Mr. Peters and others have explored this, but,  
23 as I understand this, if I could tie it to the IFF  
24 document that we're reading.

25 The first two (2) years essentially

1 incorporate Manitoba Hydro's expertise and best  
2 understanding of what it sees in the real world. Is that  
3 correct?

4 MR. DAVID CORMIE: The -- the first year  
5 is what we expect the likely outcome to be. There's  
6 uncertainty there.

7 In the second year, our method use -- uses  
8 median influence to reservoirs and -- and that's not  
9 because we -- we know that there'll be median flows,  
10 that's just the most likely outcome.

11 MR. MICHAEL ANDERSON: Thank you. And  
12 then in the following years, it's described in this  
13 response to PUB-1-28 Delta (D), that there's a run of  
14 eighty-six (86) simulations.

15 Do you make a determination which of those  
16 simulations is most appropriate for the purpose of  
17 determining the remaining years of the IFF?

18 MR. HAROLD SURMINSKI: We -- we assume  
19 that each of those have equal probability of occurring.  
20 So they each get an equal weight. So it's just an  
21 averaging of all eighty-six (86) consequences. The  
22 consequences of revenues and costs are what we average.

23 We do not use a single flow condition, we  
24 use the consequences of generation costs and export  
25 revenues for all eighty-six (86), and average those.

1 MR. MICHAEL ANDERSON: Thank you, that was  
2 very helpful and that's what I was seeking, whether it was  
3 one (1) sequence of the eighty-six (86) you chose, or --  
4 that's very helpful, thank you.

5 Could you describe in -- and -- in a manner  
6 that we could relate to in terms of low, median and high  
7 average, where this average of the eighty-six (86) flows  
8 actually fits in?

9 MR. DAVID CORMIE: Maybe an example would  
10 help. Let's say there were three (3) flow cases. A low  
11 one (1), a median one (1) and a high one (1).

12 In the high case, let's assume that there's  
13 enough hydro energy that no imports are required. So one  
14 (1) of -- one (1) of the results is a zero.

15 Under the median flow case, there's enough  
16 hydro again that there is no imported energy required. So  
17 now we have two (2) zeros.

18 And let's say in the third case, it's a low  
19 case. And you require ten (10) units of -- of purchase  
20 power.

21 So now you have three (3) numbers. Two (2)  
22 zeros and a ten (10). The average of those is 3.3. So in  
23 the IFF we would put in 3.3, not -- not a zero, not a -- a  
24 ten (10), but the average of the three (3). And so that's  
25 -- it's -- that's the average.

1                   So in the case of all eighty-six (86), we  
2 go through that and we get eighty-six (86) different  
3 numbers for power purchases. We average those as our  
4 power purchase costs and that's what goes into the IFF.

5                   In the same way we have eighty-six (86)  
6 possible outcomes for export revenue. Hence the average  
7 of those eighty-six (86) revenues that goes into the IFF  
8 and the same thing for thermal costs and the cost of  
9 burning coal and natural gas at our generating stations.  
10 It's the average.

11                   So it's not trying to represent any single  
12 one (1) event, it's just the average of all possible  
13 outcomes.

14                   MR. MICHAEL ANDERSON: Thank you, Mr.  
15 Cormie. And the eighty-six (86) -- so essentially you run  
16 your model and that's the one -- the word that I've seen  
17 it referred to in the transcript and I have -- I'll stop  
18 for a moment right there and just ask, what do you  
19 internally describe this model as? What's the name that  
20 you give it?

21                   MR. HAROLD SURMINSKI: The acronym is  
22 SPLASH, S-P-L-A-S-H for simulation program for long term  
23 analysis of system hydraulics.

24                   MR. MICHAEL ANDERSON: Thank you. And  
25 this model has input into it the flow characteristics of

1 each of these eighty-six (86) years of record of stream  
2 flow; that's correct?

3 MR. HAROLD SURMINSKI: Yes, the input is  
4 the unregulated inflows into the system. So the model  
5 regulates -- these are inflows from basically at our  
6 borders, inflows that we have no control over. So we're  
7 given flows on the Saskatchewan River at the Pas, for  
8 example and we input that into the model.

9 The Winnipeg River as it flows into  
10 Manitoba, we input that and local flows, similarly,  
11 Churchill River Diversion we model that as -- as an inflow  
12 into our system. So the unregulated inflows are input and  
13 the model decides on -- on what is the best way to  
14 regulate these inflows.

15 It operates Lake Winnipeg. It simulates  
16 the operation of Lake Winnipeg, Cedar Lake, basically  
17 those two (2), and Southern Indian Lake is also modelled.

18 MR. MICHAEL ANDERSON: Thank you. What  
19 I'm searching for, I suppose and -- is what -- is there a  
20 -- a flow chart or document that describes in a simple  
21 visual form how this model functions and what its core  
22 inputs are? I have another specific question that I could  
23 ask if it would be of assistance on this, Ms. Ramage.

24 MR. HAROLD SURMINSKI: There were some  
25 documents in the CEC, The Clean Environment Commission,

1 process. There were many questions about our SPLASH model  
2 and we did provide some responses in that process.

3 MR. MICHAEL ANDERSON: Mr. Mayer, of  
4 course, would be intimately familiar with this as I recall  
5 the transcript as you referred to the other place. Is  
6 there a convenient exhibit that could be incorporated into  
7 the record before this proceeding describing how this  
8 process works?

9 MR. HAROLD SURMINSKI: There's not a  
10 single one. It would be a combination of two (2) or three  
11 (3) or five (5). It's not a flow chart. It was all in --  
12 in text. We did not provide -- I think you -- you had  
13 asked if there was some graphic or a flow chart. There is  
14 -- there was nothing like that in that process.

15 THE CHAIRPERSON: Mr. Anderson, are you  
16 attempting to develop the thought -- or to -- how do you  
17 put it, get rid of the thought that it's possible that  
18 there's some bias in the forecasting model approach that  
19 they take?

20 MR. MICHAEL ANDERSON: Well, to assume  
21 that there's some bias would require that there be  
22 additional understanding on how it's assembled and what we  
23 don't have before us in this proceeding is a -- is a  
24 description of the components that go into it.

25 We've been -- the evidence is that there's

1 a rate application before this Board based on its forecast  
2 of revenues including ex-provincial sales and operating  
3 revenues which also lead to power purchases and so on and  
4 so forth.

5                   It's a central element that's driving the  
6 flow related production revenue and costs estimate that  
7 are in the IFF and I, for one, would like to have a better  
8 understanding of how these eighty-seven (87) historic  
9 years of stream flows are assembled.

10

11 CONTINUED BY MR. MICHAEL ANDERSON:

12                   MR. MICHAEL ANDERSON: My next question  
13 would be -- well, I'll just do the narrative now, is that  
14 obviously the characteristics at each of the generating  
15 stations in the system that are hydraulic, need to be  
16 incorporated into some way in respect of the stream flows  
17 and so forth, and all of that produces numbers in the  
18 forecast revenue.

19                   Is that a general description of the  
20 system, Mr. Surminski?

21                   MR. HAROLD SURMINSKI: Yes, the  
22 characteristics of not only the generating stations, but  
23 the reservoirs, so that you had the storage  
24 characteristics, the -- the rating curve, the ability to  
25 release water, all those must be modelled, as well as the

1 export market.

2           The -- the expected prices in on peak  
3 hours, off peak hours, because the model balances  
4 decisions now, should -- should any excess and surplus  
5 energy, should it be sold this month. First of all, the  
6 model operates on a monthly time step. Should the energy  
7 be sold this month or -- or be kept in storage for later  
8 use.

9           So, there's always a decision being made,  
10 what's -- what's the best decision to -- to make in terms  
11 of storage and -- and retaining water for future use.

12           MR. DAVID CORMIE: Mr. Anderson, all that -  
13 - at the -- at the CEC Hearings, we went through extensive  
14 descriptions of our modelling, and -- and that was all  
15 tested, if -- if that would be helpful, you could go to  
16 that record and -- and you'll see that there was -- the  
17 result of that was that no one brought to that Hearing,  
18 any evidence to say that our modelling was not sufficient  
19 to do the job.

20           In that identical model, those identical  
21 exceptions are used in this Application.

22           MR. ROBERT MAYER: Just to add to that, Mr.  
23 Cormie, if I recall correctly, as I recall the notes of  
24 some of you -- of at least one (1) of your meetings that  
25 you had with the experts hired by Pimachicamak (phonetic),

1 they found your modelling process to be, as I recall the  
2 word, reasonable.

3 MR. DAVID CORMIE: I believe they accepted  
4 the outcomes, yes.

5 THE CHAIRPERSON: I think it would be quite  
6 appropriate if you could assemble some extracts from the  
7 Hearing that are relevant to the description of how the  
8 model is developed and worked, and file it as an exhibit.

9 Would that be acceptable to you, Mr.  
10 Anderson?

11 MR. MICHAEL ANDERSON: That would. I have  
12 at this stage, no assumptions or presumption of whether  
13 it's suitable or -- or otherwise, because of course I  
14 don't have the material to review. So, that would be very  
15 helpful, Mr. Chair, thank you.

16 THE CHAIRPERSON: Like it is clear that the  
17 -- some of the evidence that's directly relevant to the  
18 Rate Application with respect to the forecasts. And the  
19 forecasts, we've heard considerable testimony of how  
20 they're derived.

21 And if we have at the other set of  
22 Hearings, you know, a good description of it, it would  
23 probably be quite useful to have it introduced as evidence  
24 here.

25 MR. MICHAEL ANDERSON: That would be

1 helpful, and I'm sure that the Vice-Chair will correct me  
2 if I'm misappre -- don't understand the procedure  
3 correctly, but my understanding was a joint hearing held  
4 between the Clean Environment Commission and the Public  
5 Utilities Board of Manitoba, and while there hasn't been a  
6 clear comment on the applicability of the record and the  
7 other place, to this body, if, in the record, there was  
8 available for review, that would be helpful, just to get  
9 some thinking on.

10                   Leaving that right there for the moment,  
11 the response that you've just requested or suggested,  
12 would be suitable. Thank you, Mr. Chair.

13                   THE CHAIRPERSON: Well, for the purposes of  
14 the Board and fully informing us when we go into our  
15 deliberations, I think there's -- it would be useful to  
16 have that there, because I can't see it causing any damage  
17 to our developing view of the issue. And I wouldn't like  
18 to think that there was something out there that we  
19 weren't aware of that could be helpful.

20                   And it sounds like that you feel that you  
21 can pull evidence from the other Hearing that -- together,  
22 that would provide us that view, and I think that would be  
23 helpful. It might save a lot of time at this Hearing.

24                   MR. HAROLD SURMINSKI: Yes, I could do  
25 that. I'm very familiar with the material, so I could do

1 that quite easily.

2 MR. MICHAEL ANDERSON: That would -- that  
3 would be very helpful.

4  
5 --- UNDERTAKING NO. 39: For Mr. Anderson to assemble  
6 some extracts from the Hearing  
7 that are relevant to the  
8 description of how the model  
9 is developed and worked, and  
10 file it as an exhibit.

11  
12 THE CHAIRPERSON: I think the -- the  
13 question we're driving at was PCNMH-NCN-1. The question  
14 was provide all documentation on the SPLASH model  
15 including operating instructions, internal reviews, model  
16 documentation.

17 And a description of when the model was  
18 developed and which studios the model has been used in.  
19 And an answer was basically provided. So I think you  
20 clearly have the capability of -- of responding.

21 MR. MICHAEL ANDERSON: And, Mr. Chair, if  
22 I might. I'd like to reserve the opportunity to cross-  
23 examine on that material when it's present. Recognizing  
24 that there is considerable volume material and it's been  
25 summarized, but I would just like to make note of that.

1 THE CHAIRPERSON: Fair enough.

2 MR. MICHAEL ANDERSON: Thank you.

3 I suppose one (1) of themes, although it's  
4 in error --

5 THE CHAIRPERSON: Mr. Anderson, I just  
6 want to point out --

7 MR. MICHAEL ANDERSON: Thank you.

8 THE CHAIRPERSON: -- we're very cognizant  
9 of the fact that there's the CEC Hearings that have been  
10 going on and a lot of evidence is being entered there that  
11 may have some bearing here. And we're reluctant to spend  
12 any more time than is required for us to develop a fair  
13 view of it. We don't want to get into a lot of repetition  
14 if we can avoid it.

15 So I think this -- this concept of -- of  
16 moving evidence across, I think might be useful.

17 MR. MICHAEL ANDERSON: I agree that --  
18 that was part of my earlier commentary. That I'm -- I'm  
19 very comfortable with the Board's work in process to bring  
20 across, to adopt, if that's even the correct term,  
21 evidence that appeared and was -- there was -- for which  
22 there was attribution, cross-examination and so forth.

23 I'm comfortable to have that body of  
24 evidence brought forward, subject only to asking a limited  
25 number of questions relevant to the Application on that

1 information.

2 THE CHAIRPERSON: Fair enough.  
3 I have some good news for us, I believe,  
4 apparently the fire drill has been cancelled.  
5 Proceed, Mr. Anderson.

6 MR. MICHAEL ANDERSON: Thank you very  
7 much, Mr. Chair.

8

9 CONTINUED BY MR. MICHAEL ANDERSON:

10 MR. MICHAEL ANDERSON: In a vein similar  
11 to my questions about SPLASH and it's relationship to the  
12 forecast. Some of the things that would emerge from that  
13 will come, of course, when the materials are filed.

14 But I'd like to now just turn our attention  
15 to getting a -- a better understanding of how the  
16 balancing between reservoirs, that you've referred to  
17 briefly, takes place.

18 And specifically, Mr. Cormie, on Tuesday,  
19 referred to -- on the 15th, transcript of the 15th. The  
20 process of maximizing the operations of the utility in  
21 respect of those opportunities.

22

23

(BRIEF PAUSE)

24

25 MR. MICHAEL ANDERSON: And the transcript

1 reference -- everyone, Mr. Chair, is June 15th at pages  
2 330 and it begins to -- at lines eight (8) through fifteen  
3 (15). Mr. Cormie's reply to Mr. Peters was:

4 "And so the -- this update to the  
5 operating plan is a continual process  
6 and that operating plan is generated  
7 using computer models to maximize the  
8 profit of the corporation over the  
9 planning period.

10 And that involves the use of reservoirs  
11 to move water from one (1) season to the  
12 next, recognizing the ability of our  
13 reservoirs to move and purchase off peak  
14 power and sell it on peak.

15 And so that process is continually  
16 maintained and updated and takes full  
17 advantage of our capability in the  
18 marketplace."

19 And just -- the -- this is the model that  
20 we're describing essentially is summarized by that  
21 statement, Mr. Cormie. The use of -- the application of  
22 the model within the corporation.

23 MR. DAVID CORMIE: That's the -- the  
24 process that we follow. Modelling is one (1) -- one (1)  
25 part of that, yes.

1 MR. MICHAEL ANDERSON: Thank you.

2 To understand the -- the ability to take  
3 advantage of the characteristics of the reservoirs, and  
4 including the movement of resources from one (1) season to  
5 another, I had provided yesterday, and the Chair was kind  
6 enough to provide it with MKO-3.

7 But as Mr. Mayer noted, an essentially  
8 identical set of maps that combines MKO-3 to a great  
9 extent, appears in Manitoba Hydro's reply to PUB/MH-I-82-  
10 A, Alpha. I just wanted to -- as it went by yesterday, I  
11 just wanted to make note of that.

12 Mr. Cormie, page 2 of 4 of that reply,  
13 identifies the water sheds that supply the hydroelectric  
14 systems at Manitoba Hydro, is that correct?

15 MR. DAVID CORMIE: Yes.

16 MR. MICHAEL ANDERSON: And in -- in  
17 summary, we have four (4) major watersheds that provide  
18 resources to the Manitoba Hydro system?

19 MR. DAVID CORMIE: Yes.

20 MR. MICHAEL ANDERSON: And that the -- the  
21 drainage basin from which all of these water -- that  
22 contains all of these watersheds, involves waters from  
23 four (4) Provinces and two (2) states in the United  
24 States?

25 MR. DAVID CORMIE: That's correct.

1 MR. MICHAEL ANDERSON: And just to  
2 summarize the effect of this, that all of the water that's  
3 in -- that is -- all the precipitation that falls within  
4 the polygon that's identified in the first page of MKO-3,  
5 all eventually -- that is that isn't consumed, evaporated  
6 and so forth, flows past the lower Nelson River Plants of  
7 Manitoba Hydro?

8 MR. DAVID CORMIE: With the exception of  
9 the riparian flows that leave Missi Falls.

10 MR. MICHAEL ANDERSON: And to be clear  
11 about that, those are the remaining outflows from Missi  
12 Falls into the Churchill River, that are not otherwise  
13 diverted, is that correct?

14 MR. DAVID CORMIE: That's correct. And in  
15 addition to that, there are some lakes in Northern  
16 Saskatchewan that have two (2) outlets, one (1) into the  
17 Churchill River, and one (1) into the Mackenzie River  
18 Basin, so not all the water flows down the Churchill and  
19 Nelson Rivers, no.

20 MR. MICHAEL ANDERSON: Thank you for that  
21 clarification. And the watershed that you were talking  
22 about with dual flows, I -- I believe is Walliston Lake,  
23 is that correct?

24 MR. DAVID CORMIE: That's correct.

25 MR. MICHAEL ANDERSON: Thank you. And --

1 and Walliston Lake, most familiar to us in Manitoba,  
2 discharges through the Cochrane River, into the north end  
3 of Reindeer Lake, is that correct?

4 MR. DAVID CORMIE: That's correct.

5 MR. MICHAEL ANDERSON: And the  
6 characteristics of climate, topography, et cetera,  
7 provides a considerable variability in terms of  
8 precipitation and flow regimes through these four (4)  
9 watersheds, across this region, is that correct?

10 MR. DAVID CORMIE: That's correct.

11 MR. MICHAEL ANDERSON: And to try to  
12 understand the balancing a bit, and I'm keeping my finger  
13 on the dependable generation that was at page 2 of PUB/MH-  
14 I-82, I'd like to -- everyone if possible please, to turn  
15 to the large foldout green map, of the Manitoba Hydro  
16 system that is attached following page 4 of that same  
17 response.

18 There's one (1) up on the wall behind Mr.  
19 Peters, but it's entitled, Hydroelectric Power in  
20 Manitoba, and it's the final document attached as part of  
21 the Manitoba Hydro Response to PUB/MH-I-82-A.

22

23

(BRIEF PAUSE)

24

25

MR. MICHAEL ANDERSON: Does everybody have

1 -- thank you, Mr. Chair. Now, in looking at these  
2 facilities they -- the items that are indicated in red are  
3 developed and existing facilities that are now operated by  
4 Manitoba Hydro; is that correct?

5 MR. DAVID CORMIE: That's correct.

6 MR. MICHAEL ANDERSON: And of these  
7 facilities, some of them have a dual purpose as a control  
8 structure as well as a generating station; is that  
9 correct?

10 MR. DAVID CORMIE: The Missi Falls is a  
11 dual structure. It has a generating station as well as a  
12 control structure. There is no generating station at  
13 Notigi.

14 And I believe all of the other --

15 MR. ROBERT MAYER: That's not right, Mr.  
16 Cormie.

17 MR. DAVID CORMIE: Missi Falls has a  
18 generating plant at the station.

19 MR. ROBERT MAYER: They have a generating  
20 station there?

21 MR. DAVID CORMIE: Yes, they do. And it's  
22 a house unit there. We provide local station service  
23 there. So I believe the only facility that is just a pure  
24 control structure is the Notigi Control Plant.

25

1 CONTINUED BY MR. MICHAEL ANDERSON:

2 MR. MICHAEL ANDERSON: Thank you, Mr.  
3 Cormie. I'm trying to -- in terms of the inflows that  
4 Manitoba has the ability to control in its system  
5 reservoirs and so on, work with those first, the three (3)  
6 primary reservoirs that Manitoba Hydro operates are the  
7 four (4) bay behind the Grand Rapids Generating Station at  
8 Cedar Lake, Lake Winnipeg controlled by the Jenpeg Control  
9 and Generating Structure and Southern Indian Lake  
10 controlled by Notigi Control Structure; is that correct?

11 MR. DAVID CORMIE: That's correct.

12 MR. MICHAEL ANDERSON: And off of this  
13 map, and I realize that they are operated and constructed  
14 by others but do have an influence on Hydro's system, you  
15 would confirm that the control structures upstream of the  
16 Lake Winnipeg plants also -- their operations provide for  
17 regulation of flows and benefit Manitoba Hydro's  
18 operations?

19 MR. DAVID CORMIE: That's correct. There  
20 are reservoirs in Ontario, Saskatchewan and Alberta  
21 operated by other authorities whose affect -- whose --  
22 whose operation affect the supply of water and the timing  
23 of water to Manitoba.

24 MR. MICHAEL ANDERSON: And just to pick up  
25 on a series of questions I was asking earlier, although

1 you do not control these structures, your modelling  
2 process does incorporate information from these other  
3 authorities and their reservoir operations?

4 MR. DAVID CORMIE: In the operational  
5 planning models, we -- we operate -- we anticipate the  
6 operation of the upstream reservoir operators and are in  
7 constant contact with those authorities to ensure that we  
8 understand what to expect with regards to their operation.

9 From a long term planning perspective, from  
10 the SPLASH modelling perspective, we use present use  
11 regulation and -- and they're -- they're -- they're a  
12 constant and are not changed in Manitoba Hydro's  
13 modelling.

14 MR. MICHAEL ANDERSON: Could you please  
15 describe what you mean by "present use information"?

16 MR. DAVID CORMIE: Well, we have -- we  
17 have the historical flow records that go back to 1912, but  
18 some of those facilities weren't in place in 1912.  
19 They've been constructed since that time. And they --  
20 their operation now would change the way the 1912 flows  
21 would arrive in Manitoba.

22 And so we'd refer to present use flows to  
23 ensure that we're -- we're recognizing that those -- that  
24 those new facilities are in place.

25 MR. MICHAEL ANDERSON: Just for my

1 understanding. Summarized it means that, you have a flow  
2 record dating back to 1912, but where a facility has  
3 modified the water regime, you've incorporated that into  
4 your flow modelling for flows entering Manitoba?

5 MR. DAVID CORMIE: That's correct.

6 MR. MICHAEL ANDERSON: Thank you.

7 And we've discussed -- there's been some  
8 discussion already of the operation of -- of Lake of the  
9 Woods and -- and the Ontario reservoirs and it's affect on  
10 Winnipeg River.

11 I wanted to turn a bit to the Churchill  
12 system. It -- are the in-flows into Manitoba  
13 substantially affected by the operation of Sask Power's  
14 facilities -- the White Sand Dam -- the White Sand control  
15 structure on Reindeer Lake at the -- on the Reindeer River  
16 at the outletted Reindeer Lake?

17 MR. DAVID CORMIE: They are, yes.

18 MR. MICHAEL ANDERSON: And Sask Power and  
19 it's operations planning, as you've indicated, are one (1)  
20 of the authorities that you stay in constant contact with  
21 about their operations of that facility?

22 MR. DAVID CORMIE: And the Saskatchewan  
23 Water Corporation.

24 MR. MICHAEL ANDERSON: In respect of all  
25 waters crossing the boundary from Saskatchewan into

1 Manitoba?

2 MR. DAVID CORMIE: Saskatchewan Water  
3 Corporation determines the operational plans for the  
4 reservoirs in Saskatchewan, having consulted with Sask  
5 Power.

6 MR. MICHAEL ANDERSON: Using very broad  
7 numbers, Mr. Cormie, and if you wish to provide more  
8 specificity, it's welcome.

9 But just for the Board's benefit and for  
10 mine, I'd like to confirm that, of the flow of the  
11 Churchill River, for example, Pukatawagan in Manitoba.  
12 That on a broad annual basis, approximately 50 percent of  
13 the flow of the Churchill River comes out of the Reindeer  
14 Lake system. Is that correct?

15 MR. DAVID CORMIE: Of the flows that  
16 arrive on the Churchill River into Manitoba, two-thirds  
17 (2/3) come from Saskatchewan, and one-third (1/3) is local  
18 into Manitoba.

19 And then of that two-third (2/3) that  
20 arises, upstream of Manitoba, one-third (1/3) comes from  
21 the Ranger River Watershed and the other third (1/3) from  
22 the upper Churchill.

23 MR. MICHAEL ANDERSON: Thank you, Mr.  
24 Cormie.

25 And so one (1) looking at flow records

1 would just take that broad divisor and sort out what the  
2 flow contribution would be from Reindeer Lake, a  
3 straightforward matter to do?

4 MR. DAVID CORMIE: Over a very long term,  
5 yes.

6 MR. MICHAEL ANDERSON: Thank you.

7 And just in terms of a matter of  
8 operational relations, and it's just -- just to -- to  
9 clarify in terms of that the flows coming from the  
10 Churchill River and of course from the Reindeer River  
11 system, are flows that contribute to the waters that are  
12 stored in the reservoir at Southern Indian Lake.

13 Is that correct?

14 MR. DAVID CORMIE: That's correct.

15 MR. MICHAEL ANDERSON: And those waters  
16 are then regulated in terms of their eventual release by  
17 the Notigi control structure?

18 MR. DAVID CORMIE: That's correct.

19 MR. MICHAEL ANDERSON: So the operations  
20 of Sask Power, in terms of its -- of the White Sand Dam  
21 and Island Falls, have a -- are of considerable interest  
22 to Manitoba Hydro?

23 MR. DAVID CORMIE: Yes, they are.

24 MR. MICHAEL ANDERSON: And -- and just  
25 also -- also just to complete the record on that

1 relationship. Is it correct that all of the generation  
2 from Island Falls is isolated from the Saskatchewan  
3 system, except for the transmission interconnection of  
4 Manitoba Hydro?

5 MR. DAVID CORMIE: A portion of the -- of  
6 the Island Falls output is used to serve Northern  
7 Saskatchewan load, what is surplus is -- is transmitted  
8 into Manitoba, wheeled through Manitoba and returned to  
9 Saskatchewan through our southern interconnections with  
10 Sask -- Saskatchewan.

11 MR. MICHAEL ANDERSON: I -- I saw the  
12 engineer being specific in response to my question, when I  
13 talk about all of the load, I appreciate that, Mr. Cormie.  
14 There are loads north of Island Falls through the Lake  
15 Athabasca Region, to the mining companies and so forth up  
16 there, is that correct?

17 MR. DAVID CORMIE: Yes, there -- there's  
18 load there, yes.

19 MR. MICHAEL ANDERSON: Thank you. And the  
20 interconnection at that point, is as I understand now, a  
21 230 kV transmission line, that was co-constructed in 1983  
22 between Sask Power and Manitoba Hydro?

23 MR. DAVID CORMIE: I'm not familiar with  
24 those details, no.

25 MR. MICHAEL ANDERSON: Nothing

1 substantively turns on that, I just wanted to confirm  
2 that, if it could be that it's a 230 kV transmission line.  
3 I'll proceed.

4                   So, we have the inflows to the -- on -- on  
5 the Churchill River system, which of course are then  
6 diverted by the Missi Falls control structure, forming the  
7 present reservoir at Southern Indian Lake, which is then  
8 controlled by the Notigi control structure and its outlet,  
9 is that correct?

10                   MR. DAVID CORMIE: That's correct.

11                   MR. MICHAEL ANDERSON: Coming again from  
12 the west, another major system, the North and South  
13 Saskatchewan Rivers, combine into the Saskatchewan River  
14 that flows by the Pas, Manitoba.

15                   Its natural outlet is at Grand Rapids, and  
16 that is now controlled by the Grand Rapids Generating  
17 Station, is that correct?

18                   MR. DAVID CORMIE: That's correct.

19                   MR. MICHAEL ANDERSON: And similar to what  
20 we have in the flows on the Winnipeg River, the Red River  
21 watershed, which would then include the Assiniboine River  
22 in the southern prairies, at the present time flows  
23 primarily unregulated into Manitoba, but is in the end  
24 regulated by entering Lake Winnipeg, to be controlled by  
25 the Jenpeg Control Structure, is that correct?

1 MR. DAVID CORMIE: That's correct.

2

3

(BRIEF PAUSE)

4

5

6 MR. MICHAEL ANDERSON: Now, in terms of --  
7 if you could work with me, help me on this. It's my  
8 understanding that there is an operational pattern that  
9 has developed through actual use between these major  
10 watersheds, these reservoirs and watersheds feeding them.  
11 There were two (2) that I'd like to refer to right now are  
12 Lake Winnipeg and Southern Indian Lake.

13

14

15

16

17

18

19

20

21

22

23

24

25

And looking at the operations of Manitoba  
Hydro, is it generally correct, that Lake Winnipeg is  
utilized to provide open water summer generation for the  
Manitoba Hydro system? In terms of that period of time in  
which it's most predominantly called to provide supply?

MR. DAVID CORMIE: The outflows from Lake  
Winnipeg, on the average, provide 7 percent of the water  
supply to the large Lower Nelson River Plants, so it -- it  
provides water year round.

MR. MICHAEL ANDERSON: On average, is the  
lake called upon more predominantly during the summer  
months, to provide supply to the Lower Nelson Plants?

MR. DAVID CORMIE: I don't know how to  
answer that question, I wouldn't characterize it that way.

1 The system is operated as a system, as an interconnected  
2 set of rivers and reservoirs, and Lake Winnipeg is the  
3 most important reservoir, it supplies -- it has the  
4 greatest storage capability. It has tremendous  
5 flexibility to accommodate all -- almost all changes that  
6 occur on the other reservoirs and rivers.

7                   So, it's -- it's important summer and  
8 winter, it's -- it has some limitations, we -- we would  
9 like to have more, but it -- it is -- it is a vital asset  
10 for Manitoba Hydro's operations.

11                   MR. MICHAEL ANDERSON: All right, thank  
12 you, Mr. Cormie.

13                   MR. ROBERT MAYER: Mr. Cormie, just to  
14 clarify that, it's my understanding that there's some  
15 restriction on winter flow as a result of ice build up on  
16 the channels.

17                   MR. DAVID CORMIE: That's correct. In the  
18 wintertime the outflow capability from Lake Winnipeg is  
19 reduced and the flows on the Nelson River are diminished  
20 as a result. And as -- and as a consequence we operate  
21 the Churchill River Diversion so that maximum diversion  
22 flows are available during the -- during those periods  
23 when outflows from Lake Winnipeg are restricted.

24                   THE CHAIRPERSON: Mr. Anderson. If it's  
25 not too much of an interruption in your flow, we will take

1 a break now for ten (10) minutes.

2 MR. MICHAEL ANDERSON: That would be fine,  
3 Mr. Chair. And thank you, Mr. Mayer.

4

5 --- Upon recessing at 10:20 a.m.

6 --- Upon resuming at 10:40 a.m.

7

8 THE CHAIRPERSON: Okay, Mr. Anderson, you  
9 can recommence at your pleasure.

10 MR. MICHAEL ANDERSON: Thank you, Mr.  
11 Chair.

12

13 CONTINUED BY MR. MICHAEL ANDERSON:

14 MR. MICHAEL ANDERSON: I had -- before we  
15 resume where we were with the ice constraints at the north  
16 end of Lake Winnipeg, and I thank Mr. Mayer for that, that  
17 was my next question exactly, hence my earlier question  
18 about open water operations in the lake.

19 I just wanted to clean up one matter that,  
20 from my discussion, and I apologize, of the extract from  
21 the annual report of consolidated financial statistics and  
22 the reference to the IFF. It's a brief question, I think.

23 We had -- I was discussing generally that  
24 the fuel and power purchased in the ten (10) years of the  
25 historic record presented in the annual report are

1 substantially less than those that are being forecast in  
2 the IFF; that's correct?

3 MR. DAVID CORMIE: That's correct.

4 MR. MICHAEL ANDERSON: And there was an  
5 explanation discussion about what the forecast in the IFF  
6 was, I accept that. Why were the same type of thermal  
7 operations not being engaged in and incurring those  
8 expenses in the ten (10) years of historic record?

9 MR. DAVID CORMIE: Several factors have  
10 contributed to the increase in power purchases. Firstly,  
11 Manitoba load continues to grow and so more and more of  
12 our hydraulic energy is being consumed in the province and  
13 less is available for sale in the on-peak markets into the  
14 United States.

15 But those opportunities still exist in the  
16 United States and -- and so Manitoba Hydro increasingly  
17 purchases more and more off peak power in order to  
18 continue to reap the margins in the on peak. And -- and  
19 that's a result of -- of load growth.

20 Then the second factor is the on peak/off  
21 peak differential has grown tremendously over the last ten  
22 (10) years. On average it used to be five dollars (\$5) a  
23 megawatt hour. And so there was limited opportunity to  
24 buy off peak power before it became uneconomical to resell  
25 it in the on peak market with only a five dollar (\$5)

1 spread between on and off peak.

2 Today the margin between on and off peak  
3 can be forty (40) or fifty dollars (\$50) a megawatt hour.  
4 And so there's greater opportunities to buy more and more  
5 expensive off peak power, and to still reap a margin in  
6 the on peak.

7 And -- and so that -- that's the reason why  
8 there is forecast to be continued growth in -- in power  
9 purchases.

10 MR. MICHAEL ANDERSON: Thank you.

11

12 (BRIEF PAUSE)

13

14 MR. ROBERT MAYER: Just arising from that,  
15 Mr. Cormie. Having heard what you said, I would have  
16 expected to see a reduction in those power purchases, 2011  
17 forward, assuming construction and -- well, assuming  
18 Wuskwatim in service, why would they continue to grow  
19 after that, in light of the fact that you would have  
20 expected two hundred (200) extra megawatts coming on line  
21 in 2010 should have affected your power and fuel  
22 purchases?

23 MR. DAVID CORMIE: I'm sure, Mr. Mayer,  
24 that there is some affect, but because Wuskwatim is so  
25 small, and we will concentrate the output of Wuskwatim

1 into the on peak hours, and -- and almost all Wuskwatim  
2 output can be sold in the on peak hours.

3                   And so -- but there's still additional tie-  
4 line space available in the on peak hours, that we can  
5 continue to purchase off peak power. So, I'm sure the  
6 affect is there, it's just -- it's just a very small  
7 affect, and -- and just look at the number here and it's  
8 just not readily obvious from -- from the numbers, that's  
9 all.

10

11

(BRIEF PAUSE)

12

13 CONTINUED BY MR. MICHAEL ANDERSON:

14

15                   MR. MICHAEL ANDERSON: So then just  
16 proceeding to an understanding, Mr. Mayer clarified of  
17 course that there is -- there are ice constraints at the  
18 end of the open water season that limit the outflows from  
19 Lake Winnipeg, is that correct?

19

20

                  MR. DAVID CORMIE: Yes, that's -- that's  
correct.

21

22

23

24

25

                  MR. MICHAEL ANDERSON: Thank you. In  
respect of the Churchill River Watershed, I just in  
contrast, I had wanted to clarify that it's generally  
Manitoba Hydro tends to store water in Southern Indian  
Lake, during the open water summer season, for releases

1 later in the fall, is that correct?

2 MR. DAVID CORMIE: Our objective with the  
3 operation of the Churchill River diversion, is to have the  
4 Southern Indian Lake Reservoir, as full as possible, so  
5 that releases in the winter down the diversion route, can  
6 be maximized, and -- and arrive at the Lower Nelson to  
7 offset the flow reductions that we experience, as a result  
8 of the ice restrictions at Lake Winnipeg.

9 MR. MICHAEL ANDERSON: Thank you. It's  
10 that sort of inter-seasonal balancing that I was  
11 interested in confirming for the record.

12 Similar to my question about the changes in  
13 thermal though, I did want to go back and clear up one (1)  
14 matter at PUB/MH-I-82-A or Alpha, which of course there's  
15 a map at page 1 of 4, that's essentially similar to MKO-3,  
16 but I wanted to turn your attention to both the map at  
17 page 1, and the table at page 2.

18 MR. DAVID CORMIE: I have those.

19 MR. MICHAEL ANDERSON: Thank you.

20 My question earlier was about the number of  
21 water sheds. The MKO-3 and the map on PUB/MH-I-82  
22 identifies, of course, that there are six (6) water sheds,  
23 including the lower Churchill. But in terms water sheds  
24 with power -- that supply power to the Manitoba Hydro  
25 system for production purposes there are -- there are five

1 (5), correct?

2 MR. DAVID CORMIE: We -- we combine the  
3 Nelson River local and the Red River water sheds as one  
4 (1) because they are in effect controlled by the Jenpeg  
5 control structure.

6 You can continue to breakdown the water  
7 shed map into smaller and smaller basins. For example,  
8 you could separate out the Assiniboine River water shed,  
9 if you chose to.

10 MR. MICHAEL ANDERSON: I understand. But  
11 for practical purposes, the Assiniboine is part of the Red  
12 River system. Correct?

13 MR. DAVID CORMIE: That's correct.

14 MR. MICHAEL ANDERSON: Without it being a  
15 great deal of work, is it possible to provide the  
16 dependable generation supply and average generation supply  
17 numbers for Nelson River local and Red River? Just split  
18 that for this table?

19 MR. DAVID CORMIE: We -- we do not have  
20 Red River flows going back to 1912 and we -- whereas we do  
21 have the total unregulated in-flow into Lake Winnipeg  
22 which includes the Red River local back to 1912. So it  
23 would only be a -- a -- an approximation.

24 Mean annual flow into Lake Winnipeg from  
25 the combined Nelson River -- the Lake Winnipeg local and

1 the Red River is around seventeen thousand (17,000) cubic  
2 feet per second, of which the Red River makes up on  
3 average about eight thousand (8,000). So, if you used 50  
4 percent that would probably be a fair approximation.

5 MR. MICHAEL ANDERSON: Thank you, that's  
6 helpful for the purposes I had in mind. So just divide  
7 the numbers that you see there. Thank you.

8 My purpose in that was just simply to put  
9 some concept of contributions from the water sheds  
10 identified on the map and their -- and Map 1, Water Shed  
11 Locations, MKO-3. So that helpful. Thanks.

12 Now, in -- in turning to what is now MH-28,  
13 which was an undertaking response yesterday, showing the -  
14 - it's a revision of Manitoba Energy and Reservoir  
15 Storage. It's a very interesting discussion and I thank  
16 you for that.

17 And also if you wouldn't mind to PUB/MH-I-  
18 29A.

19 It's from spending too much trying to  
20 confirm my airline reservation correctly with the flyer  
21 numbers.

22 That's PUB/MH-I-29A, or alpha.

23

24 (BRIEF PAUSE)

25

1 MR. MICHAEL ANDERSON: And -- and without  
2 -- having no intention to go over the discussion that  
3 you'd had yesterday. I just wanted to confirm for my own  
4 purposes that the values indicated here are representative  
5 of all of the reservoirs contributing water to the  
6 Manitoba Hydro system.

7 So, water energy in storage includes in  
8 storage outside of the Province of Manitoba beyond the  
9 Manitoba Hydro immediate system; is that correct?

10 MR. DAVID CORMIE: It includes reservoirs  
11 regulated by Manitoba Hydro and by others.

12 MR. MICHAEL ANDERSON: Thank you. Now,  
13 there was a discussion about the calling upon the  
14 reservoir to provide resources which speaks for itself in  
15 the record.

16 I just wanted to refer to transcript page  
17 397 of June 22nd, Mr. Cormie, and in reply to Ms.  
18 McCaffrey's comments in terms of the actual performance of  
19 the system you had indicated in discussion of the  
20 reduction of two thousand (2,000) terawatt hours, if I  
21 have the numbers on that right, that it was a financial  
22 issue more than a reliability issue that was in the minds  
23 of the Corporation as it was doing its reservoir planning  
24 for the -- the year ending 2004?

25 MR. DAVID CORMIE: What's the reference in

1 the transcript, sir?

2 MR. MICHAEL ANDERSON: Yes, I have it at  
3 page 39 -- sorry 937, January 22nd -- June 22nd. Going  
4 back in the Diesel Hearing. June 22nd, page 937.

5 MR. DAVID CORMIE: And could you ask your  
6 question again then?

7 MR. MICHAEL ANDERSON: Sure. I was --  
8 you'd indicated that the additional use of two thousand  
9 (2,000) terawatt hours at the end of 2003/04 approximately  
10 was as a result of the financial consideration rather than  
11 a reliability issue so the consideration being given into  
12 all of the operations here is for financial dispatch --  
13 optimal financial dispatch of the resources available?

14 MR. DAVID CORMIE: If you compare energy  
15 in reservoir storage at April 1st, 2004 to April 1st, 2003  
16 there's two (2) terawatt hours additional water in  
17 reservoir storage on April 1st, this year.

18 And we've gone over this yesterday and did  
19 you want me to repeat all that again?

20 MR. MICHAEL ANDERSON: Absolutely not, Mr.  
21 Cormie. Where I was going is if you look now at PUB/MH-I-  
22 29A is what appeared to be a question in terms of Hydro  
23 being able to call more deeply upon its reservoir storage,  
24 in part, responded to by that reply in respect of the  
25 addition of combustion turbines in Brandon, providing a

1 dependable energy capacity of twenty three hundred (2,300)  
2 Gigawatt Hours and import capability increasing,  
3 theoretically by four thousand (4,000) Gigawatt Hours for  
4 a total increase in dependable capacity of six thousand  
5 three hundred (6,300) Gigawatt Hours?

6 MR. DAVID CORMIE: And your question is?

7 MR. MICHAEL ANDERSON: Did this additional  
8 dependable capacity contribute to the planning decisions  
9 to place an additional call on energy in reservoir  
10 storage?

11 MR. DAVID CORMIE: That was a  
12 consideration at the end of fiscal year 2002/2003.

13 MR. MICHAEL ANDERSON: And, of course, the  
14 calling on the increased import capacity resulted in an  
15 increase in purchased power costs?

16 MR. DAVID CORMIE: In fiscal year  
17 2002/2003 it reduced the amount of power purchases  
18 necessary in the months of February and March.

19 MR. MICHAEL ANDERSON: And in other months?  
20 That's the applicable period of time you're saying, that  
21 these faci -- these resources referred to at PUB-MH-I-29A  
22 were called upon?

23 MR. DAVID CORMIE: Those resources weren't  
24 called upon, but they were there to be called upon, should  
25 2003/2004 be a drought year. And so we were able to come

1 into the spring to April 1st of 2003, with less water in  
2 reservoir storage, in the context of why reservoir  
3 storages were lower at that point in time than they were  
4 in the drought of '87/'88.

5           That -- that was the context in which the  
6 question was asked. Why was reservoir storage lower this  
7 year than -- in this year, than in that previous drought.  
8 And that was because we had additional dependable  
9 capability on the system, so that reservoirs could be  
10 drawn with no additional -- while maintaining the same  
11 reliability of supply risk.

12           MR. MICHAEL ANDERSON: Thank you, Mr.  
13 Cormie. In terms of understanding some of the -- the  
14 shape of these curves, and activities and decisions that  
15 were being made, if you could please now turn to MKO-5,  
16 which are a collection of sixty (60) day water level  
17 forecast and current year actuals that were posted on  
18 Manitoba Hydro's website for the relevant period.

19           MR. DAVID CORMIE: I have those.

20           MR. MICHAEL ANDERSON: Okay. And I -- I  
21 would just like to have your assistance in understanding  
22 what these particular tables are indicating to us.

23           The first table for Southern Indian Lake,  
24 indicates that as we've discussed earlier, that storage  
25 during the summer is taking place and at least at this

1 time you anticipated having the level of Southern Indian  
2 Lake reaching its long term average toward the end of  
3 October of 2003, is that correct?

4 MR. DAVID CORMIE: That's correct.

5 MR. MICHAEL ANDERSON: And of course  
6 there's -- although it's not in colour, this -- the lower  
7 of the two (2) lines, the lefthand line is actual, and  
8 then there's a break and then the line following to the  
9 right, heading up to the long term average is projected at  
10 that time; is that correct?

11 MR. DAVID CORMIE: Including a -- a plus or  
12 minus one (1) foot range.

13 MR. MICHAEL ANDERSON: And while we're  
14 discussing that, would you explain why Manitoba Hydro  
15 posts that -- that variable range in its forecasts? In  
16 terms of what it's intending to communicate with them.

17 MR. DAVID CORMIE: Manitoba Hydro makes a  
18 forecast of water levels based upon a forecast of water  
19 supply. And there's considerable variability in the water  
20 supply.

21 And in order to indicate that there is no  
22 certainty around the water supply forecast, especially  
23 when you look out sixty (60) days, that conditions can  
24 change. Manitoba Hydro may be making exactly the same  
25 water releases from its control structure, but water

1 levels could be higher or lower, should the water supply  
2 be higher or lower.

3                   And we want to -- these are posted on the  
4 internet, so that other stakeholders on the waterways  
5 affected by Manitoba Hydro's operation, have some idea of  
6 what to expect in the -- in the short term.

7                   And we want to ensure that they understand  
8 that there is uncertainty with that forecast, and that --  
9 that once we get out to sixty (60) days, that the  
10 forecasts are with -- probably within a foot of -- of the  
11 actual forecast.

12                   MR. MICHAEL ANDERSON: Thank you, Mr.  
13 Cormie. And so in -- in terms of looking at -- following  
14 that forecast, the middle graph is for Footprint Lake, and  
15 just for clarification of the Board and others, Footprint  
16 Lake is at Nelson House, below the Notigi Control  
17 Structure; is that correct?

18                   MR. DAVID CORMIE: That's correct.

19                   MR. MICHAEL ANDERSON: And could you  
20 please describe operation line that we see on the  
21 Footprint Lake graph?

22                   MR. DAVID CORMIE: The -- this forecast  
23 was prepared on August the 28th and it was showing that  
24 from August the 28th until the fifteenth (15th) of  
25 October, water levels on Footprint Lake would be held

1 relatively constant. On the plan, at that point in time,  
2 was for mid-October for outflows from Notigi to increase.

3 It takes approximately three (3) to four  
4 (4) weeks for that flow increase to work its way down the  
5 Burntwood River, the Ratten Burntwood Rivers (phonetic) to  
6 the generating stations on the lower Nelson.

7 And, with the increase in power demand  
8 expected mid-November, outflows need to be increased at  
9 mid-October so that the water arrives in -- at -- at a  
10 time when it's needed for production.

11 So, this forecast chart shows that water  
12 levels on Footprint Lake would start to rise mid-October  
13 and would rise approximately one (1) foot from mid-October  
14 to mid -- to the first of November in response to  
15 increased outflows from Notigi.

16 MR. MICHAEL ANDERSON: Does this graph  
17 also reflect the -- there's been discussion about  
18 conserving storage. Are the Southern Indian Lake graph  
19 and the Footprint Lake graph, consistent with operations  
20 intended to conserve and build reservoir capacity at  
21 Southern Indian Lake?

22 MR. DAVID CORMIE: Yes. And for that same  
23 period of time, maintaining the releases at Notigi from  
24 the end of August to the middle of October allows the  
25 level of Southern Indian Lake to continue to rise as water

1 is held back in storage.

2                   And then starting about the third week in  
3 October, you'll see on the southern Indian Lake chart, the  
4 water level starting to -- rather than rise, it starts to  
5 turn down as the flow increase that was made at Notigi as  
6 an affect on the level of Southern Indian Lake.

7                   MR. MICHAEL ANDERSON: Thank you, that's  
8 exactly what I was looking for.

9                   And just for -- for the record, were the  
10 releases of Footprint Lake between -- it looks like about  
11 the 15th of June, onward, to the 15th of October, were the  
12 releases at Notigi essentially at their licensed minimums  
13 during that period of time?

14                   MR. DAVID CORMIE: There -- there is no  
15 license minimum for Notigi. We were operating the  
16 Churchill River diversion at that time in order to  
17 maintain water levels, in order to balance the effect of  
18 low water levels throughout the system.

19                   Having a lower Notigi release through the  
20 summer of 2003, lower than elevation seven hundred and  
21 ninety-three (793) feet above sea level would have created  
22 severe hardship along the diversion route downstream of  
23 the Notigi control structure.

24                   And we set the discharges so that we would  
25 -- although they were low, they weren't unacceptably low

1 along the diversion route and that was the constraint that  
2 was -- that was our objective at that time, not to create  
3 undue hardship along the diversion route.

4           And any water that was released out of  
5 storage on Southern Indian Lake to serve that purpose  
6 could be off-set by increased reduction -- increased  
7 storages on Lake Winnipeg. So, that the net effect, once  
8 the combined water flows from the diversion and Lake  
9 Winnipeg arrive at the lower Nelson plants, the same total  
10 flow and the same amount of power could be generated.

11           So, the two (2) projects are operated in  
12 tandem with the objective to minimize the impact on the --  
13 on the other stakeholders and then the environment.

14           MR. MICHAEL ANDERSON: And then -- and  
15 then thank you for that. And my final comment, of course,  
16 is you -- you've already stated that the flat line on  
17 Footprint Lake between June and October is the result of  
18 regulation.

19           MR. DAVID CORMIE: Yes, because we were  
20 held in -- holding the Notigi outflow as constant.  
21 However, the local in-flow was declining gradually  
22 throughout the summer and the net result was a slight  
23 decline in water level on Footprint Lake.

24           MR. MICHAEL ANDERSON: Thank you. Moving  
25 onto the -- the next water level graph for Split Lake, and

1 if we look at our -- at the green map on the Nelson River,  
2 Split Lake is not identified here, but it would be, Mr.  
3 Chair, and, Members of the Board, and, Mr. Cormie, if  
4 you'd please confirm that it's basically the -- the blue  
5 body of water immediately below the -- in this case, the  
6 Kelsey Generating Station?

7 MR. DAVID CORMIE: Yes, Good Lake is the --  
8 is where both the Nelson River and the Burntwood River  
9 join together and -- and the combined flows from the  
10 Nelson and the Burntwood mix at that point, and -- and  
11 begin to feed the Lower Nelson Generating Stations from in  
12 there.

13 MR. MICHAEL ANDERSON: Thank you, Mr.  
14 Cormie. And if we look at the -- the line -- the  
15 elevation line between the first of June and the 28th of  
16 August, that line reflects -- is also a product of  
17 Manitoba Hydro Regulation of its system, as you described?

18 MR. DAVID CORMIE: Which chart are you  
19 looking at now, sir?

20 MR. MICHAEL ANDERSON: I'm sorry, Split  
21 Lake?

22 MR. DAVID CORMIE: Yes, well you can see  
23 that the level of Split Lake was maintained at elevation  
24 five forty-five (545) for that three (3) month period.

25 MR. MICHAEL ANDERSON: And then the

1 beginning on -- in late August, apparently it looks from  
2 the map, very close to the date that this forecast was  
3 created, the water levels on Split Lake dropped quickly,  
4 can you explain why that would be?

5 MR. DAVID CORMIE: The -- the flows on the  
6 Nelson River during the months of June, July and August,  
7 had to be kept at -- at such a -- at a constant rate in  
8 order to meet our -- our load obligations during that  
9 period of time.

10 As we got towards the end of August, there  
11 was an opportunity to conserve additional water in the --  
12 in Lake Winnipeg, as a result of lower power demands,  
13 through the September/October period.

14 So, outflows from Lake Winnipeg were  
15 reduced at the end of August, to conserve additional water  
16 in reservoir storage in Lake Winnipeg, and the affect of  
17 reducing the outflows from Lake Winnipeg is a lower total  
18 flow down the Nelson River, which resulted in lower levels  
19 on Split Lake from the end of August through the end of  
20 October, as indicated on the chart.

21 MR. MICHAEL ANDERSON: Thank you, Mr.  
22 Cormie. And if we go to the second page of MKO-5, the  
23 chart for Cross Lake, which for purposes, if we're looking  
24 at the green map, is the body of water immediately  
25 downstream of the Jenpeg Control Structure; is that

1 correct?

2 MR. DAVID CORMIE: That's correct.

3 MR. MICHAEL ANDERSON: And the reduction in  
4 outflows from Lake Winnipeg that you just described, is  
5 reflected on the chart for Cross Lake?

6 MR. DAVID CORMIE: That's correct.

7 MR. MICHAEL ANDERSON: And so, the water  
8 levels on Split Lake, following August 28th, reflect in  
9 effect, a combination of reductions and outflows from both  
10 Notigi and Jenpeg; is that correct?

11 MR. DAVID CORMIE: That's correct, with the  
12 additional note that water levels on Split Lake rise  
13 starting the 1st of October, middle of October, as a  
14 result of increasing diversion flows from Notigi.

15 MR. MICHAEL ANDERSON: Which as you noted  
16 is the small downward dip in the Southern Indian Lake  
17 forecast?

18 MR. DAVID CORMIE: That's -- that's  
19 correct.

20 MR. MICHAEL ANDERSON: Thank you. And just  
21 to complete the -- the time sequence record, you  
22 identified the time duration necessary for a release from  
23 Notigi to reach the Lower Nelson Plants, could you please  
24 describe the time sequence for release from Jenpeg to  
25 reach the Lower Nelson Plant?

1 MS. PATTI RAMAGE: Mr. Chair, I'm -- this  
2 has gone on for some time now, and I'm starting to be more  
3 than a little concerned about where we're going, and what  
4 this exactly has to do with the Rate Application before  
5 this Board.

6 THE CHAIRPERSON: Mr. Anderson, can you  
7 help with our understanding of this?

8 MR. MICHAEL ANDERSON: I can, Mr. Chair,  
9 thank you. This is really my last question on this  
10 series, because they've all been clearly answered for me.  
11 I just wanted, in the record, the flow sequence.

12 What we're speaking to of course are the  
13 considerations that the Corporation makes when it makes its  
14 water flow sequencing planning. I did refer to those --  
15 those interests in my opening remarks and in my subsequent  
16 questions have comments to make about that.

17 They do result in cost to the Corporation,  
18 and that's where I'm going.

19 THE CHAIRPERSON: Okay.

20 MR. MICHAEL ANDERSON: Thank you. I  
21 apologize if I'm laying a foundation that may not be as  
22 clear but I have established what I needed to with these  
23 charts.

24

25 CONTINUED BY MR. MICHAEL ANDERSON:

1                   MR. MICHAEL ANDERSON:    But if it's  
2 possible just to -- with the consent of the Board just for  
3 the -- keep the record complete to indicate the -- the  
4 time for water released at Jenpeg to reach the Lower  
5 Nelson Plants, I'd appreciate that.

6                   MR. DAVID CORMIE:     That's depending on the  
7 magnitude of the flow change.  It can be between three (3)  
8 and five (5) weeks.

9                   MR. MICHAEL ANDERSON:   Thank you, Mr.  
10 Cormie.  Taking the information that we've just developed  
11 on that particular sequence of flows, these decisions to  
12 conserve storage would have been reflected in increases in  
13 power purchases; is that correct?

14

15                                       (BRIEF PAUSE)

16

17                   MR. DAVID CORMIE:     The -- I believe the  
18 answer to that question is that there was less demand for  
19 -- under our contractual arrangements, and we were able to  
20 meet the power demand through the fall.

21                                       And I believe at the time we were already  
22 maximising our purchase capability and so I don't know if  
23 it resulted in increased purchase, but it resulted in  
24 continued high levels of purchases and -- and there were  
25 offsetting reductions in -- in sales.

1                   So, that the net result was energy could be  
2 conserved in reservoir storage.

3                   MR. MICHAEL ANDERSON:   Excuse me, and my  
4 final one in terms of that aspect of it. In terms of the  
5 nature of sales that were being made, you had indicated  
6 earlier that during a period of time, this specific period  
7 of time when there was conservation of reservoir storage,  
8 opportunity sales had been terminated during this period;  
9 is that correct?

10                  MR. DAVID CORMIE:    What I had indicated in  
11 the record previously was that any contractual sales were  
12 terminated. We were -- we had not entered into any  
13 forward opportunity sales. There were on a -- an hourly  
14 and a daily basis, some opportunities for buying and  
15 reselling in the very, very short term hourly and daily  
16 markets.

17                  MR. MICHAEL ANDERSON:   Thank you, Mr.  
18 Cormie. If you could please turn to MKO-10 which is an  
19 assembly with some calculation of four (4) other exhibits  
20 or documents, please?

21                  MR. DAVID CORMIE:    I have that.

22                  MR. MICHAEL ANDERSON:   Thank you. And I  
23 appreciate that I've built this, basically, off of the  
24 information provided in Manitoba Hydro 14 and 15,  
25 essentially just transferring the information and doing

1 the calculation to -- to arrive at revenues -- average  
2 revenues.

3           And I realize that this is the information  
4 that we have that I'm dealing-- I'm imputing a known  
5 quantity in megawatt hours with an average price and I  
6 realize that there's the -- the inaccuracy that that would  
7 generate but that's the best information we have in terms  
8 of monthly information.

9           What I'd like you to do, if you -- if you  
10 would is go down, I have reorganized this into fiscal  
11 years for -- beginning in -- the beginning of the record  
12 and go down to the time series for the fiscal year '03  
13 ending March 2004.

14           And if you follow along on my line for  
15 August 2003 to the right using this -- just this  
16 information, recognizing it's qualified in terms of its  
17 detailed accuracy, it appeared that beginning in July 2003  
18 there was a period of sequences where imports exceeded  
19 export revenues.

20           And would you confirm that this period of  
21 time corresponded with your reservoir conservation period  
22 in the charts that we had just discussed?

23  
24  
25

(BRIEF PAUSE)

1                   MR. DAVID CORMIE: I think that's  
2 consistent with how I would characterize it, that as -- as  
3 we went through the -- the spring of 2003, the severity of  
4 the drought worsened, resulting in -- by the time we got  
5 to June '03, we were looking at inflows that were some of  
6 the -- near the lowest on record, whereas in April we were  
7 in probably 20 percentile conditions.

8                   So, the -- the drought severity worsened,  
9 and in order to maintain the same level of supply  
10 reliability, we had to gradually increase our efforts to  
11 conserve water, and -- and that was reflected in the  
12 decision at the end of August to take that next step to  
13 reduce the outflows from Lake Winnipeg even further.

14                   Every opportunity was made during the  
15 summer period to buy down some of our export obligations,  
16 but during the summer season that is the peak demand  
17 period, and -- in the United States, and our customers are  
18 actually relying on the physical delivery of electricity.

19                   And although, we would like to have settled  
20 financially for some of those obligations, utilities were  
21 reluctant to do that, except on a day-by-day basis, and so  
22 we had to maintain the physical ability to deliver power  
23 if -- if we were requested to do so.

24                   As we got through the summer season, when  
25 the demand for power in the United States starts to

1 diminish as the air conditioning season comes to an end,  
2 our customers were then in a position where they had  
3 alternative supply options to Manitoba Hydro. And at that  
4 point in time we would start to financially settle our  
5 delivery contracts, which meant that we required less  
6 energy production capability and could -- could have lower  
7 flows.

8           The issue of the time delays for water  
9 releases is very relevant here. Four (4) or five (5)  
10 weeks in advance, our customers can't tell us whether they  
11 need physical power or not during the summer time.

12           And so, we have to assume that we have to  
13 be in a position to deliver. Later on in the fall, once  
14 they know they are out of their peak demand period, they  
15 are in a position to say that they have replacement power  
16 available, and that it would be -- wonder why it was  
17 capable of having lower flows and have lower production  
18 capability on its system.

19           And -- and we took that -- we negotiated  
20 some settlements under those contracts, and -- and we were  
21 able to conserve water through the fall season, as a  
22 result.

23           MR. MICHAEL ANDERSON: Thank you, Mr.  
24 Cormie. Your penchant for detail answered several  
25 questions that I had, and I very much appreciate that.

1 Thank you.

2 Turning now to MKO-6 please. And please  
3 keep at hand the charts on MKO-5.

4

5

(BRIEF PAUSE)

6

7

MR. MICHAEL ANDERSON: Do you have that?

8

MR. DAVID CORMIE: Yes, I do.

9

10 the press release that you have from the Manitoba  
11 Government for MKO-6 indicates that the ferry service to  
12 York Landing had been closed, effective September 5th; is  
13 that correct?

14

MR. DAVID CORMIE: That's correct.

15

16 the first line of the press release that it had been  
17 closed until further notice for safety reasons, due to low  
18 water levels on Split Lake; is that correct?

19

MR. DAVID CORMIE: That's what the press  
20 release says, yes.

21

MR. MICHAEL ANDERSON: And --

22

23 -- I do not see where this is going in terms of the Rate  
24 Application before us.

25

THE CHAIRPERSON: Mr. Anderson, could you

1 in quick summary provide us of the link and help Ms.  
2 Ramage understand where you're going.

3 MR. MICHAEL ANDERSON: Yes I can, Mr.  
4 Chair. Thank you.

5

6 CONTINUED BY MR. MICHAEL ANDERSON:

7 MR. MICHAEL ANDERSON: When Manitoba Hydro  
8 made its decisions to conserve reservoir storage in late  
9 August, as we've discussed, what other considerations,  
10 other than financial export marketing and domestic power  
11 requirement planning does Manitoba Hydro take into  
12 consideration when it makes those decisions?

13 MR. DAVID CORMIE: A key issue is whether  
14 we will be establishing new water regimes on the -- on the  
15 lakes and the rivers, going into territory that we had not  
16 been in before.

17 Being very aware that there were many  
18 public facilities along the waterways that will be  
19 affected by low levels and -- and we don't want to lower  
20 water levels and -- and break new ground with regard to  
21 the water regime unless we are confident that those  
22 facilities -- that -- that service to those customers can  
23 -- or those -- those other stakeholders can -- can  
24 continue.

25 In the -- in the decision to make the flow

1 reductions out of Lake Winnipeg in August, we recognized  
2 that water levels in the drought of 1988 had been lower  
3 than were forecast for the fall of 2003.

4           And during the summer of 1988, ferry  
5 operations continued and so it was our belief that ferry  
6 operations would be unaffected.

7           So, we recognize that there was an -- an  
8 issue but also knew that potential problem, but we knew  
9 that -- that those operations had been successful in the  
10 past and we had no indication that the ferry service would  
11 now not be able to operate under better water conditions  
12 than had occurred in the previous drought conditions.

13

14

(BRIEF PAUSE)

15

16           MR. DAVID CORMIE: Manitoba Hydro has a --  
17 a -- an agreement with the York Landing First Nation.  
18 It's a -- a implementation agreement. It's one (1) of the  
19 agreements that follows-up under our NFA Agreement with  
20 the northern First Nations.

21

22           And -- and Manitoba Hydro recognized it had  
23 some obligations to the community with regard to providing  
24 for additional costs resulting from changes in water  
25 levels.

25

          Through the -- through that fall period,

1 Manitoba Hydro spent in excess of two hundred and twenty  
2 thousand dollars (\$220,000) addressing our contractual and  
3 extraordinary mitigation costs associated with this low  
4 water event at the community.

5           And the ferry went back into service on  
6 October the 14th as a result of efforts by the Province of  
7 Manitoba, Manitoba Hydro, and the Federal Government to  
8 fix the problems that were causing the ferry service to  
9 not be available through that period.

10           MR. MICHAEL ANDERSON:   As distinct from  
11 the -- your comments in respect of forecasting changes to  
12 the ferry service, did Manitoba Hydro take into account  
13 those costs that would arise from its obligations under  
14 its agreement with the York Factory First Nation as part  
15 of the decisions it made in late -- August 2003?

16           MR. DAVID CORMIE:   The -- the decision to  
17 conserve water was -- was one (1) based upon maintaining a  
18 -- maintaining the capability of having a reliable supply  
19 of electricity through -- for -- for the Province of  
20 Manitoba should the drought continue.

21           And we knew that there would be costs  
22 associated with that.   Some of which would be --  
23 additional mitigation costs.   But the major costs would be  
24 the increase in power purchase costs and the potential for  
25 additional thermal generation.

1                   But there are -- but relative to those  
2 costs, the costs of ferry service at Split Lake is -- was  
3 a -- was one (1) of the smaller amounts.

4                   THE CHAIRPERSON: Mr. Cormie, you suggested  
5 that the -- the ferry service difficulty was, if I  
6 understood you properly, was -- was unexpected. Do you --

7                   MR. DAVID CORMIE: It was unexpected  
8 because that same facility operated successfully fourteen  
9 (14) years -- sixteen (16) years previously, with lower  
10 water levels, and -- and we were not predicting new low  
11 levels on Split Lake.

12                   The water levels were higher than had  
13 occurred in the past, under -- so something that the ferry  
14 had changed that -- and that's one (1) of the reasons we  
15 issue these water level forecasts, so that those people  
16 who are caught unaware, including the ferry service, the  
17 ferry service of the Province of Manitoba has access to  
18 our forecasts, and -- and can prepare themselves for that.

19                   We have a -- a mitigation department, and  
20 in our operational planning meetings prior to the  
21 decision, we met with them and made sure that they  
22 understood that water levels were going to be very low,  
23 and they immediately went into a mode of communication  
24 with those affected stakeholders to ensure that issues  
25 like these could be avoided or mitigated if necessary, and

1 that resulted in Manitoba Hydro spending significant  
2 amounts of money to help, you know, this situation.

3 THE CHAIRPERSON: Thank you.

4

5 CONTINUED BY MR. MICHAEL ANDERSON:

6 MR. MICHAEL ANDERSON: I -- I step  
7 carefully into what I'm about to request, and I ask all  
8 parties to bear with me on this.

9 The clarification by the Chair was  
10 important, would you -- could you please undertake to  
11 contact your mitigation people and file with us, what  
12 information they provided to the York Factory First  
13 Nation, in respect of the decision to store water?

14 MS. PATTI RAMAGE: No. Mr. Chair, that  
15 has, to the best of my mind, nothing to do with the Rate  
16 Application before this Board.

17 THE CHAIRPERSON: We'll take it under  
18 advisement and we'll get back to you later. Could you  
19 move on now?

20 MR. MICHAEL ANDERSON: Yes, I can. I had  
21 wanted to indicate, and I'm not sure I had raised it as a  
22 matter that Chief Red Head was requesting the opportunity  
23 to make a presentation at some point to the -- to the  
24 Board in respect of the mitigation costs that the Company  
25 is discussing now.

1 THE CHAIRPERSON: Is he still intending to  
2 do this?

3 MR. MICHAEL ANDERSON: If it's possible, I  
4 received a -- another -- he had expressed an interest  
5 because of the discussion that we've just had.

6 THE CHAIRPERSON: I'd encourage you to talk  
7 to Mr. Peters.

8 MR. MICHAEL ANDERSON: All right, I just  
9 had wanted to indicate that, so I won't -- I have no need  
10 to pursue that further now.

11  
12 CONTINUED BY MR. MICHAEL ANDERSON:

13 MR. MICHAEL ANDERSON: If we go to MKO-9,  
14 Mr. Cormie?

15 MR. DAVID CORMIE: Yes.

16 MR. MICHAEL ANDERSON: I don't intend to  
17 pursue this in the same detail I did the previous exhibit,  
18 but this forms the bookend on the water flow sequence,  
19 that we have been discussing, is that correct?

20 That operations then resumed as forecast in  
21 October/November, and that each of these charts begin to  
22 show additional releases coming out of storage on Southern  
23 Indian Lake and Lake Winnipeg, is that correct?

24  
25

(BRIEF PAUSE)

1                   MR. DAVID CORMIE: Well, this is the  
2 forecast that was prepared on October the 21st, and  
3 released to the public. And it shows our expected  
4 operations for that sixty (60) day period, starting  
5 October 21st.

6                   MR. MICHAEL ANDERSON: Thank you. I just  
7 wanted to confirm that what it does indicate is the  
8 resumption of releases, increases -- it shows increases in  
9 releases from Notogaea and Lake Winnipeg, showing the  
10 resulting changes in water levels at Footprint Lake, Split  
11 Lake and Cross Lake?

12                   MR. DAVID CORMIE: It just shows the  
13 forecast, sir.

14                   MR. MICHAEL ANDERSON: You're quite  
15 correct. Do these graphs represent, to your knowledge,  
16 what occurred in actual operations?

17                   MR. DAVID CORMIE: I believe they are  
18 fairly accurate with regard to the operation of the  
19 Churchill River diversion. I believe less water was  
20 released from Lake Winnipeg, than is shown, and so Cross  
21 Lake levels did not rise the extent that is shown in that  
22 forecast because we held back water -- to a greater extent  
23 than the -- the forecast indicates.

24                   MR. MICHAEL ANDERSON: Thank you, Mr.  
25 Cormie. And the releases that were being made from

1 Southern Indian Lake were justified on what market  
2 conditions and obligations; just in a general summary?  
3 What loads were you serving beginning in the middle of  
4 October, drawing on reserves in Southern Indian Lake?

5 MR. DAVID CORMIE: We were serving the --  
6 primarily the Manitoba load. I believe through the winter  
7 season we bought down the vast majority of our export  
8 obligations.

9 And so this operation was designed to  
10 ensure that the Manitoba load could be met as well as  
11 maintain our reservoir -- our energy in storage targets  
12 for the end of the fiscal year so that we would be able to  
13 continue to meet the power demand should the drought --  
14 continue in 2003/04 -- in 2004/05.

15 MR. MICHAEL ANDERSON: Thank you, Mr.  
16 Cormie. Now, if you could take, please, MKO Exhibit 10  
17 and MKO-11.

18

19 (BRIEF PAUSE)

20

21 MS. PATTI RAMAGE: Mr. Chair, if I could  
22 perhaps --

23 THE CHAIRPERSON: Please.

24 MS. PATTI RAMAGE: -- clarify, MKO-11 is -  
25 - is not an exhibit which has been prepared by Manitoba

1 Hydro in -- in the normal course of the hearing Manitoba  
2 Hydro is, at least, alerted to documents through the  
3 Information Request process or through Intervenor  
4 evidence.

5                   We've attempted, so as to move things  
6 along, deal with these documents that were not necessarily  
7 part of the process but at least Manitoba Hydro was  
8 familiar with.

9                   I'm putting out a caution that this is a  
10 National Energy Board document. I don't believe Mr.  
11 Cormie has -- has seen it before and Mr. Anderson may -- I  
12 guess I'm trying to go down the road of, I think it might  
13 be appropriate to ask Mr. Cormie if he even knows what  
14 this document is so we can deal with whether we want to  
15 proceed with this line of questions -- questioning.

16                   THE CHAIRPERSON: I think Mr. Anderson can  
17 make it clear to us fairly quickly as to what purpose he  
18 has for these and I grant what you say, that these weren't  
19 in the process up to now, but we can't have any assurance  
20 that Mr. Cormie or any other member of your Panel is going  
21 to react instantaneously to it.

22                   But in all fairness, I think Mr. Anderson  
23 can tell us how he intends to bring this into his cross-  
24 examination. Mr. Anderson...?

25                   MR. MICHAEL ANDERSON: Thank you, Mr.

1 Chair. There was an exchange by Mr. Peters which led to  
2 some discussion about various elements of export revenues  
3 calculations around the four (4) exhibits that are the  
4 source of MKO-10.

5 I made a caution and I appreciate Mr.  
6 Cormie's flexibility in terms of my general use of the  
7 information in respect of periodicity of certain costs.  
8 But clearly what's missing -- there was a request and some  
9 discussion about the demand component and I'll just  
10 explain because I recognize what the Board's disposition  
11 was on the specific values, but the exports and imports  
12 tables on Exhibit 10 are necessarily missing the demand  
13 value, as I understand the discussion with Mr. Peters.

14 So they understate both the export revenues  
15 and the import costs to the extent that they don't reflect  
16 the demand element of it.

17 I had, in reading the transcript, it  
18 appeared to me that it had been left, that tables  
19 providing the average demand information, in a form  
20 substantially -- similar to MH-14 and 15, would be filed  
21 as an undertaking response, as average numbers. But that  
22 the specific numbers would be filed in confidence with the  
23 Board.

24 So as I reviewed the transcripts and  
25 realized that these had not been filed and got --

1 collected the exhibits, it was my interest in trying to  
2 clarify with information available on the public record,  
3 what the complete number with demand was.

4           So, my first two (2) questions would have  
5 been or would be, just to confirm that these records are  
6 provided -- prepared by the National Energy Board from  
7 information provided by Manitoba Hydro, as part of their  
8 operations and their license requirements.

9           And two (2), to try to indicate whether the  
10 values for megawatt hours indicated on both this and MKO-  
11 12, in fact incorporate the demand component?

12           I'm just trying to compare all the  
13 documents that are provided in respect of costs. And Mr.  
14 Peters had spent some time pursuing that, and I was  
15 following that with great interest, Mr. Chair. And  
16 looking for what I thought was an undertaking providing  
17 average demand numbers, in a form substantially identical  
18 to Manitoba Hydro 14 and 15.

19           So, in my efforts to be assistive, I've  
20 prepared -- or obtained these documents from the National  
21 Energy Board site, providing records of their operations.

22           MS. PATTI RAMAGE: Just to clarify, it is  
23 not my understanding, and if a Member of my own Panel or  
24 someone else wishes to correct me on this, but it's not my  
25 understanding that Manitoba Hydro gave an undertaking to

1 file those average demand rates in the public forum.

2 THE CHAIRPERSON: Well, Mr. Anderson, if I  
3 may, what you're telling us is that you have, on your own  
4 initiative, located this information from the National  
5 Energy Board, and provided it to us as a contingent  
6 exhibit, to assist the Board in furthering its knowledge,  
7 if you like, of export and import prices over the period?

8 MR. MICHAEL ANDERSON: That's correct. The  
9 Chair may recall that I did interject during Mr. Peters'  
10 discussion on this, to indicate that in fact this  
11 information, at least in this form, was available on the  
12 public record on the National Energy Board. And I had  
13 made that point at that time.

14 THE CHAIRPERSON: Well, what I'm getting at  
15 directly, because you've put this in our hands, is in your  
16 line of cross-examination of Manitoba Hydro, given that  
17 you do not have the specifics, I'm just wondering how you  
18 intend to use this information in your cross-examination?

19 MR. MICHAEL ANDERSON: As I had indicated,  
20 Mr. Chair, to try to -- Mr. Cormie had indicated and  
21 cautioned us that there are exports in addition to those  
22 that go to the United States, for example, enter within  
23 Canada.

24 There is some information in the annual  
25 report as to the relative percentages of that, and

1 typically historically the last two (2) periods -- years  
2 of record, have been sixteen (16) and 18 percent, if I  
3 have the math right on that.

4           The object was to try to complete the other  
5 exhibits that had been filed, given that Manitoba Hydro's  
6 evidence was that there was missing a substantive --  
7 potentially substantial component of the -- of the price  
8 and cost.

9           There are four (4) exhibits, for example,  
10 as I indicated, or documents, that MH-10 was sourced from.  
11 So, my intent was to confirm that the information was  
12 provided by Manitoba Hydro to the National Energy Board,  
13 and that these documents reflect that information, and  
14 that the dollars per megawatt hour -- the question would  
15 be -- contain all those components of cross.

16           And that was essentially it.

17           THE CHAIRPERSON: Yes. Manitoba Hydro has  
18 met its obligations to supply in confidence, the  
19 additional information that we had requested. We need to  
20 think about this for a little while, so I think what we're  
21 going to do is we're going to have an early lunch. And  
22 if, you know, the parties don't mind, we will return at  
23 1:15 rather than 1:30, so we won't -- we won't lose any  
24 time by this.

25           MR. MICHAEL ANDERSON: I -- I would just

1 say that the record is -- is quite good. There's been a  
2 fair bit of exploration of this by many parties. The  
3 interrogatory responses and so forth.

4 My intent was to have the -- the numbers  
5 and provide an attribution as I've requested and then I  
6 can work on the math for -- that I need to do for my final  
7 argument, Mr. Chair. That's what I had in mind. Nothing  
8 more than just to confirm that, that's what they are.

9 THE CHAIRPERSON: No, I appreciate that  
10 Mr. Anderson. I think we just want to reflect a little  
11 bit on all this. So we'll see you all at 1:15, thanks.

12 MS. PATTI RAMAGE: Mr. Chair, before we  
13 break, Manitoba Hydro had a -- an undertaking that we  
14 thought we'd get out so that if any parties want to  
15 reflect on it over the lunch break.

16 THE CHAIRPERSON: Thank you, Ms. Ramage.

17 MS. PATTI RAMAGE: It will be the  
18 mysterious Exhibit 30.

19 THE CHAIRPERSON: I'm glad we filled in  
20 that place mark.

21 MS. PATTI RAMAGE: And it is Manitoba  
22 Hydro Undertaking Number 40, dealing with assuming a debt  
23 equity target of 75 percent to balance out the debt  
24 incurred by the purchase of Winnipeg Hydro. What would  
25 the equity of Manitoba Hydro need to be increased by.

1 That was the question it deals with.

2

3 --- EXHIBIT NO. MH-30: Response to Manitoba Hydro  
4 Undertaking Number 40

5

6 THE CHAIRPERSON: So that will be Exhibit  
7 30. Thank you very much. And we stand adjourned.

8

9 --- Upon recessing at 11:46 a.m.

10 --- Upon resuming at 1:18 p.m.

11

12 THE CHAIRPERSON: Okay, good afternoon  
13 everyone. Good afternoon. We adjourned with three (3)  
14 matters to consider related to Mr. Anderson's  
15 cross-examination and I'd like to speak to these matters.

16 With respect to a presentation by Chief  
17 Redhead, as suggested earlier, we would appreciate Mr.  
18 Anderson conferring as to possible times for the  
19 presentation with Mr. Peters.

20 We would be pleased to hear from the Chief.  
21 I am confident that Mr. Anderson will advise Chief Redhead  
22 as to the issues before the Board to assist the Board in  
23 preparing his presentation.

24 As to requiring Manitoba Hydro to provide  
25 for this Hearing, copies of communications to communities



1 the fall of 2003 through to  
2 and including fiscal 2003/04  
3

4 THE CHAIRPERSON: And please break down  
5 these payments into two (2) categories; required by  
6 contract, paid outside of contract.  
7

8 --- UNDERTAKING NO. 42: Manitoba Hydro to provide a  
9 breakdown of the payments in  
10 Undertaking No. 39 into two  
11 (2) categories; required by  
12 contract, paid outside of  
13 contract.  
14

15 THE CHAIRPERSON: Finally, with respect to  
16 conditional MKO Exhibits 11 and 12 and, by way, I note  
17 that Mr. Anderson has corrected his conditional 12 and  
18 replaced it with another document which I believe you all  
19 have.

20 Our understanding is that Mr. Anderson  
21 intends to utilize the information provided on these  
22 tables to improve his understanding of Hydro Exhibits 14  
23 and 15 and the overall issue of net export sales.

24 The issue of net export sales -- export  
25 sales, imported power purchases and the elements

1 comprising those sales and purchases are relevant to this  
2 Hearing.

3           Table 14 and 15 exclude demand charge  
4 information, both with respect to sales and purchase, and  
5 only by taking into account said charges can the  
6 information of Tables 14 and 15 be converted into a fuller  
7 understanding of net export sales revenue.

8           Accordingly, the Board sought a better  
9 understanding of the Corporation's 2003/04 export sales  
10 and purchases and sought and received, in confidence,  
11 information from Hydro that has met its needs.

12           In short, the Board does not require tables  
13 from the National Energy Board to reach the level of  
14 understanding required to reach conclusions with respect  
15 to the matters before the Board. That being said, we  
16 understand Mr. Anderson's desire to improve his  
17 understanding for the purposes of final argument.

18           And we understand that in the absence of  
19 the information we have received in confidence it would be  
20 difficult for Mr. Anderson to improve his understanding.  
21 We note that he has found publicly available National  
22 Energy Board information, that, in conjunction with  
23 Manitoba Hydro exhibits, could enhance his understanding  
24 and better equip his final argument.

25           We understand that Mr. Anderson intends to

1 cross-examine the Hydro Panel to assure himself as to the  
2 accuracy of the information contained in the tables.  
3 Accordingly, we will allow Mr. Anderson to seek  
4 confirmation from the Corporation as to the accuracy of  
5 these publicly available tables.

6           In doing so, we remind Mr. Anderson that  
7 we've accepted the Corporation's assertion that the  
8 information they have provided the Board in confidence  
9 should, in the public interest, remain in confidence.

10           We also remind Mr. Anderson that we are  
11 satisfied that the information provided by the Corporation  
12 to the Board, in confidence, is sufficient to allow us to  
13 meet our mandate.

14           Leaving aside the confidential material  
15 provided to the Board there has been sufficient  
16 information provided in this hearing to allow one to  
17 conclude that in 2003/04 the Corporation purchased more  
18 power than it had in the past, purchased more power than  
19 it sold, paid higher prices for the imported power and  
20 experienced a net deficit on export/import operations.

21           And that this experience arose as a result  
22 of the combination of a number of factors including the  
23 drought, the Corporation's operational decisions and  
24 changes in the energy markets. Mr. Anderson, you may seek  
25 to confirm whether the information contained in

1 conditional MKO Exhibits 11 and 12 are accurate.

2 Mr. Anderson...?

3 MS. PATTI RAMAGE: Mr. Chair, before we  
4 proceed, if I could -- four (4) undertakings have been  
5 distributed and perhaps we can get that on the record.

6 The first of which is identified as  
7 Manitoba Hydro Undertaking No. 31 dealing with EFT  
8 positions and I believe we are now at Exhibit 35.

9 THE CHAIRPERSON: So, Manitoba Hydro  
10 Undertaking 31 will be Exhibit 35?

11 MS. PATTI RAMAGE: Yes.

12 THE CHAIRPERSON: Sobeit.

13

14 --- EXHIBIT NO. MH-35: Response Manitoba Hydro  
15 Undertaking No. 31.

16

17 MS. PATTI RAMAGE: There is also Manitoba  
18 Hydro Undertaking No. 33; has that been distributed to the  
19 Board?

20 THE CHAIRPERSON: I think Mr. Barron is  
21 headed in our direction.

22 We have Manitoba Hydro Undertaking number  
23 33.

24 MS. PATTI RAMAGE: And that we suggest be  
25 Exhibit 36, and that deals with the question of adding

1 another column to IR-PUB-I-6-A and splitting out staff  
2 transfers.

3 THE CHAIRPERSON: Thank you.

4

5 --- EXHIBIT NO. MH-36: Response to Manitoba Hydro  
6 Undertaking No. 33.

7

8 MS. PATTI RAMAGE: The next document, which  
9 I believe Mr. Barron is assisting us in distributing,  
10 relates to Undertaking Number 4, and that is Manitoba  
11 Hydro Corporate Risk Management Report.

12 THE CHAIRPERSON: We have that, Ms. Ramage.  
13 So, would we entitle this one (1) Exhibit number 37?

14 MS. PATTI RAMAGE: And I should indicate,  
15 that as with the previous report, this report does not  
16 include the appendices.

17 THE CHAIRPERSON: Duly noted.

18

19 --- EXHIBIT NO. MH-37: Response to Manitoba Hydro  
20 Undertaking No. 4.

21

22 MR. BOB PETERS: Ms. Ramage, was that  
23 confirmed as Exhibit 37, Manitoba Hydro?

24 MS. PATTI RAMAGE: Yes. And then lastly,  
25 we have a document and the cover of it's dated June 7th,

1 2004, with the subject, Risk Management Process  
2 Assessment, and that is provided in response to  
3 Undertaking Number 20; it's the Deloitte Touche Study on  
4 Risk Management, and I suggest that be numbered number 38.

5 THE CHAIRPERSON: That's fine, number 38;  
6 Risk Management Assessment.

7

8 --- EXHIBIT NO. MH-38: Response to Manitoba Hydro  
9 Undertaking No. 20.

10

11 THE CHAIRPERSON: Thank you, Ms. Ramage.  
12 Mr. Anderson...?

13 MR. MICHAEL ANDERSON: Thank you, Mr.  
14 Chair.

15

16 (BRIEF PAUSE)

17

18 MR. MICHAEL ANDERSON: Thank you, Mr.  
19 Chair. MKO appreciates the Board's thoughtful  
20 consideration and its findings on the matters, and  
21 understands the Board's decision.

22 I can briefly indicate that in respect of  
23 Chief Redhead, I did consult over the lunch break, and if  
24 it is possible for the Board to accommodate a presentation  
25 on next Wednesday, which I believe would be the 30th, if I

1 have the math on that right, that would be suitable.

2 THE CHAIRPERSON: Mr. Peters...?

3 MR. BOB PETERS: Yes, I think we can fit  
4 that in. Is it at 1:00 -- after lunch, or what time of  
5 the day, Mr. Anderson, is your preference?

6 MR. MICHAEL ANDERSON: I've advised  
7 Chiefred Head of the nature -- rather fluid nature of the  
8 Proceedings, and he's at the Board's disposal at this  
9 time. So, whenever is the most convenient.

10 And I have briefed Chief Redhead already on  
11 the scope of these types of proceedings, in respect of  
12 comments he may wish to make.

13 MR. BOB PETERS: Then, Mr. Chairman, I  
14 suggest that I'll get back to Mr. Anderson with a  
15 definitive time, which will assist his presenter in being  
16 here. And I'll communicate that to him after today.

17 THE CHAIRPERSON: Thank you, Mr. Peters.  
18 Thank you, Mr. Anderson.

19 MR. MICHAEL ANDERSON: Thank you, Mr.  
20 Chair. So, I will proceed to the task in respect of  
21 confirmation, if possible, of MKO-11 and 12. And I did  
22 provide Mr. Cormie and Mr. Surminski with a copy of the  
23 exhibit that I had intended to provide.

24 If there's any other copies required by the  
25 Panel, I'd be happy to provide it. I've provided one (1)

1 to Mr. Warden and Ms. Ramage already.

2

3 CONTINUED BY MR. MICHAEL ANDERSON:

4 MR. MICHAEL ANDERSON: So, to ask the  
5 simple question then in respect of eleven (11), which I  
6 assume will -- will flow to twelve (12), Mr. Cormie or  
7 whoever is best to respond, the information that's  
8 provided on -- at Table 2A of MKO-11, can you confirm that  
9 the information as presented by the National Energy Board  
10 for the periods indicated, have been provided to the  
11 National Energy Board by Manitoba Hydro?

12 MR. DAVID CORMIE: For the licenses for --  
13 for which Manitoba Hydro -- which Manitoba Hydro holds,  
14 the energy and the revenues shown on the tables are --  
15 were submitted by Manitoba Hydro.

16 MR. MICHAEL ANDERSON: And then to go  
17 directly then to the request of the -- of the Board; you  
18 can confirm the accuracy of this information?

19 MR. DAVID CORMIE: Subject to check, I  
20 accept it as accurate.

21 MR. MICHAEL ANDERSON: Thank you, Mr.  
22 Cormie.

23 In respect of MKO-12, can you also confirm  
24 that, that information was -- in respect of any reference  
25 to Manitoba Hydro was provided by Manitoba Hydro to the

1 National Energy Board?

2 MR. DAVID CORMIE: I can only confirm that  
3 the energy and the revenue quantities are correct.  
4 Everything else is conclusions that the National Energy  
5 Board drew.

6 MR. MICHAEL ANDERSON: That's helpful.  
7 And to be specific, you mean their calculation of dollars  
8 in Canadian revenue, et cetera?

9 MR. DAVID CORMIE: And the footnotes.

10 MR. MICHAEL ANDERSON: Thank you.

11 MR. ROBERT MAYER: Mr. Cormie, do these  
12 tables -- I take it they deal with import and export  
13 across the US border only. Is that correct?

14 MR. DAVID CORMIE: That's correct.

15 MR. ROBERT MAYER: So, they don't include  
16 any inter-provincial export or import?

17 MR. DAVID CORMIE: That's correct.

18 MR. ROBERT MAYER: Do they include all of  
19 your Canada/US trade in energy?

20 MR. DAVID CORMIE: Yes, they do.

21 MR. ROBERT MAYER: Thank you, sir.

22

23 CONTINUED BY MR. MICHAEL ANDERSON:

24 MR. MICHAEL ANDERSON: I just note that  
25 the Witnesses were consulting. Do you have a

1 clarification that you wish to provide?

2 MR. DAVID CORMIE: No, I'm -- I'm fine.

3 MR. MICHAEL ANDERSON: Now, thank you for  
4 that.

5 In terms of the -- the -- this may have  
6 already been asked and answered. The -- if we look at  
7 MKO-11, and to the extreme right hand pair of columns  
8 where it shows Canadian dollars per megawatt hour, was  
9 this information provided to the National Energy Board by  
10 Manitoba Hydro?

11 MR. DAVID CORMIE: The National Energy  
12 Board calculated that.

13 MR. MICHAEL ANDERSON: All right. Thank  
14 you.

15 Setting aside the nature of their  
16 calculation based on using the numbers that were -- that  
17 are present, would these numbers also reflect and include  
18 any demand related charges?

19 MR. DAVID CORMIE: They do.

20

21 (BRIEF PAUSE)

22

23 The -- the issue here, Mr. Anderson, is  
24 that the footnote number two (2) says it excludes the  
25 capacity charge. And the -- the revenues that are stated

1 there include the demand charge. And so they've implied  
2 an energy charge that includes a demand charge and they've  
3 then -- so the table is -- is not correct. The footnote  
4 is wrong.

5 MS. PATTI RAMAGE: This -- this is where  
6 I'm going with, this presents a problem because right now  
7 Manitoba Hydro is attempting to decipher what calculations  
8 were made in this document to come to these conclusions.

9 And as we've seen, Mr. Cormie believes  
10 there is an error right in terms of the footnote. And I  
11 don't think it's appropriate for us to attempt to testify  
12 to what errors may or may not have been made in this  
13 document.

14 THE CHAIRPERSON: Unless Mr. Anderson can  
15 then otherwise prove the accuracy of the document, I don't  
16 suppose it -- I take it, it is your position that it can't  
17 be admitted?

18 MS. PATTI RAMAGE: That's correct.  
19

20 CONTINUED BY MR. MICHAEL ANDERSON:

21 MR. MICHAEL ANDERSON: The one (1) area  
22 that we had to the extent that the information can be  
23 utilized in permitting us to draw a further understanding  
24 of the material, the -- you had -- did reply to this at  
25 the beginning of my discussion on eleven (11), the

1 information that you confirm does reflect the information  
2 provided by Manitoba Hydro to the National Energy Board on  
3 MKO-11, Table 2, appears in what entries, Mr. Cormie?

4 I apologize, you did answer the question I  
5 just want to reconfirm, because I've probably clouded the  
6 record somewhat.

7 MR. DAVID CORMIE: Manitoba Hydro provides  
8 the energy -- monthly energies and the monthly revenues to  
9 the National Energy Board.

10 MR. MICHAEL ANDERSON: So, in respect of  
11 the columns identifying energy and revenue, the table is  
12 correct?

13 MR. DAVID CORMIE: Yes.

14 MR. MICHAEL ANDERSON: I would propose to  
15 Mr. Chair, that that would be acceptable for us to use  
16 those columns that have been confirmed, for whatever  
17 analysis we may continue on our own?

18 THE CHAIRPERSON: I think you've succeeded  
19 to the degree that you've been able to.

20 MR. MICHAEL ANDERSON: All right. But then  
21 I would just like that they be included with that proviso.

22 To the extent that the Manitoba Hydro has  
23 confirmed that is their information, I'd like to proceed  
24 with the use of it in my final argument, Mr. Chair.

25

1 (BRIEF PAUSE)

2  
3 MR. MICHAEL ANDERSON: If that's  
4 acceptable?

5 THE CHAIRPERSON: Yes.

6 MR. MICHAEL ANDERSON: Thank you.

7  
8 CONTINUED BY MR. MICHAEL ANDERSON:

9 MR. MICHAEL ANDERSON: Thank you, Mr.  
10 Cormie, for that. I'd like to turn on then to my final  
11 area of the inquiry.

12 If we look in the Application, Volume I,  
13 there appear at page 4 and 5 of 7 at Tab 7, Figure 7.31  
14 and 7.32. Figure 7.31 is precipitation percent of normal,  
15 for winter 2002/03 and a similar map identifying  
16 polygonized areas of precipitation percent of normal for  
17 spring and summer of 2003.

18 MS. PATTI RAMAGE: Mr. Anderson, again, the  
19 reference, I'm sorry, I've got --

20 MR. MICHAEL ANDERSON: Absolutely, I'd be--

21 MS. PATTI RAMAGE: -- spoiled by the tabs.

22 MR. MICHAEL ANDERSON: -- yeah, Volume I of  
23 the Rate Application, Tab 7, pages 4 and 5 of 7, and they  
24 are two (2) coloured figures.

25 These are the Manitoba Hydro's figures I'm

1 going to first.

2 MS. PATTI RAMAGE: Thank you, Mr. Anderson.

3 MR. MICHAEL ANDERSON: You're welcome.

4 MR. DAVID CORMIE: Yes, I have those.

5

6 CONTINUED BY MR. MICHAEL ANDERSON:

7 MR. MICHAEL ANDERSON: And you -- Manitoba  
8 Hydro, by filing these, accepts that the information in  
9 them is -- depicts the circumstances as Manitoba Hydro  
10 understood it, for its planning operations; any other use  
11 it may use this information for?

12 MR. DAVID CORMIE: It reflects what  
13 happened, yes.

14 MR. MICHAEL ANDERSON: Okay. And the  
15 source of this information as indicated, can you confirm,  
16 is Manitoba Water Resources Branch?

17 MR. DAVID CORMIE: That's what it says,  
18 yes.

19 MR. MICHAEL ANDERSON: Okay. So, what use  
20 would Manitoba Hydro make of this particular information?

21 MR. DAVID CORMIE: It's a good summary of  
22 the precipitation conditions over the winter of 2002/03.

23 MR. MICHAEL ANDERSON: Would you use this  
24 information from this source as part of your operations  
25 planning?

1 MR. DAVID CORMIE: Planning is a forward  
2 looking activity, this is an after-the-fact review of what  
3 -- what actually happened.

4 We -- we use it to the extent that we have  
5 to explain why there's no water in the rivers and the  
6 reason there's no water in the rivers is it was -- it was  
7 a very dry year. And this table provided by an  
8 independent agency demonstrates that.

9 MR. MICHAEL ANDERSON: Depending on the  
10 date of -- of the table though, given the -- the -- you  
11 agree though that precipitation that occurs throughout the  
12 watershed is not instantaneously available to Manitoba  
13 Hydro?

14 Essentially, that there is a period of time  
15 from with -- following precipitation that it becomes  
16 available to Manitoba Hydro through movement through the  
17 water sheds into its system?

18 MR. DAVID CORMIE: In -- in our  
19 operational planning process, we are making assumptions  
20 about how bad things could be and hoping that things will  
21 be better than that.

22 And that was the case last year, that we're  
23 guarding a -- a position in order to ensure that there  
24 would be an adequate supply of water and -- and at the end  
25 of the year our plans were shown to be prudent and

1 appropriate given that we did end up with the third lowest  
2 flows on record.

3                   This chart just indicates why the river  
4 flows were so low. And it indicates that there was a lack  
5 of precipitation across the -- across the watersheds.

6                   You're correct in that we don't have a  
7 complete and accurate information about how much rain is  
8 falling on -- on any particular day but we're doing  
9 planning for the entire year and any particular day's  
10 rainfall event does not change -- necessarily change our  
11 operations unless the rainfall is so dramatic, like  
12 occurred in the spring of 2002, that -- that it -- that it  
13 becomes very obvious that conditions have changed.

14                   There is a delay in the time between the  
15 actual rainfall and the runoff and I accept that.

16                   MR. MICHAEL ANDERSON: Thank you, Mr.  
17 Cormie.

18                   If we could turn then to MKO-7. You can --  
19 I -- you confirm that this shows percent of average  
20 precipitation in a much more recent timescale between  
21 September 1, 2003 to June 18, 2004?

22                   MR. DAVID CORMIE: I can confirm that,  
23 yes.

24                   MR. MICHAEL ANDERSON: And so would the  
25 information depicted in this, given that it is more

1 recent, be of value to providing information to you for  
2 your operations planning?

3 MR. DAVID CORMIE: No, again, it's  
4 retrospective. It looks back over the last nine (9)  
5 months and says this what's -- what has happened.  
6 Operational planning is looking forward, saying what's  
7 going to happen over the next year.

8 And -- and, you know, and again this is a -  
9 - this chart shows what's happened, on average, over the  
10 last nine (9) months but it neglects the fact that most of  
11 this rainfall occurred subsequent to March the 28th and  
12 prior to that, this picture wasn't representative of what  
13 -- of -- of conditions at all.

14 MR. MICHAEL ANDERSON: The -- on this  
15 particular chart, does this depiction here indicating  
16 above average and well above average rainfall in the  
17 Reindeer Lake system concur with your current  
18 understanding of precipitation in that region?

19 MR. DAVID CORMIE: The -- there are only  
20 two (2) stations in that region; one (1) at Collins Bay  
21 and one (1) at Cree Lake. And the authors of this  
22 document take quite -- are very liberal in their  
23 interpretation of what conditions are over the northern  
24 part of Saskatchewan/Manitoba based upon those two (2)  
25 readings.

1                   So, it's someone's interpretation of what's  
2 happened. I believe that the only places that it really  
3 -- it is accurate is at the two (2) stations at Cree Lake  
4 and Collins Bay.

5                   MR. MICHAEL ANDERSON: Using those as  
6 examples, and I don't intend to really pursue this in a  
7 great deal of detail, are there other sources of  
8 information, other than those stations that Manitoba Hydro  
9 would derive information from to determination  
10 precipitation and outlooks for Reindeer Lake and Reindeer  
11 River?

12                   MR. DAVID CORMIE: Manitoba Hydro does not  
13 put a lot of confidence -- doesn't -- doesn't put a lot of  
14 confidence in weather forecasts and we don't rely on  
15 weather forecasts in making our operational decisions  
16 especially when it comes to protecting against drought.

17                   And ten (10) weather forecasters will give  
18 you ten (10) different forecasts and my review of their --  
19 of any of the forecaster's skill is, it's not much better  
20 than chance. So, it's not a very useful --

21                   MR. ROBERT MAYER: Or the decisions of  
22 this Board.

23                   MR. DAVID CORMIE: However, I can't speak  
24 for that, Mr. Mayer. But, we can't hope that it's going  
25 to rain and -- and we can't hope that the weather forecast

1 will be right. And -- and we have to be very careful to,  
2 under drought conditions, to guard against the worst case  
3 and hope that the forecasters are right that precipitation  
4 will be normal.

5           But there was -- the forecasters have no  
6 skill. They have no skill for predicting the weather  
7 three (3) or four (4) days from now. They have no --  
8 absolutely no skill predicting what the water supply will  
9 be eight (8) or nine (9) months from now.

10           So, Manitoba Hydro does not rely on -- on  
11 forecasters' ability to predict precipitation and would  
12 rather rely on the historical range of possible conditions  
13 in order to guard its position.

14           MR. ROBERT MAYER:     Panel's voting for the  
15 Farmer's Almanac, Mr. Cormie.

16

17 CONTINUED BY MR. MICHAEL ANDERSON:

18           MR. MICHAEL ANDERSON:   I thank you for  
19 your discussion of the confidence that Hydro places in  
20 forecasters and make -- only make the note with respect to  
21 both MKO-8 and seven (7) that they actually, as you  
22 indicated, are retrospective as of -- up to June 18th,  
23 2004 and show, to the limitations that the data sources  
24 are precipitation and percent of average precipitation and  
25 they're not forecasts; is that correct?

1                   MR. DAVID CORMIE:    They are not forecasts.  
2 They are just showing what happened over that period of  
3 time as an average.  And, as I indicated before, you can  
4 have three (3) numbers, zero (0), zero (0) and ten (10),  
5 the average is three (3).  Well, not one of those events  
6 is three (3).

7                   And so averages can be misleading.

8                   MR. MICHAEL ANDERSON:   I suppose we would  
9 apply then the same caution in looking at the historic  
10 record at seven three one (731) -- figures 731 and 732?

11                   MR. DAVID CORMIE:    The -- the -- the issue  
12 here is whether Manitoba Hydro relies on these in making  
13 its operational decisions.  These are interesting graphics  
14 after the fact.  They explain what happened.  But they are  
15 not useful from a planning perspective.

16                   MR. MICHAEL ANDERSON:   Thank you.  If I  
17 could go to MKO-13 which is a sample of information  
18 provided by the Lake of the Woods Control Board.  You'll  
19 notice at the extreme upper right-hand corner that this  
20 one was issued June 22nd, 2004?

21                   MR. DAVID CORMIE:    Yes, I have that.

22                   MR. MICHAEL ANDERSON:   And does Manitoba  
23 Hydro incorporate this information into its operations  
24 planning?

25                   MR. DAVID CORMIE:    Manitoba Hydro does its

1 own forecasting for the Winnipeg River.

2 MR. MICHAEL ANDERSON: Does the  
3 information depicted in -- on these three (3) graphs  
4 conform with Manitoba Hydro's understanding of the current  
5 water flows -- volumes of flow on the Winnipeg River  
6 through locations identified?

7 MR. DAVID CORMIE: I believe these are  
8 accurate rep -- representations of what has happened in  
9 the past, yes.

10 MR. MICHAEL ANDERSON: And can you  
11 describe what these three (3) graphs indicate?

12 MR. DAVID CORMIE: They indicate that --  
13 the first chart indicates the flow of the river -- the  
14 Winnipeg River at Slave Falls.

15 It shows that through the fall of 2003  
16 river flows were in the lower decile range and that  
17 through December/January they became more quartile  
18 conditions. They remained lower quartile conditions until  
19 the middle of March of 2004.

20 From the middle of March 2004 to the middle  
21 of May 2004 they were below average -- slightly below  
22 average. And then in response to significant rainfall  
23 events in the Winnipeg River watershed flows in the  
24 Winnipeg River have made a dramatic improvement from mid-  
25 May to -- and towards the end of June.

1                   And now we're into -- inflow conditions  
2 that we would see less than 10 percent of the time. Very  
3 high flows on the Winnipeg River.

4                   MR. ROBERT MAYER:    Is there any particular  
5 relevance to Slave Falls, Nutimick Lake and Seven Sisters  
6 as opposed to Point du Bois and Pine Falls?

7                   MR. DAVID CORMIE:    Well, Slave Falls is  
8 the official water survey of Canada gauge on the Winnipeg  
9 River. Nutimick Lake is a lake that has -- it -- it has  
10 quite a bit of cottage development around the lake and  
11 Manitoba Hydro established a water level gauge on that  
12 lake to give cottage owners an indication of what types of  
13 water levels they had seen in the past and what they might  
14 expect in the future.

15                   And Seven Sisters is one of Manitoba  
16 Hydro's generating stations and we believe it is the best  
17 indicator of the flow on the river rather than at Slave  
18 Falls. And so that's included as well.

19                   MR. ROBERT MAYER:    Is Nutimick Lake part  
20 of the Winnipeg River or is it -- I can't believe you've  
21 got -- you've got flow right through there, I understand  
22 that to be a piece of the White Shell but I don't much  
23 understand the White Shell.

24                   MR. DAVID CORMIE:    Yes, there are several  
25 lakes that form a chain of lakes upstream of Seven Sisters

1 including Nutimick, Dorothy, McMarger (phonetic), Sylvia  
2 and several others that -- that -- that form of chain of  
3 lakes through which the Winnipeg River flows.

4

5 CONTINUED BY MR. MICHAEL ANDERSON:

6 MR. MICHAEL ANDERSON: And in -- in terms  
7 of the table that we were discussing earlier regarding  
8 dependable energy on the -- in the various watersheds  
9 relied upon by Manitoba Hydro which appears at PUB/MH-I-  
10 82(a), page 2 of 4; what would this information do to the  
11 numbers that appear for the gigawatt hour potential for  
12 the Winnipeg River?

13 MR. DAVID CORMIE: As I indicated earlier  
14 in this hearing, water conditions in Eastern Manitoba and  
15 Northwest Ontario have improved dramatically over the last  
16 several months and it's unlikely that we will face the  
17 risk of drought conditions in those watersheds this year  
18 due to the -- the high flows that we are experiencing now.

19 And so, Winnipeg River generation will be  
20 higher than the dependable amount this year with almost  
21 certainty.

22 MR. MICHAEL ANDERSON: And this -- the  
23 second column of the table was average. Will it be, with  
24 certainty, better than average?

25 MR. DAVID CORMIE: I don't know if that's

1 a certainty at this time yet.

2 MR. MICHAEL ANDERSON: Thank you, Mr.  
3 Cormie. I'd like now to go to MKO-14 which are the  
4 current tables, very similar to ones I prepared earlier;  
5 currently as posted on Manitoba Hydro's web site for  
6 forecast water conditions.

7 MR. DAVID CORMIE: Yes.

8 MR. MICHAEL ANDERSON: And these, although  
9 their start dates vary depending on the table, they're all  
10 for the period ending July 31, 2004; is that correct?

11 MR. DAVID CORMIE: That's correct.

12 MR. MICHAEL ANDERSON: And as a  
13 housekeeping matter, I noticed that Southern Indian Lake  
14 and Footprint Lake are as of May 27th and Split Lake,  
15 Cross Lake and Cedar Lake are as of June 8th. I just --  
16 can you please clarify why that would be.

17 MR. DAVID CORMIE: The forecast for the  
18 Churchill River are done at a different time than the  
19 forecast for the -- the Nelson -- Nelson River and become  
20 inputs into the Nelson River forecast.

21 So, Southern Indian Lake, Footprint Lake  
22 and all the other lakes that -- and rivers that form the  
23 Churchill River diversion, that, that forecast was updated  
24 last on May the 27th. And the forecast for the Nelson  
25 River was updated last on -- on June the 8th.

1                   And so the information that Manitoba Hydro  
2 posts on the website reflects the most up to date  
3 forecasts that are available for each of those locations.

4                   MR. MICHAEL ANDERSON: Thank you. I  
5 guess, the charts say what they do. I appreciate that.  
6 Thank you.

7                   The one (1) for -- if we just go through  
8 them in brief summary. I - I take your comments about  
9 information provided -- providing retrospective  
10 information, but this is Manitoba Hydro's current best  
11 view of the reservoirs that are identified in these six  
12 (6) charts, over the forecast period identified?

13                   MR. DAVID CORMIE: That -- that -- they --  
14 they show our best estimate of -- of conditions, yes.

15                   MR. MICHAEL ANDERSON: And unlike the  
16 forecasts of weather people, you do rely upon and operate  
17 according to these forecasts?

18                   MR. DAVID CORMIE: The -- about 95 percent  
19 of the flow that goes down the Nelson River and almost 99  
20 percent of the flow that goes down the Burntwood River, is  
21 under the control of Manitoba Hydro because it operates  
22 the control structures at -- at Notigi and at Jenpeg.

23                   And so, as long as we do what we say we're  
24 going to do, the water levels will be what they will --  
25 will be as forecast.

1                   And -- and so there's -- there's only a  
2 very small portion of the flow that is not subject to our  
3 control. And whether it rains or not in the local basin  
4 may cause the water levels to be slightly higher or  
5 slightly lower.

6                   And so, as long as we don't change our mind  
7 and -- and operate according to the schedules that were  
8 set in at the time this forecast was prepared, these --  
9 these forecasts will be accurate.

10                   We put a range of about a foot around those  
11 forecasts to indicate that to the user of the forecast,  
12 the conditions may change over the next sixty (60) days to  
13 the extent that Manitoba Hydro may change its mind and  
14 either increase or decrease the flows from the control  
15 structures.

16                   But -- so, that -- that's the uncertainty  
17 there is -- is whether Manitoba Hydro behaves as it's  
18 forecast to do.

19                   MR. ROBERT MAYER:    Mr. Cormie, 1 percent  
20 of the flow down the Burntwood River is natural flow? And  
21 the other 99 percent is controlled flow?

22                   I'm having some problem with that because  
23 if I calculate your maximum flow down the Burntwood/  
24 Nelson, sorry, the Burntwood River at thirty-five thousand  
25 (35,000) CFS, which is I think the evidence we've heard,

1 that would have made the natural flow of the Burntwood  
2 about three hundred and fifty (350) CFS, and I thought it  
3 was closer to twelve hundred (1200), but...

4 MR. DAVID CORMIE: I -- I think I probably  
5 exaggerated there. You're right Mr. Mayer. There is --  
6 it's -- it's probably more like 5 percent, yes.

7 The -- the point is that the vast majority  
8 of the flow in these rivers is under Manitoba Hydro's  
9 control.

10 MR. ROBERT MAYER: I understand. It just  
11 surprised me that the number would have been that low.

12 MR. DAVID CORMIE: In the winter time  
13 there will be very little natural runoff. Most of the  
14 flow will be a regulated flow.

15

16 CONTINUED BY MR. MICHAEL ANDERSON:

17 MR. MICHAEL ANDERSON: So, on an average  
18 basis, just as a question, it would be closer to the one  
19 (1) than the 5 percent? Given that the Burntwood River is  
20 -- when it serves as the channel for diverted water, is  
21 operating mainly later in the season during freezing  
22 conditions?

23 MR. DAVID CORMIE: Well, this spring there  
24 was very little local runoff in the north because of the  
25 lack of snow melt runoff and the delay in the -- in the --

1 in the melt.

2 So, it would be a very, very small  
3 percentage. It would be very close to being 99 percent.  
4 Once we get into the rainfall season starting about mid-  
5 May then the percentage will -- of -- of local flow will  
6 go up.

7 And -- and it'll be -- but on average, I  
8 think Mr. Mayer is correct, five percent is probably a  
9 better number.

10 MR. MICHAEL ANDERSON: All right. Thank  
11 you. The current table for Southern Indian Lake; could  
12 you confirm that it depicts a -- an operation at the  
13 present time to, if we combine that with the information  
14 for Footprint Lake, that at the present time you're  
15 storing water in Southern Indian Lake?

16 MR. DAVID CORMIE: That's correct.

17 MR. MICHAEL ANDERSON: And it -- at the  
18 present time it's forecast to be close to -- to nearly  
19 achieve its twenty-six (26) year average level on Southern  
20 Indian Lake?

21 MR. DAVID CORMIE: Extrapolating from the  
22 graph, it would reach that mid-August.

23 MR. MICHAEL ANDERSON: And I -- this chart  
24 doesn't show it, but can you confirm that several segments  
25 of the historic -- the actually recorded and forecast line

1 are within the 50 percentile of occurrence in terms of the  
2 elevation?

3 MR. DAVID CORMIE: I would -- I can  
4 confirm that it's within the normal range, yes.

5 MR. MICHAEL ANDERSON: Thank you, very  
6 much. In terms of then moving on and, as I'd already  
7 indicated, the levels at Footprint Lake reflect reduced  
8 outflows from Notigi as a result of the storage  
9 operations?

10 MR. DAVID CORMIE: That's correct.

11 MR. MICHAEL ANDERSON: Okay. Moving on to  
12 Split Lake; the recorded level is at the twenty-six (26)  
13 year average and the forecast is exceeding the twenty-six  
14 (26) year average. Is that correct?

15 MR. DAVID CORMIE: That's correct.

16 MR. MICHAEL ANDERSON: That would reflect  
17 releases from Lake Winnipeg?

18 MR. DAVID CORMIE: It does.

19 MR. MICHAEL ANDERSON: And then if we move  
20 to the chart at the top of the next page for Cross Lake,  
21 similar to our discussion earlier today and -- and  
22 currently right now the --

23 MR. ROBERT MAYER: Before we -- before you  
24 leave Split Lake, Mr. Anderson; is that flow coming out of  
25 Jenpeg, is that required for generation or did you have

1 some requirement to get some of that, what appeared to be,  
2 relatively high flood water out of -- out of Lake  
3 Winnipeg?

4 MR. DAVID CORMIE: We are not operating  
5 Lake Winnipeg for flood control at this time, Mr. Mayer.

6

7 CONTINUED BY MR. MICHAEL ANDERSON:

8 MR. MICHAEL ANDERSON: I thank you for  
9 that question. I just pulled it off my list of things to  
10 inquire about, Mr. Mayer. The Board's interventions have  
11 been very helpful this morning to me, and this afternoon.

12 In respect of Cross Lake, it does show then  
13 levels above the twenty-six (26) year average as a result  
14 of releases from Lake Winnipeg; both recorded and  
15 forecast?

16 MR. DAVID CORMIE: It does, yes.

17 MR. MICHAEL ANDERSON: And the 2003/04  
18 Lake Winnipeg elevation that we see immediately below  
19 that, from a planning perspective for hydraulic operations  
20 for the period up to August 1st of this year means exactly  
21 what to you?

22 Can you translate this particular line and  
23 series of elevations in terms of an operational  
24 consideration?

25 MR. DAVID CORMIE: I'm not clear on what

1 your question is.

2 MR. MICHAEL ANDERSON: If we jump back to  
3 MKO-5 and compare the two (2) graphs; the Lake Winnipeg  
4 elevation for 2002/03 through November 1st, 2003 and then  
5 compare it to the same elevation in MKO-14.

6 You -- you can confirm please, Mr. Cormie,  
7 that the elevation lines on the two (2) graphs actually  
8 overlap each other, so they provide a continuum from  
9 November 1st, 2002 to August 1st, 2004?

10 MR. DAVID CORMIE: Yes.

11 MR. MICHAEL ANDERSON: Thank you. And that  
12 as discussed in filings and elsewhere, the Lake Winnipeg  
13 elevation graph in MKO-5 indicates very low operating  
14 levels on -- very low elevations on Lake Winnipeg?

15 MR. DAVID CORMIE: Last winter, yes.

16 MR. MICHAEL ANDERSON: And that the Lake  
17 Winnipeg elevation graph on MKO-14, shows a marked  
18 improvement of that elevation?

19 MR. DAVID CORMIE: That's correct.

20 MR. MICHAEL ANDERSON: And so from an  
21 operational perspective, what does this additional water  
22 do for Manitoba Hydro?

23 MR. DAVID CORMIE: The additional water  
24 that's in storage is -- is water that's available for  
25 generation at the hydraulic plants at a future date, and -

1 - and is being held in storage for -- for that -- for that  
2 purpose, to avoid the possibility of very expensive non-  
3 hydraulic generation, or to take to the export market,  
4 depending upon whether it continues to rain, or it turns  
5 dry and -- and in order to meet the future requirements of  
6 the power system.

7 MR. MICHAEL ANDERSON: Thank you, Mr.  
8 Cormie. If we -- now to the graph that I've added  
9 relative to MKO-5, for Cedar Lake, similarly this shows  
10 recorded in the forecast levels for Cedar Lake that are --  
11 that exceed the twenty-six (26) year average?

12 MR. DAVID CORMIE: That's correct.

13 MR. MICHAEL ANDERSON: And in that we had a  
14 discussion of the western watersheds being relatively dry;  
15 can you explain how Manitoba Hydro's achieved this  
16 elevation on Cedar Lake?

17 MR. DAVID CORMIE: Manitoba Hydro chose not  
18 to draw Cedar Lake down last year. And to maintain a  
19 portion of its energy reserves in Cedar Lake. The farther  
20 up the hill you can keep your water reserves, the more  
21 energy potential they have. And -- and that's what we  
22 chose to do this last winter, is to -- to hold the level  
23 of Cedar Lake at -- at the levels that you see on that  
24 graph.

25 And in spite of having very low flows, we

1 still have a relatively good storage position on -- on  
2 Cedar Lake.

3 MR. MICHAEL ANDERSON: Would you agree that  
4 we're in a relatively good storage position on all three  
5 (3) major reservoirs at Southern Indian Lake, Lake  
6 Winnipeg and Cedar Lake?

7 MR. DAVID CORMIE: Overall the state of the  
8 storage in the power system is near normal, considering  
9 that there are eighteen (18) reservoirs in the watershed  
10 and more than just those three (3). And that's why I  
11 indicated to the Board in my -- in my direct evidence,  
12 that we were confident that we would achieve our net  
13 export revenues that were in the forecast.

14

15 (BRIEF PAUSE)

16

17 MR. MICHAEL ANDERSON: You'd indicated,  
18 this morning, that when -- in my questions regarding PUB-  
19 MH-I-28-D, for in Delta, regarding flow related production  
20 revenue and costs, that these analysis are done in effect,  
21 dynamically, as water conditions evolve; is that correct?

22 MR. DAVID CORMIE: You're talking about the  
23 long term forecast in the IFF?

24 MR. MICHAEL ANDERSON: I am not at this  
25 present time. I'm asking whether or not that the -- the

1 storage situation that appeared -- that we've just  
2 discussed in MKO-14, that your analysis of flow related  
3 production revenue and costs has -- you have an analysis  
4 that incorporates the current circumstances shown on the  
5 graphs in MKO-14?

6 MR. DAVID CORMIE: What's the reference  
7 again?

8 MR. MICHAEL ANDERSON: Sure. I was  
9 referring to PUB/MH-1-28(d). We had a discussion this  
10 morning about your planning.

11 MR. DAVID CORMIE: And as we've indicated  
12 earlier, the first year of the forecast and -- and our  
13 current operations are -- are based upon our best estimate  
14 of the current water supply conditions. And reflect the  
15 current status reservoir storage, plus the state of all  
16 the rivers then flow into the reservoirs.

17 As we go out farther, the second year of  
18 the forecast is based on pure median inflows adjusting for  
19 storage effects.

20 And then for the third year onward, the  
21 forecast is based on the average of all eighty-six (86)  
22 flow conditions. And -- and it has very little to do with  
23 the current state of the power system.

24 MR. MICHAEL ANDERSON: Thank you. That  
25 was essentially what I'm interested in right now.

1                   You -- however, the -- in terms of  
2 determining -- as -- as you described it on the June 15th  
3 in the reference that I came to earlier, about maximizing  
4 the financial position. It is generated using computer  
5 models that maximize the profit of the Corporation over  
6 the planning period.

7                   And in this reference, Mr. Cormie, I refer  
8 you to page 330 of the transcript of June 15th. And I'll  
9 just read. And this is what I was really getting to:

10                   "We go through an operation planning  
11 process that involves preparing an  
12 operating plan for the power system as  
13 much as a year long and then we update  
14 that plan weekly. And weekly updates  
15 are necessary because the power system  
16 conditions are constantly changing;  
17 rainfall, markets, maintenance,  
18 contracts are being negotiated."

19                   So, my earlier question was that this  
20 analysis is dynamic and reflects currently changing  
21 conditions, basically at all times; Manitoba Hydro's  
22 annual operating cycle. Is that correct?

23                   MR. DAVID CORMIE: Yes, that's right.

24                   MR. MICHAEL ANDERSON: And in addition to  
25 the reservoir forecasts that are shown on MKO-14, you also

1 have the modelling done for maximizing the revenues as a  
2 result of the water reservoir conditions that we've just  
3 discussed?

4 MR. DAVID CORMIE: Yeah, there -- there  
5 are many inputs to the -- the modelling. They include the  
6 water supply forecast, the load forecasts, the market  
7 conditions. Also our need to ensure that public safety is  
8 maintained at all times, that reliability is ensured and  
9 our citizenship obligations are -- are met.

10 Having laid out all those constraints, then  
11 we try and achieve that at least cost, or at maximize  
12 profit. And that optimization recognizes that these all  
13 are -- all these other obligations are constraints. And  
14 we're not trading off safety versus economics. We --  
15 safety is a given. License conditions are a given. Our  
16 obligations under our -- our agreements with communities  
17 are a given. They must be met.

18 But we have flexibility in meeting those  
19 and we want to operate the power system in a way that  
20 meets them at -- at maximum profit.

21 So, any addition to that, we have  
22 discussions with those people in Manitoba Hydro who are  
23 involved with the communities and have a direct knowledge  
24 of the impacts and there are some issues that we don't  
25 model in -- in the process and they need to be considered.

1                   And -- and that's why we have production  
2 planning meetings that involve people from all areas of  
3 the company that have the stakeholder issues close to  
4 their, you know, that's -- that's their responsibility.

5                   And we temper our operations based upon  
6 those -- those concerns.

7                   And -- and a good example of that was when  
8 we made the decision to reduce the outflows from Lake  
9 Winnipeg last summer, and the effects on Split Lake.

10                   The people who were knowledgeable about  
11 those effects, who were in contact with the community, who  
12 had the relationships, were at the table, and understood  
13 the issues and made us aware, as operators, of the  
14 implications of our decisions and -- and we were able to  
15 provide them a forecast so that the necessary  
16 communication and advisories could be made to the public.

17                   MR. MICHAEL ANDERSON: Thank you for adding  
18 that additional information regarding my questions about  
19 Split Lake.

20                   If -- if we could finally now, with this  
21 information, turn back to one (1) of my -- the electricity  
22 forecast IFF, and it's MH-03-1; it's in Volume II of the  
23 appendices. It was marked page 32.

24                   Excuse me, I hope that didn't catch anybody  
25 wearing an earphone.

1 (BRIEF PAUSE)

2

3 MR. DAVID CORMIE: Can I get that reference  
4 again?

5 MR. MICHAEL ANDERSON: Sure. It's in the  
6 Application, Volume II Appendices. It's at the Tab which  
7 is marked Electricity Forecast, MH-03-01. And it's the  
8 one (1), two (2), third page in; page numbered, lower  
9 right hand corner, 32.

10

11 (BRIEF PAUSE)

12

13 MR. DAVID CORMIE: Yes, we have that.

14 MR. MICHAEL ANDERSON: Okay. Taking into  
15 account the discussion that we've just had regarding PUB-  
16 MH-I-28, and the IFF planning process, which is where I  
17 was going, with the questions, you would confirm that the  
18 forecast for the year ending 2005, no longer reflects the  
19 current circumstances the Corporation is facing in its  
20 hydraulic operations?

21 MR. DAVID CORMIE: We believe that our best  
22 estimate is that the net export revenue indicated in  
23 '04/'05 is still -- aligns with our expectation for this  
24 year.

25

MR. MICHAEL ANDERSON: I -- subject of

1 course to a review of the transcript, my recollection --  
2 my note anyway, was that you were confident that the  
3 export forecast -- the extra-provincial revenue would be  
4 achieved?

5 MR. DAVID CORMIE: The net extra-provincial  
6 revenue would be achieved.

7 MR. MICHAEL ANDERSON: Is it based on the  
8 information that you have and the dynamic analysis that we  
9 discussed in the transcript reference, that you're --  
10 currently your expectation that this will now be exceeded?

11 MR. DAVID CORMIE: I indicated that we are  
12 -- we believe that net export revenue will be as forecast.  
13 The -- we believe that extra-provincial revenue will be  
14 higher than forecast. We believe that our power purchase  
15 and fuel costs will be higher, but the net -- the  
16 difference between the four fifty-one (451) and the 106  
17 million is -- is our best -- still our best estimate, and  
18 -- and recognizing current condition.

19 MR. MICHAEL ANDERSON: And though -- and  
20 though you have discussed this before and just so that I'm  
21 clear on it, although we are anticipating an improvement  
22 in extra-provincial revenue, based on the current  
23 reservoir conditions that we've just described as being  
24 near normal, why would fuel and power purchase not be  
25 adjusted downward, as a result of that?

1                   MR. DAVID CORMIE: Well, a large portion of  
2 the fuel and power purchases are those that we make in the  
3 off-peak to resell into the on-peak when off-peak market  
4 has moved up in step with the on peak market so, that the  
5 differentials are still there. And so we will still  
6 continue to purchase off-peak, to resell then to the on-  
7 peak.

8                   So, our revenues will go up and but our  
9 costs will also go up. And in addition to that, we have  
10 some significant costs that have been incurred through  
11 April and May, that -- that will hit -- still have to be -  
12 - we're -- we're above forecast for the first two (2)  
13 months of the year.

14                   So, those costs are -- have to be paid, and  
15 -- and they will offset some of the additional revenues  
16 that we will generate, due to the improved flow conditions  
17 that we're seeing now.

18                   MR. MICHAEL ANDERSON: Is it -- we've  
19 discussed this and you've indicated that these numbers are  
20 firm but is it possible to undertake to produce a revised  
21 statement for the integrated electrical forecast that  
22 reflects the current reservoir conditions as -- as  
23 existing and forecast?

24                   MR. DAVID CORMIE: The results wouldn't be  
25 -- the net results will not be different. The net income

1 won't be any different if we do that than what's indicated  
2 in that table.

3 MR. MICHAEL ANDERSON: And just for my  
4 clarification, the table that does appear that we're  
5 discussing at page 32 was prepared when?

6 MR. DAVID CORMIE: It was prepared in the  
7 fall of 2003.

8 MR. MICHAEL ANDERSON: And the near term  
9 water flow forecast at that time was low water conditions?

10 MR. DAVID CORMIE: No, this forecast  
11 wasn't prepared based on the water conditions. It was  
12 based upon the assumption that we would have median  
13 conditions in all our watersheds.

14 And, just to go back to the year 2002, we -  
15 - as an example of how you can have extreme events, we  
16 have extremely high water in the Winnipeg River, near  
17 record flows, and we had record low flows on Saskatchewan  
18 river. The average of which turned out to be a pretty  
19 normal year.

20 So we've been looking at the Winnipeg River  
21 as an example of it being very high but we haven't looked  
22 at the flows on the Upper Saskatchewan or in the Upper  
23 Churchill. You haven't brought those to the -- as -- as  
24 exhibits.

25 So, you know, we're only looking at a



1 whole energy storage is pretty well normal when you look  
2 at all eighteen (18) reservoirs. And it's all eighteen  
3 (18) reservoirs that contribute to the future well being  
4 of the Corporation and not just a few select.

5 MR. MICHAEL ANDERSON: I'm certainly happy  
6 for that clarification, thank you. So, just to be clear,  
7 so all of the sequences on page 32 of the IFF were  
8 prepared using median water flows?

9 MR. DAVID CORMIE: No. Only the second  
10 year of the forecast is based on median. The third year  
11 and the subsequent years are based on the weighted average  
12 of all eighty-six (86) flow conditions.

13 MR. MICHAEL ANDERSON: I have that from  
14 your earlier discussion. I just wanted to confirm that.  
15 Thank you. I had a couple of housekeeping questions and  
16 then some short ones on perspective.

17 The housekeeping question was simply, on  
18 the settlements that we had referred to earlier in respect  
19 of your export operations using your -- where would they  
20 appear in the electric forecast projected operating  
21 statement?

22 MR. DAVID CORMIE: What do you mean by  
23 "settlements"?

24 MR. MICHAEL ANDERSON: They were your --  
25 it was your word and for those customers that you were --

1 when we were discussing the buy-downs, and you described  
2 them as, as I recall in the subject of the challenge,  
3 "through the winter season we bought  
4 down our export operations so that it  
5 would be -- we would be able to meet our  
6 commitments."

7 And that's when we were discussing the  
8 combined reservoir operation for Southern Indian Lake and  
9 Lake Winnipeg?

10 MR. DAVID CORMIE: Yeah. Yes, so, for  
11 example, if we had a -- a long term firm sale contract  
12 with a -- a customer, and there was a hundred (100)  
13 megawatts at a hundred dollars (\$100) a megawatt hour,  
14 there would be revenue there of ten thousand dollars  
15 (\$10,000). The revenue would show up in the ex-provincial  
16 sales.

17 If we had to buy that energy back, that  
18 would be -- show up as a power purchase and the two (2)  
19 would net out and the difference between the purchase cost  
20 and the -- and the revenue would affect the net revenue.

21 MR. MICHAEL ANDERSON: Okay. The -- the  
22 perspective matter was just something I was just trying to  
23 wrap my mind around what the corporation had dealt with in  
24 terms of what's been described as a shortfall in PUB/MH-I-  
25 30B. It actually appears at tab 7, page 3 of the

1 Application, in the second paragraph.

2 Manitoba Hydro presented that there would  
3 be a seven thousand eight hundred nine (7,809) gigawatt  
4 hour energy shortfall.

5 MR. DAVID CORMIE: Could we have the  
6 reference again?

7 MR. MICHAEL ANDERSON: Yes, it's PUB/MH-I-  
8 30B.

9

10 (BRIEF PAUSE)

11

12 MR. ROBERT MAYER: Looks like the reserves  
13 have deserted.

14 MR. MICHAEL ANDERSON: Yep.

15 MR. ROBERT MAYER: Their -- their strength  
16 is falling off there.

17 MR. DAVID CORMIE: I'm sure they're all  
18 busy working on undertakings.

19

20 (BRIEF PAUSE)

21

22 MR. MICHAEL ANDERSON: And Manitoba Hydro  
23 responses to the Public Utilities Board, to the Round One  
24 (1) Request, should be identified as such on the --

25 MR. MICHAEL ANDERSON: It's Volume IV,

1 excuse me.

2

3

(BRIEF PAUSE)

4

5 MR. DAVID CORMIE: Okay, we have the  
6 reference. What was your question again?

7 MR. MICHAEL ANDERSON: I'll have to frame  
8 it. It was just a matter of perspective and -- and trying  
9 to -- if -- if you go to -- while you're there, to I -- PH  
10 -- PUB/MH-I-32C, and I-32E. Sort of -- I just wanted  
11 confirm that I'm -- I understand these numbers correctly.

12 MR. DAVID CORMIE: We have all those.

13 MR. MICHAEL ANDERSON: Okay, good.

14 So, it's correct then that the shortfall of  
15 seven thousand eight hundred nine (7,809) gigawatt hours,  
16 if we go to PUB-I-32E, represents 1.7 times the annual  
17 dependable capacity of Kanawapa.

18 MR. DAVID CORMIE: Yes. That -- that's --  
19 I don't why you would frame it that way, but that's  
20 correct.

21 MR. MICHAEL ANDERSON: While I just -- in  
22 terms of the significance of the energy.

23 MR. DAVID CORMIE: Oh yes, seven thousand  
24 eight hundred (7,800) it's a large number.

25 MR. MICHAEL ANDERSON: Yeah and that if we

1 compared that to the dependable capacity of Wuskwatim,  
2 it's -- I calculated that it would take 6.2 years for  
3 Wasquatam at 74.96 months to generate the same amount of  
4 energy.

5 MR. DAVID CORMIE: Yes, it's a very large  
6 shortfall, yes.

7 MR. MICHAEL ANDERSON: And the reason that  
8 I keyed to those is that they are capital projects that  
9 are being forecast, you have to also indicate the  
10 significance of a shortfall of that energy magnitude in  
11 terms of the Manitoba Hydro system, to projects that we're  
12 familiar with, just to give it a concept?

13 It'll take twenty-four (24) -- twenty point  
14 four (20.4) months for Kanawapa to replace that shortfall  
15 energy.

16 MR. DAVID CORMIE: Probably more relevant  
17 is that seventy-eight hundred (7800) is probably very  
18 close to the annual output of Kanawapa, under average  
19 flows.

20 MR. MICHAEL ANDERSON: I was just going to  
21 say on average flows, because the current number it looks  
22 like you have about a 41 percent time factor there.

23 Okay, well that was my perspective, as I  
24 found that it indicated also the significance -- well,  
25 I'll draw my own conclusions later.

1                   There was one (1) other reference in the  
2 Annual Report though, that I just wanted to make some  
3 reference to, and Mr. Warden, if you could -- or if you  
4 could help me with this. It appears at Appendix 2.2, of  
5 Volume II, and it's page 72 of the Annual Report. And  
6 it's at the bottom:

7                   "Working relationship with Aboriginal  
8                   peoples."

9                   There are numerous references in this  
10 Annual Report to various projects with Aboriginal peoples  
11 and I don't intend to pursue them here. And I do note  
12 that there was an undertaking just recently filed, but is  
13 it -- I noticed that there are achievement records in  
14 terms of the various targets for corporate and northern.

15                   Can you indicate why the 33 percent target  
16 for the northern -- Manitoba Hydro's northern operation  
17 was selected, how that number was arrived at?

18                   Just based on your knowledge?

19                   MR. VINCE WARDEN: Based on some judgment,  
20 where we are today and what we think is attainable, what  
21 we think is a stretch target within the time frame  
22 indicated there.

23                   MR. MICHAEL ANDERSON: And is it possible  
24 by job category, to provide a breakdown of number of  
25 employees for these two (2) categories --

1 MS. PATTI RAMAGE: Mr. Chair --

2 MR. MICHAEL ANDERSON: -- that are  
3 Aboriginal.

4 MS. PATTI RAMAGE: -- there's no great  
5 impacts on these -- in this line of questioning.

6 THE CHAIRPERSON: Mr. Anderson, how do you  
7 relate this to the matters before the Board?

8 MR. MICHAEL ANDERSON: Well, actually there  
9 was one (1) item that I had wanted to refer to, given that  
10 there seemed to be some motion of achievement in the 1992  
11 proceedings, there was considerable discussion about this,  
12 and the former Chairman and Mr. McCallum had indicated it  
13 would be a personal objective of his, to reverse the  
14 rather sorry numbers at that time, and the Board commented  
15 on it.

16 I had wanted to incorporate in my final  
17 argument, some reference to the transition in time, as a  
18 result of that discussion then and the Board's  
19 expectations for an ongoing report, in fact, in the '92  
20 Order on the status of Aboriginal employment in its  
21 operations.

22 MR. ROBERT MAYER: Mr. Anderson --

23 MR. MICHAEL ANDERSON: So --

24 MR. ROBERT MAYER: -- you're going to see a  
25 lot of that in the report of the Clean Environment

1 Commission, that was the subject of extensive examination.  
2 It's hardly relevant here.

3 THE CHAIRPERSON: In brief, Mr. Anderson,  
4 are you -- can you be brief, and I presume your linkage  
5 would be to meet the targets that you're seeking, there  
6 would be a cost consequence?

7 MR. MICHAEL ANDERSON: There is a cost  
8 consequence, and also if I might describe it in that way,  
9 your discussion with Manitoba Hydro about dividends to the  
10 shareholders. And in a manner of speaking, employment  
11 with the Corporation provides dividends to the northern  
12 citizens, who not only are customers, but affected by  
13 their operations, so --

14 THE CHAIRPERSON: Mr. Anderson, I don't  
15 want to damage your ability to make a closing argument,  
16 but -- so could you -- could you restrain your inquiries  
17 in this area, and try and cover off your major point?

18 MR. MICHAEL ANDERSON: Well, Mr. Mayer is  
19 correct in terms of the discussion at the CEC proceedings,  
20 I'm happy to find those -- I have -- find those  
21 references, request a Rule 17 disposition and incorporate  
22 it into final argument.

23 THE CHAIRPERSON: Very good, thank you.

24 MR. MICHAEL ANDERSON: And those are the  
25 questions that I have for this Panel at this time, Mr.

1 Chair. Thank you all for your accommodation and patience,  
2 I very much appreciate it. And thank you again for your  
3 consideration of the matters earlier today, all Members of  
4 the Panel, I appreciate it.

5 THE CHAIRPERSON: Thank you, Mr. Anderson,  
6 we'll have a ten (10) minute break, and then we'll return  
7 with Professor Miller of TREE.

8

9

(BRIEF PAUSE)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

THE CHAIRPERSON: Oh, I see. Then we will  
-- then when we return we'll move on to the setting up for  
the Cost of Service Rates and DSM Panel if that's all  
right with you, Ms. Ramage?

MS. PATTI RAMAGE: Yes.

--- Upon recessing at 2:35 p.m.

--- Upon resuming at 2:50 p.m.

THE CHAIRPERSON: Welcome back. With Mr.  
Anderson completing his cross-examination and TREE does  
not wish to cross-examine this Panel, so what I'm going to  
ask first if Mr. Peters could bring us up to date on the  
schedule. Mr. Peters ...?

MR. BOB PETERS: Thank you, Mr. Chair. I

1 -- I wish I had the easy task of predicting water flows on  
2 the reservoir system for Manitoba Hydro but instead I've  
3 had the task of planning the schedule.

4                   And I -- I've handed out, Mr. Chairman, a  
5 calendar that I would like to speak to and it probably  
6 would be appropriate to allow other parties to speak to it  
7 as well if there's any issues or questions. And I  
8 prepared this at the break.

9                   If you look to June the 23rd, which is to  
10 date. I am processing that in the next fifty-five (55)  
11 minutes, Manitoba Hydro finish introducing, swearing and  
12 the direct evidence from their Cost of Service, rate  
13 design and DSM Panel that's gathered before us.

14                   If their direct evidence finishes today,  
15 which we hope it will, then going over to the 28th of  
16 June, cross-examination of this Panel would commence nine  
17 o'clock on the 28th with TREE being the Intervenor cross-  
18 examining starting at nine o'clock in the morning.

19                   And as soon as Mr. Miller is finished his  
20 questioning of this Panel, the Board would be asked to  
21 stand this Panel down to allow Mr. Lazar to provide his  
22 direct testimony and to be cross-examined by anybody in  
23 the room who wishes to cross-examine Mr. Lazar.

24                   When Mr. Lazar's evidence and cross-  
25 examinations have finished, then we would revert back to

1 the outline of procedures and pick up the cross-  
2 examination of the Manitoba Hydro Cost of Service rate  
3 design Panel with the Intervenors preceding Board counsel.

4           And just going alphabetically unless it's  
5 organized otherwise, I would see that CCEP would start  
6 cross-examining Manitoba Hydro sometime on Monday, June  
7 28th. That may or may not carry over to the 29th.

8           On the 29th, my friend Mr. Williams, on  
9 behalf of CAC/MSOS, would have his opportunity to cross-  
10 examine this Panel and depending on the time available,  
11 MIPUG, through Ms. McCaffrey, would have an opportunity to  
12 start, perhaps, on the 29th. And if not, start then on  
13 the 30th, start and finish. Followed by MKO and lastly  
14 PUB.

15           There is also a presenter to be heard on  
16 June 30th, which is tentatively one (1) that Mr. Anderson  
17 and I will discuss. There may be other dates but we'll  
18 keep talking about it.

19           When you flip to July, the schedule may  
20 ease up a little bit.

21           I should say, before flipping it, is that  
22 we must make and we have to make every possible minute  
23 valuable so that this Panel can be finished by the end of  
24 business on June the 30th. There are commitments that the  
25 Panel Members have that make them unavailable subsequent,

1 and we have to -- have to honour that.

2 THE CHAIRPERSON: You recognize that we  
3 have a ten o'clock start on the 30th, right?

4 MR. BOB PETERS: Yes, I appreciate that,  
5 and we have also some time restraints earlier in the week  
6 as well.

7 But going over to July, on the 5th is a  
8 date that all parties and the Board are available, and  
9 I've pencilled in here, and I apologize to Ms. McCaffrey,  
10 I didn't speak to her at the break on this, but putting  
11 the MIPUG witnesses perhaps on the 5th, and have them  
12 start and finish on that date, and then again to My  
13 Friend, Mr. Williams, I also didn't speak to him at the  
14 break, but I believe we previously discussed the  
15 possibility of his witness, Mr. Harper. I'm pretty sure  
16 it's not the politician, testifying on the 8th.

17 And -- and recognizing that Mr. Williams'  
18 witness on behalf of CAC/MSOS is coming from out of town,  
19 so we again have to provide a date certain for him to  
20 arrive, and plan his schedule.

21 The July schedule has the 15th of July as  
22 the next available date, and there's nothing scheduled,  
23 although there may be requests from counsel, and I would  
24 ask them to speak to myself and Ms. Ramage, if there are  
25 any requests for further questioning of the Revenue

1 Requirement Panel on any undertakings that have been filed  
2 or to be filed, and the date on July 15th, could be used  
3 to accommodate that.

4                   And finally the 16th is the date that has  
5 been scheduled for closing submissions, and parties can  
6 work to that end with some certainty, according to my  
7 draft schedule.

8                   That's enough of my predictions, I'm quite  
9 sure it's more accurate than the weather forecast, but I'm  
10 not sure by how much, Mr. Chairman. And subject to any  
11 comments you may have, or other parties, I hope we could  
12 work towards this and accomplish it.

13                   THE CHAIRPERSON: Thank you, Mr. Peters.  
14 Ms. Ramage, are you all right with this?

15                   MS. PATTI RAMAGE: Yes.

16                   THE CHAIRPERSON: Thank you. Mr.  
17 Williams...?

18

19                   (BRIEF PAUSE)

20

21                   MR. BYRON WILLIAMS: Mr. Chair, we'll  
22 always accommodate the PUB. I do have a few comments,  
23 just brief ones.

24                   In terms of Mr. Harper's availability, he  
25 is available on the 8th, he also is available on the 15th.

1 So we're not going to be booking any flights in the --  
2 just knowing how the schedule of this Hearing has gone.  
3 So, we will keep both of those dates open for him, in  
4 terms of that.

5 In terms of the proposed order for next  
6 week, we will certainly work with it, if that's the  
7 decision of the Panel.

8 Speaking for myself, not for my clients,  
9 I'm -- I'm not sure I consider it the most efficient way  
10 to go about things, and in particular, we find it of great  
11 assistance to have Board Counsel go first, because it  
12 serves to narrow the issues from -- from our perspective,  
13 efficiency wise. And so that we can come in and kind of  
14 cherry pick on the -- on the back of Mr. Peters.

15 So, I would -- and you know, we'll -- we'll  
16 certainly work with whatever the Board, in its wisdom  
17 decides, in terms of order, but our concern would be that  
18 it may -- it may be an attempt to shorten the time frame,  
19 but it may inadvertently lengthen the time frame.

20 THE CHAIRPERSON: Thank you, Mr. Williams,  
21 we'll take that under advisement. Mr. Anderson...?

22 MR. MICHAEL ANDERSON: Excuse me, Mr.  
23 Chair, the schedule that Mr. Peters has proposed, after  
24 discussing, appears fine to me at this stage. And I guess  
25 we'll chat about a time slot for possible presentation on

1 the 30th, and we'll do that later, but otherwise, it looks  
2 fine.

3 THE CHAIRPERSON: Thank you, Mr. Anderson.  
4 Mr. Feldschmid...?

5 MR. JURGEN FELDSCHMID: The schedule's fine  
6 from the perspective of CCEP, thank you, Mr. Chair.

7 THE CHAIRPERSON: Thank you. Ms.  
8 McCaffrey...?

9 MS. TAMARA McCAFFREY: We echo Mr.  
10 Williams' comments with respect to the order of Public  
11 Utility Board counsel going first. We agree with that.  
12 We will of course accommodate the schedule of the Board,  
13 and -- and otherwise the schedule is fine, thank you.

14 THE CHAIRPERSON: Thank you very much,  
15 we'll take the comment on the order very much under  
16 consideration.

17 Ms. Ramage, do you think that we could get  
18 done with the introduction of the Cost of Service Rates  
19 and DSM Panel by 4:00?

20 MS. PATTI RAMAGE: Yes, I do.

21 THE CHAIRPERSON: Okay.

22 MR. BOB PETERS: Mr. Chairman, if I could  
23 interrupt carefully, Mr. Miller -- while I spoke to him at  
24 the break, he may have a comment that he wants to provide  
25 to the Court as well.

1 THE CHAIRPERSON: I'm sorry. Professor  
2 Miller...?

3 PROFESSOR PETER MILLER: This is certainly  
4 our preferred schedule and I do have to phone Mr. Lazar  
5 back to -- to confirm it and -- and perhaps you can let me  
6 know when -- when you will determine that he is available  
7 that he can testify on the 28th.

8 THE CHAIRPERSON: That's the intent for --  
9 the schedule's been moved around so that we can  
10 accommodate him on the day that he can come.

11 PROFESSOR PETER MILLER: Okay. Then  
12 that's definite now?

13 THE CHAIRPERSON: That's the whole  
14 purpose.

15 PROFESSOR PETER MILLER: Okay, you're not  
16 taking that under advisement or anything?

17 THE CHAIRPERSON: No, under advisement was  
18 whether Mr. Peters started or completed cross-examination.

19 PROFESSOR PETER MILLER: Okay. Thank you  
20 very much. I certainly appreciate the flexibility of all  
21 concerned.

22 THE CHAIRPERSON: Thank you, Professor  
23 Miller. Okay, Ms. Ramage, I guess we would start off if  
24 Mr. Barron would -- you could introduce the Panel to start  
25 with and the Members that have yet to be sworn.

1 MS. PATTI RAMAGE: I believe you're  
2 familiar with Mr. Warden, Ms. McCaffrey's favourite  
3 witness. Mr. Wiens was introduced briefly in the Revenue  
4 Requirement Panel and Mr. -- I would note that Mr. Wiens  
5 has already been sworn.

6 To Mr. Wiens' right is Chic Thomas and Mr.  
7 Thomas is here to provide evidence with respect to the  
8 preparation of the Cost of Service Studies and to the far  
9 right is Mr. Lloyd Kuzcek. Mr. Kuzcek will be our DSM  
10 witness. He is the division manager of consumer marketing  
11 and sales with Manitoba Hydro.

12 THE CHAIRPERSON: Thank you very much.  
13 Mr. Barron, would you proceed to swear the new witnesses.

14 MR. ROBERT MAYER: While that's happening,  
15 Ms. Ramage, the original schedule also showed Mr. Derksen  
16 on this Panel; has that changed?

17 MS. PATTI RAMAGE: I believe that was in  
18 error.

19

20 VINCE WARDEN; Previously Sworn,

21 ROBIN WIENS; Previously Sworn,

22 CHIC THOMAS; Sworn,

23 LLOYD KUZCEK; Sworn,

24

25 THE CHAIRPERSON: Thank you, Mr. Barron.

1 Welcome Panel. Ms. Ramage...?

2 MS. PATTI RAMAGE: Thank you, Mr. Chair.

3

4 EXAMINATION-IN-CHIEF BY MS. PATTI RAMAGE:

5 MS. PATTI RAMAGE: I'll begin with you,  
6 Mr. Warden. Manitoba Hydro is seeking an interest in  
7 general consumer rates of 3 percent effective April 1st,  
8 2004; are you requesting the same increase for all classes  
9 of service?

10 MR. VINCE WARDEN: No. Manitoba Hydro has  
11 structured its proposed class rate increases to achieve  
12 balance between the key rate objectives of gradually  
13 realigning class revenue with cost while being sensitive  
14 to customer impacts.

15 For classes with revenue to cost ratios  
16 less than 100 percent revenue increases greater than  
17 average are proposed. And for classes with revenue to  
18 cost ratios greater than 100 percent lower than average  
19 rate increases are proposed.

20 For 2004/05 the following class -- class  
21 rate increases are proposed in this application:  
22 residential 4.01 percent, general service small non-demand  
23 2.15 percent, general service small demand 2.09 percent,  
24 general service medium 2.57 percent, general service large  
25 less than 30 kV 4.0 percent, general service large 30 to

1 100 kV 2.11 percent, general service large greater than  
2 100 kV 1.95 percent and area and roadway lighting 2.03  
3 percent.

4 MS. PATTI RAMAGE: Now, this next question  
5 I posed, Mr. Warden, when you were on the Revenue  
6 Requirement Panel but now I'd like to give it the Cost of  
7 Service twist and that is; these increases were sought to  
8 be effective April 1st, 2004, since that date will be --  
9 is obviously past before the time any order can be issued  
10 on this application how does Manitoba Hydro intend to  
11 obtain recovery of its revenue requirement?

12 MR. VINCE WARDEN: Yes, at the time of  
13 approval Manitoba Hydro intends to file for confirmation  
14 of new rates that will recover the overall revenue --  
15 revenue increase allowed for 2004/05 during the remainder  
16 of the fiscal year.

17 If the request of a revenue increase of \$28  
18 million is approved and if implementation --  
19 implementation takes place August 1st, 2004, the affect of  
20 cost rate increases on that date will be as follows:

21 Residential, 5.52 percent and general  
22 service small, 3.04 percent, general service medium 3.81  
23 percent, general service large, less than 30 kV, 5.91  
24 percent. General service large, 30 to 100 kV, 3.12  
25 percent, general service large, greater than 100 kV, 2.83

1 percent, and area and roadway lighting 3.04 percent. The  
2 overall average of that being 4.32 percent.

3 MS. PATTI RAMAGE: Now, the rates you've  
4 quoted have been for the '04/05 year. Has Manitoba Hydro  
5 applied the same balanced approach to its proposal for  
6 class rate increases in 2005/2006, that is the second year  
7 covered by this Application?

8 MR. VINCE WARDEN: Yes, the differentiation  
9 between class revenue increase is sought for April the  
10 1st, 2005, is similar to that requested for April the 1st,  
11 2004, with most class increases for 2005 at about one half  
12 (1/2) percentage point lower than the 2004 increases.

13 MS. PATTI RAMAGE: Thank you, Mr. Warden.  
14 And just as a housekeeping matter, and out of an abundance  
15 of caution, to ensure we have all the technicalities  
16 correct.

17 Do you adopt the application material in  
18 respect of rate design and Cost of Service, as your  
19 evidence before this Board?

20 MR. VINCE WARDEN: Yes, I do.

21 MS. PATTI RAMAGE: I'm going to now direct  
22 my questions to Mr. Wiens, but there is an exhibit that we  
23 would like to distribute that will just assist parties I  
24 think, in following through some of the evidence.  
25

1 (BRIEF PAUSE)

2

3 THE CHAIRPERSON: The exhibit is Selected  
4 Cost Coverage Ratios? Ms. Ramage, what number would you -  
5 - do you have us at?

6

7

(BRIEF PAUSE)

8

9 MS. PATTI RAMAGE: I have us at 39, Mr.  
10 Barron seems to be nodding.

11 THE CHAIRPERSON: Very good, 39 it is.

12

13 --- EXHIBIT NO. MH-39: Selected Cost Coverage Ratios.

14

15 CONTINUED BY MS. PATTI RAMAGE:

16 MS. PATTI RAMAGE: Mr. Wiens, could you  
17 state your name and responsibilities at Manitoba Hydro?

18

19 MR. ROBIN WIENS: Good afternoon, Mr.  
20 Chairman, Members of the Public Utilities Board,  
21 Intervenors and Colleagues, my name is Kurt Robin Wiens, I  
22 have been employed at Manitoba Hydro since January of  
23 1989, and for most of that period I've been manager of the  
24 Rates Department.

25 I'm currently the Division Manager of Rates  
and Regulation, and in that capacity I have responsibility

1 for electricity and gas rates, Cost of Service analysis,  
2 load research, and for electric service extension policy.

3 I have overall responsibility for services  
4 in support of Manitoba Hydro's regulatory compliance and  
5 proceedings, and for enterprise risk management.

6 I hold a Masters Degree in Economics from  
7 the University of Manitoba.

8 I've appeared before this Board in support  
9 of Manitoba Hydro's General Rate Applications in the years  
10 of 1990, '91, '92, '94, '96, and in the Status Update  
11 proceeding of 2002.

12 I've also appeared before this Board in  
13 support of Applications for specific rate offerings,  
14 including surplus energy and earlier similar programs, and  
15 Manitoba Hydro's curtailable rate offerings as well.

16 MS. PATTI RAMAGE: Mr. Wiens, which aspects  
17 of Manitoba Hydro's 2004 General Rate Application were  
18 prepared by you or under your direction?

19 MR. ROBIN WIENS: I had overall  
20 responsibility for coordinating the preparation of the  
21 General Rate Application and all supporting documents,  
22 including appendices and responses to all Information  
23 Requests.

24 In addition, I had specific content  
25 responsibility in that all rate design and Cost of Service

1 material covered in the Application and the supporting  
2 material was prepared by me or under my direction.

3           In addition, Tab 11 of the Application,  
4 which includes responses to specific Public Utilities  
5 Board directives in previous Orders, was prepared by me or  
6 under my direction.

7           The ex parte orders in respect of the  
8 Curtailable Rate Program, and the surplus energy program,  
9 for which Manitoba Hydro is seeking confirmation, were  
10 issued in response to applications which were also  
11 prepared under my direction.

12           Finally, I coordinated the preparation of  
13 rebuttal to the testimony of Mr. Harper on behalf of  
14 CASMSOS. Messrs. Osler and Bowman on behalf of MIPUG and  
15 Mr. Lazar on behalf of TREE RCM. And I prepared or  
16 directed the rebuttal insofar as it addressed matters of  
17 rate design or Cost of Service.

18           MS. PATTI RAMAGE: Mr. Wiens, on Monday,  
19 one (1) of the MIPUG members made a comment in his address  
20 to this Board to the effect that MIPUG members pay rates  
21 that are more than 14 percent of their cost. Do you have  
22 any comment on this?

23           MR. ROBIN WIENS: Mr. Turner would have  
24 drawn that number directly from the cost service study for  
25 2004, filed with this Application.

1                   Actually it is developed by adding an  
2 allocation of Manitoba Hydro's net export revenue to the  
3 revenue which is forecast to be obtained by rates paid by  
4 the class and then dividing the sum of those two (2) by  
5 the allocated Cost of Service for that class.

6                   If we were to do the same calculation prior  
7 to applying any export revenue credit, it would show that,  
8 that particular class paid rates equal to only about 67.7  
9 percent of the allocated costs.

10                   But that class is not alone in that  
11 respect. No class of service pays rates sufficient to  
12 cover their costs, without an allocation of a share of net  
13 export revenue.

14                   This allocation accounts for fully 33  
15 percent of the cost which was incurred to serve domestic  
16 customers overall and 47 percent for the class of service  
17 to which most MIPUG members are a part.

18                   MS. PATTI RAMAGE: So, are you saying that  
19 the revenue cost coverage ratio cited by MIPUG is  
20 dependent on the method chosen to allocate export revenue?

21                   MR. ROBIN WIENS: Yes, I am. Manitoba  
22 Hydro was directed in Order 7/03 to prepare its  
23 perspective Cost of Service study for 2003/2004 according  
24 to a number of specifications that were laid out in that  
25 order.

1                   One (1) of those specifications was that  
2 net export revenue be allocated on what amounts to the  
3 same basis as the allocation of generation and  
4 transmission costs to the different customer classes.

5                   This is the long standing method used by  
6 Manitoba Hydro to allocate these revenues prior to 2002.  
7 In 2002, Manitoba Hydro filed a Cost of Service study that  
8 allocated these revenues on the basis of total cost to  
9 serve each class thereby crediting some of the net export  
10 revenue on the basis of distribution costs as well as  
11 generation and transmission costs.

12                   Manitoba Hydro's position at that time was  
13 that export revenue had become so large relative to  
14 domestic costs that allocation on the long-standing  
15 methodology was no longer appropriate and resulted in  
16 average energy prices falling below the short run marginal  
17 costs of electricity, particularly for the largest users.

18                   However, in Order 7/03, these proposed  
19 changes were denied and Manitoba Hydro was directed to  
20 prepare it's 2004 perspective Cost of Service study on the  
21 basis of the long standing method for crediting net export  
22 revenues.

23                   Manitoba Hydro has prepared that Cost of  
24 Service study pursuant to the direction in Order 7/03.  
25 But does continue to believe that the critical issue of

1 the allocation of net export revenues needs to be further  
2 considered.

3 MIPUG's clients have not seen a rate  
4 increase since 1992 and indeed this Board provided a  
5 slight decrease of about 2 percent in 2003.

6 Over the same period, not considering the  
7 impact of the uniform rates legislation. Uniform rates --  
8 pardon me, the rates to residential customer class  
9 increased about 9 percent.

10 So, had those increases and decrease been  
11 applied in 1992 Cost of Service study, the residential  
12 revenue cost coverage would have been about 95 percent.  
13 And the general service large over one hundred (100) KV  
14 revenue cost coverage would have been about 109 percent.

15 The remaining gap in revenue cost coverage  
16 between those classes which we see in the 2004 Prospective  
17 Cost of Service Study, is explained by the increases in  
18 export revenue since 1992.

19 MS. PATTI RAMAGE: Mr. Wiens, I'd like to  
20 take you now to Exhibit 39, because I think we'll -- if we  
21 can walk through that, it will assist in understanding --  
22 in the Panel's understanding of where you're coming from.

23 First of all, can you tell me what were  
24 export revenues in 1992?

25 MR. ROBIN WIENS: In 1992, export revenues

1 were at 127 million; were about 16 percent of the total  
2 cost to serve Manitoba domestic customers.

3 MS. PATTI RAMAGE: And what are export  
4 revenues forecast to be under the Prospective Cost of  
5 Service Study?

6 MR. ROBIN WIENS: In the Cost of Service  
7 Study for 2004 file with this Application, we have  
8 included net export revenues, totalling 419 million. And  
9 these net export revenues, about three (3) times the level  
10 of 1992 account for fully one (1) third, of the total cost  
11 to serve Manitoba domestic customers.

12 MS. PATTI RAMAGE: And just for clarity,  
13 Mr. Chair, you'll -- on Exhibit 39, you will see the \$127  
14 million dollar figure and four hundred and nineteen (419)  
15 on the first line.

16 Over those same periods, that's the 1992 to  
17 current, can you advise what proportion of generation and  
18 transmission costs were offset by export revenues?

19 MR. ROBIN WIENS: Yeah, the offset in 1992  
20 was 20 percent and by 2004, it had increased -- it had  
21 increased to 47 percent.

22 MS. PATTI RAMAGE: In 1992, what was the  
23 revenue cost coverage for the residential class before  
24 export revenue allocation?

25 MR. ROBIN WIENS: Without considering any

1 allocation of export revenues in 1992, the revenue cost  
2 coverage of the residential class was 75 percent.

3 MS. PATTI RAMAGE: And what is it today?

4 MR. ROBIN WIENS: Today it is 64 percent.

5 MS. PATTI RAMAGE: And in 1992, what was  
6 the industrial class's revenue cost coverage before export  
7 revenue allocation?

8 MR. ROBIN WIENS: It was 91 percent.

9 MS. PATTI RAMAGE: And what is it today?

10 MR. ROBIN WIENS: It is 68 percent.

11 MS. PATTI RAMAGE: Now, to put this in a  
12 different perspective, if we take out the export revenues,  
13 can you -- can you then adjust the numbers to a base of a  
14 100 percent -- of 100 percent and illustrate what that  
15 means?

16 MR. ROBIN WIENS: Yes, if you were to take  
17 the revenue cost coverages of the two (2) classes, prior  
18 to the allocation of export revenues, and then adjust them  
19 upward to a base of 100 percent, you would have a revenue  
20 cost coverage for the residential class.

21 The schedule says 90 percent. I did a  
22 quick check just prior to coming in, and it is 89 percent  
23 and the general service large over 100 kV, would have been  
24 108 percent.

25 And I emphasize again, this is the revenue

1 cost coverages without any apportionment of export  
2 revenue, but adjusted to a base of 100 percent.

3 MS. PATTI RAMAGE: Now, following up on  
4 that; if export revenues are included in your 1992  
5 calculation, what does that do to the calculation?

6 MR. ROBIN WIENS: Well the revenue cost  
7 coverages for both classes do not change greatly from the  
8 -- from the -- the revenue cost coverages prior to  
9 allocation of export revenue on a base of one hundred  
10 (100). The residential would drop from 89 percent to  
11 88.5 percent, and the general service large over 100 kV,  
12 would increase from 108 percent to 111 percent -- 111.8  
13 percent.

14 MS. PATTI RAMAGE: But, turning to our  
15 Prospective Cost of Service Study for 2004 now, can you  
16 provide the revenue cost coverages for the residential and  
17 industrial classes, adjusting those numbers again to a  
18 base of 100 percent, and again prior to the allocation of  
19 export revenues?

20 MR. ROBIN WIENS: Yes, taking the revenue  
21 cost coverages prior to any apportionment of export  
22 revenues, and adjusting them to a base of 100 percent,  
23 results in the residential class having a revenue cost  
24 coverage of 94.4 percent, and the general service large  
25 over 100 kV, revenue cost coverage of 100 percent, which

1 is a gap of less than six (6) percentage points.

2 MS. PATTI RAMAGE: Now, I would like you to  
3 make that final calculation here, and advise what will  
4 happen in -- at present, when we now add in the export --  
5 or allocate the export credits to those two (2) classes?

6 MR. ROBIN WIENS: We saw that prior to  
7 allocating the export credits, and on a base of a 100  
8 percent, the gap between the two (2) was less than six (6)  
9 percentage points.

10 After allocation of the export credits, the  
11 relative revenue cost coverages are 90.6 percent and 114  
12 percent, which represents a gap of about fifteen (15)  
13 percentage points.

14 MS. PATTI RAMAGE: Thank you, Mr. Wiens.  
15 Mr. Wiens do you continue to believe that  
16 requesting a lower than average rate increase for general  
17 service small and general service large, greater than  
18 thirty (30) Kv and a higher than average increase to the  
19 residential class in Manitoba Hydro's Application is  
20 appropriate?

21 MR. ROBIN WIENS: Yes. Although I have  
22 just noted that Manitoba Hydro has concerns with the  
23 results of the prospective study for 2004, most of the  
24 alternatives which we think might be considered, would  
25 still show revenue cost coverage for the general service

1 large class in excess of 100 percent and perhaps even in  
2 excess of 105 percent.

3           Similarly they would show the residential  
4 class below 100 percent and likely below 95 percent. Even  
5 if the net export revenues are not considered at all in  
6 the presentation of Cost of Service results, the general  
7 service large class RCC stands at a hundred (100), as I  
8 noted earlier and the residential at ninety-four (94).

9           If we go to the example provided in the  
10 response to TREE RCM second round question number thirteen  
11 (13) and you can check that now, or check it later; it  
12 will show general service large at 108 percent and  
13 residential at 94 percent.

14           MS. PATTI RAMAGE: Mr. Wiens, are there  
15 benchmarks other than the final results of the Prospective  
16 Cost of Service of 2004 which contest the reasonableness  
17 of the class rate increases proposed in this Application?

18           MR. ROBIN WIENS: Yes, the -- the class  
19 revenue cost coverage prior to the allocation of export  
20 credits, which I've discussed and put on the record, is  
21 one (1) such benchmark.

22           Another is the relative rate advantage of  
23 the different domestic classes of service compared with  
24 other Canadian utilities also served by hydro electric  
25 resources.

1                   In my rebuttal evidence, which was filed  
2 earlier with this Board and Intervenors, we've included a  
3 schedule which shows that benchmark residential customers  
4 of Manitoba Hydro have an advantage of up to 9 percent,  
5 depending on their loads, relative to BC Hydro's  
6 residential customers.

7                   For the large industrial group, the  
8 customer benchmark has about a 20 percent advantage  
9 relative to BC Hydro's benchmark industrial customer.

10                   And these different relative advantages are  
11 not explained by BC Hydro's Cost of Service results, since  
12 the most recent results we were able to obtain from BC  
13 Hydro showed the residential revenue cost coverage at 92.5  
14 percent, which is higher than what our Cost of Service  
15 study results for 2004 are showing for that class.

16                   And the industrial revenue cost coverage  
17 101.8 percent. Which is lower than what Manitoba Hydro is  
18 showing in the prospective study for 2004.

19                   MS. PATTI RAMAGE: Mr. Harper, on behalf  
20 of CASMSOS, appears to be telling us that the residential  
21 rate increase does not have to be as much as one (1)  
22 percentage point higher than the average increase. Do you  
23 agree with this position?

24                   MR. ROBIN WIENS: No, I don't. Some of  
25 the rate differentials is, to some extent, a matter of

1 judgment. Manitoba Hydro's rate objectives as enunciated  
2 in Tab 9, Section 9.2 of the Application would allow for a  
3 class rate increase exceed the average rate increase for  
4 all classes by as much as two (2) percentage points in  
5 order to align class revenue with allocated costs.

6 Manitoba Hydro elected to limit the  
7 differential to 1 percent to mitigate class impacts.

8 MS. PATTI RAMAGE: Does Manitoba Hydro  
9 support the recommendations made by TREE in respect of  
10 inverted rates for all customer classes?

11 MR. ROBIN WIENS: Manitoba Hydro believes  
12 that there is a legitimate case to investigate the merits  
13 and impacts of inverted rates for all domestic classes.

14 Pursuant to Directive 7 in Order 154/03,  
15 Manitoba Hydro is expecting to file, by December 31st of  
16 2004, a study on the merits, or otherwise, of inverted  
17 rates and if appropriate, a plan to implement such a rate  
18 structure.

19 If the study supports the implementation of  
20 an inverted rate structure, and if Manitoba Hydro's  
21 executive and Board concur with those recommendations,  
22 Manitoba Hydro will include in its next subsequent General  
23 Rate Application, provisions to implement inverted rates  
24 in accordance with the recommendations of that study  
25 unless, of course, we're otherwise directed by the Public

1 Utilities Board.

2           Thus, Manitoba Hydro generally supports the  
3 position of TREE RCM, but may ultimately differ  
4 substantially in terms of the details such as the size of  
5 the first block, the pricing provisions in each of the  
6 blocks and the factors that shape those provisions. And  
7 some of our specific concerns, as of this date, have been  
8 outlined in our rebuttal evidence.

9           MS. PATTI RAMAGE: Thank you, Mr. Wiens,  
10 that's all the questions I have for you and I'm going to  
11 turn now to Mr. Thomas.

12           Mr. Thomas, would you please outline your  
13 areas of responsibility with respect to this application.

14           MR. CHIC THOMAS: Good afternoon, Mr.  
15 Chairman and Board Members. My name's Chic Thomas. I'm  
16 the Supervisor of the Cost of Service Section at Manitoba  
17 Hydro. As such, I am responsible for the preparation of  
18 the Electric Cost of Service Studies.

19           This includes the actual 2003 and the  
20 prospected 2004 Cost of Service Studies as filed in this  
21 application. I'm also responsible for the Diesel Cost of  
22 Service that isn't part of this proceeding.

23           I have participated in several regulatory  
24 hearings and appeared on the Manitoba Hydro Panel for the  
25 first time during the Diesel Rates application heard

1 January 2004. I've a Bachelor of Arts Degree from  
2 University of Manitoba as well as being a Certified  
3 Management Accountant.

4 MS. PATTI RAMAGE: Thank you. Could you  
5 please outline the Cost of Service Studies included in  
6 this application?

7 MR. CHIC THOMAS: Volume III, Tab 10 of  
8 Manitoba Hydro's 2004 General Rate Application contains  
9 both the actual Cost of Service Study for fiscal year  
10 ending 2003 and the Prospective Cost of Service Study for  
11 fiscal year ending 2004.

12 Both studies have been prepared in a manner  
13 consistent with Board Directives ordered in 07/03 as well  
14 as 154/03. The major changes to the Cost of Service  
15 Studies since the 2002 study, as a result of these  
16 directives, are allocation of net export revenues on the  
17 basis of generation and transmission costs, incorporation,  
18 where possible, of Winnipeg Hydro financial and load data  
19 and allocation of transmission costs classified as 100  
20 percent demand on the same basis as generation demand  
21 costs or to coincident peak.

22 MS. PATTI RAMAGE: Mr. Thomas, are any of  
23 your recommendations of the NERA Report on Classification  
24 and Allocation Methods for Generation and Transmission  
25 included in the Cost of Service Studies filed in this

1 application?

2 MR. CHIC THOMAS: No. The report on  
3 Generation and Transmission Classification and Allocation  
4 Methods in the Cost of Service Study was ordered by the  
5 Board in Order 07/03 and completed after Manitoba Hydro  
6 filed it's 2004 General Rate Application.

7 While the Corporation, in principle,  
8 supports the recommendations in that report, none of those  
9 recommendations have been incorporated into the Cost of  
10 Service studies included as part of this -- as part of  
11 this application.

12 Pending the decisions of this Board during  
13 the current proceeding some or all of those  
14 recommendations may be included in future Cost of Service  
15 Studies.

16 MS. PATTI RAMAGE: Could you outline how  
17 the acquisition of Winnipeg Hydro was handled in the Cost  
18 of Service Study?

19 MR. CHIC THOMAS: Yes, Winnipeg Hydro data  
20 has been incorporated into the Cost of Service as  
21 accurately as possible. However, as explained in the  
22 Application, while most costs and revenue data was  
23 incorporated into Manitoba Hydro's records there are a  
24 couple of items that will be addressed in future Cost of  
25 Service Studies that were not included in the studies

1 filed with this -- with this Application.

2           These include, functionalization of capital  
3 related items were still not finalized at the time the  
4 prospective and actual -- actual Cost of Service Studies  
5 were prepared.

6           For example, a preliminary list of Winnipeg  
7 Hydro assets was used to functionalise the acquired assets  
8 of former Winnipeg Hydro. This preliminary listing was at  
9 some variance to those values actually loaded into  
10 Manitoba Hydro's accounting system. Future studies will  
11 now have the true values of Winnipeg Hydro assets  
12 functionalised appropriately.

13           Number two: Operating costs were also  
14 functionalised on preliminary information. Settlement  
15 cost centres used to functionalise costs in the Cost of  
16 Service Study had not yet been defined as -- as  
17 specifically as existing Manitoba Hydro cost centres are.

18           Instead, non-specific cost centres were  
19 initially established to ensure that all Winnipeg Hydro  
20 costs were captured by Manitoba Hydro with the intention  
21 that specific settlement cost centres would be set up at a  
22 later time when proper information was available. This  
23 process is now complete.

24           While the overall effect on the Cost of  
25 Service results are minimal, the area and roadway lighting

1 customer class was most affected due to its small size  
2 relative to other classes.

3 First round response to CAC/MSOS-I-50-B,  
4 outlined that the overall effect is to overstate this  
5 class's RCC by between 5 and 10 percent.

6 The last major effort that is outstanding  
7 regarding complete integration of Winnipeg Hydro data,  
8 from a Cost of Service perspective, is the availability of  
9 load research data, which includes all those Winnipeg  
10 Hydro customers.

11 The Cost of Service studies filed in this  
12 current Application are based on load research results  
13 from fiscal year ending 2001 and '02, and does not include  
14 any Winnipeg Hydro customers.

15 It is expected that a representative sample  
16 will be available in the '04/05 load research results.  
17 However, these results would not be incorporated until the  
18 Prospective Cost of Service Study '07.

19 MS. PATTI RAMAGE: Finally, Mr. Thomas, can  
20 you comment as to the effect on the overall results of the  
21 Prospective Cost of Service Study of 2004, due to the  
22 Winnipeg Hydro data, when studies were prepared?

23 MR. CHIC THOMAS: As mentioned earlier, the  
24 greatest impact was to area and roadway lighting class.  
25 And which was estimated to be overstated by between five

1 (5) and ten (10) percentage points.

2 In terms of the other classes, the overall  
3 effect will be minimal, as the annual cost of Winnipeg  
4 Hydro is not large, relative to the cost of Manitoba  
5 Hydro.

6 In addition, it is important to emphasize  
7 that all relevant costs were captured in Manitoba Hydro's  
8 accounting system. Only the functionalization of those  
9 costs was not completed at the time the studies were  
10 prepared.

11 Incomplete load data is another area of  
12 concern in the current study. However, this inconsistency  
13 is limited, in that Winnipeg Hydro customers are  
14 exclusively Zone 1, and it is only the demand data of  
15 those customers, that was not available.

16 Forecast energy data of Winnipeg Hydro  
17 customers was matched with the appropriate Manitoba Hydro  
18 customer classes, in developing the Cost of Service Study  
19 allocators.

20 It is important to reiterate again, that  
21 Winnipeg Hydro consumption relative to Manitoba Hydro is  
22 small, for example, Winnipeg Hydro customer class totals  
23 as a percentage of Manitoba Hydro customer classes are as  
24 follows.

25 In the residential class, 9.3 percent, the

1 general service small class, 16.9 percent, general service  
2 medium class, 34.2 percent, general service large, 4.4  
3 percent, and the overall system total only 12.6 percent.

4 MS. PATTI RAMAGE: Thank you, Mr. Thomas.  
5 I'm now going to turn to Mr. Kuzcek, and this is Mr.  
6 Kuzcek's first time in front of this Panel, although  
7 perhaps not in front of all Panel Members.

8 Mr. Kuzcek, could you please outline your  
9 qualifications and area of responsibility with respect to  
10 this portion of Manitoba Hydro's filing?

11 MR. LLOYD KUZCEK: Good afternoon, Mr.  
12 Chairman, Members of the Board, Intervenors and others  
13 present. I am a professional engineer, registered with  
14 the Association of Professional Engineers and  
15 Geoscientists of the Province of Manitoba. I have a  
16 Bachelor of Science Degree in Electrical Engineering from  
17 the University of Manitoba, and also a Masters of Business  
18 Administration Degree, also from the University of  
19 Manitoba.

20 I have been employed by Manitoba Hydro over  
21 the past twenty-three (23) years, with Bristol Aerospace  
22 for approximately two (2) years preceding this period, and  
23 again, with Manitoba Hydro two (2) years prior to that.

24 As Ms. Ramage mentioned, this is the first  
25 time I'll be testifying before the Public Utilities Board.

1 My present position at Manitoba Hydro is Division Manager  
2 of Consumer Marketing and Sales. I have been in this  
3 position since 2001, prior to which I was the Manager of  
4 the Export Power Marketing Department.

5 In my current capacity, I have broad  
6 responsibilities for the design and energy efficiency and  
7 consumer service programs that target the residential and  
8 consumer markets, for retail sales services, including  
9 the delivery of energy efficiency and customer service  
10 programs to the residential small, commercial, multi-side  
11 and institutional customers, for evaluation of energy  
12 efficiency programs, for end use customer perception and  
13 customer behaviour market research, for the Corporation's  
14 load forecast, and also for the Corporation's customer  
15 contact centre.

16 MS. PATTI RAMAGE: Mr. Kuzcek, could you  
17 please comment on the nature of Manitoba Hydro's Energy  
18 Conservation Program?

19 MR. LLOYD KUZCEK: Manitoba Hydro currently  
20 offers one (1) of the most aggressive DSM plants in North  
21 America. As part of this Proceeding, Manitoba Hydro has  
22 supplied an abundance of information to support this  
23 position.

24 In summary, this information clearly shows  
25 that Manitoba Hydro offers one of the most aggressive and

1 long standing commitments to DSM in Canada. Manitoba  
2 Hydro's DSM efforts are comparable to leading edge US  
3 States' utilities and agencies.

4           And Manitoba Hydro's programs exhibit best  
5 practices for energy efficient program designs in today's  
6 markets.

7           MS. PATTI RAMAGE:   And since providing the  
8 information in the filing has Manitoba Hydro become aware  
9 of any additional information to support this position?

10           MR. LLOYD KUZCEK:   Yes, in two (2) areas.  
11 The first is in support of the Corporation's --  
12 Corporation's position that our efforts are among the most  
13 aggressive in Canada and that our programs exemplify best  
14 practices.

15           In this regard, Manitoba Hydro has been  
16 verbally informed by the Canadian Energy Efficiency  
17 Alliance that a number of the Corporation's PowerSmart  
18 Programs will be receiving an award for best practices.

19           The second area where updated information  
20 was obtained is in support of the Corporation's position  
21 that our efforts are comparable to leading edge states as  
22 measured by -- by energy conservation efforts.

23           Manitoba Hydro previously provided  
24 information based on 2000/2001 data that was part of a  
25 study undertaken by a US organization known as ACEEE or

1 the American Council for an Energy Efficient Economy.  
2 This was, and still is, the most recent formal study on  
3 this subject undertaken by this organization.

4 Updated information on -- on studying by  
5 leading US states was obtained through direct  
6 conversations with ACEEE and also during a recent  
7 conference call organized by AESP or the Association of  
8 Energy Service Professionals.

9 These types of conference calls are offered  
10 on a regular basis as part of AESP's service to its  
11 members whereby current information is provided on a  
12 number of energy efficient related matters.

13 Based on the updated information Manitoba  
14 Hydro is still within the top ten (10) US states in terms  
15 of energy efficient efforts as measured by dollars spent  
16 per capita and dollars spent as a percentage of revenues.

17 In terms of trends, some US states since  
18 2000/2001, such as Vermont and California, have continued  
19 increasing their spending while others have previously --  
20 others, which were previously leading edge energy  
21 efficient companies such as Wisconsin and Connecticut,  
22 have dramatically reduced their spending with Wisconsin's  
23 budget being cut by 50 percent and Connecticut's being cut  
24 by 33 percent.

25 MS. PATTI RAMAGE: Thank you. Can you

1 please comment on the impacts of Manitoba Hydro not  
2 formally updating its PowerSmart Plan since 2001?

3 MR. LLOYD KUZCEK: The decision to forego  
4 updating the Corporation's formal plan was judged to have  
5 minimal negative impacts on the Corporation's energy  
6 conservation efforts.

7 This decision was part of a broader and  
8 long term strategic planning decision which involved  
9 undertaking a comprehensive market potential study which  
10 would provide the Corporation with an updated assessment  
11 of the electrical efficiency potential in Manitoba  
12 including technology opportunities and also the  
13 opportunities available in the traditional Winnipeg --  
14 Winnipeg Hydro service territory.

15 Potential negative impacts associated with  
16 not formally updating the PowerSmart plan were minimized  
17 by a decision which involved Manitoba Hydro concurrently  
18 continuing to aggressively pursue available DSM -- DSM  
19 opportunities in the marketplace regardless of whether  
20 those opportunities were included in the 2001 PowerSmart  
21 Plan.

22 For example, during this period Manitoba  
23 Hydro has launched an aggressive \$28 million redesign of  
24 its PowerSmart commercial and industrial lighting program.  
25 We've launched a \$1.4 million PowerSmart chiller program.

1 We've launched an aggressive \$14 million PowerSmart new  
2 home program. We've launched an aggressive \$10 million  
3 PowerSmart insulation program.

4                   We've continued to expand our human  
5 resources dedicated to PowerSmart. In 1999 Manitoba Hydro  
6 had eleven (11) design and support staff. There are now  
7 twenty-six (26) staff dedicated to this function.

8                   This is two (2) more than previously  
9 reported in response to one of the first round of  
10 Interrogatories in this process. Again, an indication  
11 that Manitoba Hydro is continuing to aggressively pursue  
12 DSM opportunities.

13                   Manitoba Hydro has also added a dedicated  
14 sales force. In its first year this group has worked with  
15 over three hundred (300) customers in efforts to implement  
16 energy efficient measures and reduce customers' energy  
17 bills.

18                   The Corporation also partnered with  
19 EnergyStar to jointly promote the EnergyStar brand in  
20 Manitoba. PowerSmart standards were developed which also  
21 achieved considerable success in the public health and  
22 education sector where now all new buildings and major  
23 retrofits are constructed to these standards.

24                   In addition, the Corporation continued to  
25 aggressively pursue a number of other energy conservation

1 related initiatives, including providing customers with  
2 convenient -- convenient financing under the home comfort  
3 loan and earth power loan programs.

4           In the first case, over fourteen thousand  
5 (14,000) customers have been assisted since 2001, with  
6 over 47 million now in -- \$47 million in loans provided to  
7 customers.

8           In the latter case, with the earth power  
9 loan, Manitoba Hydro has the most aggressive geo-thermal  
10 or heat pump program in Canada. During 2003, 19 percent  
11 of the total heat pump installations occurred in Manitoba,  
12 and although Manitoba only has 4 percent of Canada's  
13 population.

14           Manitoba Hydro partnered with Enercan to  
15 provide the home audit services to Manitoba residents,  
16 where over five thousand (5,000) home audits have now been  
17 provided, with most of these being provided in the last  
18 year.

19           We've integrated this audit program also  
20 with the Federal grant program that was announced last  
21 fall.

22           We've continued to promote R2000, by  
23 providing customers with information and no cost R2000  
24 certificates in Manitoba.

25           We've continued to offering customers with

1 home workshops throughout Manitoba, we've partnered with  
2 the Climate Change Connection to deliver climate change  
3 workshops, also throughout Manitoba.

4           We've partnered with the Manitoba Society  
5 of Seniors, in offering free home checks for seniors.  
6 We've worked with and supported a number of housing, low  
7 income and non-profit organizations, to ensure energy  
8 efficient measures were being incorporated in their  
9 respective projects, including the Habitat for Humanity,  
10 Winnipeg Housing and Rehabilitation, the North End Housing  
11 Project, Spence Street Neighbourhood Group, and the West  
12 Broadway Corporation.

13           We've also supported a number of research  
14 projects, including the Thompson Model Home, demonstrating  
15 structurally insulated panel technology, the Churchill  
16 Ambient Home Construction, demonstrating composite class  
17 technology, ECM Motor -- research in ECM Motor Technology,  
18 and other research projects.

19           Manitoba Hydro has also made significant  
20 progress in designing more programs targeting both the  
21 commercial and residential market. In the latter case,  
22 new Power Smart Programs are in the final -- final stages  
23 of design, targeting efficiency, improvements in compact  
24 fluorescent lights, refrigerators and Christmas LEDs,  
25 they're referred to as, light emitting diodes is the term.

1                   In terms of providing staff with formal  
2 direction and guidance during this period, Manitoba Hydro  
3 developed an internal working document during 2003, called  
4 Manitoba Hydro's Power Smart Strategy 2003. This document  
5 provided the general principles and direction to be  
6 followed, including aggressively pursuing a number of  
7 efficiency opportunities immediately, and in parallel --  
8 in parallel with finalizing the DSM Market Potential  
9 Study.

10                   These opportunities included the relaunch  
11 of the Commercial Lighting Program, the New Home Program,  
12 the Chiller Program, the Refrigerator -- Residential  
13 Refrigerator Buy Back Program, the Residential Insulation  
14 Program and other initiatives.

15                   MS. PATTI RAMAGE: So, in short, you've  
16 been pretty active?

17                   MR. LLOYD KUCZEK: I could have gotten more  
18 done if it wasn't for the CEC Hearings.

19                   MR. ROBERT MAYER: Well, we want to take a  
20 couple of shots. Want to tell us about that Thompson  
21 Model Home? Have you got anybody in it yet?

22                   MR. LLOYD KUCZEK: I don't believe so, no.

23                   MR. ROBERT MAYER: How long has it been?

24                   MR. LLOYD KUCZEK: I don't think it's ready  
25 for anybody to occupy at this point. It was originally

1 set up to be a demonstration home. And --

2 MR. ROBERT MAYER: To be built quickly, by  
3 modular, anybody can put it up in a couple of weeks, how  
4 long ago was that? A year and a half?

5

6

(BRIEF PAUSE)

7

8 MR. ROBERT MAYER: It's certainly  
9 PowerSmart, because haven't had to turn anything on.

10 MR. LLOYD KUCZEK: Well, we're not a leader  
11 in that project, we were just there to support it and make  
12 sure -- the project was initially a demonstration project  
13 to demonstrate the technology, the structurally insulated  
14 panels, and we were there to make sure that the house was  
15 built to PowerSmart standards and had energy efficient  
16 technologies incorporated in it.

17 So, we don't have a say in terms of how the  
18 project moves forward. But if they were going to continue  
19 to use that technology, wanted to ensure that they -- they  
20 incorporated energy efficient technologies.

21 MR. ROBERT MAYER: I just noted it with  
22 interest, because at the time the Minister in charge, was  
23 the Minister who's now in charge of Hydro.

24 MR. LLOYD KUCZEK: Yeah, I can't comment.

25 MR. ROBERT MAYER: Thank you very much.

1  
2 CONTINUED BY MS. PATTI RAMAGE:

3 MS. PATTI RAMAGE: Mr. Kuczek, just to --  
4 to wrap this up, could you comment on the status now of  
5 Manitoba Hydro's PowerSmart Plan?

6 MR. LLOYD KUCZEK: In parallel with  
7 aggressively pursuing a number of energy efficient  
8 opportunities I'll just outline. Manitoba Hydro is  
9 working on updating the corporation's Power Smart Plan.

10 This process involves first developing what  
11 is referred to as a PowerSmart options. Once this is  
12 developed, the options will then -- then be evaluated  
13 against alternative supply side options as part of the  
14 corporation's integrated resource plan.

15 Due to the timing of Manitoba Hydro's  
16 planning cycle, the -- the detailed power smart options  
17 will not be evaluated as part of the 2004 Resource  
18 Planning Plan. However, Manitoba Hydro will be including  
19 a preliminary estimate of DSM in this process and  
20 including a placeholder in the corporation's capital  
21 budget to accommodate for increased DSM.

22 Due to the high and keen interest of  
23 consumer and other interest groups, Manitoba Hydro will  
24 now be conducting consultation sessions with these groups.  
25 These sessions are planned for September of this year and

1 subject to changes being made to the power smart options  
2 as a result of these consultations, the power smart  
3 options will be filed with the Public Utilities Board in  
4 September.

5 MS. PATTI RAMAGE: Thank you, Mr. Kuzcek.  
6 And as one (1) final housekeeping matter, could you just  
7 confirm or -- that you're -- will adopt the evidence  
8 relating to DSM matters that -- that have been included in  
9 -- in this filing on behalf of the corporation?

10 MR. LLOYD KUZCEK: I missed the question,  
11 sorry.

12 MS. PATTI RAMAGE: We're ad-libbing.  
13 Could you confirm that you adopt the  
14 evidence that has been included in the filing related to  
15 DSM matters.

16 MR. LLOYD KUZCEK: Yes.

17 MS. PATTI RAMAGE: Thank you, Mr. Kuzcek.  
18 And Mr. Mayer, I'm sure if you're handing out gold stars  
19 but we're coming in under schedule.

20 THE CHAIRPERSON: Thank you very much, Ms.  
21 Ramage. And thank you much to the Panel, it's a good  
22 start. We look forward to next week and nine o'clock and  
23 we'll have a very busy week. Thank you.

24 Oh, sorry, Mr. Anderson?

25 MR. MICHAEL ANDERSON: Now, that we're on

1 schedule, I thought I'd -- there was one (1) matter  
2 arising from Mr. Peters opening comments on the 14th. It  
3 was right at the end of the day. You'd discussed with Mr.  
4 Wiens any possible adjustments to the Application in  
5 respect of diesel rates.

6                   And you seem to have appeared to have left  
7 it in the margins and I can find no other resolution of  
8 that in the transcripts. And I'm wondering if there's  
9 anything that's come of that.

10                   MR. BOB PETERS: Mr. Chairman, just to  
11 edify that a bit further. My recollection is on reviewing  
12 the materials, the diesel rate schedules that were  
13 included in the filing were prepared, I believe, prior to  
14 the Public Utilities Board's decisions relative to diesel  
15 rates and certainly that's a matter that Mr. Wiens and his  
16 colleagues were aware of.

17                   And my recollection is that Mr. Wiens will  
18 be addressing that on this Panel at some point in time.

19                   THE CHAIRPERSON: Thank you, Mr. Peters.

20                   MS. PATTI RAMAGE: I -- I believe we have  
21 filed the amended diesel rates as Exhibit 16.

22                   MR. MICHAEL ANDERSON: I have that, thank  
23 you.

24                   MR. BOB PETERS: I have that as well, Mr.  
25 Chairman. So I -- if Mr. Anderson's asking, it's a matter

1 that I believe Mr. Wiens is prepared to address during  
2 this Panel if he has any questions of Mr. Wiens.

3 THE CHAIRPERSON: Okay.

4 MR. MICHAEL ANDERSON: I have the exhibit,  
5 Mr. Peters, I just wanted to confirm in that the way the  
6 transcript is left, is that there appeared to be in -- in  
7 the margins discussion outside of the proceedings. I just  
8 wanted to confirm that I've got everything there is to  
9 have. Thank you.

10 THE CHAIRPERSON: Thank you. We'll see  
11 you next week.

12

13 --- Upon adjourning at 3:54 p.m.

14

15

16 Certified Correct

17

18

19

20

21 \_\_\_\_\_  
Carol Wilkinson, Ms.

22

23

24

25