

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA HYDRO  
COST OF SERVICE STUDY

Before Board Panel:

- Graham Lane - Board Chairman
- Robert Mayer - Board Member
- Kathi Avery Kinew - Board Member
- Len Evans - Board Member

HELD AT:

Public Utilities Board  
400, 330 Portage Avenue  
Winnipeg, Manitoba  
May 5th, 2006  
Volume II  
Pages 247 to 469

APPEARANCES

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

R.F. Peters ) Board Counsel  
  
Patti Ramage ) Manitoba Hydro  
Odette Fernandes )  
  
Bryon Williams ) CAC/MSOS  
Myfanwy Bowman )  
  
Doug Buhr ) City of Winnipeg  
  
Peter Miller ) TREE  
  
Tamara McCaffrey ) MIPUG  
Patrick Bowman )  
Andrew McLaren )  
  
Jurgen Feldschmid ) CCEP  
  
Michael Anderson ) MKO

	TABLE OF CONTENTS	
		Page No.
1		
2		
3	List of Undertakings	250
4		
5		
6	MANITOBA HYDRO PANEL:	
7		
8	VINCE WARDEN, Resumed	
9	ROBIN WIENS, Resumed	
10	CHIC THOMAS, Resumed	
11	HAROLD SURMINSKI, Resumed	
12		
13	Questions By Board	251
14	Continued Cross-Examination by Mr. Bob Peters	256
15		
16		
17		
18	Certificate of Transcript	469
19		
20		
21		
22		
23		
24		
25		

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## LIST OF UNDERTAKINGS

Description

Page No.

- |    |   |  |     |
|----|---|--|-----|
| 1  | 1 | To produce the letter that was sent        |     |
| 2  |   | out to various customers re: surcharge     |     |
| 3  |   | or an additional cost to those customers   |     |
| 4  |   | for incremental consumption.               | 240 |
| 5  | 2 | To advise the Board if the Corporation is  |     |
| 6  |   | prepared to make public their long-term    |     |
| 7  |   | expectation for natural gas and surplus    |     |
| 8  |   | energy prices, and if not, if they are     |     |
| 9  |   | prepared to provide the information to     |     |
| 10 |   | the Board on a confidential basis.         | 285 |
| 11 | 3 | Indicate to the Board that within the      |     |
| 12 |   | ninety-three (93) years that Manitoba      |     |
| 13 |   | Hydro have the data on, how many years     |     |
| 14 |   | have significant losses in it.             |     |
| 15 |   | (bottom line in the IFF)                   | 307 |
| 16 | 4 | To advise Board whether or not, Manitoba   |     |
| 17 |   | Hydro's prepared to disclose the list re   |     |
| 18 |   | historical with as many terms as possible, |     |
| 19 |   | but excluding the counter party, if that's |     |
| 20 |   | the sensitive aspect of it.                | 465 |

1 --- Upon commencing at 9:03 a.m.

2

3 THE CHAIRPERSON: Good morning, ladies  
4 and gentlemen. We'll continue with the discussion from  
5 yesterday's Hearing.

6 I'm Graham Lane, Chairman of this Board  
7 and with me are Board Members, Mr. Len Evans, Dr. Kathi  
8 Avery-Kinew, and Vice Chair Robert Mayer. The subject of  
9 this Hearing is the proposed cost of service study  
10 submitted by Manitoba Hydro.

11

12 VINCE WARDEN, Resumed

13 ROBIN WIENS, Resumed

14 CHIC THOMAS, Resumed

15 HAROLD SURMINSKI, Resumed

16

17 THE CHAIRPERSON: It seems to me it would  
18 be appropriate not only to test the new proposed model  
19 with existing information, but also understand how such a  
20 new model would be impacted by likely future events.

21 You have indicated the potential for a  
22 future consolidation of classes and I think we understand  
23 how that would be done if it was proceeded with.

24 And with respect to wind, I understand  
25 that payments to a wind generator would be treated as

1 purchase power; is that correct?

2 MR. VINCE WARDEN: This is correct, Mr.  
3 Chairman, yes.

4 THE CHAIRPERSON: Thank you. Is it also  
5 correct that any other costs that Manitoba Hydro incurred  
6 with respect to wind would simply fall against the  
7 expense and category lines that you employ for other  
8 generation, transmission, distribution, and customer  
9 service; is this correct too?

10 MR. VINCE WARDEN: It is. Any -- any  
11 expense we incur with respect to wind, the majority of  
12 which will be in the power to purchase co -- cost line,  
13 but, yes you are correct.

14 THE CHAIRPERSON: Thank you. In short,  
15 the overall impact of wind on the COSS revenue  
16 requirements and perhaps rates, would be considered  
17 within the mix of all of Manitoba Hydro's costs not by  
18 itself; is this correct?

19 MR. VINCE WARDEN: Correct.

20 THE CHAIRPERSON: Okay. Now, with  
21 respect to the prospects for Wuskwatim, I understand you  
22 to say that Wuskwatim will be treated as if it were  
23 Manitoba Hydros. In other words, we would find costs and  
24 a variety of expense lines like appreciation, interest,  
25 operating costs, et cetera.

1                   And with respect to the COSS, we would  
2 find the costs treated just as if they were a fully  
3 Manitoba Hydro project; is this correct too?

4                   MR. VINCE WARDEN:    Mr. Chairman, I  
5 indicated yesterday that we really hadn't put our minds  
6 to how those costs would flow through the Cost of Service  
7 Study. I should say though that we're talking about a  
8 really very small plant here with Wuskwatim. And the  
9 impact on our cost would be fairly insignificant.

10                  So I don't expect there would be much of  
11 an impact on the Cost of Service Study, at all. But the  
12 net effect though of the -- adding that plant would be --  
13 I -- without doing the modeling that I talked about the  
14 impact would be very similar to us capitalizing in a  
15 small plant on our system and the costs would flow  
16 through as they do normally.

17                  So, the impact on our cost of service  
18 study, the impact on our proposed methodology, should be  
19 minimal.

20                  THE CHAIRPERSON:    That's basically what I  
21 was speculating on. I was speculating on if you were --  
22 you'd mentioned before that you were operating and are  
23 fully responsible for the operations et cetera, that I  
24 was imagining that the COSS could handle it, just by  
25 flowing it through like it was another generating

1 station.

2 MR. VINCE WARDEN: Yes, I agree.

3 THE CHAIRPERSON: Okay. Well, then I'm  
4 speculating again and I appreciate confirmation just for  
5 the general understanding, that under that approach  
6 revenues that arise out of Wuskwatim when they would  
7 occur, would just flow into the COSS as if it was any  
8 other Manitoba Hydro generation; is that correct, as  
9 well?

10 MR. VINCE WARDEN: Yes, we may have a  
11 separate line for identifying those revenues separately,  
12 but in terms of how it effects the Cost of Service Study,  
13 it would be no different from any other dollar of revenue  
14 earned by Manitoba Hydro.

15 THE CHAIRPERSON: I gather if that was  
16 the way it played out, and just trying to imagine how it  
17 would effect the COSS, any payments that were due to the  
18 partner, would -- you be treating it as a minority  
19 interest and be calculated according to such contracts as  
20 you may enter into; would that be accurate?

21 MR. VINCE WARDEN: Yes, that would be  
22 accurate, as well.

23 THE CHAIRPERSON: So any payments that  
24 were made would sort of fall into the COSS, on some  
25 different line, correct?

1                   MR. VINCE WARDEN:    I would expect so, Mr.  
2 Chairman.  I think there are some alternative ways that  
3 we could account for Wuskwatim, but the net effect is  
4 close to what you described I would expect, yes.

5                   THE CHAIRPERSON:    I was just trying to  
6 work through in my mind how it would work with this COSS  
7 and I --

8                   MR. VINCE WARDEN:    There are -- there are  
9 though some options and I think it is something that I  
10 would want to give further thought to as to how exactly  
11 we would reflect Wuskwatim revenues and expenses on the  
12 operating statements of Manitoba Hydro.

13                   The impact though -- and your point is the  
14 impact on the Cost of Service Study should be relatively  
15 transparent as far as the methodology is concerned.

16                   THE CHAIRPERSON:    I was just imagining  
17 the general accounting for a large corporation that has a  
18 minority interest in some small subsidiary.  You know  
19 they normally consolidate all the revenues and all the  
20 expense all the way through, then you look at it right at  
21 the bottom they have minority interests, and I was sort  
22 of testing that theory against the COSS model.

23                   MR. VINCE WARDEN:    Yes, and -- and I  
24 agree that -- that would be the most logical way to  
25 handle the -- the transaction.

1 THE CHAIRPERSON: Thank you, Mr. Warden,  
2 it's helpful to me. Mr. Peters...?

3 MR. BOB PETERS: Yes, thank you.

4 MR. ROBERT MAYER: Excuse me, Mr. Chair,  
5 coming out -- arising out of the question regarding wind  
6 those wind purchases then as I understand it in your  
7 proposal would be 46 percent assigned to the opportunity  
8 export class; is that correct?

9 MR. VINCE WARDEN: Yes, that's correct.

10 MR. ROBERT MAYER: Yes, we're looking at  
11 page 32 of your rebuttal.

12 MR. ROBIN WIENS: That -- that is  
13 correct.

14 MR. ROBERT MAYER: Thank you.

15 THE CHAIRPERSON: Mr. Peters, we're back  
16 to you.

17

18 CONTINUED CROSS-EXAMINATION BY MR. BOB PETERS:

19 MR. BOB PETERS: Thank you and good  
20 morning. Panel, I think we left off yesterday with  
21 perhaps a common understanding that one (1) of the most  
22 significant debates that's going to happen before the  
23 Board in this Hearing is what is a fair distribution of  
24 the export credits or the next export revenue; is that  
25 correct?

1 MR. VINCE WARDEN: Yes.

2 MR. BOB PETERS: And, Mr. Warden, I'm  
3 wondering why does Manitoba Hydro even join that debate  
4 as to what is fair about -- what's a fair way to  
5 distribute the export credit because you've acknowledged  
6 there's really nothing in it for Manitoba Hydro; would  
7 you agree?

8 MR. VINCE WARDEN: No.

9 MR. BOB PETERS: All right. Tell my why  
10 not.

11 MR. VINCE WARDEN: Well, when you say  
12 there's nothing in it for Manitoba Hydro, I really -- I --  
13 - I really am struggling as to where you're coming from  
14 with that, Mr. Peters. I -- what does Manitoba Hydro  
15 exist for? We exist to serve customers and we can't be  
16 indifferent to how those customers are served with -- or  
17 how those costs are allocated amongst those customer  
18 classes.

19 MR. BOB PETERS: Okay. We're -- we're  
20 not talking about the costs now, we're talking about the  
21 net export revenue.

22 MR. VINCE WARDEN: But we have though  
23 used cost to include -- I think in the broader sense  
24 we've include the all encompassing costs to include the  
25 net export revenue allocation.

1                   MR. BOB PETERS:     But would you agree  
2 with me, Mr. Warden, that whatever methodology is  
3 selected by this Board or determined won't impact  
4 Manitoba Hydro's future?

5                   MR. VINCE WARDEN:    No, I would not agree  
6 with that.

7                   MR. BOB PETERS:     All right.  And how  
8 decision by this Board impact on what -- what decisions  
9 Manitoba Hydro makes going forward?

10                  MR. VINCE WARDEN:   Well, I -- I'm very  
11 confident that this Board will come to a conclusion that  
12 is in the -- in the interest of -- of ratepayers and  
13 therefore I'm -- I'm not overly concerned about that, but  
14 in the event that that -- was some decision that detected  
15 how consumers used electricity in the future, if -- if  
16 there was a weighting that was more advantageous to one  
17 (1) consumer group over the others it could affect  
18 consumption.  It could affect how we plan our system and  
19 how -- how generation is added in the future.

20                  So a whole host of implications could flow  
21 from a decision that may not be in the interests of -- of  
22 Manitoba Hydro.

23                  MR. BOB PETERS:     Well, one (1) option,  
24 is it correct to say, Panel Members, that rather than --  
25 rather than get into the portraying of the export credit

1 as both the -- the blessing and the curse you could  
2 exclude it entirely from the Cost of Service Study?

3 MR. VINCE WARDEN: Well, I think I  
4 indicated in my direct and it was perhaps more a musing  
5 than anything else, but I think I indicated that until we  
6 achieve our minimum debt equity target, we might very  
7 well consider excluding export revenue from the -- from  
8 the Cost of Service Study.

9 In which case we would fall back to the  
10 revenue cost coverage ratios before the -- before the  
11 export allocation back to the customer classes, which,  
12 net effect, would probably be the same. That is our --  
13 our allocation of revenue increases approved by this  
14 Board would probably, proportionately, be very similar to  
15 what they would be with the net export calculation -- or  
16 allocation.

17 MR. BOB PETERS: Well, let's just take a  
18 couple of minutes and explore that option for the Board's  
19 interest then.

20 And, Mr. Wiens, my recollection is that in  
21 -- in a prior hearing you had urged the Board to consider  
22 the pre-export revenue allocations and the resulting  
23 RCC's, and that was done in the last GRA. Even though it  
24 wasn't a recommendation from the Utility, it was  
25 something you -- you recommended the Board consider.

1                   Would that be fair?

2                   MR. ROBIN WIENS:    That's correct.

3                   MR. BOB PETERS:    And, Mr. Wiens and Panel  
4 Members and Board Members, in the book of documents I  
5 handed out, if you turn to document number 9, and I guess  
6 page 1, there's a couple of documents in there -- or more  
7 than one (1) in there.

8                   If you turn to the first page what you'll  
9 find is a copy of Schedule B-4 which is a summary page of  
10 the Cost of Service Study for the recommended  
11 methodology; is that correct, Mr. Wiens?

12                  MR. ROBIN WIENS:    Yes, it is.

13                  MR. BOB PETERS:    And in almost the middle  
14 of the page you see:

15                         "RCC percentage pre-export allocation."

16                   And you see in a column a number of  
17 numbers, all of which are below 100 percent, correct?

18                  MR. ROBIN WIENS:    Yes.

19                  MR. BOB PETERS:    And what you're saying  
20 is that column represents the revenue to cost coverage  
21 ratio before you deal with the -- with the difficult  
22 question of how to allocate net export revenue.

23                  MR. ROBIN WIENS:    Yes.

24                  MR. BOB PETERS:    And you've actually, I  
25 believe, done this for all four (4) of the methodologies

1 that you are putting before the Board. And if you turn  
2 to document number 16 in the book of documents you'll see  
3 a copy of Manitoba Hydro's response to PUB First Round  
4 Question 20.

5 You've found that, Mr. Wiens?

6 MR. ROBIN WIENS: Yes.

7 MR. BOB PETERS: Now, the difference  
8 between the document on page -- in Tab 9 and the document  
9 on Tab 16 is that you've used the pre-export allocation  
10 revenue to cost coverage ratio and you have converted it  
11 to a base of 100 percent for each of the four (4)  
12 methodologies.

13 MR. ROBIN WIENS: That's correct.

14 MR. BOB PETERS: And if you do that  
15 you're saying that if you stop the cost of service at  
16 document in Tab 16, you could use those revenue to cost  
17 coverage ratios as the end product of a cost of service  
18 study.

19

20 (BRIEF PAUSE)

21

22 MR. ROBIN WIENS: Mr. Peters, it -- it  
23 does show the relative position of the classes. It's not  
24 immediately apparent that you -- that you would want to  
25 accept those results in all cases.

1                   MR. BOB PETERS:    Why is that, Mr. -- Mr.  
2    Wiens?

3                   MR. ROBIN WIENS:    If -- if you -- you  
4    take a look, going back to page -- or to Tab 9 in -- in  
5    your book of documents, and as you mentioned, Mr. Peters,  
6    there is a -- a comparable schedule for each of the four  
7    (4) methodologies.

8                   And they do, in all cases, show the  
9    revenue cost coverage before export allocation, which, in  
10   most cases, is going to -- is going to have a -- a  
11   general consumer base in the order of seventy-five (75),  
12   seventy-eight (78), eighty (80), and those are going to  
13   tell you the relative position of the classes without the  
14   necessity to index it over one hundred (100).

15                  Indexing over one hundred (100) allows you  
16   to view it conveniently, compared to, say, the last  
17   column. It has that virtue, but it may introduce some  
18   distortions of its own if you pursue it without any kind  
19   of modification or perspective on your viewpoint.

20                  MR. BOB PETERS:    So you're telling the  
21   Board that while you could stop with the results that you  
22   find on Tab 16 document, there may be some modifications  
23   needed on a class by class or even sub-class basis?

24                  MR. ROBIN WIENS:    That's possible, yes,  
25   Mr. Peters.

1                   MR. BOB PETERS:    And without turning your  
2 mind to it, are there any specific adjustments that you  
3 can tell the Board would have to be made or would be  
4 recommended to be made by Manitoba Hydro?

5                   MR. ROBIN WIENS:    Well, I'll refer to our  
6 recommended method which -- if you go back to again to  
7 tab 9 of that schedule, you will see that when we have  
8 actually added back the export revenue and the allocation  
9 of the export revenue using our recommended method, we  
10 come up with some numbers which, for most of the classes,  
11 aren't a whole lot unlike what you see in tab 16.

12                  MR. BOB PETERS:    Well, indeed that was  
13 Mr. Warden's point, is that -- and you say that I think  
14 in tab 16 in the narrative part that the revenue -- that  
15 the export revenue doesn't change significantly regard --  
16 the RCC's regardless of the cost allocation method used.

17                  MR. ROBIN WIENS:    Except -- except for  
18 one (1) class if you check that.

19                  MR. BOB PETERS:    Okay.

20                  MR. ROBIN WIENS:    And that is area and  
21 roadway lighting and that's -- I know Mr. Buhr will have  
22 an interest in this.  But that is because when we  
23 specified the allocator for the net export revenue after  
24 we had already assigned costs to an export class, the  
25 allocator we specified was total cost to serve each of

1 the classes, other than the costs for dedicated or end  
2 use facilities.

3                   Which a significant portion of the costs  
4 allocated to the street lighting or the area and roadway  
5 lighting class are for dedicated end use facilities; that  
6 actually could be considered to be beyond the point of  
7 delivery for most customer classes.

8                   In the same manner, I mean we didn't have  
9 to make a deliberate exclusion, but we do not include,  
10 Mr. Peters, the cost of the stove in your house in the  
11 allocator for export revenue, or the cost of your fridge,  
12 the end use portion of the load.

13                   And what the strictly indexing method  
14 does, is it doesn't allow us to make that adjustment. So  
15 you get what, in our opinion, is an excessively high  
16 revenue cost coverage for area and roadway lighting.

17                   Whereas for most of the other classes the  
18 amount of dedicated facilities serving those classes is  
19 not significant. So it doesn't -- it means that indexing  
20 or using Manitoba Hydro's recommended method is going to  
21 give you pretty similar responses.

22                   MR. BOB PETERS: All right. Thank you  
23 for that detailed clarification, Mr. Wiens.

24                   So because of the allocators used,  
25 certainly Manitoba Hydro would want to consider some

1 adjustment to at least the area and roadway lighting  
2 class, is what you've said?

3 MR. ROBIN WIENS: That's correct.

4 MR. BOB PETERS: You also say in the  
5 document found at Tab 16, that's PUB Manitoba Hydro First  
6 Round 20, that regardless of the methodology used, it's  
7 the allocation of the net export revenues that causes the  
8 most variance between the classes under all methods, and  
9 that hasn't changed no matter -- no matter whether you  
10 take the pre-export or the post-export -- sorry the pre-  
11 export numbers and the different methodologies used.

12 MR. ROBIN WIENS: I think what we're  
13 trying to say here is, if -- at least for the classes  
14 generally, although there may be some wider discrepancy  
15 for some than others, but, if you look at the residential  
16 class the recommended method is 96 percent, the current  
17 is 97 percent, the NERA is 94 percent, the generation  
18 vintaging is 94 percent. They're not terribly different.

19 The gap is a little larger, say in the  
20 case of general service large over 100 kV, you see the  
21 range going from 101 to 107 or so percent.

22 But, it's not -- the gap is not as wide  
23 among the methods as it when you add the export is when  
24 you add the export assignment or allocation to the mix.

25 MR. BOB PETERS: And -- and part of the

1 reason for that, Mr. Wiens, is that between the  
2 recommended and the NERA and the current there are  
3 different ways and different amounts being allocated of  
4 the export credit.

5 MR. ROBIN WIENS: That is correct.

6 MR. BOB PETERS: All right. We'll come  
7 to that later, but in terms of this option as I've called  
8 it, and certainly it'll be something that the Board can  
9 consider, and it's clear that it's not your recommended  
10 option, correct?

11 MR. ROBIN WIENS: That's correct.

12 MR. BOB PETERS: But in terms of having  
13 merit, one (1) of the first things that you note is that  
14 you don't assign the net export credit to customers and  
15 therefore you avoid the -- let's call it the fight over  
16 how to do it.

17 Would you agree that's one (1) of the  
18 benefits?

19 MR. ROBIN WIENS: I guess, assuming such  
20 a method would be adopted by the -- by this Board then  
21 yeah, you would avoid that. You would avoid that  
22 difference of opinion.

23 MR. BOB PETERS: Well, another --  
24 another benefit I think is what Mr. Warden alluded to and  
25 that was if you don't allocate the -- or credit the net

1 export revenue back to the various customer classes then  
2 it's available for other purposes; is that correct?

3

4 (BRIEF PAUSE)

5

6 MR. VINCE WARDEN: Mr. Peters, we would  
7 not be -- to be clear on that, we would not be creating  
8 any more revenue. We would -- the purpose of developing  
9 revenue cost coverage ratios through -- through the Cost  
10 of Service Study is to determine a fair allocation of any  
11 revenue increases in the future.

12 So there would be no additional revenue  
13 available to the Corporation if that revenue was not  
14 allocated back to the customer classes.

15 MR. BOB PETERS: No, I wasn't suggesting  
16 there would be more revenue, Mr. Warden. It's just that  
17 it could at least notionally be used for other purposes  
18 than crediting it back in the Cost of Service Study.

19 MR. VINCE WARDEN: No. No. There --  
20 there, as I said -- indicated the only purpose of those  
21 revenue cost coverages is to determine how future rate  
22 increases would be allocated back. If -- if we turn to --  
23 -- back to Tab 9 again and you look at the RCC's pre-  
24 export allocation, and if you determine that 78.2 percent  
25 was not on average, for all general consumers, was not

1 adequate or not appropriate you could come to a  
2 conclusion you should have larger rate increases than you  
3 otherwise would if you went to the RCC's which are close  
4 to a hundred (100) on average for all cust -- all  
5 classes.

6                   But assuming we're only going to have rate  
7 increases for discussion purposes about the rates of  
8 inflation going forward it only becomes a question of how  
9 those rate increases will be allocated back to the  
10 customer classes.

11                   I think I made the point earlier that the  
12 only advantage of -- or one (1) of the advantages of  
13 looking at the RCC's pre-export is that we can see that  
14 no class exceeds one hundred (100) and therefore any  
15 concern that people that support the area and roadway  
16 lighting classification might have had that they're  
17 overpaying would be alleviated in that circumstance.

18                   MR. BOB PETERS:    Mr. Warden, then perhaps  
19 you can clarify for at least my benefit what you meant  
20 when you said that until you reach your debt equity ratio  
21 of seventy-five twenty-five (75:25) maybe there should be  
22 no export allocation back to the -- to the classes  
23 through the Cost of Service Study.

24                   MR. VINCE WARDEN:   Well, it -- all that  
25 accomplishes really is, in your words, it avoids the

1 fight. We would in that situation look at RCC's prior to  
2 the export allocation and make a judgment as to how  
3 future rate increases should be allocated on that basis.

4           And I -- and I would expect that the  
5 decision would not be too different from -- from what it  
6 would be if we looked at the RCC's after the export  
7 allocation. It does -- all it does is avoid this  
8 discussion we're going through.

9           But assuming that we are going to get to  
10 our seventy-five twenty-five (75:25) debt equity ratio in  
11 a relatively short time period, the methodology we've  
12 used historically at Manitoba Hydro still serves us going  
13 forward and would also serve us going pre-attainment of  
14 the -- of the target debt equity ratio.

15           So I guess what I'm saying is I'm not  
16 really recommending that we go back to RCC's pre-export.  
17 I think it's a -- a useful benchmark though.

18           MR. ROBERT MAYER:   Mr. Warden, now you  
19 have me confused. When I heard you yesterday saying we  
20 could go -- we could remove this whole problem of net  
21 export revenue allocation simply by ignoring it and  
22 dealing with the whole issue based on the costs as shown  
23 prior to the allocation, and then you said, as Mr. Peters  
24 has just pointed out, that -- or at least you implied  
25 you could then use all that money to increase your debt

1 equity ratio, which I sort of assumed meant you'd pay  
2 down some of your debt.

3           And if you used that money to pay down  
4 some of your debt you would, although reduce to some  
5 extent your costs, your interest costs, it -- I was left  
6 with the impression that if you used all the net export  
7 revenue to reduce your debt, that the -- every class, in  
8 order to pay its fair share of costs, would be -- would  
9 suffer a significant rate increase almost immediately.

10           How am I wrong and where did I make my  
11 mistake?

12           MR. VINCE WARDEN: Well, Mr. Mayer, I am  
13 not sure that there's a real short answer to your  
14 question. We -- if we use the RCC's pre the export  
15 allocation, that does not in itself create any more  
16 revenue for the Corporation.

17           We have so much revenue today. The only  
18 way we're going to increase revenue is through additional  
19 sales or through rate increases, or by a reduction of our  
20 expenses. That's the only way that we can have more  
21 revenue to, in your words, pay down debt, which is a  
22 whole other discussion which we can get into at some  
23 point.

24           I think I've made the point in previous  
25 proceedings, that debt for Manitoba Hydro is not a bad

1 thing; that's what we use for expansion purposes. Debt  
2 is good. It has to be managed. Managing it is getting  
3 to an appropriate debt equity ratio, which we have  
4 determined to be seventy-five twenty-five (75:25).

5           You get there through -- through fiscal  
6 management of resources, such that rates to customers are  
7 maintained in a manner that is in appropriate balance  
8 with -- with the reality that we -- we do have this  
9 export market that we -- fluctuates up and down.

10           So, as I said, there's not really a short  
11 answer to your question but the point is there is no more  
12 revenue that would be generated through, whichever cost  
13 allocation methodology you use, unless there's rate  
14 increases that flow there from --

15           MR. ROBERT MAYER:     But, Mr. Warden, this  
16 is what I couldn't understand. It sounded like what you  
17 said yesterday, if you eliminated the allocation and  
18 applied the debt export revenue to increase your debt  
19 equity ratio or to make it -- to obtain a more favourable  
20 debt equity ratio, then I got the impression that you  
21 would -- because the Board has previously ordered to show  
22 us a plan to bring everybody to unity within, I think we  
23 said three (3) to five (5) years or five (5) to seven (7)  
24 years. I can't remember the exact wording of the -- of  
25 the Order.

1                   So the only way you could do that then  
2 would be to apply for significantly higher increases than  
3 you have indicated to the Board that you're prepared to  
4 do.

5                   Now, I understand that to be -- have any  
6 of the assumptions I made -- are any of them incorrect?  
7 Am I missing something?

8                   MR. VINCE WARDEN:   No.  The -- the point  
9 you just -- the statement you just made that we would  
10 have to apply for significantly higher rate increases  
11 than we have in the past or plan on doing -- doing in the  
12 future is absolutely correct.

13                   If we go back to the RCC's pre-export  
14 revenue and say, Okay we want to bring those up to unity,  
15 we would apply -- immediately apply for a 15/20 percent  
16 rate increase.  I'm not recommending we do that but that  
17 would be the effect.

18                   MR. ROBERT MAYER:   That's what -- sorry -  
19 - that's what I thought would be the effect and that's  
20 what I thought would happen, but that's not what I heard  
21 you tell Mr. Peters.

22                   So I -- I just can't perceive that as  
23 being something you're recommending and you made it very  
24 clear you're not recommending it.  And I don't wish to  
25 pre-judge anything but I, quite frankly, can't see this

1 Board buying into something like that either.

2

3 CONTINUED BY MR. BOB PETERS:

4 MR. BOB PETERS: Mr. Warden -- and I  
5 think I may have contributed to some of the confusion, so  
6 I should certainly take responsibility and try to  
7 extricate myself here.

8 But, it's clear that you -- the Cost of  
9 Service Study, no matter what you do with it, it doesn't  
10 create more or less revenue for the Corporation?

11 MR. VINCE WARDEN: Absolutely.

12 MR. BOB PETERS: And under the -- using  
13 the pre-export revenue to cost ratios and grossing them  
14 up or basing them on a base of 100 percent, all that does  
15 is it eliminates the need to consider how to incorporate  
16 net export revenue into the Cost of Service Study?

17

18 (BRIEF PAUSE)

19

20 MR. VINCE WARDEN: I'm sorry, would you  
21 just mind repeating the question. I want to make sure I  
22 have your question clear.

23 MR. BOB PETERS: If the Board was  
24 inclined to utilize the pre-export revenue RCC's as the  
25 end product of the Cost of Service Study, all that will

1 accomplish is the allocating of the costs, but not having  
2 to consider how to allocate the net export revenues to  
3 customer classes.

4 MR. VINCE WARDEN: Yes, I would agree  
5 with that. And if we again look at tab 9 we would then,  
6 for illustrative purposes, let's just say we would come  
7 forward with a rate application of 2 percent, or whatever  
8 the number might be.

9 We would then look at those RCC's, pre-  
10 export allocation, make some judgment about how the  
11 weighting of that rate increase, that 2 percent should be  
12 distributed amongst the customer classes.

13 I would look at, for example, area and  
14 roadway lighting at ninety-nine point two (99.2) and say,  
15 you know, they're very close to unity, perhaps that  
16 should get zero increase. So then we'll make some  
17 judgment about residential versus the general service  
18 classes.

19 And then, look at how that might evolve  
20 over the long term assuming there would be a series of  
21 rate increases over the next several years and attempt to  
22 bring those closer to unity.

23 So, yes, that could very well be done the  
24 same -- I would say the same ultimate rate increase  
25 recommendations would likely come forward from that --

1 from that scenario.

2 MR. BOB PETERS: Okay. Thank you. And  
3 in your last answer, you talked about having to make  
4 judgments. And in one of those judgments could be to set  
5 the pre-export credits, RCC targets at -- you know, pick  
6 a number say 80 percent and apply a zone of  
7 reasonableness to them and then again make the same kind  
8 of recommendations to the Board as to what are  
9 appropriate rate increases, using a pre-export RCC as the  
10 base.

11 MR. VINCE WARDEN: That could be done.

12 MR. BOB PETERS: And the reason I'm  
13 hearing the Corporation say it doesn't -- it doesn't  
14 support that is because there would -- there would be a  
15 need to make other adjustments to eliminate distortions  
16 that occur if you -- if you did that, if you used the  
17 pre-export RCC's?

18 MR. VINCE WARDEN: Well, as Mr. Wiens  
19 pointed out earlier, really the only customer class that  
20 would be materially affected is area and roadway  
21 lighting. I think the only reason it's not being  
22 recommended -- it's certainly a viable option that's not  
23 being recommended because it's a departure from history.

24 And there's -- assuming we can come to an  
25 agreement on -- in net export revenue allocation, be

1 looking at some ratios closer to unity is probably  
2 convenient.

3 MR. BOB PETERS: All right. The -- in  
4 terms of moving forward then, the recommended cost of  
5 service study that you put forward --

6 MR. ROBERT MAYER: Excuse me, Mr. Peters.  
7 What would happen then if you did what you just suggested  
8 and said you could do? The Board has already ordered  
9 first call on net export revenues to be assigned to some  
10 extent to level out the former geographical differential  
11 zones -- sorry, zone differentials and to some extent to  
12 diesel, without allocating net export revenue I'm  
13 assuming that would create yet another judgment call  
14 somewhere.

15 MR. VINCE WARDEN: It -- it would to a  
16 certain extent but that -- that could easily be  
17 accommodated. It wouldn't be a major obstacle for us.

18

19 (BRIEF PAUSE)

20

21 MR. BOB PETERS: In moving to the  
22 recommended cost of service study methodology that's put  
23 forward by Manitoba Hydro, and I didn't write down Mr.  
24 Wiens's words but I -- I gather from yesterday, the  
25 recommended methodology is to mitigate, although not

1 eliminate, the problems associated with the higher and  
2 increasing export prices.

3 MR. ROBIN WIENS: I think that's fair,  
4 yes.

5 MR. BOB PETERS: And we just had a few  
6 minutes' discussion about the pre-export allocation.  
7 We've -- we now -- we know that you have a recommended  
8 cost of service methodology that's different and that  
9 your recommended methodology is to -- to mitigate the  
10 problems associated with the higher and increasing export  
11 unit prices.

12 But is the -- is the recommended  
13 methodology that you're putting forward robust enough to  
14 withstand a return to export unit prices back in the  
15 range of 1992?

16

17 (BRIEF PAUSE)

18

19 MR. ROBIN WIENS: To be truthful, Mr.  
20 Peters, we -- we haven't explored that, at least  
21 quantitatively. I think it possibly, maybe even likely,  
22 may be but it's not something that I want to say with  
23 certainty.

24 MR. BOB PETERS: I appreciate the  
25 straightforward answer, Mr. Wiens.

1                   So -- so would it -- would there be a  
2 concern that if the world turned in a way that we don't  
3 know and we can't predict, that we may find ourselves  
4 wanting to go back to an allocation methodology based on  
5 generation and transmission costs rather than the total  
6 cost base on which the recommended methodology looks at?

7                   MR. ROBIN WIENS:   My friend on -- on my  
8 extreme right may want to weigh in on this one.  But I --  
9 I don't see there being a very high probability of  
10 returning to that world, so I -- I think the -- the  
11 question may be somewhat academic, but let's go down that  
12 road anyway.

13                   If -- if we were to return to a world in  
14 which we were receiving one and half (1 1/2) cents or so  
15 per kilowatt hour out of the export market instead of the  
16 greater than five (5) cents that is in this particular  
17 cost of service study, I -- I think we might want to take  
18 -- take a look at that, yes.

19                   MR. HAROLD SURMINSKI:   I can add to Mr.  
20 Wiens' comments about the one point five (1.5) being an  
21 extremely low number.  We do work out scenarios of -- of  
22 our expected price, a low price and a high price, and our  
23 low price is -- is nowhere near that kind of an estimate.

24                   MR. BOB PETERS:   Meaning you use a higher  
25 low price than one point five (1.5) cents a kilowatt

1 hour.

2 MR. HAROLD SURMINSKI: That's correct.

3 MR. BOB PETERS: So -- so you probably  
4 knew that we were going to pay a dollar a litre for  
5 gasoline too and you didn't tell anybody.

6 Now, what I'm saying, Mr. Surminski, is  
7 for your -- for your modeling purposes you've made an  
8 assumption that you're not dropping back to a -- a cost  
9 that low.

10 MR. HAROLD SURMINSKI: Yes. We --

11 MR. BOB PETERS: Well, let's -- let's  
12 keep on that, Mr. Surminski, and maybe just stay with me  
13 for a minute.

14 Manitoba Hydro loosely considers their  
15 surplus energy program prices as a proxy for the  
16 opportunity export values.

17 Would that be -- would that be true?

18 MR. HAROLD SURMINSKI: Yes, as a proxy.

19 MR. BOB PETERS: And my understanding is  
20 that surplus energy prices have fallen of late; is that  
21 correct?

22 MR. HAROLD SURMINSKI: If -- you mean in  
23 the last two (2) or three (3) months?

24 MR. BOB PETERS: Yes.

25 MR. HAROLD SURMINSKI: Yes, that's

1 correct.

2 MR. BOB PETERS: And -- and would you  
3 agree that it also appears that natural gas prices have  
4 fallen over that period of time?

5 MR. HAROLD SURMINSKI: Yes. We relate it  
6 to directly as being a cause.

7 MR. BOB PETERS: Well, while you relate  
8 them -- sorry -- while you relate them directly, you're  
9 suggesting that there's an inverse relationship between  
10 high natural prices and -- the -- well, the higher the  
11 natural gas prices go, the higher the surplus energy  
12 prices that you can -- you can extract on the market.

13 MR. HAROLD SURMINSKI: Yes. I call that  
14 a direct relationship --

15 MR. BOB PETERS: Yes.

16 MR. HAROLD SURMINSKI: -- instead of  
17 inverse, yes.

18 MR. BOB PETERS: Agreed. I -- I thought  
19 about that when my mouth was working and it -- you're  
20 right.

21 So it is also -- is it also common  
22 knowledge that Manitoba Hydro exports probably displace  
23 some natural gas fired electrical generation?

24 MR. HAROLD SURMINSKI: Yes.

25 MR. BOB PETERS: And is it your

1 suggestion to the Board, Mr. Surminski, that the direct  
2 relationship between natural gas prices and the surplus  
3 energy program prices is likely to continue into the  
4 future?

5 MR. HAROLD SURMINSKI: Yes, it is likely.  
6 Gas generation is -- is likely to remain part of the mix  
7 in our export market.

8 MR. BOB PETERS: Well, seeing as you  
9 didn't warn me about the dollar a litre on the gasoline  
10 can you tell the Board what Hydro's expectations are for  
11 natural gas prices and surplus energy prices over the --  
12 the next short term?

13

14 (BRIEF PAUSE)

15

16 MR. VINCE WARDEN: We -- short term, we  
17 don't know. Seriously, the -- the way the natural gas  
18 market operates as you're well aware, Mr. Peters, it's  
19 very unpredictable in the short-term. We do do long-term  
20 scenarios though for -- for natural gas prices and that  
21 is part of our -- our resource planning. So we do see a  
22 fairly long-term, stable outlook for -- for natural gas.

23 MR. BOB PETERS: When you're talking  
24 long-term are you talking five (5) years and longer?

25 MR. VINCE WARDEN: Longer.

1 MR. BOB PETERS: Ten (10) years?

2 MR. VINCE WARDEN: Typically we go out  
3 ten (10) years and longer.

4 MR. BOB PETERS: And in making a -- a  
5 gaze out into the -- the future, Mr. Warden, you don't  
6 want to go short-term because you know it's going to  
7 fluctuate, but you think on the long-term you can -- you  
8 can be more accurate?

9 MR. VINCE WARDEN: Well, when I say "we"  
10 we've -- we've taken into account -- we have opinions  
11 from people that whose business it is to forecast the --  
12 the future and we take a consensus view of -- of those  
13 opinions.

14 MR. BOB PETERS: You -- you also I think  
15 answered to me that your long-term view which is ten (10)  
16 years and longer is that rates for natural gas will be  
17 relatively stable. Do I understand that correctly?

18 MR. VINCE WARDEN: Stable in terms of  
19 alignment with other indicators such as inflation over  
20 that period of time.

21 MR. BOB PETERS: And I suppose I'm -- I'm  
22 wondering what is the base starting point for that  
23 expectation of being stable?

24 Is it going to be stable at the rates at  
25 the -- at the gas prices -- the natural gas prices that

1 we find May 1st or back to November of last year or where  
2 -- at what point are they stable?

3

4 (BRIEF PAUSE)

5

6 MR. VINCE WARDEN: Well, we try to -- or  
7 the forecasters try to factor out the volatility that's  
8 current in the marketplace so the starting point is  
9 somewhat lower, significantly lower, than what it is  
10 today.

11 MR. BOB PETERS: I take from that answer  
12 that over the long term you expect natural gas prices to  
13 be no higher than they are today then over the long term?

14

15 (BRIEF PAUSE)

16

17 MR. VINCE WARDEN: Well, I would have to  
18 look at that forecast specifically to see -- to see where  
19 they are relative to today's price of natural gas, but  
20 yeah, I -- without having a review of that I -- I  
21 probably wouldn't be able to confirm your last statement.

22 MR. BOB PETERS: Well, then maybe to  
23 close off this section could I -- could I ask, Mr.  
24 Warden, that you and your Panel Members, perhaps more so  
25 Mr. Surminski undertake to advise the Board as to what is

1 the Corporation's long-term expectation for natural gas  
2 and surplus energy prices?

3

4 (BRIEF PAUSE)

5

6 MR. VINCE WARDEN: We might have some  
7 difficulty with that, Mr. Peters, in terms of our market  
8 position -- our marketing position in export markets. I  
9 don't think it's the type of information we would like to  
10 divulge publicly.

11 So we would have to have some discussions  
12 with the people back at the office to see, whether or  
13 not, that is something we could provide.

14 MR. BOB PETERS: Then maybe I'll just  
15 amend that request and maybe you can advise the Board  
16 through your counsel, as to whether you are prepared to  
17 make public that undertaking?

18 MR. VINCE WARDEN: Yes, we can do that.

19 MR. BOB PETERS: At that point, the Board  
20 can consider what, if any, additional information it has.

21 THE CHAIRPERSON: Excuse me, leaving that  
22 as was -- with you thinking about it, returning just to  
23 the general question.

24 Just to re-state then, you're not  
25 expecting any significant downturn in the value of energy

1 unit prices sufficient to cause you to re-evaluate your  
2 recommended COSS model?

3 MR. VINCE WARDEN: No.

4 THE CHAIRPERSON: Thank you.

5

6 CONTINUED BY MR. BOB PETERS:

7 MR. BOB PETERS: Just on that last  
8 undertaking matter. In the event that the Corporation  
9 determines that that information, or perhaps any  
10 information arising at this Hearing is one that they  
11 would prefer not to put on the public record, you can  
12 also consider whether the Corporation, through maybe the  
13 advice of your counsel, is prepared to provide  
14 information, if specifically requested by the Board on a  
15 confidential basis. We can leave that with you.

16 MR. VINCE WARDEN: Certainly.

17

18 --- UNDERTAKING NO. 2: To advise the Board if the  
19 Corporation is prepared to  
20 make public their long-term  
21 expectation for natural gas  
22 and surplus energy prices,  
23 and if not, if they are  
24 prepared to provide the  
25 information to the Board on a

1 confidential basis.

2

3 MR. BOB PETERS: Okay. I want to turn  
4 with the Witness Panel to understand some of the issues  
5 of timing with the prospective cost of service study that  
6 you have before the Board.

7 And specifically, I think the evidence is  
8 that you used the IFF-04-1, that's found at document 3 of  
9 the book of documents.

10

11 (BRIEF PAUSE)

12

13 MR. CHIC THOMAS: That's correct.

14 MR. BOB PETERS: Now, Mr. Thomas, at Tab  
15 number 3 of the book of documents, the integrated  
16 financial forecast MH-04 was prepared in approximately  
17 the fall of zero -- of 2005?

18 Let me rephrase the question. The  
19 prospective cost of service study '06 was prepared in the  
20 fall of '05?

21 MR. CHIC THOMAS: Yes.

22 MR. BOB PETERS: And at the time you  
23 prepared it, you did not yet have available the new IFF-  
24 05 from the electric side of the operation?

25

1 (BRIEF PAUSE)

2

3 MR. CHIC THOMAS: Mr. Wiens' date  
4 expertise has reminded me that when we filed our original  
5 four (4) scenarios without the backup was February 1st,  
6 '05. So -- so I'll take that back and we prepared it in  
7 '04.

8

9 (BRIEF PAUSE)

10

11 MR. BOB PETERS: When you prepared it in  
12 '04 the then most current IFF you had was the IFF-04?

13 MR. CHIC THOMAS: That's correct.

14 MR. BOB PETERS: And Mr. Thomas, one (1)  
15 of the assumptions that's built into the IFF-04 is that  
16 Manitoba Hydro would receive approval for a 2005  
17 condition rate increase of about 2.25 percent on October  
18 1st of '05; is that also correct?

19 MR. CHIC THOMAS: Yes, that's correct.

20 MR. BOB PETERS: And that's not factual.

21 MR. CHIC THOMAS: No.

22 MR. BOB PETERS: Didn't turn out that  
23 way?

24 MR. CHIC THOMAS: Correct.

25 MR. BOB PETERS: So the IFF-04 that the

1 Board has built into it some additional revenues from  
2 general consumer rates that didn't materialize?

3 MR. CHIC THOMAS: Yes.

4 MR. BOB PETERS: Can you tell the Board  
5 what impact the inclusion of that 2.25 percent rate  
6 increase that wasn't requested or granted has on the IFF  
7 -- has on the -- the Cost of Service Study when we --  
8 when the Board's considering this?

9 MR. CHIC THOMAS: I believe that we had  
10 covered that in an IR or perhaps in some of the  
11 documentation but the effect is minimal because the --  
12 the increased revenue would be offset by the cost as the  
13 cost of service is always in unity so the -- the net  
14 effect on the 2 percent is minimal.

15 MR. ROBIN WIENS: I -- I might add, Mr.  
16 Peters, that the overall effect -- I mean assuming  
17 everything else in the forecast materialized except the  
18 rates on an annualized basis is probably in the order of  
19 1 percent and as it's across the board for all classes it  
20 -- it would not be -- it would not materially affect the  
21 results for sure.

22 MR. BOB PETERS: I appreciate that. So  
23 there's no need for us to factor in any adjustments to  
24 the recommended methodology that's based on an IFF that  
25 contains some revenue that wasn't actually obtained?

1 MR. CHIC THOMAS: That's correct.

2 MR. BOB PETERS: All right. And -- and  
3 Mr. Wiens' point is -- is perhaps not insignificant in  
4 that even if you did apply for the 2.25 percent and even  
5 if the Board did allow it you assume it would have been  
6 across the board which I think, Mr. Wiens, means every  
7 customer class would receive the same percentage class  
8 increase?

9 MR. ROBIN WIENS: That's correct.

10 MR. BOB PETERS: And because of that, Mr.  
11 Wiens, it puts everybody in a relative position to the  
12 other and -- and doesn't distort the final results in any  
13 significant way?

14 MR. ROBIN WIENS: Again, correct.

15 MR. BOB PETERS: Is there going to be a  
16 perspective cost of service study for '07?

17 MR. CHIC THOMAS: In terms of what will  
18 be filed with the Board is yet to be determined. Usually  
19 our -- our section does a prospective cost of service on  
20 an annual basis. Whatever document is ultimately filed  
21 with the Public Utilities Board though is another matter.

22 MR. BOB PETERS: I need some help with  
23 that last answer, Mr. Wiens. You task Mr. Thomas to --  
24 to do it but whether you share it is -- is up to you and  
25 Mr. Warden is that what I'm gathering?

1 MR. ROBIN WIENS: We don't even always  
2 task Mr. Thomas to do it. If -- if it -- you're talking  
3 about '06/'07 which would be the current fiscal year and  
4 at this stage it may be that unless we were  
5 contemplating, which we are not, applying for a rate  
6 increase in the fiscal year '06/'07 it's a very likely  
7 prospect that we would not undertake an '06/'07  
8 prospective cost of service study but would go straight  
9 to '07/'08 and carry that out.

10 MR. BOB PETERS: I thought I heard Ms.  
11 Harms give a sigh of relief there but I understand your  
12 point and -- and a decision has not yet been made, Mr.  
13 Wiens, or has it been made that you're not going to do  
14 one (1)?

15 MR. ROBIN WIENS: The decision has not  
16 yet been made but I -- I guess it's safe to say that in  
17 the circumstances where we would not be applying for an  
18 increase in that particular fiscal year the incentive or  
19 the pressure to do it would be somewhat lessened.

20 MR. BOB PETERS: I think we can  
21 understand that. Mr. Wiens and Mr. Thomas, even if you  
22 had a -- an IFF -05 available when you did the '06 Cost  
23 of Service Study the numbers may change but the outcome  
24 would be relatively the same.

25 Would it -- would that also hold true?

1 MR. ROBIN WIENS: I believe that.

2 MR. BOB PETERS: And -- and why do you  
3 believe that, Mr. Wiens?

4 MR. ROBIN WIENS: A couple of reasons.  
5 Yes, things do change from year to year but very often  
6 they do not change enough to make a difference. I think  
7 if you go back in history and look at the cost of service  
8 studies that have been filed with this Board usually on  
9 an annual basis, not always, you will find that in broad  
10 outline that there are not huge changes from year to  
11 year.

12 MR. BOB PETERS: And so even though --  
13 and -- and I'm going to maybe try to pin Mr. Warden down  
14 here, I -- I wrote down in my notes from yesterday, I'm  
15 not sure if it came from Mr. Warden but net income could  
16 be a record net income in the range of \$375 million  
17 anticipated for the fiscal year ending 2006.

18 MR. VINCE WARDEN: It will be record net  
19 income for sure. I did indicate the three seventy-five  
20 (375) is what we -- the public number that we had  
21 released in our quarterly report for December 31st of  
22 2005.

23 That was our projection at that time and  
24 it will be higher than that number.

25 MR. BOB PETERS: And when I looked at

1 your -- your IFF-05, even though it's not part of the  
2 formal application here, Mr. Warden, that's telling the  
3 Board and the parties in this room that your extra-  
4 provincial revenue will probably exceed \$800 million.

5 MR. VINCE WARDEN: Yes.

6 MR. BOB PETERS: And, if anything, that -  
7 - that magnifies the problem that we're talking about in  
8 -- in the methodology review that we're conducting today.

9 MR. VINCE WARDEN: Not really, no. We  
10 shouldn't look at any one (1) year in terms of export  
11 sales. We -- we should be looking at a year of median  
12 water flows, so what we would expect under -- under  
13 median conditions.

14 So, yes, we -- we have droughts in some  
15 years, we have high water flows in other years, so we  
16 should not look at any one (1) year actual results in  
17 isolation.

18 THE CHAIRPERSON: Just to support your  
19 comment, Mr. Warden, it's more than just the water flows  
20 though in this case, isn't it? It's also the unit sale  
21 prices with the natural gas situation?

22 MR. VINCE WARDEN: As it affects its past  
23 fiscal year, absolutely, yes.

24 THE CHAIRPERSON: Thank you.

25

1 CONTINUED BY MR. BOB PETERS:

2 MR. BOB PETERS: In the book of documents  
3 that you have, if you could flip to Tab 2. And in Tab 2  
4 there's actually a total of three (3) documents and the  
5 first one, by design, has very few if any numbers on it.

6 And this overview of the Cost of Service  
7 Study schematic, as I can call it, is really the process,  
8 Mr. Wiens and Mr. Thomas, that you -- that you run  
9 through.

10 Would that generally be correct?

11 MR. CHIC THOMAS: Yeah.

12 MR. BOB PETERS: And if -- you run  
13 through this -- this process where you have your source  
14 data and you've told the Board that it was in IFF and  
15 particular IFF-04 this time and on Mr. -- on Mr. Warden's  
16 point, so I don't lose it, you base your cost of service  
17 study not on the current year but you try to project out  
18 into a median -- a median year that you use on your IFF.

19 Would that be correct?

20 MR. CHIC THOMAS: That's correct.

21 MR. BOB PETERS: And so that's always the  
22 second year out on the IFF.

23 MR. CHIC THOMAS: In the case of the Cost  
24 of Service Study, yes.

25 MR. BOB PETERS: Yes. You use a median

1 year which in the IFF is the second year on -- out in the  
2 IFF.

3 MR. CHIC THOMAS: Yes.

4 MR. BOB PETERS: And the first year is  
5 actual results to the extent you know them and if you're  
6 not quite sure of them, you might use some median  
7 adjustments for the first year.

8 MR. HAROLD SURMINSKI: Yes, that's  
9 correct.

10 MR. BOB PETERS: And we've already agreed  
11 the second year you used median results, and by median  
12 I'm understanding that there's a 50 percent chance that  
13 the -- that the numbers will be higher and a 50 percent  
14 chance the numbers will be lower.

15

16 (BRIEF PAUSE)

17

18 MR. HAROLD SURMINSKI: Yeah. Well, it's  
19 median in the sense that it's median inflows given the  
20 starting conditions that you have at the time. So in the  
21 first year you're starting with flows as you know them at  
22 the time and median precipitation following that.

23 And by the end of that year, that's from  
24 the fall into the spring into the next fiscal year of  
25 April the 1st, you've already got known -- you have a

1 pretty good idea of your reservoir storages at that point  
2 and -- and your flows and then you continue with median  
3 precipitation after that.

4 So the starting point is a factor here.  
5 It's not as if you're starting from some unknown  
6 condition. The starting point in the fall is important  
7 in all this.

8 MR. BOB PETERS: All right. And -- and  
9 the starting year, in the fall, before you get to the  
10 year that you use for the Cost of Service Study, you then  
11 want to use median flows from your starting position?

12 MR. HAROLD SURMINSKI: That's correct.

13 MR. BOB PETERS: All right. And -- and  
14 then for the other years in the IFF that go out, fourteen  
15 (14), fifteen (15) years, or however long it is, you're  
16 using average.

17 MR. HAROLD SURMINSKI: We use the -- we  
18 use all flow conditions, either eighty-six (86) -- we had  
19 previously used eighty-six (86) and now we've increased  
20 that ninety-three (93) flow conditions. And we calculate  
21 the -- the impacts of each of those flow conditions and  
22 we average the impacts or average the costs and revenues.

23 So we don't take the single average of all  
24 those, we actually do the analysis of revenues, costs,  
25 for each of the ninety-three (93). And we do that

1 because they're -- they is very -- I guess it's not  
2 uniform. The effect in low flows is not offset  
3 necessarily by effects in highs.

4 The distribution is skewed so it's not  
5 appropriate to just take a single value; let's say, a  
6 middle or average value. It is more appropriate to take  
7 the entire range and do the analysis on the entire range.

8 MR. BOB PETERS: But once you have done  
9 the entire range what do you do with those ninety-three  
10 (93) different numbers?

11 MR. HAROLD SURMINSKI: We average those.

12 MR. BOB PETERS: And using the median is  
13 consistent with regulatory process for rate increases and  
14 the like, where historically they've been based on  
15 weather normalized values?

16 MR. ROBIN WIENS: We may be expanding the  
17 discussion here, Mr. Peters. The flow conditions are, as  
18 Mr. Surminski has stated, that you take the starting  
19 point in the fall when the IFF is prepared and you  
20 project forward to the next two (2) years on a median  
21 basis.

22 Weather normalization does figure into the  
23 Cost of Service Study too, but it doesn't figure in to  
24 the flows, it figures into the forecast of the customer  
25 loads.

1                   MR. BOB PETERS:    So I'm mistaken if I  
2    equate using median flows to equate to weather  
3    normalization, if you will, of the water flows?

4                   MR. HAROLD SURMINSKI:   It's more of an  
5    expected value as opposed to -- expected values of the  
6    impacts of the various flows.  So it's not -- it is  
7    considering the possibility of the whole range, but in a  
8    way that all ninety-three (93) conditions are considered  
9    separately and then averaged.

10                  MR. BOB PETERS:    All right.  Thank you  
11    for that.

12                  Back to the first document at Tab 2 of the  
13    book of documents, you went through the cost allocation  
14    methodology process for all four (4) of the methodologies  
15    filed in the materials?

16                  MR. CHIC THOMAS:    That's correct.

17                  MR. BOB PETERS:    And Mr. Thomas, can you  
18    indicate to the Board the time it takes for the Utility  
19    to run a cost of service study on any one (1) of those  
20    methodologies?

21                  MR. CHIC THOMAS:    Well, I guess the first  
22    one is always -- takes the longest and then based on that  
23    we can -- we can adjust our model to incorporate the  
24    other changes.  How long it takes depends on the  
25    availability of the data that we need to make up the

1 model, but I guess on average, we could say six (6)  
2 months.

3

4 (BRIEF PAUSE)

5

6 MR. BOB PETERS: I take from your answer,  
7 Mr. Thomas, that before you can do your job Mr. Warden  
8 has to get some numbers to you and that adds to the  
9 timeframe in that six (6) month period; that's included  
10 in the six (6) months?

11 MR. CHIC THOMAS: Yes, correct and we --

12 MR. BOB PETERS: When you get all the  
13 information you need, approximately how long does it take  
14 your group to churn the numbers and come out with a  
15 prospective cost of service study?

16 MR. CHIC THOMAS: About two (2) months.

17 MR. BOB PETERS: You've told the Board  
18 that you did this process for all four (4) methodologies  
19 and one (1) that I'm going to turn to on just a  
20 discussion level here, is the generation vintaging  
21 methodology.

22 This is one that -- that came at the  
23 Corporation from the last general rate adjustment where  
24 the Board asked the Company to consider that, correct?

25 MR. CHIC THOMAS: Yes, I believe that was

1 an idea championed by TREE/RCM.

2 MR. BOB PETERS: Yes and you actually did  
3 a review of it and came back with some numbers on it and  
4 it's one (1) that you don't recommended?

5 MR. CHIC THOMAS: That's correct.

6 MR. BOB PETERS: Can you tell the Board  
7 succinctly, why you don't recommend them -- recommend the  
8 Board consider further generation vintaging option in the  
9 materials?

10 MR. CHIC THOMAS: I guess there's two (2)  
11 primary reasons. Number 1, it's the difficulty in  
12 assigning what is low cost generation of -- for the  
13 purpose of the -- the generation vintaging we did for the  
14 EO6 (phonetic) it was determined to be Winnipeg River as  
15 suggested by TREE.

16 And then the other reason is that  
17 materially it doesn't affect the results and again I --  
18 you know it comes back to the allocation of export  
19 revenue which is -- which is the primary driver. If you  
20 exclude that factor out of it the results aren't  
21 materially different from any of the other scenarios.

22 MR. BOB PETERS: I understand your --  
23 your second reason for not recommending it, I just need  
24 some help with the first one, Mr. Thomas.

25 And -- and you say that there's difficulty

1 in assigning what is low cost generation?

2

3

(BRIEF PAUSE)

4

5 MR. CHIC THOMAS: It's -- yeah, it's the  
6 -- you know we do know the cost of the older plants, but  
7 I guess if we were -- you know if we were to take an  
8 extreme example and there is all kinds of money spent on  
9 the Winnipeg River Plant for example all of a sudden some  
10 of those plant would not be the lowest cost.

11 So it's -- you know we -- you could -- you  
12 -- you could rank the -- the generating stations by costs  
13 and rank it that way. So you know there's -- there's a  
14 number of ways you can do it and to explicitly define  
15 what is low cost is -- is hard to do going forward.

16 MR. BOB PETERS: So I take from your  
17 answer that while the Winnipeg River System Plants may be  
18 the lowest cost generators today, that may change in five  
19 (5) years based on capital improvements that may be  
20 necessary or some other circumstances that affect other  
21 generation?

22 MR. CHIC THOMAS: Yeah, that's fair.

23 MR. BOB PETERS: And so for the long-term  
24 purposes of a cost of service study you see that as  
25 introducing a variable that doesn't -- doesn't bring any

1 value to the Cost of Service Study?

2 MR. CHIC THOMAS: Well, everything I  
3 think brings value to the Cost of Service Study in terms  
4 of evaluating different -- different results but overall  
5 in terms of a recommended way to go forward, yes.

6

7 (BRIEF PAUSE)

8

9 MR. BOB PETERS: Back to Tab 2 of our  
10 book of documents and the first document there, the one  
11 without the numbers. In terms of the source data the  
12 numbers that you use from the IFF, Mr. Thomas, are those  
13 the very same numbers this Board would see if you came  
14 before it with a general rate application?

15

16 (BRIEF PAUSE)

17

18 MR. CHIC THOMAS: Yes, the IFF is the  
19 same document that we would be using in -- in this review  
20 or any general rate application.

21

22 (BRIEF PAUSE)

23

24 MR. BOB PETERS: One (1) of the costs  
25 that you want to include in your cost of service study --

1 well, let me -- let me rephrase that.

2 In your cost of service study, Mr. Thomas,  
3 you want the total costs equal to the total revenue,  
4 correct?

5 MR. CHIC THOMAS: Yes, that's correct.

6 MR. BOB PETERS: And to make the -- the  
7 numbers work you have to consider net income then as one  
8 (1) of the, I'll call it costs, but that has to be  
9 included in the Cost of Service Study?

10 MR. CHIC THOMAS: Also correct.

11 MR. BOB PETERS: And we -- we heard Mr.  
12 Surminski yesterday talk about a drought and he was  
13 perhaps putting on his worst case scenario hat which --  
14 which is something -- something I try to do too when we -  
15 - we discuss these points.

16 And I know, Mr. Surminski, you talked  
17 about a \$1.5 billion cost for a five (5) year drought and  
18 then you really worried about it and it could be as much  
19 as \$2 billion  
20 is what I -- what I recall you saying?

21 MR. HAROLD SURMINSKI: Yes, that what's I  
22 stated in my direct.

23 MR. BOB PETERS: And --

24 THE CHAIRPERSON: Bob, or Mr. Peters, I  
25 think you also added 200 million for imputed interest

1 cost on top of that did you not?

2 MR. HAROLD SURMINSKI: Yes, they would be  
3 above the \$2 billion.

4

5 CONTINUED BY MR. BOB PETERS:

6 MR. BOB PETERS: Is the -- is the \$1.5  
7 billion figure reflect -- reflected in the IFF-04?

8 MR. HAROLD SURMINSKI: Yes. It's  
9 reflected in every estimate of the IFF's, but it's --  
10 it's weighted according to its probability of occurrence.

11 So it's -- it's the worst I -- it would be  
12 the weighting of one (1) in ninety-three (93) or in that  
13 particular o-four (04) when there was only eighty-six  
14 (86) of them and it would be the one (1) in eighty-six  
15 (86).

16 MR. BOB PETERS: What is the projected  
17 frequency of the \$1.5 billion drought impact? Is it --  
18 it's more than one (1) in ninety-three (93)?

19 MR. HAROLD SURMINSKI: Yeah. As an  
20 estimate I think it would be something like one (1) in  
21 twenty (20).

22 MR. BOB PETERS: And whether the -- and  
23 whether the -- whether it's one (1) in twenty (20) or  
24 whether it's 1.5 billion or 2 billion or 2.2 billion,  
25 that number has never been tested before the Board in any

1 -- in any significant way; would that be fair to say?

2

3

(BRIEF PAUSE)

4

5 MR. HAROLD SURMINSKI: I did, in my 2004  
6 testimony, indicate it was a qualitative assessment. And  
7 yes, we were not able to -- to exactly quantify because  
8 it's a -- a judgment on the probability of several  
9 extreme events occurring. And you could work out  
10 scenarios of high natural gas prices, and any one of them  
11 to an extreme could -- could come close and then -- or  
12 lesser magnitudes of four (4) factors in combination.

13 So there are many different combinations  
14 that could have the outcome of the \$2 billion.

15 MR. BOB PETERS: You've not filed any --  
16 any backup, I suppose, numbers and probability studies  
17 and -- and detail on -- on those numbers but you're  
18 saying it's -- it's qualitative from where you sit.

19 MR. HAROLD SURMINSKI: Yes. And we have  
20 filed information on the 1.3 billion in the past, the  
21 components that make that up.

22 MR. BOB PETERS: Mr. Surminski, while  
23 you're on the mic, I have a note here to ask you about  
24 whether or not you're spilling any water on your -- out  
25 of your reservoirs at this point or are you putting

1 everything through -- through a turbine?

2 MR. HAROLD SURMINSKI: It varies across  
3 the basins. I know the Winnipeg River is definitely in  
4 spill. Flows are -- are higher than the plants can  
5 handle. The Lower Nelson, it takes a lot to get spill  
6 there, so it's not at that point.

7 MR. ROBERT MAYER: You're moving a lot of  
8 water out of the Notigi, I think. I'm assuming it's  
9 being held at Kettle, but the Burntwood River is pretty  
10 high.

11 MR. HAROLD SURMINSKI: Yes, the Burntwood  
12 flows are high but Kettle and downstream plants are  
13 designed for very high flows, so they don't spill until  
14 the flows are maybe 10 or 20 percent higher than they are  
15 now.

16 MR. BOB PETERS: Do I take from that  
17 answer, Mr. Surminski, that the generating stations are,  
18 on the Winnipeg River, where you're spilling, are being  
19 run to the maximum?

20 MR. HAROLD SURMINSKI: Yes. But, in  
21 fact, spill is not good because there is too much water  
22 and it raises your tail water level. So actually you get  
23 less than maximum generation when you have too -- too  
24 much flows.

25 MR. BOB PETERS: I appreciate that. And

1 that, I'm sure, will excite the engineers in the room.  
2 But -- but the -- but the point is, it's -- you've  
3 maximized the generating capacity of your plants. It's  
4 not that you're choosing to spill because you have no  
5 export market for the -- for the product.

6 MR. HAROLD SURMINSKI: Yes. The plants  
7 are generating at maximum capability. It's just the --  
8 the maximum happens to be less than under ideal  
9 conditions.

10 MR. BOB PETERS: No. And I -- I do  
11 understand there's a -- there's an engineering reason and  
12 a -- for that to happen.

13 MR. ROBERT MAYER: I found it rather  
14 interesting when I did hear the engineer several months  
15 ago on CBC Radio saying, Now we have too much water. I  
16 was wondering when we stop complaining.

17

18 CONTINUED BY MR. BOB PETERS:

19 MR. BOB PETERS: Mr. Surminski, you gave  
20 a qualitative estimate of your -- of your drought impacts  
21 and tried to quantify that as happening perhaps one (1)  
22 out of twenty (20) years.

23 Can you indicate to the Board that within  
24 the ninety-three (93) years that you have the data on,  
25 how many years have significant losses in it?



1 IFF)

2

3 MR. HAROLD SURMINSKI: And it's not just  
4 a single year, it's like a five (5) year sequence of  
5 flows that we were talking about. So there was  
6 persistence in stream flows. There were several years of  
7 highs and several of lows.

8 So it's not just individual years that are  
9 looked at, it is a combination of years. And usually the  
10 effects compound. Because you start with low reservoir  
11 levels and then you continue having low inflows, the  
12 impact of that gets more and more severe.

13 MR. BOB PETERS: And you're -- I  
14 understood your 1.5 billion number, which may be 2  
15 billion, which may be 2.2 billion, qualitatively, was one  
16 (1) out of twenty (20), was the number you used, right?

17 MR. HAROLD SURMINSKI: Yes. And one (1)  
18 of the reasons for that is because it's a five (5) year  
19 drought.

20 MR. BOB PETERS: And that really means  
21 it's one (1) out of four (4) years would be a drought,  
22 but you put them all together for this -- for this five  
23 (5) year occurrence, and five (5) out of your ninety-  
24 three (93) years is roughly the one (1) out of twenty  
25 (20)?

1                   Let me rephrase the question then, Mr.  
2 Surminski.

3                   Is your one (1) out of twenty (20) years  
4 equivalent to the five (5) year drought out of a hundred  
5 (100) years?

6                   MR. HAROLD SURMINSKI:   That is -- yes,  
7 that's one (1) way you could think of the probability of  
8 occurrence.  It is the worst five (5) year period we had  
9 and it's about a hundred (100) years of record.  So you  
10 could think of it happening, the probability is one (1)  
11 in twenty (20).

12                  MR. BOB PETERS:   And I recall there being  
13 other periods of drought that the Corporation had,  
14 including, I think, in the late '70's?

15                  MR. HAROLD SURMINSKI:   The second worst  
16 drought was 1987 to about 1992, '93.

17                  MR. BOB PETERS:   And so can you then  
18 maybe get back to us with an undertaking as to how many  
19 years out of the ninety-three (93) you estimate that  
20 there has been a loss to the Corporation as a result of  
21 the water flows?

22                  MR. HAROLD SURMINSKI:   We can provide  
23 some indication of probably generation costs and  
24 interchange revenue, which is the significant component  
25 that we provide to the IFF.

1                   So by providing the -- that number, the  
2 net of generation costs and interchange revenue, you'll  
3 get a very good idea of the variability over the years.

4                   MR. BOB PETERS:     Thank you.

5                   THE CHAIRPERSON:    I just have a simple  
6 question along those lines.  When you're taking a look at  
7 those bad situations, just like when you're looking at  
8 very good situations, like you've just had, you're  
9 looking at modern days, like with respect to the premium  
10 price that you've paid and the effect of high natural gas  
11 prices and things like that.

12                   So you're reflecting on maybe past  
13 experiences in water flows, but you're combining it with  
14 current experience with pricing?

15                   MR. HAROLD SURMINSKI:    Yes, certainly,  
16 our model is a forward simulation and we use our  
17 projections of export prices in this, the cost of natural  
18 gas for our own natural, cost of coal for our coal  
19 plants, and imports.  But, it is all going forward.

20                   THE CHAIRPERSON:    Because I recall in the  
21 2004 the comment was made that the losses that were  
22 incurred, which over 2002/'04, probably as a result of  
23 that, if you added it all up, I presume was over \$600  
24 million.

25                   The -- it could have been a lot worse

1 other than the mitigating actions that were taken into  
2 place. So when you make the projection of the one point  
3 five (1.5), or two (2), or two point two (2.2) I assume  
4 you're assuming that you would be taking those types of  
5 mitigating actions to restrain the loss?

6 MR. HAROLD SURMINSKI: Yes, that's  
7 correct. So it -- it is all based, as I stated, on our  
8 best estimate and our best estimate is to consider all  
9 actions that we could take to protect ourselves.

10 THE CHAIRPERSON: You've also said that  
11 that's not your worst risk, that your worst risk has to  
12 do with infrastructure failure or something of those  
13 lines, or loss of markets and something like that.

14 You don't take that into account in the  
15 forecast, do you? They're sort of outside of the IFF's?

16 MR. VINCE WARDEN: Well, we -- we do take  
17 that into account in terms of assessing the total risk --  
18 risks of the Corporation and the level of equity that we  
19 deem prudent to strive for.

20 THE CHAIRPERSON: No, I realize that, Mr.  
21 Warden, I was just -- think I was saying the obvious.  
22 When you look out at your ninety-three (93) years, for  
23 example, you don't work on some -- you never had an  
24 experience where you had a major catastrophic  
25 infrastructure loss.

1                   You're not doing some probabilities and  
2 factoring in some sort of leveled off loss for that  
3 happening once in ninety-three (93) years or something of  
4 that nature. You're doing it -- you're looking at it  
5 from a risk perspective but you're not integrating that  
6 risk perspective into the IFF's.

7                   MR. VINCE WARDEN: We're not -- we're not  
8 going through the simulation model that Mr. Surminski  
9 described for water flows, for sure. We are, though,  
10 certainly -- the Corporate Risk Management Report that we  
11 filed with these proceedings and the IFF are somewhat  
12 companion documents, so we do consider all those risks in  
13 making recommendations to our Board for the appropriate  
14 level of retained earnings.

15                   THE CHAIRPERSON: Yes, that was my  
16 understanding.

17                   MR. ROBERT MAYER: And I know The Chair  
18 has asked this question in previous hearings, but having  
19 just said -- talking about catastrophic risk, I'm  
20 assuming that's a loss of a major dam, not just a  
21 generating station, a major dam that loses a significant  
22 amount of -- creates a significant amount of damage and  
23 loses a significant amount of ability to create power.

24                   Are you insured against those kinds of  
25 catastrophic losses?

1 MR. VINCE WARDEN: No. No, we self-  
2 insure for those catastrophic losses.

3 THE CHAIRPERSON: And that comes back to  
4 your discussions about the level of retained earnings  
5 that you feel that you should hold?

6 MR. VINCE WARDEN: It does.

7

8 CONTINUED BY MR. BOB PETERS:

9 MR. BOB PETERS: Thank you. Mr.  
10 Surminski, from your -- your answers and Mr. Warden's  
11 answers to The Chair's questions, the ninety-three (93)  
12 years of forecasts that you have, those are forecasts of  
13 water flows that you're talking about, correct?

14 MR. HAROLD SURMINSKI: They're forecasts  
15 in the way we use our historic -- our previous ninety-  
16 three (93) years as being an indicator of what could  
17 happen in the future. We make adjustments to these for  
18 present use conditions so we don't use 1912 as it  
19 occurred, but as 1912 would occur now for present use  
20 conditions.

21 MR. BOB PETERS: Always dealing with  
22 water flow and expected or -- or possible flows today?

23 MR. HAROLD SURMINSKI: Yes, that's the  
24 proxy for the range of possible flow conditions.

25 MR. BOB PETERS: And you don't go down to

1 the financial impact level of -- of those different flows  
2 in -- in today's terms; that's not something that you  
3 study?

4 MR. HAROLD SURMINSKI: By financial  
5 impact we do -- we do provide the information on the  
6 generation costs and interchange revenue and the loss of  
7 exports. So we do it from that perspective.

8 MR. BOB PETERS: But not -- but -- but  
9 you don't, in essence, run an IFF for each of those  
10 ninety (90) -- those ninety-three (93) years?

11 MR. HAROLD SURMINSKI: That's right.

12 MR. BOB PETERS: What you do do, is you  
13 determine what -- what we've now had a refinement on a --  
14 a better understanding of what this median flow level  
15 would be, and it's based on that median flows, but then  
16 you do run the numbers through the IFF, or at least  
17 someone in the Corporation does?

18 MR. HAROLD SURMINSKI: Again, it's not  
19 median flows, it's the median impact --

20 MR. BOB PETERS: Yes.

21 MR. HAROLD SURMINSKI: -- of -- of all  
22 the conditions. And also our financial planning people  
23 do obtain the lowest flow conditions and the highest from  
24 our range, and they use that as a sensitivity.

25

1 (BRIEF PAUSE)

2

3 MR. BOB PETERS: How does that  
4 sensitivity enter into the IFF?

5 MR. HAROLD SURMINSKI: I believe it's --  
6 as I recall, there are graph -- a graphical  
7 representation saying what the lowest and highest is, as  
8 well as the expected.

9 MR. BOB PETERS: All right. They're one  
10 (1) of the ninety -- the lowest is one (1) of the ninety-  
11 three (93) years and the highest is one (1) of the  
12 ninety-three (93) years, and those are the bookends for -  
13 - for what you present.

14 MR. HAROLD SURMINSKI: That's correct.

15 MR. BOB PETERS: All right. Moving along  
16 then with the IFF, at Tab --

17 THE CHAIRPERSON: Mr. Peters...?

18 MR. BOB PETERS: Yes.

19 THE CHAIRPERSON: Before the Board moves  
20 into a spill situation as to knowledge, perhaps we could  
21 have our break.

22 MR. BOB PETERS: As long as it's just  
23 knowledge, okay, yes. Thank you.

24

25 --- Upon recessing at 10:30 a.m.

1 --- Upon resuming at 10:52 a.m.

2

3 THE CHAIRPERSON: Mr. Peters, any time  
4 you're ready.

5 MR. BOB PETERS: Thank you.

6

7 CONTINUED BY MR. BOB PETERS:

8 MR. BOB PETERS: And I think I've been  
9 trying to be economical in my request of undertakings of  
10 the Corporation, and in like response I believe Mr.  
11 Surminski is able to address probably the last  
12 undertaking that we had talked about and provide some  
13 information to the Board at this time and I'll ask him to  
14 provide his answer.

15 MR. HAROLD SURMINSKI: Thank you, Mr.  
16 Peters. Yes, as I was indicating earlier I recalled that  
17 there was a graphic in the IFF and have since found --  
18 it's in the '04 IFF on page 22.

19 And there's a graph indicating the export  
20 revenue due to water flow conditions, the net export  
21 revenue. So the variability of --

22 MR. BOB PETERS: Just before I -- if I  
23 could interrupt Mr. Surminski, only to help people find -  
24 - find it, because I know with my book of documents I  
25 just excised one of the pages.

1                   But it's found in Volume II of the 06/07  
2 and 07/08 general rate application filing. It's Volume  
3 II appendices, and, in fact, it is the appendix 5.2, is  
4 where I've located it, Mr. Surminski. Is that the one  
5 (1) you're referring to?

6                   MR. HAROLD SURMINSKI: I don't have the  
7 document.

8                   MR. BOB PETERS: Oh, I'm sorry. All  
9 right.

10

11   (BRIEF PAUSE)

12

13                   MR. HAROLD SURMINSKI: We have it. Yes,  
14 so the graph indicates the variability of our export  
15 revenues -- net export revenues based on the lowest of  
16 the flow conditions and the highest.

17                   So the -- in the IFF the expected is used,  
18 so this provides the range and as I had indicated, the  
19 downside is more extreme than the upside.

20                   So it's -- in our process we -- we use the  
21 weighting of -- of all conditions and -- and the downside  
22 is always, well, more costly, because we end up having to  
23 import expensive energy or run thermal -- thermal  
24 generation. Whereas on the upside, in high flow  
25 conditions there's a maximum, we spill water and -- and

1 drive down the price.

2 THE CHAIRPERSON: Are the -- are the  
3 downsize and the upsize, on a number basis, relatively  
4 equivalent?

5 In order words, do you have the very good  
6 water flows about the same level of frequency you have  
7 the droughts?

8 MR. HAROLD SURMINSKI: It's -- it's  
9 difficult to -- to respond to that because it's -- it's a  
10 matter of degree. Like, this is the worst and there are  
11 a number of -- of situations like this, you know,  
12 decreasing in magnitude until you get to median, and then  
13 a number on -- on the upside.

14 So it's all -- it's variable for -- you  
15 know, the extent is variable and varies with each of the  
16 flow conditions.

17 THE CHAIRPERSON: Just reflecting on the  
18 fact that it's not a zero sum gain. When it's really  
19 bad, it's really, really bad, and the good ones really  
20 don't make up for it.

21 But you've already indicated that with  
22 respect to your IFF's, all of the data is factored in.

23 MR. HAROLD SURMINSKI: Yes, that's  
24 correct. And I guess --

25 THE CHAIRPERSON: In other words, in a

1 normal medium year, leaving all these asides, there's a  
2 little bit of drift downwards to account for this  
3 differential between the excess of bad compared to the  
4 abundance of good.

5 MR. HAROLD SURMINSKI: Yes. And I guess  
6 you could judge the -- the relative magnitudes from this  
7 because the expected is the middle, is the zero. And so  
8 it means there must be fewer of these extreme lows in  
9 order to arise in the middle.

10 THE CHAIRPERSON: Mr. Peters...?

11 MR. BOB PETERS: I think there was one  
12 other matter of housekeeping from Ms. Ramage, only to  
13 indicate that she has provided a -- and filed with the  
14 Board a copy of a letter that I requested yesterday by  
15 way of undertaking, and has had the foresight to label it  
16 as Exhibit number 9 in response.

17 And I would just indicate that has been  
18 filed and --

19 MS. TAMARA MCCAFFREY: Mr. Peters, if I  
20 may, I don't think this is the right letter. There was  
21 another letter, an earlier letter in fact, talking about  
22 system extension policy.

23 I don't think -- this seems to be a -- a  
24 response to a letter written by one of the  
25 representatives from one of the industries that received

1 the system extension policy letter, saying, What is this  
2 all about, We have some concerns.

3 So this is a -- a letter that, oh,  
4 response, you know, sort of placates with respect to the  
5 -- the concerns. That's not the original letter -- by  
6 mistake. There seems to be an earlier one, I think, that  
7 you'll find that --

8 MS. PATTI RAMAGE: Can you give -- just  
9 to make it clear, can you give me the date? Or maybe  
10 offline we'll discuss the date so we make sure --

11 MS. TAMARA MCCAFFREY: I --

12 MS. PATTI RAMAGE: -- we have the right  
13 letter.

14 MS. TAMARA MCCAFFREY: I may -- I  
15 probably have it with me. And if I have it, I'll give it  
16 to you right away. But otherwise, we'll get back to you  
17 with that date. Thanks.

18 MS. PATTI RAMAGE: Okay. Thank you.

19 THE CHAIRPERSON: Perhaps you wouldn't  
20 mind providing it to Mr. Barron and we can make copies  
21 for everyone.

22 MS. PATTI RAMAGE: That would be helpful  
23 because we read the letter in the free press, so --

24 MS. TAMARA MCCAFFREY: Yeah. Well --

25 MS. PATTI RAMAGE: -- if you know if --

1 MS. TAMARA MCCAFFREY: -- it is a letter  
2 from Manitoba Hydro but I -- I may have it with me. And  
3 if I do, we'll -- we'll provide that to you.

4 MS. PATTI RAMAGE: Thank you, Ms.  
5 McCaffrey.

6 MS. TAMARA MCCAFFREY: And then go from  
7 there.

8 THE CHAIRPERSON: Thank you.

9 MS. PATTI RAMAGE: I'm sure we'll have  
10 it, it's just to make sure we're all working from the  
11 same page.

12 MR. ROBERT MAYER: And since obviously  
13 there is more than one (1) piece of correspondence, I --  
14 I think it would be kind of nice if we could assemble the  
15 -- all of the correspondence that ended up resulting in  
16 that May 1st article.

17 MS. PATTI RAMAGE: I think --

18 MR. ROBERT MAYER: Because now I'm really  
19 confused.

20 MS. PATTI RAMAGE: I think it might be  
21 helpful for Ms. McCaffrey and I to work together because  
22 we don't know what was behind the May 1st article. We --  
23 we're sort of a little bit guessing which letter is being  
24 referred to because there's not a specific letter  
25 referenced.



1 Mr. Williams, thank you for that.

2 I think before the break we had -- Panel  
3 agreed that as a starting point you were at Tab 3 of the  
4 book of documents dealing with the -- the one (1) page of  
5 the IFF that provided the electrical operations,  
6 projected operating statement and that's the -- that's  
7 the number where you started from. Have I got that  
8 right?

9 MR. CHIC THOMAS: That's correct.

10 MR. BOB PETERS: And you also told the  
11 Board that you would include net income in the Cost of  
12 Service Study, so the \$208 million that is forecast back  
13 in -- in the IFF '04, that \$208 million would be included  
14 in the Cost of Service Study?

15 MR. CHIC THOMAS: As a cost, yes.

16 MR. BOB PETERS: And the fact that that  
17 \$208 million may look a lot more like \$375 million or  
18 more, it doesn't change the net effect of the Cost of  
19 Service Study in the Corporation's view?

20 MR. CHIC THOMAS: We use the two hundred  
21 and eight (208) regardless of what the -- the actual  
22 comes in at.

23 MR. BOB PETERS: And before people get  
24 their calculators out, adjustments are made, Mr. Thomas,  
25 to the information in the IFF so that you can take the

1 information over to the Cost of Service Study. Would  
2 that also be correct?

3 MR. CHIC THOMAS: That's correct.

4 MR. BOB PETERS: And those adjustments  
5 are found in document -- Tab 4 of the book of documents.  
6 And the adjustments that you make are set out in -- in  
7 chart form, and I don't want to go through them all, but  
8 for example, one (1) of the adjustments that you do make  
9 is that you remove \$48.4 million of variable costs and  
10 you directly allocate that to the opportunity export  
11 class in the Manitoba Hydro recommended cost of service  
12 methodology?

13 MR. CHIC THOMAS: Yes, that's correct.

14 MR. BOB PETERS: And in terms of costs to  
15 be allocated, we look under the column that's PCOSS, and  
16 the major headings there show us that for depreciation  
17 there's \$290 million that's going to be carried forward  
18 to the Cost of Service Study together with finance of 727  
19 million, and O&M costs around \$492 million, correct?

20 MR. CHIC THOMAS: Yes.

21 MR. BOB PETERS: And if the -- the  
22 operating costs that are down at four ninety eight (498)  
23 are also further adjusted for miscellaneous revenue that  
24 you have to credit back?

25 MR. CHIC THOMAS: That's correct.

1                   MR. BOB PETERS:    And that brings it down  
2 to 492 million?

3                   MR. CHIC THOMAS:    Yes.

4                   MR. BOB PETERS:    All right.  And if you  
5 can read the handwriting on the page, and if the  
6 calculator was right it's approximately \$1.509 million?

7                   MR. CHIC THOMAS:    Yes, will -- which will  
8 correspond to Schedule B-4, I believe it is -- in the  
9 Cost of Service Study, it is the total allocated cost.

10                  MR. BOB PETERS:    All right --

11                  MR. CHIC THOMAS:    Or total cost.  My  
12 mistake.

13                  MR. BOB PETERS:    And when you said B-4  
14 you were -- it's also known as in the tab of documents  
15 Number 9, the first document in Tab 9?  It comes up with  
16 the five point -- sorry the \$1.509 --

17                  MR. CHIC THOMAS:    That's correct.

18                  MR. BOB PETERS:    -- billion?  Now, if we  
19 turn to Tab 2, and page 2 of Tab 2, which will be one (1)  
20 that I'd like you to keep relatively handy, we see the  
21 total expenses in the first column, Mr. Thomas, and the  
22 numbers that I read to you and you agreed with are shown  
23 in the first column, Total Expenses, correct?

24                  MR. CHIC THOMAS:    Second column, you  
25 mean?

1                   MR. BOB PETERS:    Yes.  Yes, second  
2 column.  The only costs flowing from plant expenditures,  
3 the historic plant expenditures, is the \$290 million  
4 shown for the depreciation together with some financing  
5 costs; would that be correct?

6                   MR. CHIC THOMAS:    That's correct.

7                   MR. BOB PETERS:    And the column beside  
8 the \$290 million indicates that the depreciation expenses  
9 are approximately 19 percent of the total costs that get  
10 allocated; you'd agree with that?

11                  MR. CHIC THOMAS:    That looks about right,  
12 yes.

13                  MR. BOB PETERS:    And the cost of plant is  
14 not expressly contained in the Cost of Service Study;  
15 that's also correct?  That is the capital cost to the  
16 plant?

17                  MR. CHIC THOMAS:    We have supporting  
18 schedules in the Cost of Service Study somewhere in  
19 section C, I believe, that highlight gross investment and  
20 accumulated depreciation, and so on and so forth,  
21 functionalized by our six (6) functions that Mr. Wiens  
22 had alluded to earlier.

23

24

(BRIEF PAUSE)

25

1                   MR. BOB PETERS:    But all you've done  
2 there is you've showed the Board how you've calculated  
3 the total expenses that get carried forward to the Cost  
4 of Service Study?

5                   MR. CHIC THOMAS:    That's right.

6                   MR. BOB PETERS:    All right.

7

8                                   (BRIEF PAUSE)

9

10                  MR. BOB PETERS:    So the next step in this  
11 process, Mr. Thomas, that you undertook, was to  
12 functionalize those total expenses; would that also be  
13 correct?

14                  MR. CHIC THOMAS:    Yes.

15                  MR. BOB PETERS:    And if we just look at  
16 the document at Tab 2, the first one, the one without the  
17 numbers on it -- the functionalization is the preliminary  
18 arrangement of cost according to the functions that are  
19 performed by the Utility?

20                  MR. CHIC THOMAS:    That's right.

21                  MR. BOB PETERS:    And before you -- before  
22 you point it out, the ancillary services that you mention  
23 as one (1) of the functions isn't expressly shown on that  
24 chart, but, that can be attributed to the fact that those  
25 expenses are functionalized back into other -- into the

1 other headings, as well?

2 MR. CHIC THOMAS: Yes, the transmission,  
3 I believe.

4 MR. BOB PETERS: And if we turn the page  
5 to the second document at Tab 2, that's the schematic,  
6 what you've done is you've taken the total expenses and  
7 you have put them into five (5) categories based on the  
8 functions performed by the Utility, in other words,  
9 you've functionalized them into five (5) categories?

10 MR. CHIC THOMAS: Yes.

11 MR. BOB PETERS: And I think it was  
12 either your evidence or Mr. Wiens' evidence through to  
13 Ms. Ramage, that in terms of sub-transmission,  
14 distribution plant and distribution services, there's no  
15 change being proposed by Manitoba Hydro in this cost of  
16 service methodology that it's recommending?

17 MR. CHIC THOMAS: That's correct.

18 MR. BOB PETERS: And so the changes that  
19 are coming affect the generation and the transmission  
20 functions, which comprise approximately 71 percent of the  
21 total costs to the Utility?

22 MR. CHIC THOMAS: Yes, that's right.

23

24 (BRIEF PAUSE)

25

1 MR. BOB PETERS: Would it also be  
2 correct, Mr. Thomas, that of the distribution plant and  
3 the distribution services, those end up being primarily  
4 put into the residential customer classes?

5 MR. CHIC THOMAS: I wouldn't say  
6 primarily, but residential general service small, general  
7 service medium and the less than thirty (30) GSL class,  
8 the actual percentages to each class, I don't have it  
9 right on hand, but.

10 MR. BOB PETERS: What you're indicating  
11 is that it's more than just residential who gets  
12 distribution costs, but you'd agree with me that the  
13 residential is the bulk of the distribution class --  
14 distribution costs, sorry?

15 MR. CHIC THOMAS: Probably.

16 MR. BOB PETERS: Yeah. All right. Well  
17 we can -- we've got the material, the back up material if  
18 we need to check that further, so.

19 The next step of what we're doing, looking  
20 at that schematic at Tab 2, page one (1), is we would  
21 then take our functionalized costs, which are \$1.5  
22 billion, and then you would classify them into one (1) or  
23 more of demand related costs, energy related costs or  
24 customer related costs, correct?

25 MR. CHIC THOMAS: Yes.

1                   MR. BOB PETERS:    Now, the customer  
2 related costs are associated with the Utility carrying  
3 customers on the power system or the addition of  
4 customers to the power system; is that correct?

5                   MR. CHIC THOMAS:    The customer related  
6 costs?

7                   MR. BOB PETERS:    Yes.

8                   MR. CHIC THOMAS:    Yes.

9                   MR. BOB PETERS:    And -- and I think an  
10 important point here is when we turn to demand costs the  
11 concept is that the costs associated -- that get  
12 classified into demand are associated with the rate of  
13 flow of electricity that is demanded at one point in  
14 time.

15                  MR. CHIC THOMAS:    That's fair.

16                  MR. BOB PETERS:    It may also include the  
17 -- the maximum size or capacity of the facilities that  
18 are required to serve customers.

19                  MR. CHIC THOMAS:    Yes.

20                  MR. BOB PETERS:    The energy costs that  
21 you have classified are associated with the consumption  
22 of electricity over a period of time by consumers.

23                  MR. CHIC THOMAS:    Over the course of the  
24 year, yes.

25                  MR. BOB PETERS:    Well it doesn't have to

1 -- in this it could be over the course of the year but --  
2 but energy in general would be, for example, a  
3 kilowatt/hour, how many kilowatts you use per hour.

4 MR. CHIC THOMAS: Yes, that's correct.

5 MR. BOB PETERS: All right. And when we  
6 talk about demand we could talk about megawatts as  
7 opposed to over a time unit.

8 MR. CHIC THOMAS: Yes.

9 MR. BOB PETERS: All right. So in --  
10 what we've done on this page is you have classified  
11 customer costs as 12 percent, demand costs as 30 percent,  
12 and energy costs as 58 percent, and again we total the  
13 \$1.509 billion in the Cost of Service Study.

14 MR. CHIC THOMAS: Yes.

15 MR. BOB PETERS: Now, the -- the  
16 breakdown of those -- of those costs can be found on Tab  
17 6. So the breakdown of the classification of  
18 functionalised costs is shown in detail on Tab 6 of the  
19 book of documents, in what is Manitoba Hydro's response  
20 to PUB/MH First Round Question 37.

21 MR. CHIC THOMAS: Yes.

22 MR. BOB PETERS: And what you're showing  
23 here is what you had functionalized as generation, some  
24 of that ends up in customer, some of that ends up in  
25 demand, and most of it ends up in energy, when you're

1 classifying it.

2 MR. CHIC THOMAS: That's right.

3 MR. BOB PETERS: And one of the points  
4 that I think we'll jump to right now, Mr. Thomas, is in  
5 your rebuttal evidence you -- you indicate that on the  
6 line where transmission is classified into demand and  
7 energy, the Corporation is -- is suggesting to the Board  
8 that that may not be the right way to go at this point in  
9 time.

10 MR. CHIC THOMAS: I don't think it was  
11 the right way to -- to characterize it as the right way  
12 to go. But I think if I recall my direct it was it -- it  
13 really isn't having a lot of effect for -- for the -- for  
14 doing what we did there, so.

15 MR. BOB PETERS: What you're suggesting  
16 is that if you had to redo this, you're recommending the  
17 Board tell you to put that classified energy cost back  
18 into -- into the demand costs, along with the rest of the  
19 \$168 million.

20 MR. CHIC THOMAS: Yes, that's right.

21 MR. BOB PETERS: And is the only reason  
22 you're doing that is because the -- the significance of  
23 having separated it into demand, the transmission  
24 functional costs into demand and energy has improved to  
25 provide any -- any significant impact on the Cost of

1 Service Study?

2 MR. ROBIN WIENS: That's true. And --  
3 and it's also true that when you look at who the costs  
4 are allocated to, and exports bear a share of both types  
5 of transmission, that domestic customers do, in fact, use  
6 what has been characterized as -- as export related  
7 transmission.

8 In the end, although the -- the report  
9 that -- and the recommendations that we received from  
10 NERA were suggesting that we certainly consider this,  
11 they weren't definitive on that.

12 And following some subsequent internal  
13 review we had determined that for all the difference it  
14 makes and for all -- for the complicating factors, that  
15 it was probably just as well to put them together again.

16 MR. BOB PETERS: And so what you're  
17 asking by way of your rebuttal evidence and your direct  
18 evidence is that you'd like the Board to indicate that --  
19 that the energy classified costs related to transmission  
20 be included in the demand classified costs of  
21 transmission?

22 MR. ROBIN WIENS: I guess at this point  
23 we're saying we would not be adverse to that type of a  
24 determination.

25 MR. BOB PETERS: Yes, and you're not

1 asking to study this further and come back at some later  
2 date, you're saying you're ready to -- to move on that  
3 now if the Board is of -- of like mind?

4 MR. ROBIN WIENS: That's correct.

5 MR. BOB PETERS: All right. Thank you.

6

7 (BRIEF PAUSE)

8

9 MR. BOB PETERS: All right. Following up  
10 from -- from the document at Tab 6, once the costs have  
11 been functionalised and classified by a cost component,  
12 you then allocate them to customer classes; would that be  
13 correct?

14 MR. CHIC THOMAS: Yes.

15 MR. BOB PETERS: And that can be seen in  
16 the document at Tab 2, second page, and in the allocation  
17 columns the customer classes are set out together with  
18 the dollar values that the company is recommending be  
19 allocated to each of those customer classes?

20 MR. CHIC THOMAS: Yes.

21 MR. BOB PETERS: Now the last two (2)  
22 columns on the second page of the document at Tab 2 were  
23 put in there to show what the current situation is.

24 And subject to check, you will accept  
25 those as being reflective of the current situation?

1 MR. CHIC THOMAS: I will.

2 MR. BOB PETERS: Thank you. Mr. Thomas,  
3 to get the costs from the classification stage to the  
4 allocation stage, there's a number of allocation factors  
5 that are used and -- and different method -- different  
6 allocators that are used to do that, correct?

7 MR. CHIC THOMAS: Yes.

8 MR. BOB PETERS: And Mr. Wiens, perhaps  
9 inadvertently, but told us about some of the allocation  
10 issues related to using RCC's pre-export, which would  
11 have different impacts for the street lighting class, but  
12 that came -- that came about as a result of the  
13 allocation factors that were used?

14

15 (BRIEF PAUSE)

16

17 MR. CHIC THOMAS: No, I think the -- in  
18 terms of the area and roadway lighting it was the -- it  
19 was the direct costs that Mr. Wiens was -- was alluding  
20 to.

21 MR. BOB PETERS: All right. Let me --  
22 let me go at this way: Once we -- we have your costs,  
23 would you agree with me that one (1) way to deal with the  
24 costs is to directly identify the cost and assign it to a  
25 customer class?

1 MR. CHIC THOMAS: Yes.

2 MR. BOB PETERS: And when would you do  
3 that? When would you directly assign a cost to a  
4 customer class?

5 MR. CHIC THOMAS: It's hard to say when -  
6 - when we'd do it but we can -- we can identify direct  
7 costs during -- during the process of functionalization.  
8 And then once we've identified that in the  
9 functionalization stage we separate that out from the  
10 allocation tables.

11 MR. BOB PETERS: So as you're going  
12 through all your costs at the functionalization stage, if  
13 there's a cost that you come across that is used solely  
14 and directly by one (1) of the customer classes, you'll  
15 take that out of the cost of service methodology and put  
16 it directly over to that customer class?

17 MR. CHIC THOMAS: Yes.

18 MR. BOB PETERS: Another thing that I  
19 suggest you might do is you will allocate the classified  
20 costs based on the class' share of the load as a ratio to  
21 the system load?

22 MR. CHIC THOMAS: Yes.

23 MR. BOB PETERS: And -- and that can be  
24 for the kilowatts demanded, or it can be on the kilowatt  
25 hours of energy consumed?

1 MR. CHIC THOMAS: Correct.

2 MR. BOB PETERS: And finally, you would  
3 take some of those classified costs and allocate them to  
4 a customer class, based on the number of customers that  
5 there are in that class?

6 MR. CHIC THOMAS: Yes, that's right.

7 MR. BOB PETERS: And sometimes you apply  
8 a weighting factor so that just because there is a  
9 certain number of customers, you may weight the customers  
10 differently between classes?

11 MR. CHIC THOMAS: That's correct.

12 MR. BOB PETERS: At Document Number 7 in  
13 the book of documents we see how you took the classified  
14 costs and then allocated those to the various customer  
15 classes; is that correct?

16 MR. CHIC THOMAS: That's right.

17 MR. BOB PETERS: And so while that --  
18 that document, which was a summary prepared based on PUB  
19 first round question 38, it shows how the three (3)  
20 classified areas of costs, that is customer demand and  
21 energy, end up getting allocated by the Corporation to  
22 each of the customer classes?

23 MR. CHIC THOMAS: That's correct. And  
24 that's excluding export revenue, of course.

25 MR. BOB PETERS: All right. Well let's -

1 - let's go down to that. What you're excluding here is  
2 the allocation of the net export credit, however it's  
3 defined?

4 MR. CHIC THOMAS: That's correct.

5 MR. BOB PETERS: But you have on -- we're  
6 looking at the recommended methodology, not any of the  
7 other three that you put forward, correct?

8 MR. CHIC THOMAS: I'm sorry?

9 MR. BOB PETERS: We're looking at the  
10 recommended cost of service methodology that you're  
11 asking the Board to approve?

12 MR. CHIC THOMAS: Yes.

13 MR. BOB PETERS: And in the recommended  
14 methodology you do have two (2) export classes, or one  
15 (1) export class with two (2) subclasses, whatever you  
16 want to call it --

17 MR. CHIC THOMAS: True --

18 MR. BOB PETERS: -- and the one (1)  
19 export class is for firm energy, only?

20 MR. CHIC THOMAS: Yes.

21 MR. BOB PETERS: And the firm energy only  
22 is shown up and it's the -- it's identified in the class,  
23 and if you follow it over it gets allocated \$196 million  
24 of costs.

25 MR. CHIC THOMAS: Yes.

1                   MR. BOB PETERS:    You would call that an  
2 indirect allocation of costs?

3                   MR. CHIC THOMAS:    I would call it an  
4 allocation of costs.

5                   MR. BOB PETERS:    All right.  So you told  
6 me earlier that if you could identify a cost at the  
7 functionalization stage, that related to a particular  
8 customer class, you would directly assign it to a  
9 customer class, or directly allocate it; what's the right  
10 word?

11                  MR. CHIC THOMAS:    Directly assign.

12                  MR. BOB PETERS:    Directly assign.  All  
13 right.  So you don't directly assign any costs here to  
14 the export class?

15                  MR. CHIC THOMAS:    The firm export class.

16                  MR. BOB PETERS:    Okay.  But you do  
17 allocate costs to the opportunity export class?  You  
18 directly assign -- you directly assign \$48 million of --

19                  MR. CHIC THOMAS:    That's correct.

20                  MR. BOB PETERS:    -- variable cost to the  
21 opportunity export class?

22                  MR. CHIC THOMAS:    Yes.

23                  MR. BOB PETERS:    All right.  I'll try to  
24 keep those straight and if I don't I'm sure you'll  
25 correct me.  What we see on the document at Tab 7, is we

1 end up with our \$1.509 billion number again, Mr. Thomas,  
2 and that tells the Board that you're forecast of 2006  
3 embedded costs from IFF-04 have ended up in all of the  
4 customer classes?

5 MR. CHIC THOMAS: Yes.

6

7 (BRIEF PAUSE)

8

9 MR. BOB PETERS: Turning back to our  
10 document at Tab 2 and page 2, Mr. Thomas, I want you to  
11 walk the Board across the page and indicate to the Board  
12 where the recommended changes are by Manitoba Hydro.

13 So to start off with, under the total  
14 expense columns there's really no difference in your cost  
15 of service methodology that you're proposing than there  
16 was in your previous cost of service methodology; would  
17 that be correct?

18 MR. CHIC THOMAS: That's correct.

19 MR. BOB PETERS: And under  
20 functionalization, you've already told the Board that the  
21 only area of change relates to generation and  
22 transmission, but not related to the sub-transmission,  
23 distribution plant or distribution services?

24 MR. CHIC THOMAS: Correct.

25 MR. BOB PETERS: All right. What about

1 classification?

2 MR. CHIC THOMAS: Classification is  
3 changed because on the generation side we are now, with  
4 the exception of the curtailable credit that we've  
5 defined, which is a small portion in the demand part,  
6 most of the generation cost is now classified as energy,  
7 as opposed to energy and demand.

8 MR. BOB PETERS: Can you tell the Board  
9 why you did that?

10 MR. CHIC THOMAS: That's usually in our  
11 time -- our marginal cost values for the four (4)  
12 periods, that we believe is a better indicator.

13 MR. BOB PETERS: And it was NERA who  
14 suggested that you go to some time differentiated  
15 weighting to do that.

16 MR. CHIC THOMAS: That's correct.

17

18 (BRIEF PAUSE)

19

20 MR. BOB PETERS: Once we get past the  
21 allocation methodol -- sorry, the classification  
22 methodology and turn to the allocation, what -- what  
23 changes, if any, are you asking the Board to consider at  
24 -- at that level?

25

1 (BRIEF PAUSE)

2

3 MR. ROBIN WIENS: Well, since we haven't  
4 got to the issue of allocation of export revenue, yeah,  
5 there are changes here obviously between the -- between  
6 the recommended and the current method. And you can see  
7 that all the way down in terms of the actual impact on  
8 the costs that are allocated to the classes.

9 But you can also see it at the bottom, in  
10 -- because we are now -- we have a -- a larger quantum of  
11 costs because of the fact that we have an export class  
12 which is being allocated some of the costs.

13 So that is one (1) change in the  
14 allocation.

15 The other changes would flow through from  
16 the classification changes that Mr. Thomas has described.  
17 We have, as he noted, we -- virtually all the generation  
18 costs are -- are classified as energy related. And then,  
19 at least implicitly, sub classified according to weighted  
20 -- the weighted marginal cost in each of the four (4)  
21 time periods.

22 So the allocation to the customer classes  
23 is going to be different in the recommended method than  
24 it is in the -- in the current method because of the allo  
25 -- because of the allocator that we're using.



1 included the -- the net export revenue in these -- in  
2 this information and you're correct.

3 And I would be correct if I suggested  
4 that from the Corporation's perspective that would be the  
5 most critical aspect of your revised cost of service  
6 methodology?

7 MR. ROBIN WIENS: Yes and the one (1)  
8 that has the most significant changes in the end results.

9 MR. BOB PETERS: Would you agree with me  
10 that we could -- we can break that issue down, about  
11 export revenue down to three (3) different issues, and  
12 the first would be how to define export class or classes  
13 if at all?

14 Would you agree that's one (1) of the  
15 issues the Board has to consider?

16 MR. ROBIN WIENS: Yes.

17 MR. BOB PETERS: Presently we don't have  
18 an export class, even though you do net some costs  
19 against export revenue, correct?

20 MR. CHIC THOMAS: In the current method,  
21 yes.

22 MR. BOB PETERS: Presently, that's what  
23 I'm suggesting, yes.

24 MR. ROBIN WIENS: Yes, Mr. Peters. We  
25 take them out of both costs on the revenue side.

1                   MR. BOB PETERS:    Yes.  You net -- you net  
2  costs through the export revenue and -- and come up with  
3  a net export revenue amount that you credit back to the  
4  classes.

5                   MR. ROBIN WIENS:    That's correct.

6                   MR. BOB PETERS:    And the Board is, I'm  
7  sure, clear that Manitoba Hydro is recommending there be  
8  two (2) export classes, one (1) for firm exports and one  
9  (1) for opportunity; correct?

10                  MR. ROBIN WIENS:    That's what we're  
11  recommending, yes.

12                  MR. BOB PETERS:    And the NERA  
13  recommendation was to use only one (1) export class,  
14  correct?

15                  MR. CHIC THOMAS:    Yes.

16                  MR. BOB PETERS:    All right.  We'll --  
17  we'll delve into that -- we'll delve into that issue.

18                  A second issue related to the export  
19  revenue would be what costs should be charged to any  
20  export class or classes?

21                  MR. CHIC THOMAS:    That's correct.

22                  MR. BOB PETERS:    And, Mr. Thomas, those  
23  costs could be directly assigned or allocated?

24                  MR. CHIC THOMAS:    Well done, yes.

25                  MR. BOB PETERS:    And the answer to that

1 question impacts on the third issue which is how to  
2 allocate the resulting net export credit to the customer  
3 classes?

4 MR. ROBIN WIENS: Not quite, Mr. Peters,  
5 it impacts on the quantum of net export revenues that  
6 will be allocated but not on your choice of allocator.

7 MR. BOB PETERS: Maybe I misspoke or I --  
8 once you know what costs are charged to the export class  
9 whether directly assigned or allocated you're left with a  
10 net export revenue and from that stage you then have to  
11 determine how to allocate the resulting net export  
12 revenue to the customer classes?

13 MR. CHIC THOMAS: Yes.

14 MR. BOB PETERS: Now to -- to look at  
15 that the IFF-04 at Tab 3 indicates that under the extra-  
16 provincial revenue line for 2006 that there was a  
17 forecast of \$547 million of export revenue for the year  
18 ending '06, correct?

19 MR. CHIC THOMAS: That's right.

20 MR. BOB PETERS: And you've already  
21 indicated that whatever the actual amount is it -- it  
22 doesn't matter because you want to base it on a forecast  
23 and this forecast is the one (1) that has the median  
24 values in it?

25 MR. CHIC THOMAS: Yes.

1                   MR. BOB PETERS:    In the book of documents  
2 at Tab 8 there are three (3) calculations before the  
3 Board.

4                   That's the document at Tab 8 page number  
5 1 where we look at the calculation and the allocation of  
6 net export revenue and three (3) of the four (4) methods  
7 are shown here, correct?

8                   MR. CHIC THOMAS:    Yes.

9                   MR. BOB PETERS:    And in the current  
10 methodology whether they're firm, exports, or opportunity  
11 they come up to the \$547.4 million as they do in all  
12 three (3) of the -- the methodologies?

13                   MR. CHIC THOMAS:    That's correct.

14                   MR. BOB PETERS:    But under the current  
15 methodology that's presently approved by the Board, Mr.  
16 Thomas, there are costs that are directly assigned  
17 against the export revenue?

18                   MR. CHIC THOMAS:    On the opportunity  
19 side, yes.

20                   MR. BOB PETERS:    Well I'm talking about  
21 the current methodology.

22                   MR. CHIC THOMAS:    Yes, sorry.

23                   MR. BOB PETERS:    So in the current  
24 methodology you don't distinguish between firm and  
25 opportunity do you?

1 MR. CHIC THOMAS: Correct.

2 MR. BOB PETERS: So -- but you do assign  
3 costs against the revenue and in total there's \$107  
4 million of costs that are assigned?

5 MR. CHIC THOMAS: That's correct.

6 MR. BOB PETERS: And under the current  
7 methodology the net export revenue that would have to be  
8 -- would be available to be allocated is the \$440 million  
9 number before you consider the uniform rate adjustment?

10 MR. CHIC THOMAS: Yes.

11 MR. BOB PETERS: And if we look at the  
12 NERA recommended method they have the same total amount  
13 of export revenue as you would expect, correct, a 547  
14 million?

15 MR. CHIC THOMAS: Yes.

16 MR. BOB PETERS: And what appears next is  
17 that there is no assignment by NERA of any costs directly  
18 against export revenues, that's correct?

19 MR. CHIC THOMAS: Yes, the whole portion  
20 is allocated.

21 MR. BOB PETERS: That's correct. All  
22 right. So what you then are telling the Board is that  
23 NERA ends up as a customer class along with the other  
24 customers and the allocation methodology determines how  
25 much of the export -- how much the export class is

1 allocated in terms of total system costs?

2 MR. CHIC THOMAS: Yes.

3 MR. BOB PETERS: And under the  
4 methodology that's presented, \$324 million would be  
5 NERA's recommendation to allocate against the export  
6 class, the single export class that they have in their  
7 report?

8 MR. CHIC THOMAS: Yes.

9 MR. BOB PETERS: And the resulting net  
10 export revenue to be credited to the customer classes is  
11 therefore only \$222.9 million and I use the word, only,  
12 advisedly?

13 MR. CHIC THOMAS: Yes.

14 MR. BOB PETERS: Mr. Thomas, is it also  
15 correct that the NERA and the vintaging methodology would  
16 come to the same result?

17 MR. CHIC THOMAS: Not exactly the same  
18 but -- oh, you mean in terms of the net export amount?

19 MR. BOB PETERS: Yes.

20 MR. CHIC THOMAS: I believe so, yes.

21 MR. BOB PETERS: All right. Well then  
22 let's turn to the recommended method which is in Tab 8,  
23 page 1 of the document.

24 Now, the basic distinction here, Mr.  
25 Thomas, that the Board will see, is that you allocate

1 costs directly to one of the export classes and you  
2 allocate costs to the other export class.

3 MR. CHIC THOMAS: Yes.

4 MR. BOB PETERS: And the direct  
5 assignment of 45 percent of the variable costs goes to  
6 the opportunity class -- the opportunity export class  
7 only, correct?

8 MR. CHIC THOMAS: Yes.

9 MR. BOB PETERS: And that's the \$48.4  
10 million?

11 MR. CHIC THOMAS: Yes.

12 MR. BOB PETERS: Can you indicate to the  
13 Board why there is no direct assignment of any costs of  
14 any kind to the firm export class?

15 MR. ROBIN WIENS: The firm export class  
16 in the recommended method is treated in the same way as  
17 the entire export class is treated in the NERA method,  
18 which is to say that they bear a share of all these  
19 costs.

20 So the -- in the recommended method the  
21 firm export class does, in fact, bear a share of the  
22 water levels, the purchase power imports and the  
23 applicable portion of fuel costs.

24 It's just not directly assigned. It's  
25 allocated to that class along with all the other costs

1 related to generation and transmission, in the same way  
2 that the domestic customer classes bear a share of those  
3 costs in the current method and in the recommended  
4 method.

5 MR. BOB PETERS: What you're saying in my  
6 words, Mr. Wiens, is that once you know what costs are  
7 left over after the direct assignment of costs, you put  
8 them all into a big hopper, you run them through the  
9 allocation methodology and they get allocated to the  
10 export class in the same fashion as they would be to the  
11 other customer classes?

12 MR. ROBIN WIENS: Exactly.

13 MR. BOB PETERS: And so that even though  
14 there is a cost that is used to facilitate firm exports,  
15 it's not directly assigned, but, a portion of that will  
16 end up coming back being allocated through the allocation  
17 methodology to the export -- the firm export class?

18 MR. ROBIN WIENS: That's correct.

19 MR. BOB PETERS: And on the first  
20 document on Tab 8, you've agreed with me that 48.4  
21 million was directly assigned to the opportunity class  
22 and am I correct then, that \$196 million gets -- I'm  
23 sorry I mis-spoke I think, \$48 million is directly  
24 assigned to the opportunity export class and 198 million  
25 is allocated to the firm export class?

1 MR. ROBIN WIENS: Yes.

2

3 (BRIEF PAUSE)

4

5 MR. BOB PETERS: While we still see the  
6 numbers on page -- sorry -- on document at Tab 8, first  
7 page, if we go down to the bottom line as we often do,  
8 there's an adjustment made to all three (3) methodologies  
9 for the uniform rate adjustment, correct?

10 MR. CHIC THOMAS: Correct.

11 MR. BOB PETERS: And that arose as a  
12 result of Provincial legislation, Mr. Thomas?

13 MR. CHIC THOMAS: The uniform rates  
14 legislation, yes.

15 MR. BOB PETERS: And when the first  
16 calculation was done for uniform rates the resulting  
17 financial impact was, in my memory, closer to fourteen  
18 (14) or \$15 million; is that also your memory?

19 MR. CHIC THOMAS: Yes.

20 MR. BOB PETERS: And so can you explain  
21 to the Board why you're using 16.8 million as a uniform  
22 rate adjustment in your cost of service proposals?

23 MR. ROBIN WIENS: It reflects the  
24 increase in the numbers in the residential class.  
25 Residential revenue from rates has increased and we have

1 more residential customers than we had back in 2000 and -  
2 - when we first calculated the impact of uniform rates  
3 was in 2001.

4 We've moved five (5) years down the road.  
5 So the revenues associated with that change have grown  
6 accordingly.

7 MR. BOB PETERS: What about the revenues  
8 to other classes of customers, Mr. Wiens, was that also  
9 factored into this number?

10 MR. ROBIN WIENS: You -- you're referring  
11 to the general service, small and medium class.

12 MR. BOB PETERS: Yes.

13 MR. ROBIN WIENS: Yeah. The impacts  
14 would not have been so large but, yes, the same steps  
15 were taken.

16 MR. BOB PETERS: If it was approximately  
17 \$14 million at the time the uniform rates came in,  
18 certainly 12 million of that related to residential?

19 MR. CHIC THOMAS: The bulk of it is  
20 residential.

21 MR. BOB PETERS: Yeah. And in terms of  
22 going forward, Mr. Wiens and Mr. Thomas, is the uniform  
23 rate adjustment going to be ratcheted up every time you  
24 do a cost of service study?

25 MR. CHIC THOMAS: How do you mean

1 ratcheted up?

2 MR. BOB PETERS: Will it be increased as  
3 a result of growth in residential revenues?

4 MR. CHIC THOMAS: Well, I think as we've  
5 explained in the pre-hearing conference and in some of  
6 the documentation through this proceeding thus far, is  
7 that it -- it is based on a percentage in each class. So  
8 naturally if revenues grow, that number, using your term,  
9 will be ratcheted up.

10 MR. BOB PETERS: And it will be ratcheted  
11 up or increased by the same percentage as the growth in  
12 class revenues?

13 MR. CHIC THOMAS: Correct.

14 MR. BOB PETERS: At the bottom of the  
15 document on Tab 8, document number 1, is the bottom line  
16 net export revenue that's to be allocated to the customer  
17 classes, and there are significant differences between  
18 the three (3) methodologies, correct?

19 MR. CHIC THOMAS: That's fair.

20 MR. BOB PETERS: And under the current  
21 methodology used you would have to allocate 423 million,  
22 under NERA only two hundred and six (206), and your  
23 recommended method is two hundred and eighty-five (285).

24 MR. CHIC THOMAS: Yeah.

25 MR. BOB PETERS: In terms of how that

1 breaks down by class, if you can turn the page to the  
2 second document at Tab 8. I want to make sure the Board  
3 is clear with what the proposals are in terms of the  
4 allocation of the export revenue that is considered net.

5 If we focus just on the residential class,  
6 under the current methodology 34 percent of the \$423  
7 million would go to the residential class, correct?

8 MR. CHIC THOMAS: I'll accept that.

9 MR. BOB PETERS: And under the NERA  
10 methodology the percentage increases and the absolute  
11 dollar value decreases.

12 MR. CHIC THOMAS: Yeah.

13 MR. BOB PETERS: And, I think as may have  
14 been picked up, the recommended methodology in terms of  
15 the percentage of the recommended and the NERA, one says  
16 forty-three (43) and one says forty-two (42), they are  
17 essentially the same and maybe just different here  
18 because of rounding?

19 MR. CHIC THOMAS: Correct.

20 MR. BOB PETERS: You would expect them to  
21 be the same because you would use the same methodology in  
22 terms of allocating them over total system costs?

23 MR. CHIC THOMAS: Yeah.

24

25

(BRIEF PAUSE)

1                   MR. BOB PETERS:    So the -- so what --  
2 what's happened here on this second document found in Tab  
3 8 of the book of documents, is that there's a percentage  
4 change in the various methodologies and there's an  
5 absolute dollar amount change in the methodologies as  
6 well?

7                   MR. CHIC THOMAS:    Yes.

8                   MR. BOB PETERS:    And that's as a result  
9 of a couple of factors at play, Mr. Thomas, one (1) of  
10 which is that the pie gets smaller when you go from the  
11 current methodology to your recommended methodology; that  
12 is the absolute amount of money that's available to be  
13 allocated as net export revenue is a smaller amount?

14                  MR. CHIC THOMAS:    Yes.

15                  MR. BOB PETERS:    And that's also as a by-  
16 product of having allocated or assigning costs directly  
17 to the export class to a -- to a smaller amount than --  
18 than what you currently do?

19                  MR. CHIC THOMAS:    Yes.

20                  MR. BOB PETERS:    So the pie is getting  
21 smaller and in addition to the pie getting smaller the  
22 residential class is getting a bigger piece of the  
23 smaller pie?

24                  MR. CHIC THOMAS:    Sure.

25                  MR. BOB PETERS:    All right. I -- now you

1 understand how my mind works.

2                   What I'm saying is that the allocation of  
3 the net export revenue to the residential class is a  
4 higher percentage because you now use all system costs as  
5 the denominator on which to base that class' share of the  
6 export credit?

7                   MR. CHIC THOMAS:    Yes, that would be the  
8 biggest factor.

9                   MR. BOB PETERS:    And -- and that -- that  
10 using all systems cost has resulted in the most  
11 significant changes for the other classes as well?

12                   MR. CHIC THOMAS:    That's right.

13                   MR. BOB PETERS:    And I suppose if I  
14 didn't bring it out I'm sure Ms. McCaffrey would, if we  
15 go down to the general service large greater than 100 kV  
16 the current situation for that class is 23 percent of  
17 \$423 million and that would end up being 15 percent of  
18 \$285 million under the recommended methodology, correct?

19                   MR. CHIC THOMAS:    That's correct.

20                   MR. BOB PETERS:    So instead of 96.5  
21 million the allocated amount to the general service large  
22 greater than 100 kV would be 44 million as opposed to  
23 ninety-six point five (96.5)?

24                   MR. CHIC THOMAS:    Yes.

25                   MR. BOB PETERS:    And they end up getting

1 a smaller piece of a smaller pie in my words?

2 MR. CHIC THOMAS: Absolutely.

3 MR. ROBIN WIENS: Mr. Peters, if -- I --  
4 I may not be advancing any understanding with my  
5 intervention here but on the off-chance that it will let  
6 me try this.

7 The current methodology has the largest  
8 net export revenue and when it goes back to the customer  
9 classes all of that is allocated back on the basis of  
10 generation and transmission costs only.

11 So that is -- that is why the numbers fall  
12 out the way they do and that is why the percentage for  
13 general service large is so much higher than in the other  
14 methods and conversely so much lower for residential than  
15 in the other methods.

16 When you move across to the NERA method  
17 what we have happening is that the difference between the  
18 four hundred and twenty-three (423) and the two hundred  
19 and six (206) is not precisely, but I think we can say at  
20 least conceptually is allocated to the export class.

21 So that share is in effect being allocated  
22 on the basis of generation and transmission because  
23 that's how we allocate the export class its costs and the  
24 remainder is being allocated on total costs.

25 So you -- you would -- this is what you

1 would expect the results that you get. Similarly when  
2 you go to the recommended method we have a larger share  
3 than the current method but a smaller share than the NERA  
4 method which is being allocated to the export class and  
5 therefore treated as generation and transmission related  
6 only.

7 Has that been helpful to you?

8 MR. BOB PETERS: It's always helpful, Mr.  
9 Wiens, to me but it's going to matter if it's helpful to  
10 -- to --

11 MR. ROBIN WIENS: Right.

12 MR. BOB PETERS: -- the Panel and I'm  
13 sure it is. I -- I think I understand your point and I  
14 think they will -- they -- the Board will as well.

15 If we do look at the current methodology  
16 the current methodology and the distinction you want to  
17 remind the Board is that the net export revenue is  
18 credited based on the class' share of generation and  
19 transmission costs only?

20 MR. ROBIN WIENS: Yes.

21 MR. BOB PETERS: And the generation and  
22 transmission costs lie in a higher proportion to the  
23 general service large and including a hundred (100) --  
24 over 100 kV than they may to other customer classes?

25 MR. ROBIN WIENS: Yes.

1                   MR. BOB PETERS:    And so if you change the  
2 way you allocate the net export revenue by distributing  
3 it across all the costs, you should expect that the  
4 general service large class would receive less of the  
5 credit?

6                   MR. ROBIN WIENS:    It will receive less of  
7 the credit, but, I believe they will -- of course this  
8 table is just looking at exports, but, if you look at the  
9 generation transmission cost side of the equation, they  
10 would also get a substantial reduction in the assignment  
11 of that cost, due to the fact that they were being  
12 allocated to the export class.

13                  MR. BOB PETERS:    And your point is, that  
14 you've used the difference between the NERA and the  
15 current methodology is reflective that there has been an  
16 allocation to the export class on the basis of generation  
17 and transmission, the very costs that would be reduced to  
18 the GS large customer class?

19                  MR. ROBIN WIENS:    Yes and also the very  
20 costs that are responsible for the reduction in the  
21 availability of net export revenue and those methods.

22

23

(BRIEF PAUSE)

24

25

1                   MR. BOB PETERS:    As we continue and work  
2 towards the crescendo Mr. Wiens and Mr. Thomas, document  
3 number 9 in the book of documents, and we had a peek at  
4 that earlier today, being the first page was schedule B.4  
5 and the purpose of schedule B.4 or B4, in the book of  
6 documents, you can look at the recommended RCC's post  
7 allocation and if you turn the page to page 2, you can  
8 see the dollar amount being allocated amongst, in the  
9 four (4) different methodologies that you utilized.

10                   The third page looks at it in terms of  
11 percentages and the last page is in dollars per kilowatt  
12 hour. But comparing the total allocated costs by  
13 customer class in dollars, which is page 2, and I'm  
14 looking at column two (2), Mr. Wiens, to try to amplify  
15 your last point or understand it.

16                   Is that where there is a change at the  
17 general service large greater than 100 kV the change of  
18 \$44 million, that change you say, is as a result of  
19 generation and transmission costs being taken out of that  
20 classes previous allocation or the current allocation  
21 that the Board has to get to the recommended one.

22                   MR. ROBIN WIENS:    Yes, that's true.  
23 Chronologically so because as exports take a share of the  
24 costs the share to the remaining classes is  
25 proportionately reduced.

1 (BRIEF PAUSE)

2

3 MR. BOB PETERS: I want to then turn  
4 before the lunch break to document number 10 in the book  
5 of documents and this is a comparison of the revenue to  
6 cost ratios by the four (4) methodologies and I  
7 appreciate there's a lot of numbers on the page.

8 But, column one (1), three (3), five (5)  
9 and seven (7), are the resulting revenue to cost ratios,  
10 having done the cost of service methodologies, in those -  
11 - in those ways, correct?

12 MR. CHIC THOMAS: That looks correct,  
13 yes.

14 MR. BOB PETERS: And while we looked at  
15 the percentage numbers and the dollar amounts of actual  
16 export revenue credits being different and the  
17 percentages, if we look to column eight (8), we can see  
18 that the change between the current and recommended  
19 methodology is such that the residential revenue to cost  
20 coverage ratios increase by 4.8 percentage points.

21 And we can go down to the general service  
22 large greater than 100 kV, where there is an adjustment  
23 of 11.5 percentage points to that class, RCC, as well by  
24 the basis of the methodology changes.

25 MR. CHIC THOMAS: Yes.

1                   MR. BOB PETERS:    And, Mr. Thomas, those -  
2 - those changes in the RCC's is the cumulative effect of  
3 creating an export class or classes, it's the fact that  
4 costs have been either assigned or allocated to the  
5 export class, and also it's as a result of allocating the  
6 net export revenue on the basis of all system costs, not  
7 just generation and transmission?

8                   MR. CHIC THOMAS:    Yes.

9                   MR. BOB PETERS:    And by far the biggest  
10 impact is the latter one, which was the allocating of the  
11 net export revenue according to all system costs and not  
12 just based on generation and transmission?

13                  MR. CHIC THOMAS:    That would be the key  
14 driver, yes.

15                  MR. BOB PETERS:    If we look at column 9  
16 and the Board looks to see what your current methodology  
17 compared to the NERA methodology is, the -- the change is  
18 not as significant or pronounced.

19                  Do you agree with me?

20                  MR. CHIC THOMAS:    Yes.

21                  MR. BOB PETERS:    And in fact if the  
22 residential class would only see a one point three (1.3)  
23 percentage point adjustment and the general service large  
24 greater than 100 kV, would experience only a three point  
25 one (3.1) percentage point downward adjustment?

1 MR. CHIC THOMAS: Yes.

2 MR. BOB PETERS: In that particular case,  
3 Mr. Thomas, would you agree that under the NERA  
4 methodology, again, the most significant aspect driving  
5 those changes is the allocation of the net export revenue  
6 on the basis of all system costs and no longer on  
7 generation transmission?

8 MR. CHIC THOMAS: I think that fair, yes.

9 MR. BOB PETERS: Just to add to the -- to  
10 the lunch hour discussion amongst the Board Members, I  
11 just want to note that the diesel class shows up on the  
12 document here at Tab 10, the revenue to cost coverage  
13 ratios and it also is shown up on some of the other  
14 pages.

15 But can you explain to the Board why the  
16 diesel customer class shows up in the grid customer  
17 service?

18 MR. CHIC THOMAS: We just do that to show  
19 that we've balanced all the costs together, of which the  
20 diesel is one (1) part of that.

21 MR. BOB PETERS: And the diesel has its  
22 own cost of service study, correct?

23 MR. CHIC THOMAS: Yes.

24 MR. BOB PETERS: A much different cost of  
25 service study but still a separate cost of service study?

1 MR. CHIC THOMAS: Yes.

2 MR. BOB PETERS: And if we turn back to  
3 Tab 2, document number 3, I don't think we've been to  
4 this document yet but Tab 2, the third document in the  
5 tab, it looks at an allocation of export credit.

6 We go down to the left-hand column and we  
7 find diesel shows up again and we find that Manitoba  
8 Hydro is recommending an allocation of \$2.4 million to  
9 the diesel class; correct?

10 MR. CHIC THOMAS: Yes.

11 MR. BOB PETERS: And, sir, this is as a  
12 result of a negotiated settlement with the diesel  
13 communities?

14 MR. ROBIN WIENS: Mr. Peters, this is as  
15 a result of the recommended methodology and the manner in  
16 which the -- the export -- net export revenues are  
17 allocated on the basis of total costs, not only on the  
18 basis of generation and transmission as in the current  
19 method.

20 The discussion about the agreement is --  
21 has some relevance as to whether and when that allocation  
22 would actually be actualize, but it does fall out of the  
23 method that is being recommended by Manitoba Hydro.

24 MR. BOB PETERS: I'm not sure if I've hit  
25 a sore point or not but let me probe further, Mr. -- Mr.

1 Wiens.

2 I appreciate it's your recommended  
3 methodology but it wasn't under your current methodology,  
4 correct?

5 MR. ROBIN WIENS: The diesel zone did not  
6 share in grid generation and transmission costs, which  
7 was the basis of our current methodology. Therefore,  
8 there was no allocation of export revenues to the diesel  
9 class of service.

10 With the expansion -- the creation of the  
11 export classes and allocation of costs to them and the  
12 expansion of the basis on which the then net export  
13 revenues are allocated.

14 In terms of the methodology the -- the  
15 diesel class of service then becomes entitled to a share  
16 of the net export revenue.

17 MR. VINCE WARDEN: If I might just add to  
18 that comment subject to the final approval of that  
19 agreement the parties have not signed off on that  
20 agreement yet and in the event that for whatever reason  
21 they don't there might be some backing out of that -- of  
22 that allocation of export revenues to the diesel class.  
23 We would have to re-think that.

24 MR. BOB PETERS: I think it's a matter  
25 before this public record and it was before this Board

1 that there was a tentative settlement in place and as  
2 part of that tentative settlement there was an  
3 expectation that the diesel class would receive a share  
4 of the net export revenue, is that -- is that agreed?

5 MR. ROBIN WIENS: As part of the overall  
6 agreement. It cannot be viewed in isolation from the  
7 remainder of the agreement.

8 MR. BOB PETERS: All right. And as part  
9 of the overall agreement the amount that was allocated to  
10 the diesel class was going to be used to reimburse  
11 Manitoba Hydro for expenses that had been incurred but  
12 not billed or surcharged to any customers in the diesel  
13 class?

14 MR. ROBIN WIENS: Yes.

15 MR. BOB PETERS: And the allocation of  
16 the net export credit to the diesel customers would  
17 continue until such time as Manitoba Hydro was made whole  
18 in terms of those costs that were incurred but not  
19 charged, is that correct?

20

21 (BRIEF PAUSE)

22

23 MS. PATTI RAMAGE: Mr. Peters, we're just  
24 a little concerned about how far we're going into the  
25 diesel in -- in terms of our confidentiality provisions

1 with the other parties to the agreement but you are  
2 generally correct. But there's some -- some finer points  
3 and -- and I'm not sure that we might want to have a --  
4 I'm not sure if this is the place we want to discuss it.

5

6 CONTINUED BY MR. BOB PETERS:

7 MR. BOB PETERS: All right. I don't need  
8 to go further in that direction but I'm still not going  
9 to get rid of this bone for a minute.

10 The -- if we go back to the document at  
11 Tab 10 and the Board sees that under your current  
12 methodology the revenue to cost ratio is eighty-five  
13 point nine (85.9) which in general terms would indicate  
14 that that class is returning approximately 85 percent of  
15 its costs incurred to -- to provide service?

16 MR. CHIC THOMAS: Yes.

17 MR. BOB PETERS: And then we see under  
18 the Recommended column which is column 7 that that RCC  
19 jumps to one oh eight point 1 (108.1) indicating that by  
20 way of an allocation from the net export revenues this  
21 class' RCC will by virtue of mathematics jump up to one-  
22 o-eight point one (108.1)?

23 MR. CHIC THOMAS: Yes, and I'd also like  
24 to point out that as with the area and roadway lighting  
25 class a large proportion of that of course in the cost of

1 service is a direct cost so the same sort of effect is --  
2 is happening.

3 MR. BOB PETERS: The diesel rates that  
4 are presently in place approved by the Board are approved  
5 on an interim basis, is that also agreed?

6 MR. ROBIN WIENS: Yes.

7 MR. BOB PETERS: And is it also agreed  
8 and not subject to any confidentiality that that is on an  
9 interim basis pending finalization of a settlement that  
10 was to be entered into amongst the parties relative to  
11 accounts owing and amounts unbilled?

12 MR. ROBIN WIENS: Yes.

13 MR. BOB PETERS: Are you able, Mr. Wiens  
14 or Mr. Warden, to put on the record as to whether that --  
15 when that agreement is expected to be finalized?

16 MR. VINCE WARDEN: The latest information  
17 we have is that it could take some time yet and we could  
18 be into fall before it's signed off.

19 MR. ROBERT MAYER: I sure hope that ain't  
20 going the same way as the Kelowna Accord?

21

22 CONTINUED BY MR. BOB PETERS:

23 MR. BOB PETERS: Is the -- is the  
24 settlement agreement sitting waiting for an order of this  
25 Board relative to cost of service methodology?

1                   MR. VINCE WARDEN:    The settlement  
2 agreement is not dependent on an order of this Board at  
3 this time, no.

4                   MR. BOB PETERS:    All right, and is it  
5 also --

6                   MR. VINCE WARDEN:    Not at this time,  
7 sorry.

8                   MR. BOB PETERS:    Is the -- is it also  
9 understood by the Corporation that the last set of diesel  
10 rates are now potentially out of -- out of balance in  
11 terms of what the costs are to serve that community, or  
12 those four (4) communities?

13                   MR. VINCE WARDEN:    With the increase in  
14 fuel costs, yes, we have a concern about that.

15                   MR. BOB PETERS:    And is that concern  
16 serious enough that you're bringing an application or  
17 planning to before the Board on diesel rates?

18                   MR. VINCE WARDEN:    Yes.

19                   MR. BOB PETERS:    Would that be brought  
20 independent of whether there is a settlement agreement  
21 signed?

22                   MR. VINCE WARDEN:    Yes it would.

23                   MR. BOB PETERS:    Has any timeframe been  
24 discussed that you're available to -- that's available to  
25 inform the Board?

1 (BRIEF PAUSE)

2

3 MR. VINCE WARDEN: Yeah, the -- actually  
4 the only reason we haven't filed up until now is because  
5 the people that are involved in preparing that diesel  
6 cost of service study are here but -- I am informed it  
7 will only take a couple of weeks, when those people are  
8 free -- after those people are free.

9 MR. BOB PETERS: All right. And to  
10 conclude then, the RCC that's shown on the document at  
11 Tab 10 of the book of documents of 108.1 under the  
12 recommended methodology, is not reflective of current  
13 costs to serve that community?

14 MR. ROBIN WIENS: We believe not.

15 MR. BOB PETERS: All right.

16 Mr. Chairman, this might be an appropriate  
17 time for the lunch recess.

18 THE CHAIRPERSON: Thank you Mr. Peters.  
19 Thank you to the Panel. We will see you all at 1:30.

20

21 --- Upon recessing at 12:06 p.m.

22 --- Upon resuming at 1:34 p.m.

23

24 THE CHAIRPERSON: Okay, Mr. Peters.

25 MR. BOB PETERS: Thank you, Mr. Chairman,

1 Board Members and Panel.

2

3 CONTINUED BY MR. BOB PETERS:

4 MR. BOB PETERS: I want to perhaps  
5 illustrate some of the matters we talked about before  
6 lunch to the Board by your turning to a document at Tab  
7 11, and it's the first document in the Tab, to look at  
8 the changes in the class RCC's under the current  
9 methodology and going to the recommended methodology.  
10 And this document is from MIPUG First Round Question  
11 Number 6.

12 Have you located that, Mr. Thomas?

13 MR. CHIC THOMAS: I have.

14 MR. BOB PETERS: And if we look at the  
15 top part of the page and we look to the left-hand column,  
16 you talk about the current methodology and you see a  
17 residential RCC of ninety-two point two (92.2).

18 You're telling the Board under existing  
19 methodology that's where that class sits in terms of its  
20 RCC.

21 MR. CHIC THOMAS: Yes.

22 MR. BOB PETERS: And if we go down, still  
23 the top part of the page but down to the recommended  
24 method, we see that the RCC changes to ninety-seven point  
25 zero (97.0) and that's as a result of the recommendations

1 that are before this Board.

2 MR. CHIC THOMAS: Correct.

3 MR. BOB PETERS: Would it be fair for the  
4 Board to conclude that the various issues and matters  
5 that they have to decide along the way have incremental  
6 impact in getting from 92.2 down to 97 percent?

7 MR. CHIC THOMAS: That's fair, yes.

8 MR. BOB PETERS: And what you've tried to  
9 do in this response is demonstrate what types of impact  
10 and what -- and quantify the impact of the various  
11 changes that lead down to the recommended methodology  
12 which results in a 97.0 percent RCC for residential  
13 customers?

14 MR. CHIC THOMAS: That's fair, yes.

15 MR. BOB PETERS: Can the Board therefore  
16 conclude that to go from ninety-two point two (92.2) down  
17 to ninety-seven (97), it's a change of 4.8 percentage  
18 points, as I call it? And you'd agree with that, just  
19 based on math?

20 MR. CHIC THOMAS: I would.

21 MR. BOB PETERS: And of the -- of the 4.8  
22 percentage points, four point seven (4.7) of those are as  
23 a result in the change in how you share the net export  
24 credits?

25 MR. CHIC THOMAS: Also fair.

1                   MR. BOB PETERS:    And the same can be said  
2 if you go down and you check, and as we had before the  
3 lunch, the general service large greater than 100 kV it -  
4 - that class goes from one hundred and fourteen point  
5 seven (114.7) down to a hundred and three point two  
6 (103.2), from the current methodology to the recommended?

7                   MR. CHIC THOMAS:    Yes, it does.

8                   MR. BOB PETERS:    And again, of the 11.5  
9 percentage point change in those current recommended RCC  
10 numbers, all of that can be attributed to the change in  
11 the way you're proposing to allocate the net export  
12 credits?

13                  MR. CHIC THOMAS:    It seems to work out  
14 that way, yes.

15                  MR. BOB PETERS:    Yeah.  And it works out  
16 that way because the other ones do net each other off, to  
17 cancel each other out, to some extent, but --

18                  MR. CHIC THOMAS:    Absolutely.

19                  MR. BOB PETERS:    -- that does demonstrate  
20 the significance of the decision and the recommendation  
21 you're making to the Board to go from allocating the  
22 export credit based on generation and transmission under  
23 the current methodology, to allocating it to customer  
24 classes based on their total share of the costs incurred  
25 by the Corporation?

1 MR. CHIC THOMAS: Right.

2

3 (BRIEF PAUSE)

4

5 MR. BOB PETERS: Mr. Thomas, if we wanted  
6 to be more particular and parse those numbers a little  
7 further, when we go to the residential column under the -  
8 - and -- and look to see what happens on the allocation  
9 of exports on a share of total allocated costs, and we  
10 see 4.7 percentage points change, that change is  
11 comprised of at least two (2) circumstances at play, two  
12 (2) of the recommended changes you've made working  
13 together; would that be correct?

14 MR. CHIC THOMAS: Yes.

15 MR. BOB PETERS: And specifically,  
16 there's been a -- a change in how -- how much export  
17 credit is available to be allocated, and there's also a  
18 change in the percentage share that that class would  
19 receive?

20 MR. CHIC THOMAS: Yes, that's correct.

21 MR. BOB PETERS: And I'm not sure if  
22 you've broken down the numbers but it appears to -- it  
23 appears that of the \$26 million change that's  
24 attributable to the allocation of exports in a different  
25 fashion, 17 million will be due to that class getting a

1 larger share of the net export revenue credits.

2 Can you confirm that?

3 MR. CHIC THOMAS: I haven't explicitly  
4 done the calculation but -- but it looks reasonable.

5 MR. BOB PETERS: All right. And then  
6 that would leave \$8 million of that change would be due  
7 to there being fewer costs allocated to the residential,  
8 because they've been put into the export class?

9 MR. CHIC THOMAS: Fewer costs available  
10 to be allocated to the residential class because some  
11 costs that would normally be there have now been diverted  
12 to the export class.

13 MR. BOB PETERS: All right. I think  
14 we're saying the same thing, are we? Or are you  
15 disagreeing that --

16 MR. CHIC THOMAS: I hope so.

17 MR. BOB PETERS: Oh. That -- that was --  
18 okay.

19

20 (BRIEF PAUSE)

21

22 MR. ROBIN WIENS: Mr. Peters, I -- I  
23 might just try to provide a bit of context here because I  
24 -- I don't want you to take from this discussion that we  
25 can necessarily isolate these factors in a hard and fast

1 way so that they are precisely what they appear to be  
2 here.

3                   And the reason I say this is because the  
4 way we carry out this analysis is simply, we begin with  
5 the current method, and then we introduce each of these  
6 changes sequentially. So there is some potential that  
7 you would have somewhat different results if the sequence  
8 were changed, if you get my meaning.

9                   MR. BOB PETERS:    Would you agree that the  
10 net -- or the end result wouldn't change?

11                   MR. ROBIN WIENS:    The end result would  
12 not change, that's correct. But the relative magnitude  
13 of the changes on the way there might change. I still  
14 would say that -- that in most cases, if not all of them,  
15 that the fifth item, the exports being allocated on the  
16 share of total allocated costs, would have the largest  
17 significance, however you put it in there.

18                   MR. BOB PETERS:    But you just chose to  
19 put it in last, is that what you're showing here?

20                   MR. ROBIN WIENS:    That was the order in  
21 which the analysis was undertaken.

22                   MR. BOB PETERS:    And the only way you'd  
23 know what difference there would be along the way is if  
24 you ran the different permutations and combinations of  
25 that to test it, and that's not what you've done?

1                   MR. CHIC THOMAS:    Yes, that's correct.  
2    But it's also important to note, though, that this is our  
3    -- you know, because it's not exactly in that order, but  
4    that's our -- in terms of the process that we follow,  
5    this is pretty much the process that we follow in going  
6    through the steps and preparing the cost of service.

7                    So we thought it most appropriate to put  
8    them in this order because the allocation of exports is  
9    also the last step, if you'll -- you know, if you go back  
10   to schedule B4 or something like that.

11                   So -- so in terms of the order, it is  
12   loosely in the order that we would prepare the document.

13                   MR. BOB PETERS:    While we have page 1 of  
14   Tab 11 available, the bottom half of that information  
15   request response also does a variance analysis from unity  
16   on a dollar basis.

17                    Is that something that you also prepared,  
18   Mr. Thomas?

19                   MR. CHIC THOMAS:    I'm sorry, Mr. Peters,  
20   I missed that, I was --

21                   MR. BOB PETERS:    All right.  Looking at  
22   the bottom half of page 1 at Tab 11, in the rest of the  
23   answer to this information request, you take the  
24   information essentially at the top of the page and you  
25   convert it into dollars and get the information at the

1 bottom of the page; would that be fair?

2 MR. CHIC THOMAS: Yes.

3 MR. BOB PETERS: So what you're telling  
4 the Board in the bottom half of the page, is that from  
5 the current methodology for residential customers, their  
6 sitting \$47 million away from unity in their rates?

7 MR. CHIC THOMAS: You could express it  
8 that way, sure.

9 MR. BOB PETERS: And by the time you get  
10 to the recommended methodology, they're only \$16 million  
11 away?

12 MR. CHIC THOMAS: Yes.

13 MR. BOB PETERS: And so with no rate  
14 increases there's a \$30 million impact favourable to that  
15 class?

16 MR. CHIC THOMAS: Based on this analysis,  
17 yes.

18 MR. BOB PETERS: And you're telling the  
19 Board that of that \$30 million impact, \$26 million under  
20 your sequence comes and is attributed to the allocation  
21 of exports on a share of total allocated costs?

22 MR. CHIC THOMAS: Yes.

23 MR. BOB PETERS: And the same -- we won't  
24 go through the other classes, but the same -- the same  
25 line of thinking goes through, and the Board can

1 therefore deduce in the order in which you've done it,  
2 what the financial impacts are to each class, in the Cost  
3 of Service Study for the changes you've made?

4 MR. CHIC THOMAS: Notwithstanding Mr.  
5 Wiens' comments that some of the numbers might vary a  
6 little bit, yes, that's a fair assumption.

7 Just one clarification, Mr. Peters, I was  
8 advised that the IR that this was based on MIPUG 1-6,  
9 MIPUG had specifically ordered us to do it in this order.  
10 We might have, you know, might of flipped some things  
11 around, but basically that would have been the order that  
12 we would have followed, as well.

13 MR. BOB PETERS: But nothing in your  
14 answer changes your view in terms of the relative  
15 impacts, at least, to these -- to these changes?

16 MR. CHIC THOMAS: That's right, yes.

17 MR. BOB PETERS: If we could turn,  
18 please, to page 2 of Tab 11, and then let's look at this  
19 from the basis of another analysis, and this source was  
20 from -- a lot of the information came out of MIPUG first  
21 round question five (5).

22 But under column number one (1) to the  
23 current methodology, what the Board needs to note here,  
24 Mr. Thomas, is that the Corporation is allocating the  
25 export revenue on the basis of generation and

1 transmission, and that's the only column in which its  
2 doing that of the -- of the first four (4) columns,  
3 correct?

4 MR. CHIC THOMAS: Yes.

5 MR. BOB PETERS: And what happens in the  
6 second column is, let's call it a refinement on a  
7 process, or you -- you change one of the ways you prepare  
8 the materials, and column 2 represents you're making all  
9 of the recommended changes except for the allocation of  
10 the net export revenue, which is also allocated only on  
11 generation and transmission.

12 MR. CHIC THOMAS: Not looking at the IR  
13 that is referenced here, yeah, that -- that looks like  
14 the case.

15 MR. BOB PETERS: And so what you've done  
16 in column number 2 is you've made all of the recommended  
17 changes except for the one that's most hotly contested,  
18 and that one you've left alone.

19 MR. CHIC THOMAS: Again, I apologize, Mr.  
20 Peters.

21 MR. BOB PETERS: Yes. What you've done  
22 in the second column, Mr. Thomas, is you have made all of  
23 the recommended changes except for how you now are  
24 proposing to treat the net export credit.

25 MR. CHIC THOMAS: Yes, that's true.

1 MR. BOB PETERS: You left it the way it  
2 is currently done, you didn't change it in this column 2.

3 MR. CHIC THOMAS: Yes.

4 MR. BOB PETERS: So when we compare  
5 column 1 with column 2, which is done for you in -- in  
6 column number 5 on this page, the changes probably can be  
7 considered minimal.

8 You'd agree with that?

9 MR. CHIC THOMAS: I'd agree with that.

10 MR. BOB PETERS: But if we look to see  
11 how the recommended methodology compares with the -- the  
12 column 2 where you did everything that you wanted except  
13 the change in allocation of export credits, there again  
14 it draws to the Board's attention the significance of the  
15 impact of the way net export credit is allocated.

16 MR. CHIC THOMAS: Yes, that's true.

17 MR. BOB PETERS: I had one (1) point that  
18 came out of the rebuttal evidence, maybe I'll get to it  
19 now.

20

21 (BRIEF PAUSE)

22

23 MR. BOB PETERS: Mr. Thomas, it had to do  
24 with the classification of generation, which you've told  
25 the Board you propose to classify generation costs based

1 on energy, correct?

2 MR. CHIC THOMAS: Marginally weighted  
3 energy, correct, yes.

4 MR. BOB PETERS: Well, you say  
5 "marginally weighted" and that's with the four (4) time  
6 periods that you've used?

7 MR. CHIC THOMAS: That's correct.

8 MR. BOB PETERS: And one of the  
9 complaints that's made against -- against Manitoba Hydro  
10 is that by doing that you're ignoring capacity as a valid  
11 cost driver in the system.

12 Do you understand that it's one (1) of the  
13 concerns?

14 MR. CHIC THOMAS: I think we've discussed  
15 in the rebuttal evidence that not -- even though it's not  
16 explicitly defined as capacity, by using this technique  
17 there is some capacity component inherent in -- in those  
18 weightings.

19 MR. BOB PETERS: So -- so in that answer  
20 you -- you do recognize that capacity is a valid cost  
21 driver?

22 MR. ROBIN WIENS: Yes, we do.

23 MR. BOB PETERS: And certainly that's  
24 given rise to all of your demand charges?

25 MR. ROBIN WIENS: In the past, yes, it

1 has been. Our demand charges are intended to be related,  
2 certainly conceptually, to the capacity element in the --  
3 in the generation, transmission and distribution  
4 functions.

5 MR. BOB PETERS: And so in -- in  
6 classifying generation cost based now on marginally  
7 weighted values of energy you're expressly taking out of  
8 that a -- a capacity component that previously you  
9 considered expressly.

10 MR. ROBIN WIENS: We haven't separately  
11 identified it.

12 MR. BOB PETERS: I'm -- I'm sorry?

13 MR. ROBIN WIENS: We have not separately  
14 identified it.

15 MR. BOB PETERS: You have not separately  
16 identified it in your recommended methodology?

17 MR. ROBIN WIENS: Correct.

18 MR. BOB PETERS: And what, Mr. Thomas, I  
19 understood you to be telling the Board was even though  
20 you don't expressly recognize it in your recommended  
21 methodology, there is some implicit recognition that  
22 capacity costs have been considered.

23 MR. CHIC THOMAS: That's -- yes.

24 MR. BOB PETERS: And -- and that's  
25 implicit because you have selected what time periods in

1 which to marginally weight the value of that -- of those  
2 costs?

3 MR. CHIC THOMAS: Yes.

4 MR. BOB PETERS: Implicit in that is that  
5 capacity has a higher value in the peak period?

6 MR. CHIC THOMAS: That's -- that's true,  
7 yes.

8 MR. BOB PETERS: And if your energy  
9 prices are higher in the peak period you can attribute  
10 that, at least implicitly, to being reflective of  
11 capacity costs as well?

12 MR. ROBIN WIENS: At least in part, Mr.  
13 Peters.

14 MR. BOB PETERS: When you say "in part",  
15 Mr. Wiens, you're saying that you don't absolutely know  
16 that but -- but it's -- it's intuitive or at least  
17 inherent in -- in using those weightings?

18 MR. ROBIN WIENS: Well, the -- the data  
19 source that we've used to identify these weightings is  
20 the five (5) year history of the surplus energy program.  
21 These are -- the surplus energy program is based on, in  
22 significant part, values in the opportunity market.

23 The opportunity market will recognize in  
24 the time periods there is some energy component and some  
25 capacity component. We believe that it reasonably

1 reflects the capacity component as well as some energy  
2 variability.

3 MR. BOB PETERS: Mr. Wiens, would you  
4 agree that by -- by the four (4) -- by the four (4)  
5 timeframes or period that you've utilized you've blended  
6 the shoulder prices in with the peak at the off peak  
7 prices?

8 MR. ROBIN WIENS: I, yeah, I guess that  
9 was -- by definition if you -- if you are to define a  
10 shoulder period in between the peak and the off peak, the  
11 fact we've only used four (4) periods here means that we  
12 have taken some shoulder hours and moved them into the  
13 peak period and -- and the remainder have been moved into  
14 the off peak period.

15 MR. BOB PETERS: And when we talk about  
16 four (4) time periods we're talking about summer peak,  
17 summer off peak, winter peak, winter off peak?

18 MR. ROBIN WIENS: Yes.

19 MR. BOB PETERS: And the shoulder periods  
20 are the timeframes between the -- between the peak and  
21 the off peak by definition?

22 MR. ROBIN WIENS: Yes. Yes, they are.

23 MR. BOB PETERS: And by blending the  
24 shoulder prices in with the peak and the off peak prices  
25 that would dilute the impact of peak and off peak prices?

1 (BRIEF PAUSE)

2

3 MR. ROBIN WIENS: I think you could say  
4 that it -- it reduces the disparity between peak and off  
5 peak prices, but by the same token that disparity is  
6 spread over a larger number of hours so it recaptures at  
7 least some of it back in that...

8 MR. BOB PETERS: Does that mean it  
9 smooths out the results, moderates them to what they  
10 would otherwise be?

11 MR. ROBIN WIENS: No, it means that you  
12 don't lose all of the distinction. You may lose some of  
13 it but you don't lose all of it because you're now taking  
14 the gap between -- the gap between peak and off peak may  
15 be smaller because of the fact that you have a shoulder  
16 in some of them but it's also spread over a larger number  
17 of hours. So you do capture some of it back that way.

18 MR. BOB PETERS: Would you agree, Mr.  
19 Wiens, that if more time periods are used the weightings  
20 would change?

21 MR. ROBIN WIENS: The weightings of the  
22 time periods would change, there's no question about  
23 that. Would -- would the end results change?

24 I think we provided some evidence here in  
25 our rebuttal that they do not change very substantively

1 even though the -- you have more time periods and as a  
2 result you have a, you know, larger differences between  
3 the peak and the off peak in terms of energy value  
4 weightings.

5 MR. BOB PETERS: And -- and just for the  
6 record you do on page 41 of 43 of the -- of the rebuttal  
7 evidence do provide some charts showing four (4) time  
8 periods compared to twelve (12), Mr. Wiens, and the Board  
9 can look at that and see what -- what variation there is.  
10 And your suggestion is that even though you go to more  
11 time periods the weighting factors don't change  
12 significantly?

13 MR. ROBIN WIENS: That's correct.

14 MR. BOB PETERS: Would they change  
15 significantly if you built into your recommended  
16 methodology a firm export class which isn't presently  
17 included?

18 MR. ROBIN WIENS: Could you say that  
19 again please?

20 MR. BOB PETERS: Well, I was looking on  
21 page of 40 to 43, to be specific, of your rebuttal and I  
22 don't see that there's a firm export class included under  
23 the recommended methodology.

24 MR. ROBIN WIENS: I -- I think our intent  
25 here was to show how the costs are shared among the

1 domestic classes. The -- the recommended methodology  
2 certainly does in the original calculation that was done  
3 using this. It is covered by it, but we've simply taken  
4 it out and then re-expressed the percentages as a share  
5 of -- that the domestic classes have.

6 We did not ignore the existence of the  
7 firm export class. We thought it was easier to make a  
8 comparison if we -- if we took that single and somewhat  
9 significant percentage difference out of the -- out of  
10 the recommended column.

11 MR. BOB PETERS: Okay. I appreciate that  
12 clarification then. Do I -- do I take from your evidence  
13 when you consider four (4) time periods, versus twelve  
14 (12) time periods, versus I guess rec -- or comparing it  
15 also to six (6) time of use energy periods that  
16 additional information is helpful, but it doesn't change  
17 the results to any significant degree?

18 MR. ROBIN WIENS: Yes.

19 MR. BOB PETERS: Do I take from that  
20 answer that -- I thought you also in the rebuttal said  
21 even though that appears to be the case Manitoba Hydro's  
22 prepared to consider additional time periods; have I  
23 understood that correctly?

24 MR. ROBIN WIENS: Well, the idea here is  
25 not just to be correct, but to have -- for the parties in

1 this process to have confidence, as well, we're correct.

2 So if the party -- if the confidence of  
3 the parties is enhanced by increasing the number of  
4 periods, we see that as a worthwhile change to make.

5 MR. BOB PETERS: So that again is  
6 something that, in essence, you're inviting the Board to  
7 suggest be included in whatever determination they make  
8 on the appropriate cost of service methodology going  
9 forward?

10 MR. ROBIN WIENS: Yes we are.

11 MR. BOB PETERS: Does it follow that if  
12 four (4) is good, six (6) time periods are better and  
13 twelve (12) is even better yet?

14 MR. CHIC THOMAS: Well, I think as we  
15 express somewhere in the documentation, and MIPUG, as  
16 well, alluded to this, is that in a perfect world we  
17 could theoretically use eighty-seven hundred and sixty  
18 (8760) hours of the year and move down from there.

19 And as MIPUG suggested perhaps a more  
20 pragmatic approach would be to use the twelve (12)  
21 periods so that's what we focussed on.

22 MR. ROBIN WIENS: Yes, Mr. Peters,  
23 there's a couple of trade-offs at work here in increasing  
24 the number of periods. As you'll appreciate the  
25 information regarding the class use in each of the

1 periods is derived from load research.

2                   And the larger the number of individual  
3 hours included in a period the more confident we have  
4 that load research sample is representative of the whole  
5 class. So you'll appreciate that if we got up into the  
6 thousands of hours, we might not have the same degree of  
7 confidence in the results.

8                   And then, of course, the other factor is  
9 the amount of work that is required, even though, you  
10 know computers can handle an incredible amount of data,  
11 we still have to design the program and the expression of  
12 the results, if we're using eight thousand seven hundred  
13 and sixty (8760) hours.

14                   So, we feel that that -- you know, the  
15 benefits of that trade-off are probably captured fairly  
16 early on; if four (4) is not enough, twelve (12) probably  
17 is and you're not going to get --

18                   MR. BOB PETERS: But stop there, don't go  
19 any further.

20                   MR. ROBIN WIENS: Yes, don't take us into  
21 the hundreds or the thousands.

22                   MR. BOB PETERS: All right. I'll see if  
23 the Board has heard your plea on that later, Mr. Wiens.  
24 Before I close up on the rebuttal, I think we covered it  
25 earlier on page 43 of 43, your concluding sentence is

1 that:

2 "Consequently Manitoba Hydro now  
3 believes it would be appropriate to  
4 classify the entire transmission system  
5 as demand related and allocate its  
6 costs on the basis of the two (2)  
7 coincident peak allocator."

8 That's what we talked about earlier Mr.  
9 Thomas and again, that's something that you would be  
10 quite satisfied with if the Board was to require that be  
11 part of any revised cost of service study going forward?

12 MR. CHIC THOMAS: Yes, that's correct.

13 MR. BOB PETERS: And can you confirm that  
14 the transmission demand allocation or -- is based on the  
15 2-CP for domestic loads?

16 MR. CHIC THOMAS: I can.

17 MR. BOB PETERS: And on -- for firm  
18 export?

19 MR. CHIC THOMAS: 2-CP, as well.

20 MR. BOB PETERS: And what about  
21 opportunity export?

22 MR. CHIC THOMAS: Nothing.

23 MR. BOB PETERS: Only because you -- you  
24 suggest that it's not a variable cost that gives rise to  
25 the opportunity in the first place, the opportunity

1 export in the first place?

2 MR. ROBIN WIENS: That's correct.

3 MR. BOB PETERS: In terms of the export,  
4 Mr. Wiens, you commissioned or certainly Manitoba Hydro  
5 commissioned a report from NERA on this subject -- and  
6 you're familiar with that report, you and Mr. Thomas,  
7 probably to a greater extent than others?

8 MR. ROBIN WIENS: Yes.

9 MR. BOB PETERS: And was it NERA's  
10 conclusion that exports are variable due to the hydraulic  
11 capacity and due to market fluctuations and changes?

12 MR. ROBIN WIENS: I'm not sure what  
13 you're -- the question that you're asking Mr. Peters.  
14 I'm not sure of what you're intending to mean by use of  
15 the word 'variable'.

16 MR. BOB PETERS: The -- the export  
17 revenue is variable based on your capacity and your  
18 market.

19 MR. ROBIN WIENS: I -- I don't know that  
20 that's necessarily a result that you'd take from the NERA  
21 report. You would take that from our experience.

22 MR. BOB PETERS: They didn't disagree  
23 with it then.

24 MR. ROBIN WIENS: But they certainly  
25 didn't disagree with it.

1                   MR. BOB PETERS:    But would it be a  
2 correct conclusion that Manitoba Hydro specifically plans  
3 and operates their system with exports in mind?

4                   MR. ROBIN WIENS:    The capability to make  
5 exports is of course considered at the time that we're  
6 planning on making system operating decisions, yes.

7                   MR. BOB PETERS:    And in making your plans  
8 and in working through your operations, consideration of  
9 exports is important because that will help you determine  
10 the size of the facility to -- to build?

11                  MR. HAROLD SURMINSKI:   We don't -- I  
12 don't think we really change the size of the facility  
13 based on exports.  Size of facility is more determined by  
14 the -- the hydraulic conditions by the water available at  
15 the site.

16

17   (BRIEF PAUSE)

18

19                  MR. ROBERT MAYER:    It would however  
20 assist -- assist you in making a decision as to which of  
21 the various possible sites you would build.  Wuskwatim as  
22 opposed to Conawapa, Keeyask or upgrade Notigi.

23                  MR. HAROLD SURMINSKI:   Only, and it's not  
24 obvious that that is the case, the size is a disadvantage  
25 in many -- or it used to be a disadvantage because of the

1 lumpiness -- and the larger you build, the more of that  
2 you don't need for your own system. But more recently,  
3 with the value of high exports, that -- that hasn't been  
4 the case or hasn't been a problem in our system.

5 MR. ROBERT MAYER: But, as I understood  
6 Mr. Peters' questions and -- of the answer he received,  
7 I'm trying to interpret that into when -- when you are  
8 planning exports it's been fairly public knowledge that  
9 unless we get a significant amount of money or a  
10 significant amount of export into Ontario, we're not  
11 going to build Conawapa right away.

12 And there's been some -- we say we're --  
13 want to build -- one of the reasons we want to build  
14 Wuskwatim, two (2) reasons given; 1, is we can use the  
15 energy for export; 2, is we'd sort of like to practice  
16 because we haven't built a dam since -- for quite some  
17 time.

18 And so I'm assuming that depending upon  
19 your perceived ability to export the power extra-  
20 provincially, no matter whether it go to Ontario,  
21 Saskatchewan or to somewhere into the United States, that  
22 will significantly impact on where you go next with  
23 respect to adding generation.

24 MR. HAROLD SURMINSKI: Again, that is  
25 related, I would say, to the size of the facility.

1 Conawapa is a large addition and -- and there's a lot of  
2 risk of undertaking such a large project without having a  
3 -- a sale beforehand, whereas a smaller plant you don't  
4 have that big risk.

5 But, Mr. Peters, your question of do we  
6 specifically consider exports in designing the size of  
7 facilities or characteristics of facilities; there really  
8 isn't much of a factor coming from exports in -- in the  
9 characteristics of a particular generating facility,  
10 hydraulic facility.

11

12 CONTINUED BY MR. BOB PETERS:

13 MR. BOB PETERS: Well, I'm not sure if I  
14 can understand that, Mr. Surminski. Maybe it's because  
15 I'm not an engineer.

16 But when you're building -- when you're  
17 building a generating station, one (1) of the decisions  
18 that has to be made is how many units or turbines to put  
19 into the place; would that be fair?

20 MR. HAROLD SURMINSKI: Yes, that's  
21 correct.

22 MR. BOB PETERS: And would it also be  
23 fair to say that if you -- if you were just going to have  
24 that facility serve nothing but domestic load, it might  
25 influence you to put in a certain number of turbines, but

1 if you had an opportunity to export that energy, you  
2 might put in a few more?

3 MR. HAROLD SURMINSKI: No, I would not  
4 agree with that. It is more related to the incremental  
5 cost of -- of this site, incremental cost of adding the  
6 additional turbine and utilizing the water at the site.

7 It is the amount of water at the site that  
8 determines how many units you're putting in, so you put  
9 in more and more units until you get to the point of  
10 having little spill. You balance the cost of adding the  
11 last unit to the percentage of time that you will be  
12 spilling at the site.

13 So it really has nothing to do with the  
14 export market, it just has to do with the optimal  
15 utilization of water at the site.

16 MR. BOB PETERS: But we know that water  
17 levels fluctuate and they vary, correct?

18 MR. HAROLD SURMINSKI: Yes, but we  
19 consider the entire of range of -- of flow conditions  
20 over the long term.

21 MR. BOB PETERS: So do you bill to the  
22 maximum flow condition?

23 MR. HAROLD SURMINSKI: No, we do not.  
24 Again, it's a balance. Over all possible flow conditions  
25 we have our simulation models that'll consider -- like we

1 use the ninety-three (93) years of record and considered  
2 all the possibilities, and over the expected possibility  
3 of flows we determine the maximum, or the optimal  
4 utilization of water at the site.

5 MR. BOB PETERS: How do you know what's  
6 going to be optimum if you don't know what the flows are  
7 going to be?

8 MR. HAROLD SURMINSKI: We -- by  
9 considering the range and --

10 MR. BOB PETERS: Are --

11 MR. HAROLD SURMINSKI: -- the range gives  
12 us the -- the expected possibility of the -- of possible  
13 events.

14 MR. BOB PETERS: And is that sized based  
15 on -- on -- it can be on something other than dependable  
16 flows then on which you size your plant?

17 MR. HAROLD SURMINSKI: Oh, certainly, we  
18 don't size on dependable, we --

19 MR. BOB PETERS: It's something more than  
20 that.

21 MR. HAROLD SURMINSKI: It's -- it's much  
22 more, yes.

23 MR. BOB PETERS: You -- will you agree  
24 with me, Mr. Surminski, that the time in which a plant is  
25 brought into service may be determined and influenced by

1 whether or not there are export opportunities?

2 MR. HAROLD SURMINSKI: Yes, I would agree  
3 with that statement.

4 MR. BOB PETERS: Although I think  
5 yesterday you or one (1) of your colleagues didn't agree  
6 with me that Limestone was brought in service sooner than  
7 it need otherwise have been, just to capture some export  
8 opportunity?

9 MR. VINCE WARDEN: No, Mr. Peters, just  
10 for clarification, we did agree that Limestone was  
11 brought in one (1) year before it was required to serve  
12 the Manitoba load. It was advanced by one (1) year.

13

14 (BRIEF PAUSE)

15

16 MR. BOB PETERS: Mr. Wiens, I remember,  
17 and maybe you don't have the same memory, but your being  
18 at a previous hearing before the Board and urging the  
19 Board not to go to the point of establishing an export  
20 class.

21 Do you have that in your databank  
22 somewhere?

23 MR. ROBIN WIENS: I don't have the  
24 specific timing or context of it, but I do have that  
25 recollection, Mr. Peters.

1                   MR. BOB PETERS:    And you weren't alone,  
2 Mr. Wiens. From what I recall is that you were joined by  
3 -- I wouldn't say holding hands with CAC/MSOS but you  
4 were certainly onside with them and with MIPUG and I  
5 think the -- the harmony was to the effect that it wasn't  
6 something that was being recommended that the Board  
7 consider?

8                   MR. ROBIN WIENS:    Not at that time.

9                   MR. BOB PETERS:    And next time you came  
10 before the Board you were recommending, or at this -- at  
11 least at this point in time you were recommending an  
12 export class. So what's changed in the interim?

13                   MR. ROBIN WIENS:    Well, in order to  
14 discuss that I probably am going to have to reach back in  
15 some of those rusted data points and come up with some of  
16 the context that we discussed at that time.

17                   And -- and I believe at that time we may  
18 well have been looking at -- we may well have been  
19 looking at favouring the methodology which would credit  
20 the net export revenues back to the various customer  
21 classes on the basis of total costs.

22                   And we had -- if my memory serves me  
23 right, this would have been in 2002, when we appeared  
24 before the Board in 2002, and the Board at that time did  
25 express some concerns about assurances with respect to

1 whether or not export revenues actually recovered the  
2 costs.

3                   And in their subsequent discussions,  
4 following, I believe, the issue of Order 7/'03, we had  
5 some internal discussions about that and, in fact, 7/'03  
6 actually directed specific recommendations with regard to  
7 an export class.

8                   So we certainly -- we certainly took that  
9 under advisement. And although -- when we came back in  
10 2004 we did not -- we were not specifically, in all  
11 instances, able to comply fully with that directive.

12                   I believe at that time the directive in  
13 7/'03 had been precisely what you're seeing before you  
14 now, two (2) export classes. And we were not -- we did  
15 not feel we were in a position to do that at that time.  
16 So we came back with one (1) export class in the NERA  
17 report that was filed with the Board in April of 2004.

18                   Subsequently, we have responded to the  
19 directives that came out of the hearing in 2004, I think  
20 specifically Order 101/'04, and I think the follow-up  
21 order on that one, 43/'04, and that brought us to the  
22 point where we felt that -- we felt that we were able to,  
23 and it would be appropriate to fully comply with what was  
24 set out in 7/'03, which was the creation of two (2)  
25 export classes.

1                   And that's what you have seen in our  
2 recommended method that's before this Board for  
3 consideration today.

4                   MR. BOB PETERS:    Did you understand the  
5 Board's previous orders to say, You must establish a cost  
6 of service methodology that includes two (2) export  
7 classes?

8                   Or did you understand that is was open for  
9 Manitoba Hydro to bring forward their recommended view?

10                  MR. ROBIN WIENS:   Oh, Mr. Peters, you're  
11 really taxing those databanks now.

12                  I -- I took from the order that the Board  
13 was looking for two (2) export classes.

14                  MR. ROBERT MAYER:   My memory is similar  
15 to Mr. -- to Mr. Peters. I thought we ordered an export  
16 class and that the two (2) export classes came as a  
17 result of Hydro's recommendations. And relatively  
18 recently, if I'm correct.

19                  MR. ROBIN WIENS:    Actually, I think if  
20 you go back to Order 7/'03 there was a direction that  
21 there be two (2) export classes. We -- we did not feel  
22 at the time that we could make that distinction. And so  
23 with what we brought back in 2004, we did not.

24                  We subsequently determined that that was a  
25 distinction that we -- we could make and -- and so we

1 brought it forward at this time, having arrived at,  
2 first, the -- the determination that we had a basis on  
3 which to make that distinction and, second, that it would  
4 be appropriate to do so.

5 MR. BOB PETERS: Well, Mr. Wiens, is the  
6 only reason that there are two (2) export classes in the  
7 Manitoba Hydro Recommended Methodology because it is  
8 Hydro's interpretation that's what the Board wanted?

9 MR. ROBIN WIENS: No. It is -- as I  
10 stated, my belief on reading 7/'03, without any further  
11 interpretation, was that the Board was looking for  
12 something along those lines.

13 But we made the determination  
14 subsequently, post 2004, because we felt we had a basis  
15 on which we could make the distinction without having to  
16 get into providing information that might be commercially  
17 sensitive, and because we thought that, in terms of the  
18 opportunity sales, that they really should carry variable  
19 costs and -- and not much more, if anything.

20 MR. BOB PETERS: So your decision to go  
21 with two (2) export classes was independent of -- of what  
22 you felt the Board was -- was inclined to -- to be  
23 looking for?

24 MR. ROBIN WIENS: As I say, it was based  
25 on those two considerations, that (a) it was possible,

1 and (b) it was -- it was appropriate. I won't say that  
2 we did not have in mind Order 7/'03 when we made the --  
3 when we made the determination to go that way.

4 But the determination to go that way was  
5 more primarily based on the subsequent determination.

6 MR. BOB PETERS: All right. And let me  
7 close off on that by saying you do accept that the Board  
8 may, at the end of this process, determine that one (1)  
9 export class is more appropriate than two (2)?

10 MR. ROBIN WIENS: I think that's within  
11 the purview of the Board to do -- to decide.

12 MR. BOB PETERS: All right. Well I was  
13 just trying to get at that you didn't -- that Hydro  
14 wasn't operating under the precept that it was pre-  
15 ordained that there was going to be two (2) export  
16 classes. But I hear you saying that the two (2) export  
17 class is your recommended methodology, and the Board can  
18 accept it, reject it, or modify it?

19 MR. ROBIN WIENS: I think that's been the  
20 position that --

21 MR. BOB PETERS: Thank you. Mr. Wiens,  
22 will you acknowledge that by setting up an export class,  
23 that will help determine whether the export class  
24 recovers the fully embedded cost of service?

25 MR. ROBIN WIENS: It will -- it will

1 determine that the export class recovers what, to the  
2 best of our ability, we can determine are the costs that  
3 are associated with providing that service.

4 MR. BOB PETERS: And we heard from Mr.  
5 Surminski that it doesn't determine whether or not it  
6 recovers the -- you know, whether export prices recover  
7 the embedded costs under which they -- they are based,  
8 but more so Mr. Surminski is concerned about whether the  
9 incremental revenue exceeds the incremental costs in  
10 pricing of the actual product?

11 MR. ROBIN WIENS: Mr. Surminski is  
12 concerned about the decision to actually go ahead and  
13 conclude an export sale. And the export sale involves  
14 costs and benefits. And that's certainly appropriate  
15 when you're doing a commercial evaluation of that, that  
16 you look at the costs and benefits as they are associated  
17 with that sale.

18 Embedded cost is not the basis on which  
19 you would make that determination.

20 MR. BOB PETERS: Mr. Surminski, before I  
21 lose the point, Mr. Wiens indicated that when you're  
22 making an export sale you might also consider, in  
23 addition to the costs, the benefits.

24 Do the benefits that you consider, are  
25 they anything more than monetary benefits?

1                   MR. HAROLD SURMINSKI:    They are more than  
2 that, yes.  Our decisions are made from the social and  
3 environmental perspective, as well as the economic.

4                   MR. BOB PETERS:    Help me understand that,  
5 or perhaps explain it to the Board, that when you have an  
6 opportunity to do -- to conduct an export sale with a  
7 counter party, rather than get as much -- as much money  
8 as you can for that kilowatt -- kilowatt hour, you are  
9 prepared to accept a lower -- a lower value if some other  
10 benefits are at play?

11                  MR. HAROLD SURMINSKI:    Generally, that  
12 would be the case, because we do consider, you know,  
13 sustainable development, environmental factors in  
14 decisions.  But on exports I was thinking more on the  
15 decision in a new generating plant and the benefits from  
16 those.  They may not be just economic, they may be social  
17 and environmental, also.

18                  MR. BOB PETERS:    All right.  I was asking  
19 my questions based on export contracts, and I'm still  
20 having trouble with that thought you might take less  
21 money on an export contract sale to a counter party if  
22 you know you're displacing coal, which you think has some  
23 environmental benefit in our global world.

24                                    Is that what I'm hearing?

25                  MR. HAROLD SURMINSKI:    We don't directly

1 consider that, but -- but we use -- we use that argument  
2 that we do displace emissions through use of our exports.  
3 So whether we actually are willing to discount the price  
4 in doing that is another factor.

5 MR. BOB PETERS: I think you're -- I've  
6 taken you as far you're prepared to go voluntarily on  
7 that, Mr. Surminski.

8 No matter which method we use, if there's  
9 an export class included, Mr. Wiens, one of the effects  
10 of that is that it will reduce the export revenue which  
11 is available for crediting back on a net basis to  
12 consumers?

13 MR. ROBIN WIENS: Double entry  
14 bookkeeping, Mr. Peters, it reduces the net export  
15 revenue and it also reduces the cost that those domestic  
16 consumer classes incur prior to the allocation of export  
17 revenue.

18

19 (BRIEF PAUSE)

20

21 MR. BOB PETERS: Do you agree, and does  
22 Manitoba Hydro agree, that if costs are incurred for  
23 export, they should be directly assigned to the export  
24 class before the allocation process begins?

25 MR. ROBIN WIENS: You know, I think

1 generally speaking, if we could solidly identify some  
2 costs as being related only to exports, that by the same  
3 principles that usually apply to direct assignments, if  
4 you can avoid the steps of functionalization,  
5 classification, and allocation, and go directly to where  
6 the costs are incurred, that you should do that.

7 MR. BOB PETERS: But you don't do that,  
8 Mr. Wiens, for firm export, do you?

9 MR. ROBIN WIENS: For the firm export  
10 class we have not done that, no, we have -- we have not.  
11 We have taken an allocation process and allocated a share  
12 of those costs to the firm export class on the same basis  
13 as to the domestic classes of service.

14 MR. BOB PETERS: Is that because you  
15 cannot determine expenses and costs that should be  
16 directly assigned to the firm export class?

17 MR. ROBIN WIENS: It becomes -- it  
18 becomes a matter of judgment, in some cases. Arguably,  
19 you can look at a certain cost and say, Aren't you  
20 incurring that in order to facilitate exports. And if  
21 you're -- if you have a great deal of confidence in that,  
22 then you might do a direct allocation.

23 If your confidence is -- is somewhat  
24 diminished then -- then you would take the step of -- of  
25 putting those costs into the pool and allocating them.

1                   MR. BOB PETERS:    From your answer, the  
2 Board would take that you don't have the confidence that  
3 you can accurately identify specific costs that should be  
4 directly assigned to export.

5                   MR. ROBIN WIENS:    Either that or that we  
6 have been unable to carry out the necessary studies that  
7 would allow us to be able to identify those costs with  
8 some degree of confidence.

9                   MR. BOB PETERS:    Which one is it?  Is it  
10 -- is it that you're not able to or you just haven't had  
11 the resources, including time, to be able to carry out  
12 that analysis?

13                  MR. ROBIN WIENS:    In -- in some cases it  
14 may be one and in some cases the other.

15                  MR. BOB PETERS:    Mr. Wiens, is this fair  
16 criticism of the Corporation to say -- you come before  
17 the Board and you say that 50 percent of your revenues  
18 are going to come from extra provincial exports, and yet  
19 not one (1) penny of your \$1.5 billion of cost of service  
20 is directly assigned to the firm export class?

21

22                                       (BRIEF PAUSE)

23

24                  MR. ROBIN WIENS:    We believe that the  
25 process that we've undertaken, while assuredly not

1 perfect and 100 percent concise, and what cost of service  
2 study is that -- that precise, we believe that it  
3 reasonably depicts the costs that -- that the firm export  
4 class incurs on the system.

5 Yes, there are probably some costs out  
6 there that could be assigned directly, but there is also  
7 the situation where an allocation of -- of embedded  
8 costs, on the same basis as to a domestic customer,  
9 overstates those costs because of the fact that we're not  
10 dealing with the same level of firmness and because of  
11 the fact that those -- those types of export sales cannot  
12 be made with certainty at all times and in all periods.

13 MR. BOB PETERS: So rather than go down  
14 the road partway and -- and deal with the specific  
15 matters of judgment that arise, the approach that  
16 Manitoba Hydro wants to take for the firm exports is to  
17 say, Put all of those generation and transmission costs  
18 into the hopper with a whole bunch of other costs and  
19 allocate them the same way to the export firm class as  
20 you would to any other domestic class?

21 MR. ROBIN WIENS: That's what we're  
22 saying, yes.

23 MR. BOB PETERS: But for the opportunity  
24 export class, Manitoba Hydro is able to identify that  
25 there are costs that can be directly assigned to that

1 class?

2 MR. ROBIN WIENS: We can be pretty  
3 certain about those variable costs, that they are  
4 associated with those incremental sales, yes.

5 MR. BOB PETERS: But when you say you're  
6 pretty certain, you don't go down on a line by line basis  
7 and allocate those variable costs to the opportunity  
8 class, you take them as a whole and then multiply that by  
9 the percentage in which opportunity exports are in  
10 relation to your firm exports?

11 MR. ROBIN WIENS: Yes.

12 MR. BOB PETERS: And the resultant number  
13 that we saw earlier, if I remember, was \$48 million that  
14 goes to the opportunity side, by way of direct  
15 assignment?

16 MR. ROBIN WIENS: Yes.

17 MR. BOB PETERS: And so this process,  
18 that you go down with the two (2) export classes on  
19 behalf of Manitoba Hydro, changes what used to be  
20 assigned, which was \$107 million was netted off against  
21 the export revenues.

22 And now 45 percent of that 107 million  
23 goes to the opportunity class, and then, as it turns out,  
24 196 million through cost allocation study ends up in a  
25 firm export class.



1 ago, Mr. Surminski, that Manitoba Hydro used to describe  
2 its export contracts as long term firm, short term firm,  
3 and opportunity? Or maybe opportunity used to be called  
4 interruptible?

5 MR. HAROLD SURMINSKI: All those  
6 terminologies have been used.

7 MR. BOB PETERS: They've all been -- are  
8 they still used today?

9 MR. HAROLD SURMINSKI: By various people,  
10 yes. I noted the National Energy Board uses  
11 interruptible, even though we do not.

12 MR. BOB PETERS: When you report to  
13 National Energy Board, you have to fit your contacts into  
14 their pigeon hole definitions?

15 MR. HAROLD SURMINSKI: Yes, I would say  
16 that's the case.

17 MR. BOB PETERS: You don't get to call  
18 them what you would otherwise call them?

19 MR. HAROLD SURMINSKI: I am actually not  
20 familiar, I don't do the reporting to the -- so I'm not  
21 familiar exactly the format of that.

22 MR. BOB PETERS: Would you agree, Mr.  
23 Wiens and Mr. Thomas, that one (1) of the aspects of  
24 fairness is that when the results -- well fairness does  
25 result when there's equal treatment of equals?

1 MR. ROBIN WIENS: Yes.

2 MR. BOB PETERS: And if you're doing that  
3 from a rate category point of view, you're going to tell  
4 the Board that there are no two (2) customers in your  
5 system -- I think put the numbers in Tab 2, document 3, I  
6 think there's a depiction of six hundred and sixty-two  
7 thousand, four hundred and forty-four (662,444) customers  
8 on your system, in the PCOSS-6 calculations.

9 And no two (2) customers are exactly the  
10 same, is the theory?

11 MR. ROBIN WIENS: If they are we wouldn't  
12 know about it, Mr. Peters.

13 MR. BOB PETERS: Good answer.

14 MR. ROBIN WIENS: There's a lot that are  
15 pretty similar.

16 MR. BOB PETERS: I'll leave it to Mr.  
17 Buhr to explain why there's a hundred and forty-seven  
18 thousand (147,000) similar customers on the street  
19 lighting area and who those people are, but --

20 MR. DOUG BUHR: I'll leave it to Manitoba  
21 Hydro to try and explain that, Mr. Chairman.

22  
23 CONTINUED BY MR. BOB PETERS:

24 MR. BOB PETERS: A preview of what may be  
25 coming.

1                   But, you try to get customers with similar  
2 characteristics grouped together, and that's axiomatic in  
3 rate design?

4                   MR. ROBIN WIENS:    Yes.

5                   MR. BOB PETERS:    And that leads you to --  
6 Manitoba Hydro to say that you agree that there should be  
7 at least one (1) export class, as NERA says, but you  
8 think you can go better than that and go to as many as  
9 two (2)?

10                  MR. ROBIN WIENS:    Yes.  And I -- and I  
11 might add that when we made that determination that we  
12 would file this recommended method as having two (2)  
13 export classes, we did discuss the matter with NERA and  
14 they did not see a problem with that and they were  
15 perfectly happy to recommend that along with us.

16                  MR. BOB PETERS:    You're going to have to  
17 be careful how much weight the lawyers are going to want  
18 to put on what somebody told somebody to tell somebody  
19 else, and -- and you can understand that.

20                  MR. ROBIN WIENS:    Fair enough.

21                  MR. BOB PETERS:    But -- but what you're  
22 telling the Board and -- and I accept it, is that they  
23 didn't jump up and down and oppose you on it and say,  
24 That's not a good idea.

25                  MR. ROBIN WIENS:    No, they didn't.

1                   MR. BOB PETERS:    But whether they think  
2   it's a better idea than theirs, we're not going to be  
3   able to ask them that and we're just going to deal with  
4   how you've proposed it; would that be fair?

5                   MR. ROBERT MAYER:   We could ask them if  
6   you believe it's necessary, Mr. Peters.

7

8   CONTINUED BY MR. BOB PETERS:

9                   MR. BOB PETERS:    We won't need to go  
10  there, I don't believe, Mr. Vice-Chairman.  I think  
11  that's unnecessary.

12                   But we did see, back on -- on the review  
13  of the allocation of the net export, back on Tab number  
14  8, the first document, whether you go the current system,  
15  the NERA methodology, or your recommended methodology, it  
16  makes a pretty big difference in terms of the end amount  
17  of money that's available to be allocated amongst the  
18  domestic customers, correct?

19                   MR. ROBIN WIENS:    In terms of the net  
20  export revenue that gets explicitly treated in each case,  
21  yes, it makes a difference.

22                   MR. BOB PETERS:    It's \$80 million between  
23  you and NERA, between Manitoba Hydro's recommended and  
24  NERA.

25                   MR. ROBIN WIENS:    That's correct.

1                   MR. BOB PETERS: I take from your filing  
2 that the distinction that Manitoba Hydro wants this Board  
3 to reach is the reason there should be two (2) export  
4 classes is based on the degree of firmness of the export  
5 sales.

6                   Would you agree with that?

7                   MR. ROBIN WIENS: Yes.

8                   MR. BOB PETERS: And when we talk  
9 firmness we're talking about an obligation to supply?

10                  MR. ROBIN WIENS: Yes.

11                  MR. BOB PETERS: Not to alarm my  
12 colleague, Ms. Fernandes, but when we say "an obligation  
13 to supply" we are meaning a legal obligation to supply.

14                  Is that your understanding or is that  
15 something you want to consider?

16

17                                   (BRIEF PAUSE)

18

19                  MR. BOB PETERS: Let me rephrase the  
20 question, I'm seeing it's causing you to pause.

21                  Why don't you tell the Board --

22                  MR. ROBIN WIENS: I'm -- I'm not -- I'm  
23 not able to interpret what the law is.

24                  MR. BOB PETERS: You're far too modest,  
25 Mr. Wiens, but let me ask it this way.



1 water, you've got to buy power to sell it back to them.

2 And we heard about that happening during the drought.

3 And so that, in my opinion, is firm power  
4 admittedly for a fairly short period of time and you have  
5 the long-term contracts which run out as I understand it  
6 over five (5) years in some cases.

7 And as I understand your classification of  
8 firm and opportunity you have taken the contract that  
9 lasts for one (1) year whether it's for firm power or for  
10 interruptible power. Am I -- am I correct in  
11 understanding that is the distinction that is being made  
12 in the two (2) classes?

13 MR. HAROLD SURMINSKI: We do not have  
14 long-term contracts for interruptible or opportunity  
15 power. They just do not exist. We have the capability  
16 to negotiate those but there is no counter party that --  
17 that really is willing to -- to buy that product.

18 MR. ROBERT MAYER: Okay. So then the  
19 distinction between what you're calling opportunity --  
20 the opportunity sales or the opportunity class and the  
21 firm class is the difference between one (1) year and  
22 greater than one (1) year contract; is that the  
23 distinction that we are now looking at in the difference  
24 between these two (2) classes?

25 MR. HAROLD SURMINSKI: Yes, because we do

1 not have any long-term contracts that are opportunity  
2 based. Our long-term contracts are all based on  
3 dependable energy resources that we have. We -- we do  
4 not want to sell a long-term product that we do not have  
5 a guarantee of supply for.

6 MR. ROBERT MAYER: Then what do you call  
7 the one (1) year contract, is that for interruptible  
8 power or not necessarily so?

9 MR. HAROLD SURMINSKI: One (1) year out  
10 in time and longer, is that what you mean?

11 MR. ROBERT MAYER: Up to one (1) year.

12 MR. HAROLD SURMINSKI: Basically, the  
13 opportunity or six (6) month -- forward six (6) month  
14 type of sales we consider to be opportunity transactions.  
15 We make transactions on a monthly basis, one (1) month at  
16 a time.

17 Like now we could be selling power in --  
18 in July and August; one (1) month contracts. We do make  
19 six (6) month summer sales, so in March we would be  
20 negotiating and we -- our water conditions look good we  
21 could be guaranteeing supply over all six (6) open water  
22 summer months.

23 So those are sales that we call short-term  
24 because the water conditions are -- just happen to be  
25 available this year. We had very healthy water coming in

1 so we would be making extra transactions based on the  
2 short-term knowledge of the water supply.

3 So anything on the long-term knowledge of  
4 water supply we call dependable sales or long-term or  
5 long-term firm sales.

6 MR. ROBERT MAYER: And in the -- for the  
7 purpose of the cost application here the distinction  
8 seems to have been drawn at the one (1) year contract; is  
9 that correct?

10 MR. HAROLD SURMINSKI: Yes, it has been  
11 in this case.

12 MR. ROBERT MAYER: And in addition to the  
13 -- you mentioned the one (1) month, the four (4) month,  
14 and the six (6) month and the one (1) year contract, do  
15 you actually sell on the spot market for like an hour?

16 MR. HAROLD SURMINSKI: Yes, there is a  
17 day ahead and a realtime market but that -- that is more  
18 of a -- a balancing market. Most of the transactions are  
19 made ahead of time through bilateral contracts but we do  
20 leave some for the day ahead and the -- and the realtime  
21 hourly.

22 So that's a new market that's -- that's  
23 existing now with the MISO. They thought you got a  
24 central market for day ahead and realtime; five (5)  
25 minutes. Actually, on a five (5) minute basis in the

1 realtime.

2 MR. ROBERT MAYER: Thank you.

3

4 CONTINUED BY MR. BOB PETERS:

5 MR. BOB PETERS: Mr. Surminski, following  
6 up on those questions I'm not sure I've -- I've got the  
7 answer that I asked initially.

8 In the firm export class every contract to  
9 be considered so that the revenues would flow into the  
10 firm export class must be underpinned by dependable  
11 resources?

12 MR. HAROLD SURMINSKI: Yes, that's how we  
13 negotiate our contracts.

14 MR. BOB PETERS: And it doesn't -- does  
15 it matter whether those dependable resources are one (1)  
16 year out or six (6) months out; there's no timeframe on  
17 them but as long as they're dependable?

18 MR. HAROLD SURMINSKI: Yes, but usually  
19 we -- we're sold out of our longer term product. We --  
20 we -- all our dependable resources have been sold  
21 forward, so what's left is the shorter term opportunity.

22 MR. BOB PETERS: Well, you interchange  
23 the words much more quickly than I can, but the -- bu the  
24 term firm means to the Board, that when they see the firm  
25 export class, that's the class against which costs are

1 allocated to generate export sales that are underpinned  
2 by dependable energy, of whatever duration that  
3 dependable energy is?

4 MR. HAROLD SURMINSKI: Yes, we'll see  
5 where that goes.

6 MR. BOB PETERS: All right. And  
7 opportunity export class would be the class that  
8 generates export revenue to the Corporation that is not  
9 underpinned by dependable flows, but is made on a short  
10 term decision, based on what's available in the  
11 reservoirs?

12 MR. HAROLD SURMINSKI: Yes, that's okay  
13 so far.

14 MR. BOB PETERS: I'll keep pushing it  
15 here. I can see then that a firm export contract can be a  
16 year out, if you have the confidence in what your  
17 dependable flow is, a year out, correct?

18 MR. HAROLD SURMINSKI: We -- our  
19 dependable flow is -- is estimated much more than a year  
20 out. It's estimated twenty (20) years out because our  
21 dependable resources, we know -- we estimate our  
22 dependable flow and we have our generating resources  
23 estimated over that time period.

24 So we know how much energy we can depend  
25 on twenty (20) years out from now.



1 calculations for Canada, as a whole, as to how much firm  
2 power was sold and how much opportunity power was sold,  
3 and you want to add them up together, there's got to be  
4 some comparability.

5 Is it easy -- easily compared?

6 MR. HAROLD SURMINSKI: I don't think it  
7 is that easy. But I think, generally, long term  
8 transactions versus opportunity, I'd say there basically  
9 are two (2), two (2) major classes that one (1) could  
10 consider.

11 Long term being sales you make well in  
12 advance, one (1) year out from now, maybe going five (5)  
13 or ten (10) years, versus the opportunity from one (1)  
14 hour ahead to, you know, the next six (6) months.

15 THE CHAIRPERSON: Just to follow on that  
16 then, what you're saying basically is there's no  
17 generally accepted industry term that separates firm from  
18 opportunity?

19 MR. HAROLD SURMINSKI: No, and  
20 particularly a hydro electric resource. A hydro type of  
21 resource has very specific characteristics and this is  
22 why, you know, we call them dependable. A thermal  
23 resource would not have those dependencies on water  
24 supply.

25 THE CHAIRPERSON: Mr. Peters, I think

1 we've absorbed about as much as we can for this first  
2 part of the afternoon. If you don't mind, we'll take a  
3 break now.

4 MR. BOB PETERS: Yes certainly.

5 THE CHAIRPERSON: Thank you.

6

7 --- Upon recessing at 2:44 p.m.

8 --- Upon resuming at 1:36 p.m.

9

10 THE CHAIRPERSON: Ms. Fernandes is back.

11 Mr. Peters, anytime. You want to take us home?

12

13 CONTINUED BY MR. BOB PETERS:

14 MR. BOB PETERS: Yes. Let's -- let's  
15 head down that road.

16 Before the break, Mr. Surminski, we were  
17 talking about firm and opportunity export classes and the  
18 kind of contracts that would find themselves generating  
19 costs and revenues that would be attributable to each of  
20 those classes.

21 And one of the things we didn't discuss  
22 was whether or not your opportunity contracts have  
23 transmission obligations to them as well.

24 MR. HAROLD SURMINSKI: What do you mean  
25 by -- I'm not sure what you mean by opportunity

1 obligation -- or "transmission obligations."

2 MR. BOB PETERS: When you enter into a --  
3 into an opportunity contract, do you have to have firm  
4 transportation -- committed transportation available?

5 MR. HAROLD SURMINSKI: I believe not for  
6 opportunity transactions. It depends on -- on the -- no,  
7 I would say not for opportunity transactions.

8 MR. BOB PETERS: Okay. Before the  
9 afternoon recess we talked about starting with dependable  
10 energy, and that's the energy you told the Board that the  
11 Corporation's going to have even in the worst years of  
12 water flows, right?

13 MR. HAROLD SURMINSKI: That's correct.

14 MR. BOB PETERS: And it's based on  
15 historic data.

16 MR. HAROLD SURMINSKI: We base it on  
17 that, yes.

18 MR. BOB PETERS: And then from that  
19 dependable energy -- well that dependable energy also  
20 includes thermal energy, doesn't it?

21 MR. HAROLD SURMINSKI: Yes. We include  
22 our thermal resources as well as import contracts that we  
23 may have.

24 MR. BOB PETERS: And from that total of  
25 dependable energy, you're going to subtract the domestic

1 load that you need to -- to serve Manitobans?

2 MR. HAROLD SURMINSKI: Yes, in order to  
3 determine surplus energy.

4 MR. BOB PETERS: And do you have to also  
5 subtract from that dependable energy a reserve amount  
6 that you have to keep committed for Manitobans?

7 MR. HAROLD SURMINSKI: Yes, correct. And  
8 for export sales if -- if they require reserves.

9 MR. BOB PETERS: Well, let's not get  
10 ahead of ourselves. But you keep a reserve of how much  
11 for domestic -- domestic --

12 MR. HAROLD SURMINSKI: Yes, we're talking  
13 only domestic so far. Yes, that's correct.

14 MR. BOB PETERS: And how big of a  
15 reserve?

16 MR. HAROLD SURMINSKI: 12 percent.

17 MR. BOB PETERS: Is it 12 percent energy  
18 reserve?

19 MR. HAROLD SURMINSKI: 12 percent on  
20 energy.

21 MR. BOB PETERS: And --

22 MR. HAROLD SURMINSKI: Not on -- not on--

23 MR. BOB PETERS: Not on --

24 MR. HAROLD SURMINSKI: No, sorry. 12  
25 percent on demand and not -- nothing on energy.

1                   MR. BOB PETERS:    You told the Board that  
2   dependable energy includes hydraulic, thermal, plus  
3   imports, correct?

4                   MR. HAROLD SURMINSKI:   Yes, that's  
5   correct.

6                   MR. BOB PETERS:    And would you also agree  
7   that the dependable hydraulic energy is roughly  
8   equivalent to the dependable -- sorry the -- the  
9   dependable hydraulic energy is equivalent to what the  
10  domestic customers in Manitoba will typically need?

11

12                                   (BRIEF PAUSE)

13

14                   MR. HAROLD SURMINSKI:   Not only  
15  hydraulic, no, it's the combination of the three (3) that  
16  -- that are used to serve domestic customers.

17                   MR. BOB PETERS:    But you don't need  
18  import and thermal to serve your domestic customers in a  
19  -- to -- to serve the dependable load of Manitoba  
20  customers?

21                   MR. HAROLD SURMINSKI:   Yes, we do.  We --  
22  that is -- the maximum load that we can serve is the  
23  combination of all three (3).  And that's how we  
24  determine the in-service date of our next plant, is when  
25  the load has grown to the point where hydraulic plus

1 thermal plus import equals that domestic load.

2

3

(BRIEF PAUSE)

4

5

MR. BOB PETERS: I'll just see if I can  
6 find it here. Tab 13, Mr. Surminski, might be a place to  
7 start. See if I'm of the correct understanding with you.

8

9

(BRIEF PAUSE)

10

11

MR. BOB PETERS: Let me correct myself.  
12 I'm going to use Tab 19 to start with and ask you to look  
13 at the first page which talks about hydraulic facilities  
14 and their annual dependable flow generation. Have you  
15 found the document at Tab 19?

16

MR. HAROLD SURMINSKI: Yes, I have it.

17

MR. BOB PETERS: And if you added up all  
18 of the annual dependable flow generation from the -- from  
19 the first column for those hydraulic facilities, subject  
20 to check, would you agree that you come up with  
21 approximately 21,000 gigawatt hours of -- of energy?

22

23

MR. HAROLD SURMINSKI: Subject to check,  
yes.

24

25

MR. BOB PETERS: That's -- is that 21,000  
gigawatt hours a rough and dirty number that -- that you

1 use for what is the dependable generation from hydraulic  
2 resources?

3 MR. HAROLD SURMINSKI: Yes, I recall a  
4 number very similar to that.

5 MR. BOB PETERS: And if I then turn you  
6 back to Document 13, which is PUB Manitoba Hydro First  
7 Round Information Request Number 22, you're telling the  
8 Board in that, that your domestic sales are in the  
9 approximate 21,000 gigawatt hour range as well, for  
10 domestic sales; am I correct?

11 MR. HAROLD SURMINSKI: In recent years,  
12 correct.

13 MR. BOB PETERS: And so when I suggest to  
14 you that your domestic sales is roughly equal to your  
15 dependable hydraulic generation, you'd now agree with me?

16 MR. HAROLD SURMINSKI: Yes, but, that's  
17 because we have a surplus plant on our system.

18 MR. ROBERT MAYER: And you also have --  
19 can use the 12 percent can't you -- your thermal  
20 generators for your 12 percent reliability factor, right?

21 MR. HAROLD SURMINSKI: The 12 percent,  
22 no, Mr. Mayer, is only on the demand side and this is on  
23 energy. So the 12 percent doesn't apply here.

24

25 CONTINUED BY MR. BOB PETERS:

1                   MR. BOB PETERS:    Your answer -- your  
2 last answer to me, Mr. Surminski, indicated that yes  
3 you'd agree with me that dependable hydraulic generation  
4 is roughly equivalent to domestic sales. And then you  
5 went on to qualify that answer, as if it was only because  
6 you have bigger generating stations or something, in  
7 place, than you otherwise would.

8                   Did I misunderstand you?

9                   MR. HAROLD SURMINSKI:    No, I guess why I  
10 am saying that is, well first of all, we haven't had  
11 dependable flows, dependable stream flows, so we cannot  
12 really judge whether our system is in surplus or not,  
13 just from these numbers. But, I'll let you go on, we'll  
14 see where we go.

15                  MR. BOB PETERS:    I think -- thank you --  
16 what you then tell the Board is what -- of that  
17 dependable energy, which has three (3) parts to it,  
18 hydraulic, import and thermal, and if the hydraulic  
19 portion of the dependable energy is roughly equivalent to  
20 domestic sales, which I think you've now agreed with me  
21 it is, at least under some conditions, you then are left  
22 with some more dependable energy that you can use to  
23 enter into firm export contracts?

24                  MR. HAROLD SURMINSKI:    Yes, but, that  
25 would indicate the dependable energy is not hydraulic,

1 it's thermal or import.

2 MR. BOB PETERS: Well, let's not -- let's  
3 not be too concerned about the source of it, but,  
4 factually that would have to -- that would factually be  
5 true if you did the subtraction the way I'm doing it,  
6 right?

7 You'd have to go to other resources to  
8 meet your export commitments?

9 MR. HAROLD SURMINSKI: That's correct.

10 MR. BOB PETERS: And I think it was you  
11 and others who told the Board, that the only reason you  
12 built these hydraulic generating stations to date, was to  
13 serve domestic customers, correct?

14 MR. HAROLD SURMINSKI: Yes, that's right.

15 MR. BOB PETERS: So it's not unreasonable  
16 for -- for someone to conclude that the dependable  
17 domestic energy that comes out of these plants, should  
18 first be given to or allocated to or used by Manitobans?

19 MR. HAROLD SURMINSKI: Yes.

20 MR. BOB PETERS: So whatever is left  
21 over, if any dependable energy, that's something that you  
22 can use to see if you can enter into some export  
23 contracts on a firm basis with a counter party?

24 MR. HAROLD SURMINSKI: Yes, correct.

25 MR. BOB PETERS: And all that's left

1 then, is that you have to, from an -- over and above  
2 dependable flows, you only have thermal generation and  
3 imports out of which you can source energy to export?

4 MR. HAROLD SURMINSKI: Yes, correct.

5

6 (BRIEF PAUSE)

7

8 MR. BOB PETERS: Does it at least follow  
9 in a theoretical basis that, if you did not have, firm  
10 export contracts you would have no need to import power  
11 into Manitoba?

12 MR. HAROLD SURMINSKI: In order to meet  
13 obligations that would be the case. But, we undertake  
14 imports in order to create exports by increasing the  
15 value.

16 MR. BOB PETERS: Okay. You're agreeing  
17 with me mathematically that if you -- if you didn't have  
18 any export contracts you wouldn't have to import anything  
19 because there's be no need.

20 You're meeting your domestic requirements  
21 through your dependable energy, through your hydraulic  
22 system and if you had no firm exports, you wouldn't have  
23 to import anything, at least theoretically?

24 MR. HAROLD SURMINSKI: Yes.

25 MR. BOB PETERS: Now, you go further than

1 that and you're telling the Board, well you do have to do  
2 imports because you've got kind of a -- I forget the  
3 word, but a reciprocity type of arrangement, with some  
4 utilities where you'll buy from them in the winter, if  
5 they buy from you in the summer.

6 Is that what you're saying?

7 MR. HAROLD SURMINSKI: Well, that's one  
8 aspect. The diversity -- we call those the diversity  
9 arrangements.

10 MR. BOB PETERS: All right. That's the  
11 word I was thinking of. Sure.

12 So it is then the diversity contracts that  
13 cause you to have to purchase and import power?

14 MR. HAROLD SURMINSKI: We -- if you're  
15 asking why we -- we have imports in this table, a lot of  
16 it is, except for the low flow period, these imports were  
17 undertaken in order to make economic transactions by  
18 importing in the off-peak hours and exporting in the on-  
19 peak.

20 MR. BOB PETERS: That wasn't my question.  
21 But what you're telling the Board is, whether or not you  
22 have a firm export commitment, you do what amounts to  
23 day-trading of electricity, that is you will -- you will  
24 store it in your reservoirs when it's more valuable than  
25 the cost of you importing power.

1                   MR. HAROLD SURMINSKI:    We import and  
2 store it in reservoirs and export it at a profit; it  
3 could be a short time later or it could be a -- a whole  
4 season later.  If -- if there's an advantage to importing  
5 in summer and exporting in winter, we put it into  
6 reservoir storage in that way also.

7                   MR. BOB PETERS:     Okay.  Well, I'm --  
8 we're getting off the track I was hoping to be on.  But  
9 we come back to the dependable energy that comes off your  
10 generating system, all your plants, your hydraulic  
11 generation is roughly equivalent to what domestic sales  
12 are on an annual basis and, therefore, you still have  
13 some imports that you can -- that you bring into  
14 Manitoba.

15                   And I suggest that those imports, at least  
16 on paper, are there to support the firm exports, and I  
17 think you agreed notionally that that can be conceived.

18                   MR. HAROLD SURMINSKI:    Yes.  Well, these  
19 are not -- we only use firm import contracts to support  
20 firm export sales.

21                   MR. BOB PETERS:     Okay.  My -- my question  
22 then, let's -- let's get a little bit more focussed on  
23 it, is those exports cost money, correct?

24                   MR. HAROLD SURMINSKI:    Correct.

25                   MR. BOB PETERS:     Those exports -- some of

1 those exports are firm -- export -- or sorry, those  
2 imports cost money and those imports, some of those are  
3 firm?

4 MR. HAROLD SURMINSKI: Yes.

5 MR. BOB PETERS: And those firm imports  
6 support firm exports.

7 MR. HAROLD SURMINSKI: Yes.

8 MR. BOB PETERS: But Mr. Wiens doesn't  
9 use those firm import costs and allocate them or assign  
10 them against the firm export class; is that correct?

11 MR. ROBIN WIENS: That's correct. As  
12 we've stated, they are lumped in with the rest of the  
13 generating costs and they're allocated to the firm export  
14 class and to the domestic customer classes.

15 MR. BOB PETERS: And it was also correct  
16 though, Mr. Wiens, that if you could identify a specific  
17 cost that would be attributed to export, you would agree  
18 that it should be directly assigned to export?

19 MR. ROBIN WIENS: This is where we get to  
20 the point where we say you may be able to do it in a  
21 specific year but that doesn't mean to say you can do it  
22 in all years.

23 If -- if you take a look for example at  
24 the page that we're looking at, in response to PUB/MH-  
25 122-C, there is a year, 2003/2004, where you'll see that

1 our hydraulic generation was substantially below the  
2 domestic sales.

3 And so, therefore, the domestic sales had  
4 to be serviced out of either thermal or imports, as well  
5 as out of hydraulic. And 2003/2004 is not a year where  
6 we run up against where we would be expecting to bring  
7 generation in, in -- in the following year.

8 So there are going to be situations, there  
9 are going to be years -- and the probability of those  
10 years arriving is higher the closer we get to when we  
11 would add the next generating station -- where we require  
12 these resources to serve domestic customers.

13 So it's -- it may be true that you can  
14 look at any point in time, like, you can look at this  
15 year and look at the available water and the domestic  
16 load and say, There's more than enough water to serve the  
17 domestic load, and, of course, it's true.

18 And it would be tempting to therefore go  
19 on and say, Well all these other resources are surplus to  
20 the domestic load, so therefore they're only required to  
21 serve exports. But while that may be true at a point in  
22 time it's not true at all or even most even of the  
23 conceivable points in time.

24 So when we do a prospective cost of  
25 service study we're not trying to represent that

1 particular year as much as we're trying to represent the  
2 domestic load at this time under a range of circumstances  
3 that we could encounter.

4           The data we have to use in the prospective  
5 cost of service study is maybe not fully adequate to  
6 address all those possibilities. I -- I will grant that,  
7 because it's based on a median year unlike the IFF where  
8 we take the -- the impacts of each of ninety-three (93)  
9 different scenarios. We don't do that in the Cost of  
10 Service Study.

11           But I think conceptually we still what to  
12 recognize that those resources are not just there to  
13 support opportunity or even firm exports but they are  
14 there to assure firmness to the domestic load as well.

15           MR. BOB PETERS: I appreciate the answer,  
16 Mr. Wiens, but if I go back to your year of 2003/'04 on  
17 Document Number 13 which is the PUB/MH First Round 22 and  
18 I do the simple math from domestic sales compared to  
19 hydraulic generation I come up with maybe 3,500 gigawatt  
20 hours of imports needed to support and to make sure the  
21 domestic load was served with the balance then being  
22 available for exports.

23           On a high level you'd agree with that?

24           MR. ROBIN WIENS: On a high level, and  
25 mostly firm exports as you can see.

1                   MR. BOB PETERS:    Yeah.  And then -- and  
2 then on a high level why wouldn't we simply assign those  
3 costs then to the export class based on the allocation  
4 that you and I just did on the microphone?

5                   MR. ROBIN WIENS:    That's a judgment that  
6 you could make I think, but our judgment is based on  
7 looking at this from the long-term.

8                   And in a year like 2003/2004 when a  
9 sizable portion, albeit not all of the -- of the thermal  
10 generation or imports is required to serve domestic load  
11 you're typically looking in a year like that that the  
12 cost of those resources is going to be higher;  
13 particularly the purchased resources because you've got  
14 drought in Manitoba so therefore you've got -- you've got  
15 pressure, upward pressure on prices throughout the  
16 region.

17                   So you've got both of those factors at  
18 work and admittedly the choices that we've made here may  
19 not depict that situation perfectly but they are intended  
20 to at least recognize it.

21                   MR. BOB PETERS:    Thank -- thank you, Mr.  
22 Wiens.

23                   Mr. Surminski, Mr. Wiens picked out the  
24 year 2003/'04 as showing hydraulic generation falling  
25 below domestic sales and my recollection of that was that

1 a conscious decision was made by the Corporation in the  
2 fall preceding that '03/'04 year to -- to keep exporting  
3 or -- or to keep drawing down water, I guess is the  
4 engineering term?

5 MR. HAROLD SURMINSKI: Yes, I believe we  
6 talked about it at the last 2004 GRA.

7 MR. BOB PETERS: And you -- you chose to  
8 draw down water so that you could spin the turbines and  
9 export more power and receive the export revenue as a  
10 result?

11 MR. HAROLD SURMINSKI: Yes, it was a  
12 judgment call thinking that and hoping that the next year  
13 would not be a drought.

14 MR. BOB PETERS: And as it turns out  
15 judgment happened to be in error, but you didn't have the  
16 benefit of the rearview mirror at the time?

17 MR. HAROLD SURMINSKI: That's correct.

18 MR. BOB PETERS: All right. Can you tell  
19 the Board if you know from memory when was the previous  
20 time that domestic loads exceeded hydraulic generation?

21 MR. HAROLD SURMINSKI: I suspect in  
22 '87/'88; that was our last major drought. We'd have to  
23 go at least that far back.

24 MR. BOB PETERS: And in dealing with the  
25 -- the opportunity exports, Mr. Surminski, I'm deducing

1 that your opportunity exports are only possible if you  
2 take the total available generation that you have,  
3 subtract the dependable, and the dependable again is used  
4 for domestic and for firm contract on export and  
5 whatever's left over is available for opportunity?

6 MR. HAROLD SURMINSKI: Yes, you did  
7 consider firm in that picture?

8 MR. BOB PETERS: I deducted firm from the  
9 total resources.

10 MR. HAROLD SURMINSKI: Yes, you're right  
11 then.

12 MR. BOB PETERS: Okay. And that  
13 opportunity can still be -- that opportunity export sale  
14 could still be feasible, coming out of hydraulic water in  
15 a good year, when the water flows exceed what you need  
16 for your dependable energy commitments, or it could come  
17 from thermal or it could come imports, as well?

18 MR. HAROLD SURMINSKI: Yes.

19 MR. BOB PETERS: Okay. And the argument  
20 that I believe the Corporation makes in its allocation  
21 through the Cost of Service Study, is that you can only  
22 enter into an opportunity contract when the market and  
23 water or generation conditions permit, and therefore it  
24 only attracts variable costs because it's the variable  
25 costs that allow you to meet that opportunity export

1 commitment?

2 MR. HAROLD SURMINSKI: Yes, we become  
3 price takers. When we have the energy available we  
4 cannot store it, we have limited storage, so we have to  
5 sell it and only variable costs are involved.

6

7 (BRIEF PAUSE)

8

9 MR. BOB PETERS: Put another way, Mr.  
10 Surminski, the customers with whom you enter into those  
11 opportunity sales, the Corporation doesn't see them as  
12 putting any demands on the fixed costs of the system?

13 MR. HAROLD SURMINSKI: Yes. That's a  
14 very good way of putting it.

15 MR. BOB PETERS: You don't dispute that  
16 those opportunity sales are spun by the same turbines  
17 that -- that meet domestic and firm obligations, but it's  
18 at a time when it -- when it can be done under  
19 appropriate conditions, including the water and market  
20 conditions, that it will be done?

21 MR. HAROLD SURMINSKI: Yes.

22 MR. BOB PETERS: I must say that before  
23 the afternoon break I probably didn't -- didn't follow  
24 one (1) aspect of the -- of the questioning in coming to  
25 an understanding, and I don't want it to come down to a

1 legal matter.

2 But, the idea of a legal obligation to  
3 deliver or pay a penalty, does that have any part of the  
4 criteria in whether it is a firm export contract or an  
5 interruptible export contract?

6 MR. HAROLD SURMINSKI: No. Contracts can  
7 be -- what we call firm contracts are often system  
8 participation contracts. Our Excel Energy large contract  
9 is, in fact, a system participation contract, which is --  
10 does not have legal requirements for us to -- to supply.

11 And we have many clauses under which we  
12 don't -- do not have to supply, contingencies in our  
13 system, outages of transmissions, HBDC, water supply, we  
14 have -- it's written into the contract.

15 We call them firm contracts, but we do  
16 have clauses that allow us not to deliver.

17

18 (BRIEF PAUSE)

19

20 MR. BOB PETERS: So for the -- for the  
21 year that Mr. Wiens pointed out to us on -- on document  
22 number 13, in that year 2003/'04 that's sometimes called  
23 the flood year, or Mr. Warden probably has a much worse  
24 word for it that we won't use on the record, but that's  
25 the year the Corporation suffered significant financial

1 loss?

2 MR. HAROLD SURMINSKI: Drought year that  
3 is.

4 MR. BOB PETERS: Yes. I certainly mis-  
5 spoke and I don't even know if that was Freudian but, we  
6 call it the drought year and that was the year in which  
7 Mr. Warden was flooded with red ink; would that be fair?

8 MR. HAROLD SURMINSKI: Yes. That's been  
9 the most severe since the '80's.

10 MR. BOB PETERS: And it's -- it is a  
11 matter of public record that one (1) of the reasons there  
12 was a significant financial loss to the Corporation is  
13 based, in some measure, on its export obligations; would  
14 that be fair?

15 MR. HAROLD SURMINSKI: Yes. Export  
16 obligations were a factor of adding to our losses.

17 MR. BOB PETERS: And you just told me  
18 that on the Xcel contract you -- you gave it a -- a name,  
19 called it a system participation contract, which  
20 indicated that you didn't have to export to them if you  
21 couldn't. Those are my words, but do you accept that?

22 MR. HAROLD SURMINSKI: Yes. There are a  
23 number of clauses that allow us to -- to stop deliveries.

24 MR. BOB PETERS: Did you stop deliveries  
25 to them in 2003/'04?

1                   MR. HAROLD SURMINSKI:    No, I believe not.  
2    But I believe some of the -- some transactions took place  
3    in the US to -- to supply them with the energy.  So we --  
4    we chose -- in order to maintain our reputation as a good  
5    supplier, we chose to supply by purchasing.

6                   MR. BOB PETERS:    What you're saying is  
7    that for reasons that you interpreted as you weren't  
8    legally required to keep them whole or deliver the  
9    energy, but for business reasons you chose to make sure  
10   they were kept whole with the energy that you were  
11   supposed to deliver, by either providing them with a --  
12   with the energy or providing them with a cheque so they  
13   could go buy the energy at the then market price.

14                  MR. HAROLD SURMINSKI:    Yes, that's  
15   correct.

16

17   (BRIEF PAUSE)

18

19                  MR. BOB PETERS:    Did you do the same type  
20   of arrangements for firm contracts that you had at the  
21   time of the drought year?

22                  MR. HAROLD SURMINSKI:    You're  
23   differentiating the system participation as being  
24   different.  But most of our -- our contracts are, in  
25   fact, system participation types.

1                   MR. BOB PETERS:    Okay.  Then I'll ask the  
2 question before that, it would be:  Are system  
3 participation contracts considered by Manitoba Hydro to  
4 be firm contracts, of the kind that you would include in  
5 the firm export class?

6                   MR. HAROLD SURMINSKI:   Yes.

7                   MR. BOB PETERS:    All right.

8                   MR. HAROLD SURMINSKI:   They definitely  
9 are.

10                  MR. BOB PETERS:   All right.  So even  
11 though you call it system participation and that there's  
12 not necessarily a legal obligation, as you understand it,  
13 to deliver, you consider it firm because it's supposed to  
14 be met out of dependable energy.

15                  MR. HAROLD SURMINSKI:   That's correct.

16                  MR. BOB PETERS:    And even though you  
17 didn't have the dependable energy on hand, you chose to  
18 make the business decision to maintain future  
19 opportunities, presumably in that market, by supplying  
20 that market with replacement energy or with cash so they  
21 could go find replacement energy.

22                  MR. HAROLD SURMINSKI:   That's correct.

23                  MR. BOB PETERS:    And in addition to the  
24 Xcel contract, I take it you would have treated other  
25 firm customers in a like way?

1 MR. HAROLD SURMINSKI: Yes. Generally we  
2 try to maintain our reputation as reliable suppliers.

3 MR. BOB PETERS: Well, what about -- did  
4 you do the same thing with any of the opportunity  
5 contracts which you've told the Board are not served out  
6 of dependable, hydraulic and thermal and import energy?

7 MR. HAROLD SURMINSKI: No. But we -- we  
8 did not negotiate opportunity contracts during that  
9 summer because we had no energy to -- to sell in that  
10 category.

11

12 (BRIEF PAUSE)

13

14 MR. BOB PETERS: At document 12 in the  
15 book of documents is an Information Request, Manitoba  
16 Hydro Answer for the PUB's Question, Second Round, 8th  
17 Question, number C. And it -- it did touch on the  
18 NSP/Xcel contract, that's the Northern States Power/Excel  
19 Energy, the -- you consider it's the -- one and the same  
20 contract?

21 MR. HAROLD SURMINSKI: Yes, it is.

22 MR. BOB PETERS: In addition to what  
23 you've explained about this contract, there's a  
24 transmission component where service had to be firm under  
25 that arrangement, correct?

1 MR. HAROLD SURMINSKI: Yes.

2 MR. BOB PETERS: When you say firm  
3 transmission service needs to be in place, is that in  
4 Manitoba or is that south of the 49th parallel?

5 MR. HAROLD SURMINSKI: It's both. And  
6 Manitoba Hydro has a -- a special arrangement with NSB in  
7 -- in the transmission facilities because they were  
8 jointly constructed when they originally -- when the  
9 transmission was originally constructed it was -- it was  
10 a partnership in -- in the facilities in the first place.

11 MR. BOB PETERS: Help me with that.  
12 Manitoba Hydro helped construct transmission lines south  
13 of the forty-ninth?

14 MR. HAROLD SURMINSKI: No, but the -- the  
15 -- to the border. It had -- needed both counter parties  
16 to meet up at the border, so.

17 MR. BOB PETERS: So Manitoba Hydro has  
18 constructed transmission capabilities in Manitoba that it  
19 has -- that it has to dedicate to serve the NSP/Xcel  
20 contract?

21 MR. HAROLD SURMINSKI: The transmission  
22 was constructed for -- for purposes of long-term  
23 transactions like this, and the 500 megawatt sale is --  
24 is a major part of that line.

25 MR. BOB PETERS: And yet, Mr. Wiens, you

1 know what the question is: No amount of this is put into  
2 the firm export class as a direct assignment of cost, is  
3 it?

4 MR. ROBIN WIENS: Not assigned directly  
5 but it shares in the cost of that facility.

6 MR. BOB PETERS: It shares in the cost of  
7 that facility that was designed to serve the export load,  
8 Mr. Wiens, in proportion to its share of all other costs  
9 on a generation --

10 MR. ROBIN WIENS: That's correct.

11 MR. BOB PETERS: -- G and T costs --

12 MR. ROBIN WIENS: That's correct.

13 MR. BOB PETERS: And which I think you  
14 agreed to me earlier was about 20 percent?

15 MR. ROBIN WIENS: Yes.

16 MR. BOB PETERS: Mr. Surminski, to make  
17 sure that there was firm transmission service available  
18 to service the NSP/Xcel contract, did Manitoba Hydro have  
19 to dedicate a portion of its HVDC system?

20 MR. HAROLD SURMINSKI: No. Internal  
21 transmission is not designated specifically for specific  
22 export transactions.

23 MR. BOB PETERS: Do you require the use  
24 of the HVDC system to service this commitment?

25 MR. HAROLD SURMINSKI: Yes, we certainly

1 do.

2 MR. BOB PETERS: But not on a -- on a  
3 dedicated basis?

4 MR. HAROLD SURMINSKI: That's right.

5 MR. BOB PETERS: All right. Can we turn  
6 back to...

7

8 (BRIEF PAUSE)

9

10 MR. BOB PETERS: Just maybe bear with me  
11 for a second here.

12

13 (BRIEF PAUSE)

14

15 MR. BOB PETERS: Yes, on Document Number  
16 13 and also on Document Number 18, I just have a few  
17 questions here to help the Board understand again the --  
18 the costs related to export.

19 From the Power Resource Plan, Mr.  
20 Surminski, which is the document at Tab 18 of the book of  
21 documents, that's the system firm energy demand and  
22 dependable resource in gigawatt hours. That's out of the  
23 Power Resource Plan?

24 MR. HAROLD SURMINSKI: Yes, it is.

25 MR. BOB PETERS: And if I look down to, I

1 guess the 2007/'08 year and look to Manitoba Thermal  
2 Plants and I add up the energy component there, roughly  
3 40 -- 4,300 gigawatt hours of energy coming out of the  
4 domestic thermal plants; is that correct?

5 MR. HAROLD SURMINSKI: Yes, that's  
6 correct.

7 MR. BOB PETERS: Do you consider that  
8 dependable thermal energy?

9 MR. HAROLD SURMINSKI: Yes, we do.

10 MR. BOB PETERS: But when I go back to  
11 Document Number 13, which was PUB/Manitoba Hydro First  
12 Round 22, and I look to Thermal Generation, I see that  
13 even in the drought year you didn't use your dependable  
14 thermal energy, did you -- your dependable thermal  
15 generation?

16 MR. HAROLD SURMINSKI: Yes, that's right  
17 because -- I can explain why, if you would -- would like.

18 MR. BOB PETERS: It was too expensive?

19 MR. HAROLD SURMINSKI: That's correct.

20 MR. BOB PETERS: Okay. And so even  
21 though you have thermal generating capacity in Manitoba,  
22 you're not going to fire that up unless it's economic to  
23 do so?

24 MR. HAROLD SURMINSKI: Yes. If we can --  
25 we can purchase the energy off peak at lower prices, we

1 do that.

2

3

(BRIEF PAUSE)

4

5 MR. BOB PETERS: In fact, it looks like  
6 you don't use those thermal plants very much at all  
7 anymore, or you haven't used them very much.

8 MR. HAROLD SURMINSKI: That's true of the  
9 natural gas fired plants. We currently are using our  
10 Brandon coal facility quite extensively.

11 MR. BOB PETERS: Did the gas one get used  
12 this winter, this mild winter?

13 MR. HAROLD SURMINSKI: No, it did not.

14 MR. BOB PETERS: Again, it was reasons of  
15 economics?

16 MR. HAROLD SURMINSKI: Yes. High natural  
17 gas prices definitely were a factor.

18 MR. ROBERT MAYER: Why are we using coal  
19 fired power in times when we have some of the highest  
20 flows we've had in a long time? Why do we have to use  
21 coal fire?

22 MR. HAROLD SURMINSKI: There are various  
23 reasons, reliability is one (1) of them, but economics is  
24 the big factor. Coal is in the money right now because  
25 of the high prices in the US, we can run our coal plants

1 and profit from the exchange, from the sale of the power.

2

3

(BRIEF PAUSE)

4

5 MR. LEN EVANS: I have a supplementary  
6 question. My understanding was the use of both Selkirk  
7 and Brandon were essentially for peak demand, so that I  
8 would have thought Brandon, for instance, would be used  
9 essentially at that particular time of the year, you  
10 know, January, February, when you didn't have the  
11 capacity from your hydro system.

12 But now you're saying because of price  
13 differentials in the United States, it makes economic  
14 sense to run a coal fired plant through-out the year and  
15 have that available?

16 MR. HAROLD SURMINSKI: Yes, that's what's  
17 happened. The cost of running a plant could be twenty-  
18 five dollars (\$25) a megawatt hour, and energy prices on  
19 average are double that.

20 MR. LEN EVANS: Yeah. Well I learned  
21 something today. That's why you see all those coal  
22 trains going by in Brandon.

23

24 CONTINUED BY MR. BOB PETERS:

25 MR. BOB PETERS: Do you extract a high

1 price from your export sales because it's coming from  
2 coal?

3 MR. HAROLD SURMINSKI: No. We don't  
4 differentiate source of energy.

5 MR. BOB PETERS: All right. The document  
6 at Tab 13 of the book of documents, probably prepared on  
7 an excel spreadsheet, has room for one (1) more column  
8 for 2005/'06 hydraulic generation.

9 Mr. Surminski, are you able to update the  
10 Board on what that might have been?

11 MR. HAROLD SURMINSKI: I don't have an  
12 exact estimate but it's going to be a record year, a  
13 record all time high, and it will be in the order of  
14 thirty-six thousand (36,000).

15 MR. BOB PETERS: That's the hydraulic  
16 generation, you know it's in the order of magnitude of  
17 36,000 gigawatt hours?

18 MR. HAROLD SURMINSKI: Yes.

19 MR. BOB PETERS: And did you run the --  
20 your running of the thermal plants, as you've told the  
21 Vice-Chairman, is you run those when it's economic for  
22 you to do so, to get an export contract?

23 MR. HAROLD SURMINSKI: Yes, that's right.

24 MR. BOB PETERS: Would it be correct that  
25 the NSP Excel agreement is approximately 50 percent of

1 all exports done by Manitoba Hydro?

2 MR. HAROLD SURMINSKI: Yes, I think it's  
3 close to that.

4 MR. BOB PETERS: Would it be correct to  
5 say that the NSP Excel contract is therefore close to 100  
6 percent of the firm exports that are done by Manitoba  
7 Hydro?

8 MR. HAROLD SURMINSKI: No, we do have  
9 additional -- so I would think, yeah, that it's less than  
10 the 50 percent overall. We do have several -- they're  
11 smaller contracts of a 100 megawatts, 50 megawatts and  
12 they go out five (5) years, so they may be -- the NSP may  
13 be 80 percent of the total.

14 MR. BOB PETERS: 40 percent of the firm  
15 and 80 percent of the total, would you agree with those  
16 approximate numbers?

17 Did I get that wrong again? 80 percent of  
18 the firm and 40 percent of the total?

19 MR. HAROLD SURMINSKI: Yes. And you  
20 reversed it.

21 MR. BOB PETERS: I did. Yeah, okay,  
22 that's -- not in my mind I didn't but I'll talk to my ...

23

24 (BRIEF PAUSE)

25

1                   MR. BOB PETERS:    The next document I'd  
2 like to turn to is document 14.  And in this document,  
3 it's in answer to PUB Manitoba Hydro Second Round 11th  
4 Question, Manitoba Hydro was asked whether or not they  
5 paid out liquidated damages under any of their short-term  
6 contracts.

7                   And I might use different words if I was  
8 to ask that question again today, but the answer  
9 indicates that the sales to the MISO market are  
10 financially firm.

11                   Do you see that in the answer, Mr.  
12 Surminski?

13                   MR. HAROLD SURMINSKI:    Yes, I do.

14                   MR. BOB PETERS:    Yeah.  And I'm looking  
15 in the book of documents, document 14, for those who are  
16 still looking.

17                   When you say "Sales to the MISO market" --  
18 M--I--S--O market -- "are financially firm," you're  
19 equating that to a legal obligation that you have to  
20 deliver or find replacement energy or maybe even, as a  
21 third alternative, cut the cheque.

22                   MR. HAROLD SURMINSKI:    Yes.  And that's a  
23 new phenomenon since April of '05.

24                   MR. BOB PETERS:    And that's not something  
25 you had any choice in the negotiations.  If you wanted to

1 participate in that market, you had to come up and -- and  
2 agree with those terms.

3 MR. HAROLD SURMINSKI: Yes, that's  
4 correct.

5 MR. BOB PETERS: And heretofore, before  
6 April 1st of 2005 many of your sales into the MISO market  
7 would be -- would be considered opportunity contracts for  
8 you.

9 MR. HAROLD SURMINSKI: Yes, that's right.

10 MR. BOB PETERS: And you still consider  
11 them opportunity contracts, do you, even though there's a  
12 financial firmness associated with them?

13 MR. HAROLD SURMINSKI: Yes, that's right.

14 MR. BOB PETERS: And there was no failure  
15 to perform in the drought year on any opportunity  
16 contracts to MAPP or MISO or any region that you were  
17 selling into on -- on an opportunity basis?

18 MR. HAROLD SURMINSKI: We did not have  
19 this obligation at the time, so by failure to perform I'm  
20 not sure what that would mean at the time.

21 MR. BOB PETERS: You didn't -- you didn't  
22 have any opportunity contracts in the drought year that  
23 were outstanding and therefore you couldn't -- you  
24 weren't in a position that you would fail to perform  
25 them.

1 MR. HAROLD SURMINSKI: Yes, that would be  
2 right.

3 MR. BOB PETERS: On these -- on these  
4 MISO contracts, is there a capacity charge on them?

5 MR. HAROLD SURMINSKI: Sorry, can you  
6 repeat it, please.

7 MR. BOB PETERS: I'm sorry. On the MISO  
8 contracts, are there capacity charges?

9 MR. HAROLD SURMINSKI: Transactions can  
10 have capacity and energy, depending on -- on the type of  
11 contract that is.

12 MR. BOB PETERS: And I was trying to  
13 equate it to the contracts where you sell into the MISO  
14 market, recognizing they're financially firm, are -- is  
15 there also a firm requirement on capacity?

16

17 (BRIEF PAUSE)

18

19 MR. HAROLD SURMINSKI: I would say not.  
20 These are energy type of transactions that are -- the  
21 MISO itself is day-ahead and -- and realtime, so you  
22 either deliver in that hour or not. So capacity no --  
23 when you get down to defining timeframe, capacity no  
24 longer means anything. You're either delivering it and  
25 have the capacity there or you're not delivering at all.

1                   MR. BOB PETERS:    So, in essence, realtime  
2 trading of electricity and providing of electricity  
3 doesn't -- doesn't have a capacity component because  
4 otherwise you wouldn't be in the -- in the market at that  
5 time.

6                   MR. HAROLD SURMINSKI:   That's correct.

7                   MR. BOB PETERS:    And I understood from  
8 your previous answer to me that the MISO agreements that  
9 you enter into, the financial firmness means there's a  
10 guarantee either of -- of delivery or -- or cash in -- in  
11 lieu of delivery.

12                   MR. HAROLD SURMINSKI:   That's correct.

13                   MR. BOB PETERS:    And yet those MISO  
14 contracts are not considered firm sales, those are still  
15 considered by the Corporation as opportunity sales.

16                   MR. HAROLD SURMINSKI:   Yes, because they  
17 are first of all negotiated based on the knowledge and  
18 the expectation that the water supply will be there.

19                   MR. BOB PETERS:    And roughly half of  
20 Manitoba Hydro's export, well, I guess I can use the  
21 numbers you use, 55 percent on -- on average are firm,  
22 and forty-five (45) are opportunity by the definitions  
23 employed by Manitoba Hydro?

24                   MR. HAROLD SURMINSKI:   That was the going  
25 forward for the next five (5) year period, yes.



1 Saskatchewan's not -- not buying our power?

2 MR. HAROLD SURMINSKI: Well, they're  
3 self-sufficient and they -- they do not require our  
4 power.

5

6 (BRIEF PAUSE)

7

8 MR. BOB PETERS: From our discussions,  
9 Mr. Surminski, perhaps the one (1) conclusion I can reach  
10 then is that your firm contracts, your firm export  
11 contracts are -- are defined as such, only because they  
12 fit into the dependable energy available for Manitoba  
13 Hydro?

14 MR. HAROLD SURMINSKI: Yes, they are  
15 supported by -- by a hydraulic generation that -- that we  
16 have had -- that we have installed.

17 MR. BOB PETERS: Well not necessarily  
18 just from hydraulic, they'd be available from other  
19 dependable energy, whether it was import or thermal?

20 MR. HAROLD SURMINSKI: Yes, other, but it  
21 -- it is -- I was trying to get the point of -- of  
22 assets, it is tied to -- to assets that we have.

23 MR. BOB PETERS: Okay. Good point and --  
24 and it seems to me, from our discussion, that there  
25 probably is not any one (1) other characteristic that is

1 then common or that can differentiate between firm and  
2 opportunity.

3                   Would you agree that the -- that the  
4 distinction really comes from whether there is dependable  
5 generation underpinning the agreement?

6                   MR. HAROLD SURMINSKI: Yes. That is the  
7 -- the differing factor.

8

9                   (BRIEF PAUSE)

10

11                   MR. BOB PETERS: Mr. Surminski, in the  
12 order of magnitude, how many times in the last, say,  
13 decade, did Manitoba Hydro enter into the six (6) month  
14 ahead summer sales, or something less than six (6) months  
15 ahead summer sales?

16                   MR. HAROLD SURMINSKI: Many times.

17                   MR. BOB PETERS: Ten (10) -- ten (10) out  
18 of ten (10) years?

19                   Every year except -- well, except the  
20 drought --

21                   MR. HAROLD SURMINSKI: Yeah.

22                   MR. BOB PETERS: -- year which we  
23 sometimes also call the flood year?

24                   MR. HAROLD SURMINSKI: Yes, that would be  
25 right.

1                   MR. BOB PETERS:    So it -- so it would be  
2 -- it would be -- you would enter into these forward  
3 summer month sales every year you were -- every year but  
4 the drought year.

5                   MR. HAROLD SURMINSKI:   But they're not  
6 only six (6) month forwards, they're one (1) months or  
7 two (2) months or three (3).  It's a whole range.

8                   So when you look at the portfolio you'll  
9 see a wide range.  And the six (6) months are negotiated  
10 when we are confident that we will have water for the  
11 entire six (6) months.

12                   So if we are not that confident, we'll go  
13 one (1) or two (2) months.

14

15                                       (BRIEF PAUSE)

16

17                   MR. BOB PETERS:    Is it Manitoba Hydro's  
18 position that that list is a matter that's to be kept  
19 confidential?

20                   MR. ROBIN WIENS:    List of?

21                   MR. BOB PETERS:    The list of sales?

22                   MR. HAROLD SURMINSKI:   Generally, the  
23 entities would be considered to be confidential, but I  
24 think the terms of these sales would not be, or the  
25 prices.  The prices may be somewhat but --

1                   MR. BOB PETERS:    Well, let me leave it on  
2 this basis and let Ms. Fernandes consider that over the  
3 weekend because I'm sure she'll be working.

4                   And maybe you can take that as an  
5 undertaking, only to get back to me through your counsel  
6 as to, whether or not, Manitoba Hydro's prepared to  
7 disclose that list with as many terms as possible, but  
8 excluding the counter party, if that's the sensitive  
9 aspect of it.

10                  Could you consider that and Ms. Fernandes  
11 could let us know?

12                  MS. ODETTE FERNANDES:    We'll do that.

13                  MR. BOB PETERS:    Thank you.

14

15   --- UNDERTAKING NO. 4:            To advise Board whether or  
16   not, Manitoba Hydro's  
17   prepared to disclose the list  
18   re historical with as many  
19   terms as possible, but  
20   excluding the counter party,  
21   if that's the sensitive  
22   aspect of it.

23

24                  MR. ROBERT MAYER:    I'm assuming, since  
25 we're almost going to break, that we're not going to see

1 the rest of those letters between Hydro and MIPUG?

2 MR. BOB PETERS: Mr. Vice-Chairman, I  
3 can indicate that over the lunch recess I was speaking  
4 with both Ms. McCaffrey and Ms. Ramage and they are  
5 sorting it out, and it apparently needs some sorting out.

6 So you won't be seeing them over the  
7 weekend either, and we'll probably have an update early  
8 next week. Perhaps in light of those comments, this is  
9 an appropriate time, Mr. Chairman, to take the afternoon  
10 break -- or no, sorry to adjourn for the day and --

11 THE CHAIRPERSON: We just have one (1)  
12 question here.

13 MS. KATHI AVERY-KINEW: I just have one  
14 (1) question of clarification.

15 Within the MISO market can you still have  
16 this system participation contract, where you have to  
17 guarantee delivery? I missed something there.

18 MR. HAROLD SURMINSKI: Yes, I believe we  
19 still can because the bi-laterals are still part of the  
20 overall marketplace there. So we have the bi-lateral  
21 contract with Xcel in this case.

22 But everything goes through the clearing  
23 house, it goes through the independent system operator,  
24 the MISO now. So they're just a clearing house and  
25 they're responsible for all loads being served and

1 everything goes through there.

2 But our transaction actually goes -- you  
3 know -- our terms are still consistent with the past. We  
4 don't -- we have not changed in terms of our contract.

5 MS. KATHI AVERY-KINEW: I just wondered  
6 because you said to participate in the market you had to  
7 guarantee delivery, but you have these system  
8 participation contracts where you don't have to.

9 MR. HAROLD SURMINSKI: Yes. So it's NSP  
10 or Xcel now, when they're in -- they have to be the ones  
11 that are guaranteeing supply because our contract just  
12 requires us, you know, with the terms and conditions that  
13 we have to supply.

14 So if they have to provide the guarantee  
15 to the independent system operator, it's their obligation  
16 to have the support to cover their loads.

17 THE CHAIRPERSON: Thank you. Thank you  
18 Mr. Peters. And thank you to the Panel. You've had a  
19 very busy couple of days. I look forward to a return to  
20 it on Monday morning.

21 We understand on Monday that there's some  
22 possibility that CAC/MSOS will be up later on in the day  
23 and then we'll move on.

24 And I think the presentations that we now  
25 have scheduled are for Tuesday afternoon, correct?

1                   MR. BOB PETERS:    That is correct.  
2    Tuesday just after lunch, probably 1:30 is what we're  
3    anticipating, Mr. Chairman.

4                   THE CHAIRPERSON:    Have we heard anything  
5    from Mr. Anderson?

6                   MR. BOB PETERS:    We've heard nothing  
7    further from yesterday.  He indicated that the  
8    individuals who he would hope would make the  
9    presentations to the Board are being consulted.  And only  
10   when he hears as to whether they are prepared to make the  
11   presentation, will be able to advise us as to who and  
12   when.

13                  THE CHAIRPERSON:    And at that time, if  
14   you wouldn't mind inquiring as to how much time he  
15   estimates the presentations to take?

16                  MR. BOB PETERS:    Yes, thank you.

17                  And I can indicate that in prior  
18   discussions with Ms. McCaffrey, she doesn't expect her  
19   presentation to -- to exceed an hour and probably more in  
20   the range of thirty (30), forty (40) minutes was what she  
21   was anticipating from her people.  But that was  
22   admittedly some time ago and I haven't refreshed that  
23   number.

24                  THE CHAIRPERSON:    Okay.

25                  MR. ROBERT MAYER:    One -- one other

1 thing. When we're considering the presentations or the  
2 presenters by Mr. Anderson, from the description of the  
3 evidence he's trying to call, I think we better be clear  
4 as to whether or not we're going to need translation  
5 services, because I'm suspecting he's calling some people  
6 who are not only Elders but are probably aged.

7 MR. BOB PETERS: That's a good point that  
8 I'll check him and see if translation is necessary, and  
9 if it is, work with him on that.

10 MR. ROBERT MAYER: Thank you.

11 THE CHAIRPERSON: Very good. Well then,  
12 good afternoon everyone, I hope you enjoy your weekend.

13

14 --- Upon adjourning at 4:03 p.m.

15

16

17 Certified Correct

18

19

20

21

22

---

23 Ryan Pickering

24

25