

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA HYDRO
COST OF SERVICE STUDY

Before Board Panel:

- Graham Lane - Board Chairman
- Robert Mayer - Board Member
- Kathi Avery Kinew - Board Member
- Len Evans - Board Member

HELD AT:

Public Utilities Board
400, 330 Portage Avenue
Winnipeg, Manitoba
May 8th, 2006
Volume III
Pages 470 to 692

APPEARANCES

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

R.F. Peters) Board Counsel
Patti Ramage) Manitoba Hydro
Odette Fernandes)
Bryon Williams) CAC/MSOS
Myfanwy Bowman)
Doug Buhr) City of Winnipeg
Peter Miller) TREE
Tamara McCaffrey) MIPUG
Patrick Bowman)
Andrew McLaren (np))
Jurgen Feldschmid (np)) CCEP
Michael Anderson (np)) MKO

1	TABLE OF CONTENTS	
2		Page No.
3	List of Exhibits	473
4	List of Undertaking	474
5		
6	MANITOBA HYDRO PANEL:	
7		
8	VINCE WARDEN, Resumed	
9	ROBIN WIENS, Resumed	
10	CHIC THOMAS, Resumed	
11	HAROLD SURMINSKI, Resumed	
12		
13	Continued Cross-Examination by Mr. Bob Peters	475
14	Cross-Examination by Mr. Byron Williams	588
15		
16		
17		
18	Certificate of Transcript	692
19		
20		
21		
22		
23		
24		
25		

1	LIST OF EXHIBITS		
2	EXHIBIT NO.	DESCRIPTION	PAGE NO.
3	MH-9:	Four (4) letters dated	
4		October 4, 2005; October 31, 2005;	
5		December 5, 2005; and	
6		December 15, 2005.	592
7			
8			
9			
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1		LIST OF UNDERTAKINGS	
2		Description	Page No.
3	5	Provide pamphlets re mitigation	572
4		costs	
5			
6	6	To provide the assumed costs for a	
7		five (5) unit and a ten (10) unit Conawapa	
8		generating station, including the average	
9		energy generated under each scenario	584
10			
11	7	Reproduce the "Manitoba Hydro Rates	
12		-April 2005" table (tab 3 - CAC/MSOS Book of	
13		References) specifically correcting the rates	
14		for incremental use for the Gss (Non Demand	
15		and Demand) and GSM customer classes	646
16			
17	8	Obtain correspondence from NERA	
18		confirming their view of the relative merits	
19		of one export class versus two export	
20		subclasses	674
21			
22			
23			
24			
25			

1 --- Upon commencing at 9:04 a.m.

2

3 THE CHAIRPERSON: Well, good morning
4 everyone or at least everyone that is here. Hope you had
5 a reasonably good weekend.

6 Mr. Peters, you can begin again.

7 MR. BOB PETERS: I will continue.

8

9 MANITOBA HYDRO PANEL:

10 VINCE WARDEN, Resumed

11 ROBIN WIENS, Resumed

12 CHIC THOMAS, Resumed

13 HAROLD SURMINSKI, Resumed

14

15 CONTINUED CROSS-EXAMINATION BY MR. BOB PETERS:

16 MR. BOB PETERS: Good morning, Panel.

17 I think where we left off Friday, Mr.
18 Wiens, I think you had agreed that customer classes
19 should reflect significant distinct characteristics if
20 possible.

21 MR. ROBIN WIENS: Yes.

22 MR. BOB PETERS: And, Mr. Surminski, I
23 think you told us that under your MISO arrangements,
24 those arrangements comprised approximately 80 percent of
25 your opportunity sales.

1 MR. HAROLD SURMINSKI: Yes, that's
2 correct.

3 MR. BOB PETERS: And your opportunity
4 customers, at least since April of 2005, are financially
5 firm in that you must deliver or pay if you don't
6 deliver.

7 MR. HAROLD SURMINSKI: Can you clarify
8 that with opportunity exports?

9 MR. BOB PETERS: My question, yes, was
10 relative to opportunity exports.

11 MR. HAROLD SURMINSKI: Yes, that's
12 correct.

13 MR. BOB PETERS: And I suppose the
14 distinction you're making, Mr. Surminski, is that on your
15 firm exports, some of those aren't financially firm.

16 MR. HAROLD SURMINSKI: Yes, that's
17 correct. Actually, I -- I went back to the office and --
18 and clarified some of that.

19 And what the trading people actually say
20 is the opportunity term contracts are actually better
21 contracts in terms of expecting to deliver for -- for the
22 customer, in that Manitoba Hydro will either supply or
23 purchase off the market for the -- for the counter-party.
24 Whereas the system -- system participation sales, we can
25 curtail and -- and have no obligation to actually supply

1 it.

2 MR. BOB PETERS: And while that may be
3 what the theory is, we've heard from -- last week from
4 you that in reality your firm and opportunity customers
5 appear to have the same level of financial firmness from
6 Manitoba Hydro.

7 MR. HAROLD SURMINSKI: Why would you say
8 that?

9 MR. BOB PETERS: Well, let me ask it this
10 way.

11 Even if you are a firm export customer and
12 Manitoba Hydro has the ability not to deliver under
13 certain circumstances, Manitoba Hydro chooses to deliver
14 to keep its reputation.

15 MR. HAROLD SURMINSKI: Yes. I thought
16 that's -- was the way you were thinking of it.

17 Yes, that's right. But that may not be
18 the case in the future. Things are changing and I think
19 there will be more clear terms associated with future
20 long-term contracts.

21 Actually, counter-parties prefer the --
22 the financially firm product now. So I think future
23 long-term contracts will probably go that way.

24 MR. ROBERT MAYER: Mr. Surminski, you
25 just used a term I don't think I'd heard before, you

1 called it "opportunity term."

2 What is "opportunity term" and how long
3 can opportunity term be?

4 MR. HAROLD SURMINSKI: There are the --
5 the type of contracts that one (1) month, six (6) months
6 are negotiated, up to a year into the future. Our people
7 call them term contracts.

8 MR. ROBERT MAYER: And you added
9 opportunity for the purpose of this Hearing, did you, so
10 that we know the difference between opportunity and firm?

11 MR. HAROLD SURMINSKI: That's correct.

12 MR. ROBERT MAYER: Thank you.

13

14 CONTINUED BY MR. BOB PETERS:

15 MR. BOB PETERS: Am I correct in the math
16 that if you create the opportunity class as Manitoba
17 Hydro proposes, there is 45 percent of the variable costs
18 directly assigned to that opportunity class, and that
19 results in approximately \$80 million of allocated costs
20 being charged to other customers instead of export
21 customers?

22 MR. ROBIN WIENS: You're correct about
23 the 45 percent of the variable costs that would, under
24 the current method, have been assigned to -- to the --
25 against exports; 45 percent of that level of costs in the

1 recommended method is assigned against opportunity
2 exports.

3 I'd have to think a little more or else
4 get back to my notes to be certain about where you're
5 coming from with the \$80 million number.

6 MR. LEN EVANS: Excuse me -- just a
7 quick question for clarification, did you say that there
8 was no obligation to supply firm export power?

9 MR. HAROLD SURMINSKI: Yes, what we call
10 firm for the purposes of this hearing are long term
11 contracts or long term firm, although I mentioned I don't
12 like the word, firm, in that terminology.

13 So they're long term contracts, negotiated
14 into the future one year out and longer and they have,
15 for example, the Excel contract has clauses that allow
16 Manitoba Hydro to curtail deliveries. And they're what -
17 - five (5) -- four (4) or five (5) different -- like unit
18 outages, transmission problems, low water; the clauses
19 are written into these system participation contracts
20 that allow Manitoba Hydro to curtail and have no
21 obligation to deliver.

22 MR. LEN EVANS: Excuse me then, Mr.
23 Chairman, this sounds very much like opportunity sales or
24 interruptible sales.

25 MR. HAROLD SURMINSKI: But the counter-

1 party is willing to accept these because they usually
2 have generation on in their system -- like installed in
3 their system.

4 So they do have their backup generation,
5 they just don't want to run it because it's too
6 expensive. So they are willing to -- to purchase the
7 product from Manitoba Hydro that will supply 98 percent
8 of the time, or we do supply a large percentage at a
9 time. We curtail very rarely.

10 MR. LEN EVANS: Just very quickly, one
11 supplementary then, generally speaking is the firm
12 usually more expensive than the opportunity sales? The
13 price of your firm exports are generally more -- higher
14 than the price of your opportunity exports?

15 MR. HAROLD SURMINSKI: Yes, historically
16 that's been the case. That is why -- that's one of the
17 reasons contracts are negotiated, long term contracts are
18 negotiated. It's usually a -- the reason for that is
19 guarantee for the purchaser. They can -- they can have
20 this guarantee of energy supply into the future, that
21 they're willing to pay a premium for.

22 So in the past, there has been a premium
23 for long term sales. But currently with the high --
24 extra high prices of the electricity, we've had very high
25 opportunity prices. So in the last few months

1 opportunity prices have been getting prices that are
2 higher than long term contracts negotiated five (5) years
3 ago or three (3) years ago.

4 But that's usually a short term phenomenon
5 because of natural gas prices being high, electricity
6 prices being high. But we'll have to see exactly how
7 this plays out with the natural gas prices.

8 MR. LEN EVANS: Thanks.

9 THE CHAIRPERSON: These provisions that
10 your refer you to that allow you not to deliver in
11 certain circumstances, did they arise out of the
12 experience of the drought?

13 Because I remember in 2004 there was some
14 commentary by the Panel about Force Majeure provisions
15 within the contracts out of the experience of the
16 drought?

17 MR. HAROLD SURMINSKI: No, these clauses
18 were negotiated before that drought. The contract for
19 Excel, for example, was first negotiated in the early
20 2000's. And the terms did not really change. We have
21 these clauses in most of our long term contracts.

22 THE CHAIRPERSON: Thank you. I'll have
23 to consult -- I'll have a look at the transcripts from
24 then. Thank you. Mr. Peters...?

25

1 CONTINUED BY MR. BOB PETERS:

2 MR. BOB PETERS: Yes, thank you. Mr.
3 Surminski, we perhaps all have an idea as to what we
4 think about when we say firm contracts and opportunity
5 contracts.

6 And what you're encouraging the Board in
7 your filing is that firm contracts are sourced out of
8 dependable energy of the Corporation and that's -- that's
9 why they're called firm.

10 MR. HAROLD SURMINSKI: That's correct.

11 MR. BOB PETERS: It has nothing to do
12 with the financial terms, whether you deliver, whether
13 you pay if you can't deliver, it's whether or not it
14 comes out of dependable resources of the Corporation?

15 MR. HAROLD SURMINSKI: Yes.

16 MR. BOB PETERS: If most of your futures
17 contracts are likely to be financially firm, if I
18 gathered correctly from a previous answer to myself and
19 the Board, will those contracts be defined as opportunity
20 or as firm contracts in the cost of service study?

21 MR. HAROLD SURMINSKI: They will remain
22 firm if they come from dependable resources.

23 MR. BOB PETERS: And they will remain as
24 opportunity if they come out of non-firm resources?

25 MR. HAROLD SURMINSKI: That's correct.

1 MR. BOB PETERS: And so the financial
2 firmness will be irrelevant to how you categorize them
3 for the cost of service study purposes?

4 MR. HAROLD SURMINSKI: Yes.

5 MR. BOB PETERS: And Mr. Wiens, the \$80
6 was -- if you haven't found it it was in Tab 8 of the
7 Book of Documents and I was really comparing NERA's total
8 allocated and assigned costs to those in the recommended
9 methodology by Manitoba Hydro and came up with ballpark
10 \$80 million of difference in -- in what would be
11 allocated to other customer classes instead of export.

12 MR. ROBIN WIENS: I see that, Mr. Peters.
13 That's correct.

14 MR. BOB PETERS: And then to conclude on
15 this, Mr. Wiens, can you then summarize what the
16 compelling reason is to have opportunity and firm classes
17 as opposed to only one (1) class for export customers as
18 appears to be NERA's recommendation?

19 MR. ROBIN WIENS: Manitoba Hydro believes
20 that we don't have firm resources in place to serve those
21 opportunity sales, so that allocation of a share of the
22 embedded cost of generation, we believe, is not
23 appropriate for the opportunity sales.

24 MR. BOB PETERS: Mr. Surminski, we
25 touched on it, and I want to just have a few more areas

1 of questions with you on Manitoba Hydro's exporting goal
2 and I -- I take it from some of the materials filed that
3 one of your corporate goals, and Mr. Warden can correct
4 me if I'm wrong, is to maximise the export revenues?

5 MR. HAROLD SURMINSKI: Yes, that's one of
6 our goals.

7 MR. BOB PETERS: And where I don't know
8 that you and I were on the same page last time was I
9 suggested that Manitoba Hydro designs its generating
10 stations to include a component for export and I don't
11 think you agreed with me; did you?

12 MR. HAROLD SURMINSKI: Yes. I -- but I
13 did review that a little further and I guess one (1) of
14 the factors that we did not talk about was -- was the
15 ability to actually serve load during all hours of the
16 year. I think we had talked about the possibility of
17 designing a plant only for the dependable capability.

18 So that would mean a relatively uniform
19 capability throughout the year. But how would we serve
20 the peak loads during the peak winter months. We do need
21 more units at a plant and more capacity at each of our
22 plants because we have a non-uniform distribution
23 throughout the year.

24 So that's one (1) of the other main
25 reasons why we design extra capability at each plant so

1 we can meet the high loads as well as the load throughout
2 the year.

3 MR. BOB PETERS: I don't want to have you
4 -- to have you teach me engineering 101 but if it's low
5 loads, it doesn't matter how big your plant is, at that
6 point in time if it's below dependable energy you don't
7 need all the turbines and all of the equipment that you
8 have at some of your power generating stations; would
9 that be intuitively correct?

10 MR. HAROLD SURMINSKI: Low loads and on
11 peak summer day, you certainly don't need it, but it's
12 the reverse in an on peak winter cold day.

13 MR. BOB PETERS: And when you -- when you
14 want to design to meet some of those maximums are you
15 taking -- when you're designing to meet those maximum
16 peaks are you still having the operating assumption that
17 the water flows are going to be dependable or are you
18 making some other assumptions as to water flows?

19 MR. HAROLD SURMINSKI: We design our
20 plant based on the entire range of flows and the ability
21 to utilize the entire range of stream flows optimally.
22 So it would be foolish to design just for dependable
23 supply where that occurs one (1) or two (2) percent of
24 the time and spill the water and all other flow
25 conditions.

1 right. The incremental cost of the last unit is
2 relatively small of the actual generating unit. Yes, all
3 the infrastructure, the dam itself, the spillway, all the
4 other parts are the major part of the site, major cost of
5 the site.

6 MR. ROBERT MAYER: And in the large dams
7 on the lower Nelson, I understand you to have a
8 significant number of turbines and if I recall correctly,
9 the proposal at Wuskwatim had an option of using two (2)
10 or three (3) turbines, I believe, you opted for three
11 (3). And that's because you can't possibly put any more
12 in the width of that river, is that correct?

13 MR. HAROLD SURMINSKI: No, actually we
14 were -- we actually do not have enough capacity at the
15 Wuskwatim site to meet the shape of the Manitoba Hydro
16 load. And we would count on support from other hydraulic
17 facilities like the lower Nelson which does have large
18 cycling capability. But the reason that we did not
19 install more at Wuskwatim, is for environmental
20 sensitivity purposes.

21 Installing more turbines means that we
22 would cycle the plant more, up and down, within a day and
23 environmentally we chose not to do that. That was a site
24 -- that was a part of the discussions with our First
25 Nations people. They did not want large fluctuations of

1 water cycling up and down in a day.

2 MR. ROBERT MAYER: Thank you.

3 MR. VINCE WARDEN: Mr. Peters, I don't
4 know whether this is helpful, or not, but as Mr.
5 Surminski indicated we do design and add new generation
6 to serve the Manitoba load, no question about that, it's
7 not -- until now has not been built to serve the export
8 market.

9 However, in the grand scheme of things the
10 system would not have been designed as it is, were it not
11 for that export market. So, you know, we would have an
12 entirely different system if we didn't have an export
13 market sitting there waiting to take our surplus energy.

14

15 CONTINUED BY MR. BOB PETERS:

16 MR. BOB PETERS: Thank you Mr. Warden and
17 I suppose the question back to you and Mr. Wiens and Mr.
18 Thomas is, recognizing that the system is designed and
19 does consider to some extent exports, why hasn't the
20 Corporation factored in the cost of that and taken those
21 costs and put them into the export class, in the cost of
22 service study?

23

24 (BRIEF PAUSE)

25

1 MR. ROBIN WIENS: Mr. Peters, in effect,
2 we have done that. We are allocating a portion of costs
3 to the firm export class on the same basis as we allocate
4 costs to the domestic classes even though it is our
5 belief that the costs incurred to facilitate those firm
6 sales would have been considerably less, but not
7 quantifiably, not in any quantifiable manner less than
8 cost to serve a domestic customer class.

9 Mr. Warden's comment about we would design
10 a very different system if it were not for exports, we
11 have not -- we have not tried to go back and back cast
12 and say what type of a system would we have designed if
13 we were operating an isolated market.

14 And there's no reason to consider that
15 that type of a system on a unit cost would be less than
16 what Manitoba Hydro has today. It would probably be
17 more.

18 MR. BOB PETERS: But your -- your
19 allocation, Mr. Wiens -- your allocation, Mr. Wiens of
20 costs to the firm export class doesn't identify specific
21 costs that would have been incurred as a result of up-
22 sizing the generation or transmission system to
23 accommodate exports.

24 MR. ROBIN WIENS: It has not done so.

25 MR. BOB PETERS: And it hasn't done so --

1 it hasn't done so because you're not able to do so or
2 because, from a policy level, you feel you should treat
3 it as -- firm exports as a -- the same as you would any
4 other customer class?

5 MR. ROBIN WIENS: I don't know that I
6 would go so far as to say we would be absolutely unable
7 to do so. It would take a significant effort in terms of
8 time and -- and studies to try and identify that.

9 My expectation would be that we would
10 probably come up with an embedded cost for a firm export
11 class that would be less than what we have in the cost of
12 service study recommended method that we brought forward
13 to you today.

14 MR. BOB PETERS: And your answer is -- I
15 mean, it's your -- your intuitive answer that cost would
16 even be more -- or, sorry, would be less than what you
17 are proposing in the recommended methodology?

18 MR. ROBIN WIENS: Yes.

19 MR. BOB PETERS: How can you say that
20 without having done the test?

21 MR. ROBIN WIENS: Well, as -- as Mr.
22 Surminski has already testified in response to the
23 question from the Vice-Chair, when we put the major
24 facilities in, we have incurred by far the largest part
25 of our costs. When we put the facilities in that allow

1 for exports, they are very small percentage on a per-unit
2 basis relative to the cost of putting in the dam and the
3 power station and so forth.

4 Similarly, when you -- when you'd make a
5 decision to build a transmission system to bring power
6 down from the North, without exports you are still
7 incurring the vast majority of your costs to put in the
8 right-of-ways and get the towers in. The incremental
9 cost of up-sizing the transmission is a very small
10 portion of that.

11 MR. BOB PETERS: But, again, never one
12 that's been directly studied by the Corporation.

13 MR. ROBIN WIENS: No. I haven't got a
14 quantitative study of that that I could put before you
15 today.

16 MR. BOB PETERS: Okay.

17 Mr. Surminski, if you could turn with me,
18 and hopefully the Board, to the document at Tab 19 of the
19 book of documents, I just want to make sure your point is
20 well understood.

21 The document at Tab 19 of the book of
22 documents, on page 1, talks about the hydraulic
23 generating capacity at the various facilities run by
24 Manitoba Hydro.

25 Do I take from this chart that the plant

1 is designed, built, and put in place to go as high as the
2 theoretical maximum output and you have in fact achieved
3 that in some instances?

4 MR. HAROLD SURMINSKI: Yes. The
5 theoretical maximum here is -- is simply the capacity or
6 the maximum capability of the plant, multiplied by all
7 the hours of the year. So if the plant were generating
8 at maximum capability for all hours of the year, that is
9 assuming it had enough water, it could theoretically
10 generate that energy.

11 MR. BOB PETERS: And approximately twice
12 as much energy would be generated as required under
13 dependable flow -- as achievable under dependable flows?

14 MR. ROBIN WIENS: Yes. But this is a
15 theoretical number. At some plants the design capacity
16 is very high and -- and we would never have water for all
17 eight thousand seven hundred and sixty (8,760) hours of a
18 year to -- to support generation at that level.

19 So it's -- it's a very theoretical number
20 that we would never achieve.

21 MR. BOB PETERS: And then what about the
22 maximum usable flow generation, which is plus or minus
23 thirty-five thousand (35,000) gigawatt hours of energy?

24 MR. HAROLD SURMINSKI: Yes. This maximum
25 was based on an historic year that we had, I believe it

1 was 1974, and we actually achieved that. And, as I
2 stated, this past year we actually exceeded the previous
3 all-time records.

4 So, definitely, the maximum here -- and
5 again, this not -- this is a flow level that is not --
6 well, we can see it's not nearly as high as the
7 theoretical because we never have flows for every single
8 hour of the whole year at -- at extremely high levels.

9 MR. BOB PETERS: Mr. Surminski, in the
10 absence of firm exports how would you size Manitoba
11 Hydro's generation facilities?

12 MR. HAROLD SURMINSKI: It is a fairly
13 complicated question you're asking here.

14 MR. ROBERT MAYER: More than engineering
15 101?

16 MR. HAROLD SURMINSKI: Yes, more than
17 engineering 101.

18

19 (BRIEF PAUSE)

20

21 MR. HAROLD SURMINSKI: Well, we do
22 consider the entire range of flow conditions in the long
23 term. So initially in the first -- it depends, first of
24 all, on the size -- the relative size of your plant. If
25 it's much larger -- if it's a very large plant, like a

1 Conawapa, you only need thirty (30) megawatts in the
2 first year but you build thirteen hundred (1300).

3 So for many years you will have excess
4 capacity available on your system from the plant. So
5 there is a factor there that we consider the -- the size
6 of the plant in our planning. We do a long-term study,
7 so we go out forty (40) years at least and -- and
8 estimate how often the generation from the plant will be
9 useful. And it's either useful to our domestic customers
10 or our export customers.

11 So it is a culmination of how we are able
12 to utilize the energy that can arise from the plant and
13 basically it's an optimization process. We -- we keep
14 adding a unit at the plant and -- and check whether the
15 incremental benefits are enough to offset the incremental
16 cost.

17 We start with something like an average
18 level and keep adding a unit and -- and checking the
19 benefits versus costs. We get to a point where, as we
20 add more and more units, the last unit is only going to
21 be used 5 percent of the time and it's only used a small
22 percentage of the time, the benefits from that unit are
23 much reduced.

24 So there is a point at which the last unit
25 is -- is incrementally only used -- expected to be

1 utilized over all the range of possible flow conditions
2 so we consider our ninety-three (93) flow conditions on a
3 monthly basis. And you get to the point where the last
4 unit is -- is just sufficient to recover its costs.

5

6 CONTINUED BY MR. BOB PETERS:

7 MR. BOB PETERS: And those last units are
8 expensive units if they're only used 5 percent of the
9 time; correct?

10 MR. HAROLD SURMINSKI: Well, expensive
11 relative to the benefit. They're -- they're not
12 expensive in terms of the entire plant, as Mr. Mayer was
13 saying earlier.

14 MR. BOB PETERS: But in terms of the time
15 that you would operate them I guess it's the benefits you
16 receive from them compared to the costs that go into
17 them, you want to run those units as much as possible to
18 keep those costs, on average, as low as possible?

19 MR. HAROLD SURMINSKI: Yes, but we have
20 no choice. It's the water supply that determines whether
21 you run them or not.

22 MR. BOB PETERS: In -- in the case of
23 Conawapa, that's one in which you -- you're thinking
24 about putting in ten (10) generating units; is that
25 right?

1 MR. HAROLD SURMINSKI: That's correct.

2 MR. BOB PETERS: And under dependable
3 flows do you agree that whether you have ten (10) units
4 or five (5) units the dependable energy that comes out of
5 them is approximately the same?

6 MR. HAROLD SURMINSKI: Yes. Five (5)
7 units are -- five (5) to six (6) units are sufficient to
8 utilize dependable flow at the plant.

9 MR. BOB PETERS: And yet you're thinking
10 of putting in additional units if you ever were to build
11 it?

12 MR. HAROLD SURMINSKI: Yes. Because we
13 don't design on dependable conditions. We design on
14 stream flows much higher than that.

15 MR. BOB PETERS: In terms of the surplus
16 capacity in your generating stations, your peak hydraulic
17 capacity is approximately five thousand (5,000)
18 megawatts?

19 MR. HAROLD SURMINSKI: Yes, that's
20 correct.

21 MR. BOB PETERS: And the domestic peak
22 requirement is forty-one hundred (4100) megawatts?

23 MR. HAROLD SURMINSKI: Yes.

24 MR. BOB PETERS: And so the excess is
25 available again to support export sales?

1 MR. HAROLD SURMINSKI: Yes, that's
2 correct.

3 MR. BOB PETERS: In the absence of
4 imports; that's imports of power, Mr. Surminski, could
5 Manitoba Hydro market firm exports?

6 MR. HAROLD SURMINSKI: Yes. Yes, it'd
7 just be at a lower level.

8 MR. BOB PETERS: In a year in which there
9 are dependable flows in the absence of imports, could
10 Manitoba Hydro market firm exports?

11

12 (BRIEF PAUSE)

13

14 MR. HAROLD SURMINSKI: Your question was
15 without imports and thermal energy?

16 MR. BOB PETERS: Yes I'm thinking only of
17 hydraulic resources at this point.

18 MR. HAROLD SURMINSKI: Yes, it would
19 depend on the domestic load and it still is a balance of
20 whether your system is over-installed, even with -- or
21 using only hydraulic energy.

22 MR. BOB PETERS: I thought that the
23 domestic requirement that we looked at last week was
24 approximately twenty-one thousand (21,000) gigawatt hours
25 and that was roughly equivalent to your dependable flows

1 for your hydraulic generation?

2 MR. HAROLD SURMINSKI: Yes, currently but
3 if you go back just after Limestone was installed when
4 our load was eighteen or seventeen thousand (18,000-
5 17,000) at that time we could have served all our load
6 with hydraulic energy only. As load growth has taken
7 place it eats away into our surplus and we've got to the
8 point now where hydraulic generation by itself cannot
9 support our domestic load.

10 And actually our domestic load, I think,
11 is more like twenty three or twenty four thousand
12 (23,000-24,000) currently.

13 MR. BOB PETERS: In any event your
14 domestic load can't be served by the dependable flows
15 from your hydraulic plant alone?

16 MR. HAROLD SURMINSKI: Yes, currently
17 that's the situation.

18 MR. BOB PETERS: And then does it follow
19 then to do any firm export contracts you have to also
20 have imports then as a basis to ensure that you can meet
21 those?

22 MR. HAROLD SURMINSKI: Yes and that's --
23 that's the balance that takes place in determining
24 whether it's advantageous to sign long term contracts, is
25 that the backup is only required in very rare situations.

1 So nine (9) out of ten (10) years we can
2 supply our firm sale load of hydraulic energy. So one
3 (1) out of ten (10) if we have to pay some extra costs
4 for thermal and import, it's less costly, it's still a
5 great benefit to sign a contract that you can make money
6 on nine (9) out of ten (10) years.

7 MR. BOB PETERS: Thank you, Mr.
8 Surminski. I want to turn --

9 MR. ROBERT MAYER: Before you leave that.
10 Mr. Surminski, you said that water supply -- it's the
11 water supply that determines whether you run your units.
12 So if you have significant water as you now do and you
13 are, in fact, spilling water in the Winnipeg river, are
14 you running all your units all the time?

15 MR. HAROLD SURMINSKI: On the Winnipeg
16 river where there is excess water we are running all our
17 units, yes, definitely.

18 MR. ROBERT MAYER: That wasn't the
19 question I asked. You also have significant supply on
20 the lower Nelson at the present time. Are you running
21 all your units all the time? All your reservoirs have
22 significant water in them right now, am I correct?

23

24

(BRIEF PAUSE)

25

1 MR. HAROLD SURMINSKI: Yes we have
2 significant water, but what I'm checking on is whether
3 we'd be running our units in the off peak hours. We may
4 -- we cycle our plants such that we run maximum output in
5 the on peak hours. And the water that we have is still
6 less than the total capability or the -- of the station.

7 For example, the lower Nelson plants are
8 designed for something like one hundred and seventy
9 thousand (170,000) cubic feet per second. Our average
10 flow now maybe only about a hundred and thirty or a
11 hundred and forty thousand (130,000-140,000).

12 So actually our average flow is not
13 sufficient to utilize all the units. But, what we do is
14 cycle the plant, run all units at a hundred and seventy
15 thousand (170,000) in the on peak hours. Shut some of
16 the units off in the off peak hours, so I would say that
17 we are actually -- for the water supply we currently
18 have, we are shutting down units in the off peak hours.

19 Only when we get to a hundred and seventy
20 thousand (170,000), then we have enough to run twenty-
21 four (24) hours a day.

22 MR. ROBERT MAYER: Mr. Surminski, it is
23 my understanding that one of the real advantages of hydro
24 power is you use your ability to store the water because
25 you can't store the energy, you use the ability to store

1 the water in order to firm and shape your loads, in order
2 to, we've been told, that hydro power is really good at
3 allowing you to do this.

4 So I wondered with -- about your comment
5 about water supply determines whether you run your units.
6 I take it that there are other considerations made
7 because I am correct, am I not, that once the water goes
8 through the turbine and generates electricity you cannot
9 store that electricity?

10 MR. HAROLD SURMINSKI: Yes. Electricity
11 cannot be stored but we have significant reservoirs where
12 we can actually hold the water back.

13 MR. ROBERT MAYER: All of which in
14 Manitoba have limits?

15 MR. HAROLD SURMINSKI: That's correct.

16

17 CONTINUED BY MR. BOB PETERS:

18 MR. BOB PETERS: Mr. Surminski, can I
19 conclude from that last exchange that the sizing of
20 hydraulic generation plant is to minimize spillage?
21 That's one (1) of the objectives?

22 MR. HAROLD SURMINSKI: Yes, minimizing
23 spillage is just a reverse of maximizing generation.

24 MR. BOB PETERS: And just the reverse of
25 maximizing generation to support export sales over and

1 above which you need domestically?

2

3

(BRIEF PAUSE)

4

5 MR. HAROLD SURMINSKI: Can you repeat
6 that please?

7 MR. BOB PETERS: If you agree with me
8 that Manitoba Hydro sizes its hydraulic generation plants
9 to minimize spillage then does it follow that Manitoba
10 Hydro is sizing its hydraulic generating plants to
11 maximize export sales as well?

12 MR. HAROLD SURMINSKI: They are a factor.
13 But I think we're getting back to that same question as
14 we started the morning on, it's a relatively small
15 factor. We would still design a plant for -- for maximum
16 utilization of water and just in the short term we may be
17 considering exports to a greater degree when -- when the
18 plant is -- a large plant is installed and the
19 intervening years before it's required for domestic use
20 it is used for the export market.

21 So you can say it's -- we take advantage
22 of the export market. But whether we actually design it
23 for the export market that's -- that's the -- the
24 differentiation that I'm making. We use it and we gain
25 revenues from the export market but we don't, to a great

1 degree, design the plant actually for the export market.

2 I conceded that there is a portion but
3 it's not a very large portion in the design.

4 MR. BOB PETERS: And it's a portion that
5 you can't quantify with the costs for the cost of service
6 purposes?

7 MR. HAROLD SURMINSKI: That's correct.

8 MR. BOB PETERS: In terms of transmission
9 losses, where I'd like to go to next, Mr. Surminski, we
10 don't need to get any deeper than engineering 101 on
11 this, but my understanding is that when you generate
12 electricity and transport it to market there is a loss of
13 energy along the transportation route?

14 MR. HAROLD SURMINSKI: Yes, that's
15 correct.

16 MR. BOB PETERS: And that occurs on your
17 transmission lines; correct?

18 MR. HAROLD SURMINSKI: Correct.

19 MR. BOB PETERS: So in essence there
20 would be less energy received in Winnipeg than what is
21 put on the transmission lines in Northern Manitoba?

22 MR. HAROLD SURMINSKI: Yes, that's right.

23 MR. BOB PETERS: Just as a point of
24 interest, does that loss of energy, does that dissipate
25 in the form of heat energy or what happens to it?

1 MR. HAROLD SURMINSKI: Yes, heat energy,
2 I think, is the main component.

3 MR. BOB PETERS: I know Mr. Wiens
4 educated us on unaccounted for gas in a different forum
5 but I still don't know where that goes but to some extent
6 the transmission losses are -- are at least analogous
7 that you end up with less than what you started with when
8 you loaded up the lines?

9 MR. HAROLD SURMINSKI: Yes, that's
10 correct.

11 MR. BOB PETERS: Would you agree with me,
12 Mr. Surminski, that the transmission losses of Manitoba
13 Hydro are significant?

14 MR. HAROLD SURMINSKI: Yes. They could
15 be in the order of 9 to 10 percent.

16 MR. BOB PETERS: And so that's
17 approximately three thousand (3,000) gigawatt hours a
18 year?

19 MR. HAROLD SURMINSKI: Yes, that's
20 correct.

21 MR. BOB PETERS: Am I correct, Mr.
22 Warden, that in accounting terms and on the accounting
23 records of the Corporation line losses are not captured?

24 MR. VINCE WARDEN: They are reconciled.

25 MR. BOB PETERS: We're now into

1 accounting -- you don't discretely show line losses as a
2 line item, would that be fair?

3 MR. VINCE WARDEN: Not as a cost, no, not
4 as a line item cost.

5 MR. BOB PETERS: In terms of the cost
6 allocation, Mr. Wiens, how do you treat line losses?

7

8 (BRIEF PAUSE)

9

10 MR. ROBIN WIENS: Mr. Peters, line losses
11 are treated in the cost of service study and they're done
12 in this manner, that the class loads for the purpose of
13 allocating costs are grossed up to the generating
14 station.

15 So a customer that is served from the
16 distribution system will show a higher loss factor than a
17 customer who is served from that transmission system.

18 MR. BOB PETERS: At document 15 of the
19 book of documents, there's I think two (2) pages -- I'm
20 sorry there's more than two (2) pages, but on the first
21 and second page are a series of numbers of different
22 energies consumed. Have you located document 15, pages 1
23 and 2?

24 MR. CHIC THOMAS: Yes.

25 MR. BOB PETERS: In the total system

1 forecast for total energy, Mr. Thomas, does that include
2 line losses or is that net of line losses?

3 MR. CHIC THOMAS: That would be at
4 generation so that would have the line losses added back
5 in.

6 MR. BOB PETERS: So this number the
7 thirty-two thousand (32,000) gigawatt -- thirty-two
8 thousand (32,000) or -- I guess it's gigawatt hours,
9 correct, in the middle of the page that would be gross
10 number including line losses?

11 MR. CHIC THOMAS: Correct.

12

13 (BRIEF PAUSE)

14

15 MR. BOB PETERS: If we go down,
16 approximately half way down the lefthand column we see
17 net exports and there's -- between pages 1 and 2, there's
18 some different figures there, Mr. Thomas, is the nine
19 thousand seven hundred (9700) gigawatt hours of net
20 export, does that include line losses?

21 MR. CHIC THOMAS: Yes.

22 MR. BOB PETERS: And then if we go to
23 page 1 of the documents at Tab 15, we see that the firm
24 export, if we follow it across to the right-hand side and
25 the top half of the page, it's about five thousand, three

1 hundred and fifty-nine (5359) gigawatt hours, that would
2 be the firm export sales, correct?

3 MR. CHIC THOMAS: That's right.

4 MR. BOB PETERS: And do firm export sales
5 listed here include line losses?

6 MR. CHIC THOMAS: Yes.

7 MR. BOB PETERS: When you say it includes
8 line losses, does that capture the line losses as a
9 result of losses on the high voltage direct current
10 transmission lines?

11 MR. CHIC THOMAS: Yes, we don't
12 distinguish between the two (2) in the cost of service
13 study.

14 MR. ROBERT MAYER: So you include all
15 line losses, including line losses in the distribution
16 system?

17 MR. CHIC THOMAS: Yes, as Mr. Wiens had
18 alluded to for those -- we have distribution losses and
19 then we have the transmission losses. And all those are
20 added back in to get total energy at generation.

21

22 (BRIEF PAUSE)

23

24 CONTINUED BY MR. BOB PETERS:

25 MR. BOB PETERS: The third document at

1 Tab 15 of the book of documents deals with transmission
2 losses also.

3 And just so we have a good understanding
4 of what -- what Schedule D-3 is showing the Board, Mr.
5 Thomas, can you explain to the Board briefly what a
6 common bus (phonetic) is?

7 MR. ROBIN WIENS: Common bus is the term
8 used to describe the number of points on Manitoba Hydro's
9 system where energy is taken from the transmission system
10 and injected into the sub-transmission system to be
11 carried to load centres.

12 So common bus losses refers to the losses
13 that occur on the transmission system between generation
14 and the point at which energy is delivered into the sub-
15 transmission system.

16 MR. BOB PETERS: Is there more than one
17 (1) common bus or is it a fictitious name to capture --
18 or a fictitious point to capture all such points of
19 demarcation from the transmission into the distribution
20 system?

21 MR. ROBIN WIENS: Well, it's not
22 fictitious. It is a term that is used to capture all
23 points that feed into the distribution system from the
24 transmission system. And I -- I cannot tell you
25 precisely how many points there are but my understanding

1 is that there in excess of eighty (80) such points.

2 MR. ROBERT MAYER: These are actual
3 places that can be identified?

4 MR. ROBIN WIENS: Precisely, Mr. Vice-
5 Chair.

6 MR. ROBERT MAYER: I suspect one of them
7 sits right on the corner of Mystery Lake Road (phonetic)
8 and the INCO access road but I...

9
10 CONTINUED BY MR. BOB PETERS:

11 MR. BOB PETERS: On the -- on the losses
12 shown in this -- on page 3 of the documents at Tab 15,
13 are the HVDC losses included in arriving at the common
14 bus losses?

15 MR. ROBIN WIENS: All losses between
16 generation and common bus are included in that number,
17 including HVDC.

18 MR. BOB PETERS: Can you explain to the
19 Board, Mr. Wiens, how you have allocated transmission
20 losses in the cost of service study to the domestic class
21 compared to the export classes?

22 MR. ROBIN WIENS: Mr. Peters, it's
23 exactly the same. We take the -- the quantum of the
24 losses divided by the quantum of generation or
25 alternatively by the lower number, the quantum of

1 deliveries from common bus, and that represents the
2 average losses to serve all customer classes.

3 MR. BOB PETERS: But there's no direct
4 allocation of those losses to the firm export class.

5 MR. ROBIN WIENS: All classes bear that
6 share of losses. There's no direct assignment but by
7 virtue of the fact that all classes, including the firm
8 export class, have their loads defined at generation,
9 they all share in those losses.

10 MR. BOB PETERS: This might be a question
11 for Mr. Surminski.

12 Is it at least notionally correct, sir,
13 that domestic requirement is first loaded onto the
14 transmission lines and then whatever room is left over
15 you can use that for export?

16 MR. HAROLD SURMINSKI: Well, in concept
17 only. But we'd never actually designate a particular
18 generation to a particular load.

19 MR. BOB PETERS: But you'd make sure that
20 you served your domestic load before you served your
21 export requirements.

22 MR. HAROLD SURMINSKI: Yes. It's a
23 higher priority. The domestic is a higher priority than
24 export.

25 MR. BOB PETERS: Is -- is it also

1 correct, sir, that there is a non-linear relationship
2 between line losses, and that is there's line losses at
3 the beginning of your loading up the transmission lines
4 but there are linearly or exponentially more line losses
5 for the last units put on the transmission line?

6 MR. HAROLD SURMINSKI: Yes. Losses
7 incrementally increase non-linearly.

8 MR. BOB PETERS: I said "exponentially"
9 but you might not go that far.

10 MR. HAROLD SURMINSKI: Yes.

11 MR. BOB PETERS: Does it then follow that
12 there are more losses on your transmission system due to
13 exports?

14 MR. HAROLD SURMINSKI: Yes, that's
15 correct.

16 MR. BOB PETERS: But you don't allocate a
17 higher percentage of transmission losses to the export
18 class under the methodology used in the cost of service
19 study?

20 MR. ROBIN WIENS: They have the same
21 percentage of losses as the domestic classes.

22 MR. BOB PETERS: All right. And then
23 maybe the question is why, Mr. Wiens, when we understand
24 from Mr. Surminski that there's a non-linear relationship
25 and the last loaded power suffers greater transmission

1 losses than the first power put on the transmission
2 lines?

3 MR. ROBIN WIENS: Well, I have a
4 recollection that we did provide a response to an
5 information request covering that matter and I -- I don't
6 have the reference at the top of mind right now.

7 But my recollection about it is that it's
8 -- it's a more complex relationship than just that.
9 During the peak period that tends to be the case, during
10 the off peak period it tends to be probably the reverse.

11 And HVDC is not the same as -- as AC
12 transmission in that you can be pretty certain as you
13 increase the load on AC transmission that you're going to
14 have that -- you're going to have that non-linear
15 relationship.

16 But in the case of HVDC it also depends on
17 how many valve groups are operating at the time. And, in
18 fact, it can happen that you have no more losses on HVDC
19 during high load periods as -- as you do on -- during low
20 load periods. It depends on how the system is operating.

21 So, generally speaking, over a
22 transmission system yes, it's true that the incremental -
23 - as you increase loads your losses will increase. For -
24 - in respect of the -- of the -- I guess the context in
25 which we look at these losses and the availability of

1 HVDC we have not represented exports as having a higher
2 degree of losses than domestic customer classes.

3 MR. BOB PETERS: Is that something that
4 you could quantify, Mr. Wiens?

5 MR. ROBIN WIENS: I would probably prefer
6 to leave that more to the experts, but my expectation is
7 that we could -- we could attempt to depict that and to
8 depict the context surrounding HVDC and peak versus off
9 peak in some fashion.

10 I doubt it would be precise but we could
11 try to reflect it.

12 MR. BOB PETERS: Mr. Surminski, are you
13 able to confirm to the Board that at peak the losses on
14 the HVDC system are approximately 55 percent for domestic
15 and forty-five (45) for export?

16 MR. HAROLD SURMINSKI: I don't know what
17 -- where you're getting that information. Can you
18 provide more information on that?

19 MR. BOB PETERS: Let me look at it at the
20 break and I may come back to it. But you might look at
21 PUB/MH-1-24. I think it's --

22 MR. HAROLD SURMINSKI: Yes. I have it
23 open but those numbers don't --

24 MR. BOB PETERS: -- there.

25 MR. HAROLD SURMINSKI: -- don't ring a

1 bell.

2 MR. BOB PETERS: All right, I'll -- I'll
3 get back to you further on that. I want to turn to the
4 water rental issue and, right now, according to your IFF,
5 which is found at Tab 3 of the book of documents, the
6 water rental fee for the test year -- or for the year in
7 which you're performing the cost of service study it's
8 approximately \$108 million; that's correct?

9 MR. CHIC THOMAS: Yes, that's correct.

10 MR. BOB PETERS: And under document, I
11 believe, number 8 in the book of documents, \$31.8 million
12 of water rentals is deducted from export revenues under
13 the methodology that is presently in force in Manitoba?

14 MR. CHIC THOMAS: Yes.

15 MR. BOB PETERS: And the proposal is,
16 instead of deducting \$31.8 million to deduct only \$14
17 million and only directly assign that the opportunity
18 export class?

19 MR. CHIC THOMAS: Yes, that's correct.

20 MR. BOB PETERS: And zero (0) dollars of
21 the water rental fees gets directly assigned to the firm
22 exports?

23 MR. CHIC THOMAS: Directly assigned,
24 correct.

25 MR. BOB PETERS: And what your

1 distinction is, Mr. Thomas, is that some water rentals do
2 end up in the firm export class because the firm export
3 class is treated the same as other domestic classes when
4 it comes to that allocation?

5 MR. CHIC THOMAS: That's right.

6 MR. BOB PETERS: Why is it that to
7 determine the share of water rentals to be charged to
8 exports, you don't divide total exports by the total
9 hydraulic generation and have a percentage that you can
10 apply to the dollar amounts.

11 MR. ROBIN WIENS: Mr. Peters, the way
12 we've done this, it works out to the same thing. The
13 firm export class is assigned along with the domestic
14 classes a similar or using the identical method is
15 assigned the cost. The water rentals are included in
16 that cost.

17 Firm exports receive the same allocation
18 of water rentals as domestic customer classes, which on a
19 per kilowatt hour basis, works out to being the same as
20 the opportunity exports received.

21 MR. BOB PETERS: But under you
22 recommended methodology, Mr. Wiens, from the total
23 exports you also deduct the total imports before dividing
24 it by the hydraulic generation, isn't that right?

25 MR. ROBIN WIENS: There's a number of

1 words there that I have to hear to be able to answer your
2 question, Mr. Peters, so perhaps you could ask it again.

3 MR. BOB PETERS: In terms of the
4 methodology, Mr. Wiens, to determine the share of the
5 various customer classes you are taking exports and then
6 you're reducing that by your imports and then dividing it
7 by hydraulic generation, have I understood that
8 correctly?

9 MR. CHIC THOMAS: Yes, that's correct.

10

11 (BRIEF PAUSE)

12

13 MR. CHIC THOMAS: Sorry, Mr. Peters, what
14 was the question at hand now?

15 MR. BOB PETERS: I hadn't asked another
16 question, but I knew you and Mr. Wiens were engrossed in
17 discussing your last answer to me and I wanted to make
18 sure the Board had the correct answer.

19 And I was suggesting in terms of the water
20 rentals that were charged and calculated for the classes,
21 you took total exports and you subtracted from that
22 imports before dividing it by total hydraulic generation.

23 And I understood that was the correct --
24 that was the way you do it or proposing to do it?

25 MR. CHIC THOMAS: Yes.

1 MR. BOB PETERS: And --

2 THE CHAIRPERSON: Mr. Peters, do your
3 questions carry on in the same vein, can they take it
4 under advisement and come back on this particular item
5 after the break just to save time?

6

7 CONTINUED BY MR. BOB PETERS:

8 MR. BOB PETERS: I'm thinking that might
9 be appropriate and I suppose where I'm going with that,
10 just so the Panel Members can respond is that I think we
11 understood earlier that the total import costs do not get
12 certainly directly assigned to the firm export class, but
13 here the imports are being deducted from the total
14 exports before you're deciding what share of the water
15 rentals. And I wondered if that was inconsistent and
16 that's what I'd like the witness panels to focus on that.

17 If I could move on then, Mr. Chairman, I'd
18 like to just talk briefly about marketing costs and, Mr.
19 Wiens, the materials indicate that there are full-time
20 marketing staff that have duties related to -- that
21 include duties related to exports, would you agree with
22 that?

23 MR. ROBIN WIENS: Yes.

24 MR. BOB PETERS: And in some of the
25 quantifications the Corporation has said that probably

1 twenty-nine (29) of them could be predominantly
2 considered in power sales which would be related to
3 export matters?

4 MR. HAROLD SURMINSKI: Yes. That's in
5 our filing.

6 MR. BOB PETERS: And you quantify the
7 cost of -- of those employees but you do not directly
8 assign those to the export class?

9 MR. ROBIN WIENS: That's correct.

10 MR. BOB PETERS: And can you explain to
11 the Board why you wouldn't do that if you can identify
12 them as being predominantly in the power sales export
13 business?

14 MR. ROBIN WIENS: Well, Mr. Peters,
15 you'll appreciate that when we were in the preparation of
16 this document the memory of 2003/2004 was uppermost in
17 our mind and, of course, during that period much of our
18 power trading activity revolved around assuring supply on
19 our marketing exports.

20 So we did treat this item, I believe, some
21 \$7.4 million as a general cost and -- which was therefore
22 assigned to domestic customers and just a moment -- and
23 firm sales, but not opportunity.

24 I think in retrospect we would probably
25 have wanted to look at a finer division of those costs

1 but that's not what appears here. In this case, however,
2 I think it's fairly safe to say that it doesn't have a
3 material impact on the cost of service study.

4 MR. BOB PETERS: I thought we heard last
5 week, Mr. Wiens, that the cost of service study '06 that
6 you prepared is based on median flow scenarios where
7 drought is implicit but certainly not an -- not an
8 express year forecast?

9 MR. ROBIN WIENS: True. But I think as
10 I've tried to explain earlier, although we do base this
11 on next year's IFF which -- and we do have median flows
12 as a basis for it, we cannot take into -- use of median
13 flows does not really take into effect the asymmetric
14 aspect of the long-term operation of our system.

15 So we do not capture adequately the use of
16 imports and thermal energy in -- in our median numbers.
17 So they would not flow through to the cost of service
18 study unless we were to make some specific assumptions.

19 And among those assumptions is that these
20 resources which includes thermal, imports, and of course,
21 the use of our power trading personnel support, both
22 domestic and export, and we have carried that into this
23 study.

24 I think our -- our recognition, the post-
25 filing of the study, was that in this case we probably

1 could have made a preliminary assignment of some -- at
2 least some of the \$7 million.

3 MR. BOB PETERS: Is that something you've
4 worked on since the preliminary finding or are you
5 waiting for the Board direction from this hearing before
6 you look at that further?

7 MR. ROBIN WIENS: We have not advanced in
8 terms of the study itself. These types of modifications.
9 we would carry forward into the next study and, of
10 course, it would be dependent, certainly in part, on what
11 we hear from the Board following these proceedings.

12 MR. BOB PETERS: Well, in addition to
13 those external marketing and power purchasing and
14 transmission marketing expenses, you'd agree that there
15 may be other aspects carried on by the Corporation that
16 could likewise be directly assigned to an export class on
17 further review?

18

19

(BRIEF PAUSE)

20

21 MR. ROBIN WIENS: Mr. Peters, I would
22 agree that there are probably some possibilities that we
23 could explore but they're probably not as straightforward
24 as -- as this type of cost. So while we would -- we're
25 certainly prepared to take a look at them, I'm -- I'm not

1 sure the conclusion is -- is arrived at as easily as in
2 the case of these costs.

3 MR. BOB PETERS: All right. Thank you
4 for that.

5 And, Mr. Wiens, to turn the coin over as
6 they say, are there also costs that could be, under
7 similar review, directly assigned to the domestic
8 customers but presently aren't?

9

10 (BRIEF PAUSE)

11

12 MR. ROBIN WIENS: Again, Mr. Peters, I --
13 you know, I think there are some possibilities that exist
14 there but it -- it's certainly not as straightforward.

15 I mean, we -- we have discussed earlier
16 this morning the -- the concept that when we add
17 capability to the generation and transmission system to
18 support exports, that it is done at a much lower unit
19 cost than it is done for the overall dams and civil works
20 that go in -- into it.

21 So presumably you could come up with --
22 with enough work and effort, you could come up with a
23 methodology that would -- would hive off those costs,
24 embedded costs that could be considered to be directly
25 assignable to exports, and that would leave the rest that

1 would be directly assignable to the domestic customer
2 classes.

3 So the answer to your question is
4 theoretically yes. Whether we can do it in practice, I'm
5 not so sure.

6 MR. BOB PETERS: Okay. Thank you.
7 Before we get to the break I do want to cover just a
8 couple more brief areas. Transmission lines is one (1).

9 In respect of transmission lines, again,
10 there are no transmission line costs directly assigned to
11 either the opportunity export or the firm export. We're
12 agreed on that?

13 MR. ROBIN WIENS: Correct.

14 MR. BOB PETERS: And instead Manitoba
15 Hydro proposes that the firm export class be allocated a
16 portion of the transmission costs based on the energy
17 usage -- I believe energy usage on the inter-ties only.

18 MR. CHIC THOMAS: That's right, yes.

19 MR. BOB PETERS: And the inter-ties,
20 again, are -- is it seven (7) in number? I'm not sure --

21 MR. CHIC THOMAS: That sounds
22 approximately correct.

23 MR. BOB PETERS: All right. Whatever the
24 number --

25 MR. CHIC THOMAS: Subject to check.

1 MR. BOB PETERS: -- the inter-ties are
2 that portion of the transmission system where once the
3 electron passes a certain point it's not coming home,
4 it's going -- it's going for export.

5 Is that a fair way to -- to understand it?

6 MR. ROBIN WIENS: That would be the
7 provincial border.

8 MR. BOB PETERS: Except -- except, Mr.
9 Wiens, the inter-ties are sometimes located within --
10 inside the provincial border.

11 MR. ROBIN WIENS: A portion of them is
12 always located inside the provincial border.

13 MR. BOB PETERS: All right. I -- maybe
14 I'm not understanding then the portion of the inter-tie
15 costs that gets included in the allocation of -- of
16 transmission costs to -- to the export customer.

17 MR. ROBIN WIENS: All of Manitoba Hydro's
18 transmission costs, all of it, are allocated to the firm
19 export customer classes as well as to the domestic
20 classes.

21 MR. BOB PETERS: All right. And there's
22 no distinction made then, Mr. Wiens, for that portion of
23 the inter-tie that is not needed by Manitoba domestic
24 load but can only be used to service export load?

25 MR. ROBIN WIENS: I don't think you can

1 actually identify any such portion, for at least a couple
2 of reasons. One of them being -- and maybe I'll step
3 back from my comment that once it's on -- on its way it
4 won't come home, that point being at the border.

5 No. That point would be once it's past
6 the last sub-station that serves domestic customer
7 classes. Presumably at that point it's on its way,
8 unless we have a situation in which power is flowing into
9 Manitoba, which does happen from time to time.

10 So the point being that domestic customers
11 do use these lines, they -- some customers use these
12 lines when power is flowing from north to south and
13 potentially all customers use them as -- in situations
14 where power is flowing south to north.

15 MR. BOB PETERS: All right. The
16 importing of power, Mr. Wiens, is only necessary in a
17 year when you cannot meet your dependable energy flows on
18 a theoretic basis, correct?

19 MR. ROBIN WIENS: On a sustained basis,
20 yes. There may be times during other years when power is
21 imported, as well.

22 MR. BOB PETERS: You indicate in the
23 document that was the second document under Tab 2 of the
24 book of documents, that 2(2) Tab, where we looked at the
25 functionalization of costs and I think on the

1 transmission system you functionalized \$203 million of
2 costs for transmission, correct?

3 MR. CHIC THOMAS: Yes, that's correct.

4 MR. BOB PETERS: And it struck me, Mr.
5 Thomas, that that didn't seem like enough money allocated
6 to transmission and not all of the transmission assets
7 are included in the transmission function; that's also
8 correct.

9 MR. CHIC THOMAS: Yes, that's correct.

10 MR. BOB PETERS: And the largest asset
11 that's not included in the transmission function are the
12 HVDC transmission lines?

13 MR. CHIC THOMAS: Yes.

14 MR. BOB PETERS: And in short you are
15 functionalizing the HVDC facilities as generation
16 facilities, basically I understand on the argument that
17 but for geography that generation would take place closer
18 to the load where its required?

19 MR. CHIC THOMAS: That's fair.

20 MR. BOB PETERS: And in terms of how the
21 allocation of transmission cost does work and you've told
22 us that there's nothing directly allocated to export
23 classes, the recommended methodology from Manitoba
24 Hydro's perspective is to put approximately 19 percent of
25 those transmission functionalized costs into the firm

1 export class?

2 MR. CHIC THOMAS: Yes.

3

4 (BRIEF PAUSE)

5

6 MR. BOB PETERS: When we look at the --
7 probably Tab 15 is where all those numbers are, Manitoba
8 Hydro uses the transmission system approximately 40
9 percent of the time in the summer for exports.

10 MR. CHIC THOMAS: Which page exactly are
11 you looking at in Tab 15, Mr. Peters?

12 MR. BOB PETERS: I was looking at page 2
13 and I was looking at the summer on peak and off peak
14 exports and I was concluding that approximately 40
15 percent of the total energy was used for export and to do
16 that you'd have to use the transmission system.

17 MR. CHIC THOMAS: Yes.

18 MR. BOB PETERS: And to capture that 40
19 percent, at least in the summer, overall you're saying
20 that a 19 or 20 percent total allocation is appropriate
21 in the recommended methodology?

22 MR. CHIC THOMAS: Yes.

23 MR. BOB PETERS: While we're on
24 transmission matters, Manitoba Hydro has an open access
25 transmission tariff, am I correct in that?

1 MR. CHIC THOMAS: Yes.

2 MR. BOB PETERS: And it has that
3 transmission tariff, partly as a responsibility or
4 requirement by FERC and to be able to export energy?

5 MR. HAROLD SURMINSKI: Yes, that's
6 correct.

7 MR. BOB PETERS: Can you tell the Board,
8 Mr. Surminski, who uses the Manitoba Hydro open access
9 transmission tariff?

10 MR. HAROLD SURMINSKI: It's available to
11 -- available to anyone that purchases it or desires to
12 use it.

13 MR. BOB PETERS: This would include wind
14 generators in Manitoba?

15 MR. HAROLD SURMINSKI: Yes, it would.

16 MR. BOB PETERS: Do they purchase it from
17 you?

18 MR. ROBIN WIENS: Mr. Peters, to date the
19 wind generation in Manitoba has been purchased by
20 Manitoba Hydro at the point of delivery of the generator
21 into Manitoba Hydro's system. So the answer is, no, they
22 don't use Manitoba Hydro's transmission tariff. I guess
23 it's possible in the future that that could occur.

24 MR. BOB PETERS: So there's no -- there's
25 no other generator in Manitoba then that uses the

1 Manitoba Hydro transmission tariff, would you agree with
2 me?

3 MR. HAROLD SURMINSKI: Yes, that's
4 correct. It's available but we do not have anyone that -
5 - that flows power through our system and -- and sells
6 outside our system. Manitoba Hydro has been the
7 purchaser

8 MR. BOB PETERS: You make money off of
9 this tariff? Mr. Warden might be happy to hear if that's
10 the case.

11

12 (BRIEF PAUSE)

13

14 MR. ROBIN WIENS: Mr. Peters, I'm
15 treading on very, very thin ice here because this is not
16 my area of detailed knowledge. Manitoba Hydro does make
17 -- does receive some revenue for the use of its
18 transmission system.

19 My understanding is that most of that
20 revenue is actually received through the MISO tariff, of
21 which Manitoba Hydro is a party. In other words, our
22 costs are incorporated into the MISO tariff to come up
23 with a system-wide average.

24 I believe we do earn some very limited
25 amount of revenue also from the Manitoba Hydro tariff.

1 But once you - or if you should ask me, how do -- how do
2 you distinguish between who pay the Manitoba Hydro tariff
3 and who pays the MISO tariff, I'm probably into some open
4 water there.

5 So we would -- if you want to ask that, we
6 would have to undertake to get back to you.
7 Alternatively, we might be able to find the response to
8 an information request that covers that.

9 MR. BOB PETERS: Do you recall in the
10 cost of service methodology, Mr. Wiens, whether there's a
11 netting of that revenue against any -- any other costs on
12 the transmission side?

13 MR. CHIC THOMAS: Yes. The costs we can
14 identify are netted in terms of what it costs us and the
15 revenue we receive.

16 MR. BOB PETERS: Mr. Thomas, the
17 transmission function of which you told the Board a few
18 minutes ago was approximately \$230 million of costs,
19 those are the costs that are included in the transmission
20 tariff as well; is that correct?

21 MR. CHIC THOMAS: Yes.

22 MR. BOB PETERS: To your knowledge,
23 there's no additional costs in the tariff that aren't
24 already included in the transmission function?

25 MR. CHIC THOMAS: There is a small

1 portion of the ancillary service from -- that -- that
2 comes from the generation function.

3

4

(BRIEF PAUSE)

5

6 MR. BOB PETERS: Mr. Thomas, I'm not
7 going to go any deeper there, so we don't have to throw
8 any lifeline to Mr. Wiens or yourself, but would you know
9 approximately how often the Corporation revises that
10 transmission tariff?

11 MR. CHIC THOMAS: We look at -- we look
12 at it on an annual basis along with any cost of service
13 study that we have at hand.

14 MR. BOB PETERS: And -- and that's where
15 I was headed, is that you -- do you revise it annually
16 with -- when you do the cost of service studies?

17 MR. CHIC THOMAS: Yes.

18 MR. BOB PETERS: And at this point in
19 time, to your knowledge, that Manitoba Hydro open access
20 transmission tariff is not a tariff that has been put
21 before this Board to approve any of the -- the charges.

22 MR. ROBIN WIENS: No.

23 MR. ROBERT MAYER: But we are purported
24 to assume some control over it and I understand you
25 lawyers are still before the Court of Appeal.

1

2 CONTINUED BY MR. BOB PETERS:

3 MR. BOB PETERS: The issue is one, to
4 your understanding, Mr. Warden, that there has been some
5 litigation commenced and the matter is, at this point, at
6 best, pending?

7

8 (BRIEF PAUSE)

9

10 MR. VINCE WARDEN: In answer to your
11 question, Mr. Peters, I'm informed that that is a correct
12 statement.

13 MR. BOB PETERS: All right. With the
14 Panel Members, in the next six (6) minutes if I could,
15 I'd like to just deal with a couple of matters from the
16 rebuttal evidence, particularly from Mr. Harper's -- your
17 comments on Mr. Harper's evidence.

18 And I'm looking on page 32 of 43 of
19 Manitoba Hydro's rebuttal. I'm not sure you're going to
20 need to access it, but if you choose to I'll certainly
21 provide you the time.

22 On page 32 of 43 and going down to line 28
23 to be specific, is it generally your understanding, Mr.
24 Wiens and Mr. Thomas, that Mr. Harper is suggesting that
25 the costs of imports be assigned to opportunity exports?

1 (BRIEF PAUSE)

2

3 MR. ROBIN WIENS: My understanding is
4 that, first of all Manitoba Hydro does assign our
5 purchase costs directly to opportunity export sales.
6 But, Mr. Harper appears to want Manitoba Hydro or to
7 think it appropriate for Manitoba Hydro to assign the
8 totality, 100 percent of import costs against opportunity
9 export sales.

10 MR. BOB PETERS: And it's also your
11 understanding is it, that Mr. Harper takes that position
12 as he contends that no imports are needed under median
13 flows for domestic load or for firm export sales?

14 MR. ROBIN WIENS: We have been over this
15 territory a couple of times in the last couple of days
16 and that is what he is contending and that is the thing
17 with which we do not agree.

18 MR. BOB PETERS: And your disagreement
19 with Mr. Harper is for the same reasons you've answered
20 to me in the last little bit this morning and last week,
21 as well?

22 MR. ROBIN WIENS: That is correct.

23 MR. BOB PETERS: And in essence, you want
24 the Board to consider that you operate the system -- the
25 hydro utility not only with hydraulic resources, but all

1 of the resources that you have available including
2 imports and thermal and that for opportunity sales, you
3 don't need to get into the fixed costs that are used to
4 have the generating stations and the transmission system?

5 MR. ROBIN WIENS: Yes. It is quite
6 correct that in any one (1) year imports may be entirely
7 or almost entirely used to facilitate opportunity sales,
8 but it is not correct to say that over the course of the
9 water cycle.

10 MR. BOB PETERS: And is that the same
11 answer you would give, Mr. Wiens, when asked about wind
12 power as an import, I believe, on the same page Mr.
13 Thomas or sorry Mr. Harper is of the view that the
14 imports from wind power are not needed to domestic load
15 or firm exports and therefore those costs could also be
16 assigned?

17 MR. ROBIN WIENS: I think in the case of
18 wind power, we should refer to power purchases because
19 they're actually not imported, they're sourced within
20 Manitoba. And the same answer would apply, yes.

21 MR. BOB PETERS: But in that particular
22 case, Mr. Harper is suggesting that the costs of the
23 power purchases would be charged to both firm and to
24 opportunity?

25 MR. ROBIN WIENS: Yes, he's saying that I

1 believe, because he recognizes that there is some, albeit
2 small relative to energy, some firmness component to the
3 wind power.

4 MR. BOB PETERS: But, again --

5 MR. ROBERT MAYER: Mr. Wiens, on this
6 wind power stuff, my understanding that the purchase of
7 wind power is firstly not particularly economic at this
8 point in time; that the generation of wind power by
9 anybody other than an organization that can take
10 advantage of the significant tax advantage or the
11 significant tax credit, is not an economical thing to
12 happen.

13 Am I correct in assuming that the purchase
14 of wind power by Manitoba Hydro, at this point in time,
15 is a policy decision and is more environmentally related
16 than it is economically related?

17

18 (BRIEF PAUSE)

19

20 THE CHAIRPERSON: We're going to take our
21 break now so we'll give you a little bit of time to mull
22 that one over so we'll be back at quarter to 11:00.

23

24 --- Upon recessing at 10:28 a.m.

25 --- Upon resuming at 10:49 a.m.

1

2 THE CHAIRPERSON: Okay, welcome back,
3 everyone. We're just a few minutes behind schedule. Mr.
4 Peters, perhaps you could help us out, our brains were
5 baking with that sun coming from the back as to the
6 various mullings were going on before we broke.

7 MR. BOB PETERS: Thank you. There was
8 actually two (2) matters when we broke that I think the
9 Company had -- was considering and we can maybe start
10 with the one just before the break in terms of questions
11 from the Panel.

12

13 CONTINUED BY MR. BOB PETERS:

14 MR. BOB PETERS: I understood that the
15 witness panel was considering a response and if they've
16 had time to consider that perhaps I'd ask you to
17 summarize the issue and your response at this time?

18 MR. VINCE WARDEN: Mr. Peters, maybe just
19 for added clarity if you could repeat the question then
20 I'll respond.

21 MR. BOB PETERS: Well, --

22 MR. ROBERT MAYER: I think the last
23 question was mine, Mr. Peters. The issue of wind power
24 and being more a policy and an economic -- or a policy
25 and an environmental matter rather than an economic one

1 at this point?

2 MR. VINCE WARDEN: Well, in terms of the
3 economics, Mr. Mayer, I can tell you that the economics
4 of wind power are marginal at best. We -- it was
5 justified to Manitoba Hydro basically as a -- as a
6 breakeven situation in terms of the economics.

7 There are -- are other benefits associated
8 with wind. As you know we've committed to the ninety-
9 nine (99) megawatts. We're not quite sure how -- how
10 much more will be economic for Manitoba. We're studying
11 that. But the ninety-nine (99) megawatts based on the
12 prices that we've entered into in the long-term contract
13 were, as I said, marginally economic.

14 There are other benefits associated, the
15 construction activity in Manitoba, the revenue to the
16 farmers. So all of those things were not considered in
17 our economics but as far as Manitoba Hydro is concerned,
18 it's -- it's close to breakeven.

19 MR. ROBERT MAYER: Just supplementary to
20 that -- to that issue, and to somewhat tie it in with
21 your -- with your power purchase agreements, the latest
22 announcement by this company that it's making noises
23 about building significant wind generation in St.
24 Laurent, that sounded to me like it was independent. It
25 sounded to me like it wasn't joint partnership with

1 Hydro.

2 If that were to proceed at that point in
3 time your open access transmission tariff becomes
4 significant; am I correct?

5 MR. VINCE WARDEN: I would agree with
6 that.

7 MR. HAROLD SURMINSKI: Manitoba Hydro --
8 sorry, Manitoba Hydro intends to -- to purchase all
9 energy and bring it into its system. All proponents that
10 we have heard of do not want to take a risk and -- and
11 try to market their own power. Everybody intends to sell
12 to Manitoba Hydro.

13 MR. VINCE WARDEN: That we're aware of.

14 MR. ROBERT MAYER: Does Manitoba intend
15 to buy -- does Manitoba intend to buy power from anyone
16 who willy nilly decides to set up his -- to set up a wind
17 generating turbine?

18 MR. HAROLD SURMINSKI: No.

19 MR. VINCE WARDEN: Well, certainly not at
20 any price, Mr. Mayer.

21 THE CHAIRPERSON: Mr. Peters...?
22

23 CONTINUED BY MR. BOB PETERS:

24 MR. BOB PETERS: In terms of wind power,
25 in the recommended methodology is there any portion of

1 the wind power that is directly assigned to the
2 opportunity export class?

3 MR. CHIC THOMAS: As I think we've said
4 before it's treated as a power purchase cost so therefore
5 the 45 percent would be directly assigned to the
6 opportunity export class.

7 MR. BOB PETERS: And -- and there's \$30
8 million of purchase power imports which is -- which is
9 directly assigned into the opportunity export class?

10 MR. CHIC THOMAS: Yes, that's right.

11 MR. BOB PETERS: And in addition to wind
12 power that includes other imported purchases south of the
13 border?

14 MR. CHIC THOMAS: Also true.

15 MR. BOB PETERS: There was one (1)
16 question that we -- we bogged down a little bit and we
17 put it over until -- perhaps to consider after the break
18 and I'm not sure the Panel had a chance to consider and
19 that was how the corporation deals with the -- the water
20 rentals and specifically the formula where I was
21 suggesting that from the total exports the Company was
22 proposing to deduct the total imports and then divide it
23 by total hydraulic generation to come up with the
24 portion; have you had a chance to consider that?

25 MR. ROBIN WIENS: Yes, Mr. Peters. And

1 it's actually it's the share of imports that we associate
2 with opportunity sales that that is done with, so just to
3 be clear, the opportunity -- the opportunity exports in
4 the current cost of service study with the recommended
5 method, roughly forty-two (42) or forty-three hundred
6 (4,300) gigawatt hours, nine (900) or so of the imports
7 are associated -- directly associated with that forty-two
8 hundred (4,200) gigawatt hours.

9 And I think it's helpful, Mr. Peters, to
10 think of this as the -- the power comes in when it's
11 exported, nine hundred (900) gigawatt hours -- or when
12 it's imported, comes in and is stored in the reservoirs.
13 And then when -- I think the -- so the power that's not
14 generated in the reservoirs is in effect sold to domestic
15 customers in -- in those periods that it's being
16 imported.

17 Then it is re-exported out of the
18 reservoirs. So the imported power incurs the import
19 costs, the exported power creates the water rental. But
20 notionally in the cost of service we switch them around.
21 The domestic customer pays the water rental costs
22 associated with that nine hundred (900) gigawatt hours
23 and the export customer pays the import costs, which
24 would be considerably greater than the water rental
25 costs.

1 MR. BOB PETERS: In that answer, Mr.
2 Wiens, is -- is the math then that Hydro is proposing to
3 subtract only 45 percent of the import costs or the power
4 purchase costs, as Mr. Thomas would say, from the
5 exports; that's the difference?

6 MR. ROBIN WIENS: That's correct. The
7 rest -- the rest goes into the generation pool and some
8 of it is allocated to firm exports and some to domestic
9 customers.

10

11 (BRIEF PAUSE)

12

13 MR. BOB PETERS: At document 17 of the
14 book of documents was a -- an information response to
15 CAC/MSOS by the Corporation, first round, actually first
16 question, and I -- I did want to touch on that.

17 And I may have glossed over it previously
18 but at document 17 of the book of documents there was the
19 question about any distinction between cost causation and
20 equitable sharing of costs among the customer rate
21 classes.

22 You're encouraging the Board to consider
23 those as synonymous in this answer?

24 MR. ROBIN WIENS: Yes. I think, subject
25 to the discussion that ensues throughout the response to

1 that information request.

2 MR. BOB PETERS: Well, in that -- in that
3 response, Mr. Wiens, and particularly the last -- the
4 last paragraph is designed to speak to the allocation of
5 the net export revenue, I believe; the Company wants to
6 draw a distinction in terms of how to consider it because
7 the Corporation doesn't -- doesn't support the view that
8 export revenue from -- should be attributed to the use of
9 -- the customers' use of the facilities.

10 MR. ROBIN WIENS: Yes. You know, I think
11 in the past -- and we've heard this statement a -- any
12 number of times that it's transmission and distribution
13 that makes the exports possible and, therefore, all of
14 the revenues associated with exports are -- when you
15 properly consider cost causation, should be attributable
16 back on that basis.

17 And -- and we disagree because while we do
18 agree that generation and transmission do make possible
19 those exports, they do not necessarily make possible the
20 value that's received for them.

21 MR. BOB PETERS: You say in that response
22 that:

23 "At a time when most surplus capacity
24 was sold on an opportunity basis
25 only..."

1 sake of convenience. It recognized that we had some
2 surplus capability that could generate some revenues on
3 the export market. Those revenues were typically well
4 below, on average, the unit cost of the generation.

5 And in that particular world it was
6 probably reasonable anyway, if not absolutely correct,
7 reasonable to deduct those costs in effect from the value
8 of -- the size of the generation and transmission cost
9 pool.

10 MR. BOB PETERS: And your last sentence I
11 think in that answer really is the same answer you've
12 given in maybe different words, but your suggestion of
13 the whole premise as to how to allocate the net export
14 revenue comes down to the last sentence where Hydro
15 concludes it's no longer correct to suggest that the
16 assignment of export revenues to customer classes on the
17 basis of usage only is in keeping with cost causation?

18 MR. ROBIN WIENS: Yes, that's what we're
19 suggesting here.

20 MR. BOB PETERS: In the rebuttal evidence
21 early on, on page 4 of 43 and following, Manitoba Hydro
22 provided rebuttal evidence in respect of the -- some of
23 the MIPUG evidence. And on page 4 of 43 and following
24 there were discussions about what MIPUG was proposing
25 with the excess of export revenues, do you recall that?

1 MR. ROBIN WIENS: I do recall it, yes.

2 MR. BOB PETERS: And in essence and I'll
3 certainly -- I'm sure Ms. McCaffrey will do it more
4 eloquently than I, but, there -- it came from a starting
5 point that there had to be a threshold amount -- any
6 amount over a certain amount was considered to be excess
7 for the purposes of the MIPUG discussion and
8 recommendations?

9 MR. ROBIN WIENS: Well, that's what we
10 understand their position to be.

11 MR. BOB PETERS: That's fair enough and
12 we'll hear from the authors of the evidence. But, in
13 essence, Mr. Wiens back in 1996, Manitoba Hydro thought
14 allocating the net export revenue according to generation
15 and transmission costs incurred by the customer classes
16 was fair and reasonable or at least not seriously
17 incorrect?

18 MR. ROBIN WIENS: Yes.

19 MR. BOB PETERS: And somewhere between
20 1996 and 2002, there was a change in that thinking
21 because in 2002 a suggestion from Manitoba Hydro was to
22 adopt a distribution of the net export revenue on the
23 basis of all costs incurred by the customer classes?

24 MR. ROBIN WIENS: Yes, there was a change
25 in our thinking.

1 MR. BOB PETERS: And the way that
2 thinking manifests itself before the Board is, in 1996
3 you took one (1) position and in 2002 you had changed
4 your position and came in with a different suggestion?

5 MR. ROBIN WIENS: Yes, as far as our
6 presentation of a position in this public forum, that's
7 correct. I think I've said elsewhere, though, that we
8 definitely had been considering this at least as far back
9 as 1998. So not -- not long after the public hearings
10 that occurred in the spring of 1996.

11 MR. ROBERT MAYER: And I'm correct, Mr.
12 Wiens, in suggesting that at least two (2) of us sitting
13 on this Panel rejected your position at that point in
14 time?

15 MR. ROBIN WIENS: How could I forget Mr.
16 Mayer?

17 MR. ROBERT MAYER: I'm not going to go
18 there.

19
20 CONTINUED BY MR. BOB PETERS:

21 MR. BOB PETERS: Rejected your position
22 in 2002?

23 MR. ROBIN WIENS: Yes.

24 MR. BOB PETERS: And in 2002 your
25 position is the position that was advanced by CAC/MSOS

1 today and in previous hearings, maybe for different
2 reasons but the same -- the same result?

3 MR. ROBIN WIENS: I think it was pretty
4 close to the same, if not actually the same.

5 MR. BOB PETERS: All right. And I know
6 later on in your rebuttal and I -- I have a marginal note
7 here, pages 15 of 43 and the like, MIPUG tries to help
8 the Board understand where the threshold is in terms of
9 your thinking because in 1996 when everything was -- was
10 the way you were arguing it should be in terms of
11 generation and transmission, 32.7 percent of the revenue
12 you received was from export revenues; would you take
13 that subject to check?

14

15 (BRIEF PAUSE)

16

17 MR. ROBIN WIENS: Yes.

18 MR. BOB PETERS: So we went from 32.7
19 percent of export revenue in relation to total revenue
20 and then when we come back this year it's in the range of
21 42.7 percent?

22 MR. ROBIN WIENS: Yes.

23 MR. BOB PETERS: Some ten (10) percentage
24 points higher; you'd agree with that?

25 MR. ROBIN WIENS: Yes.

1 MR. BOB PETERS: And -- and the proposal
2 as you understand it from MIPUG is, well, pick a mid-
3 point between those two numbers and that's -- that's
4 where the threshold could and maybe should be established
5 by this Board to deal with the net export revenues?

6 MR. ROBIN WIENS: That's my understanding
7 of their position.

8 MR. BOB PETERS: And do you understand
9 from their position that some of the businesses that have
10 been operating in Manitoba may have made business
11 decisions related on how the export credit was -- was
12 shared with consumer classes?

13 MR. ROBIN WIENS: I would disagree with
14 that. I would say they made their decisions based on
15 what they reasonably perceived the rates to be at that
16 time and into the future.

17 MR. BOB PETERS: And would they be
18 looking at -- at historic trends and historic formulas to
19 help them see what might happen in the future?

20 MR. ROBIN WIENS: Mr. Peters, they would
21 have looked at today's rates and probably, based on my
22 experience with customer service, with our customer
23 service people they would have, in some cases anyway,
24 wanted to have some understanding of how the rates might
25 change in the future.

1 And throughout much of that period I think
2 you will recall that Manitoba Hydro's position has been
3 pretty steadily that we expect rates to increase at or
4 slightly below the rate of inflation.

5 MR. BOB PETERS: Let's move it to how the
6 net export credit was going to be allocated, Mr. Wiens.
7 If the consumers were looking to see how that was going
8 to be done they would have had no warning prior to 2002
9 in respect of an about-face that the Corporation was
10 going to do on how to allocate the net export credit;
11 would they?

12 MR. ROBIN WIENS: Well, I expect that's
13 true. But I'm not sure that it's material in terms of
14 consumer expectations about rates through that period.

15 MR. BOB PETERS: All right. So, you're
16 not drawing a distinction or you're not correlating rates
17 to how the net export credit would be allocated to
18 consumer classes?

19 MR. ROBIN WIENS: Well, there is a --
20 there is very much a connection but I thought we were
21 dealing here with consumer perception and I think
22 consumer perception is not worried so much about how
23 export revenues are allocated but rather what is the
24 future direction for the rates that they'll pay for power
25 regardless of, you know, internal considerations

1 associated with how those rates are derived.

2 MR. BOB PETERS: And that's an assumption
3 by Manitoba Hydro or have you gone to the consumers to --
4 to test whether that was the driving -- you know, one of
5 the driving thoughts behind how they perceive their
6 business going forward?

7 MR. ROBIN WIENS: Well, it's more than an
8 assumption. It's -- it's based on my experience in these
9 types of discussions. Now, whether that experience deals
10 with the whole universality of perception, perhaps not.

11 But my understanding is that certainly if
12 we go back to 1996 or 1997 and we're talking about rate
13 levels that's what we would have said. Today's rates
14 plus at or slightly below the rate of inflation. And,
15 you know, who was contemplating then that average export
16 revenues would double between '96 or '97 and 2003-04;
17 that wouldn't have been on anybody's radar screen at that
18 time.

19 So the expectation then would have been
20 based on the rates that were in place at that time and
21 some understanding about inflation, not about the
22 treatment of export revenues.

23 MR. BOB PETERS: In terms of the MIPUG
24 proposal where a threshold level is established at some -
25 - in some manner, one of the options that's suggested by

1 that Intervenor is that any amount in excess of the
2 threshold could be put into a regulated reserve fund to
3 pay down the debt and built up a stabilization reserve, I
4 suppose, against future rate changes. Are you familiar
5 with that suggestion?

6 MR. VINCE WARDEN: I'm familiar with the
7 suggestion, yes.

8 MR. BOB PETERS: And what's Manitoba
9 Hydro's position as to whether that's even an appropriate
10 use of any amount determined to be in excess of the
11 threshold?

12 MR. VINCE WARDEN: Well, Mr. Peters, as
13 I've testified previously the methodology used in the
14 cost of service study in and of itself does not create
15 any additional revenue. So there would be no additional
16 revenues for putting into a special reserve fund for
17 paying down debt as suggested by MIPUG.

18 MR. BOB PETERS: You're just saying that
19 any excess doesn't necessarily mean it's sitting there as
20 cash, it would be tied up in assets?

21 MR. VINCE WARDEN: No, I said previously
22 that we -- the whole purpose of this exercise is to come
23 up with revenue cost coverage ratios that we can use in
24 judging the extent to which any future revenue
25 requirements should be apportioned between ratepayers;

1 that's all it is. There's no additional revenue that's
2 generated out of any methodology that we're considering
3 here.

4 MR. BOB PETERS: So it's your position
5 that would be unduly complicated to even establish a
6 reserve fund when you're not creating additional
7 revenues?

8 MR. VINCE WARDEN: It's not complicated,
9 it's just wrong. It just wouldn't happen.

10 MR. BOB PETERS: You'd be --

11 MR. VINCE WARDEN: And it would be
12 nonsensical in the event that there were surplus revenues
13 which I'm saying there are not, to set up a reserve fund
14 at the same time as we're expanding, building new
15 generation, new transmission, having to go out in the
16 market and borrow monies having -- at a presumably a
17 higher rate than what we could earn by having some money
18 sitting in some kind of a fund. It just does not make
19 economic sense.

20 MR. BOB PETERS: It doesn't do anything
21 on the financial statements of the Corporation?

22 MR. VINCE WARDEN: Well, first of all,
23 the money isn't there to put into a reserve fund and if
24 there were some funds to put into a fund, it would be the
25 wrong thing to do.

1 MR. BOB PETERS: All right.

2 THE CHAIRPERSON: Mr. Warden, I'm not
3 advocating any particular position, but I'm just curious
4 when you say wouldn't make sense, don't you do that in a
5 sense when you're developing sinking funds, debt
6 repayment obligations?

7 MR. VINCE WARDEN: We have a requirement
8 under the Manitoba Hydro Act to set aside a portion of --
9 it's a formula based on the debt outstanding at the end
10 of the previous year that is put into the sinking fund.
11 We do though for the reason I just gave, keep those
12 sinking funds at the absolute minimum required by
13 statute.

14

15 CONTINUED BY MR. BOB PETERS:

16 MR. BOB PETERS: In terms of this excess
17 monies, one (1) other suggestion might be that -- that
18 instead of putting the money back into crediting the
19 various customer classes, this would allow the
20 Corporation to make payments to the shareholder.

21 MR. VINCE WARDEN: Mr. Peters, there is
22 no excess monies.

23 MR. BOB PETERS: I understand the point,
24 and I understand the point is from a cost of service
25 study methodology, but if the -- if the net export

1 revenues were reduced by an amount that was considered in
2 excess and that money never flowed into the cost of
3 service study, it could then be used for other purpose,
4 correct?

5 MR. VINCE WARDEN: Well again, the
6 purpose of the exercise is to develop those revenue cost
7 coverage ratios, to determine the extent to which
8 customers are paying their way, in terms of the costs
9 incurred by the Corporation. That's all it is. Once
10 those ratios are determined, then we decide how we're
11 going to allocate our increased revenue requirements
12 amongst the customer classes.

13 You know, if we did attain and we will
14 attain, at some point, our -- our debt/equity ratio
15 target of 75/25, then we would have the luxury of
16 determining how any dividend, so to speak, that was over
17 and above that ratio, how that could be allocated back to
18 ratepayers.

19 We're a long ways away from that yet. So
20 that we -- we don't have that situation today and won't
21 have until at least 2011/12.

22 MR. BOB PETERS: So I take from that
23 answer, Mr. Warden, that until the net equity ratio is
24 down to 75/25, you don't consider there to be any
25 definition of any excess revenues and, therefore, there

1 would be -- there would be no funds available to be
2 dividended back to the shareholder or perhaps rebated to
3 the customer, as was suggested by MIPUG?

4 MR. VINCE WARDEN: Correct.

5

6 (BRIEF PAUSE)

7

8 MR. BOB PETERS: In the document number
9 20 of the book of documents is a listing of various
10 deferred costs. It comes from a response by the
11 Corporation to an information request on behalf of the
12 Board in the first round, number 7, found as document
13 number 20.

14 Do you have that, Mr. Wiens and Mr.
15 Thomas?

16 MR. CHIC THOMAS: Yes.

17 MR. BOB PETERS: And in this particular
18 document you are telling the Board the deferred costs
19 that you reflect on your financial statements; correct?

20 MR. CHIC THOMAS: Yes.

21 MR. BOB PETERS: And, as I understand it,
22 the deferred costs had a value at the time of
23 acquisition, those deferred costs have been either
24 amortized or depreciated, so to speak, and they now have
25 a resulting book value.

1 That gets us through those first three (3)
2 columns?

3 MR. CHIC THOMAS: Yes.

4 MR. BOB PETERS: And the amount by which
5 you take the annual amortization or -- or depreciation is
6 the amount that would enter into the costs of the
7 Corporation, such that they would show up on the cost of
8 service study?

9 MR. CHIC THOMAS: As a depreciation
10 expense, yes.

11

12 (BRIEF PAUSE)

13

14 MR. BOB PETERS: All of these deferred
15 costs as they're amortized, that annual portion of
16 amortization is considered a depreciation expenses in the
17 cost of service study?

18 MR. CHIC THOMAS: Yes.

19 MR. BOB PETERS: In -- in respect of --
20 let's pick DSM, Demand Site Management programs, there
21 are some there that have different time periods of
22 amortization.

23 MR. CHIC THOMAS: Yes.

24 MR. BOB PETERS: Do you know why that is?

25 MR. CHIC THOMAS: I am not a DSM expert.

1 I think I'd defer that to someone else.

2 MR. BOB PETERS: Anybody on the Panel
3 have any specific understanding as to why the Demand Site
4 Management programs are into five (5) years, ten (10)
5 years and fifteen (15) years?

6 MR. ROBIN WIENS: Well, I'm not a DSM
7 expert either, Mr. Peters, but I -- it would seem from
8 this that it was the belief of whoever established those
9 amortization periods that they were appropriate to the
10 type of program that was included in them, and that some
11 programs yield results over five (5) years, some over ten
12 (10) years and, from what appears here, the vast majority
13 over fifteen (15) years.

14 MR. BOB PETERS: Does --

15 THE CHAIRPERSON: Is there any
16 possibility that the difference is simply at one time the
17 Corporation had a policy that amortized them over shorter
18 periods of time because the financial statements just
19 read, Amortized over -- I think it's fifteen (15) years
20 now.

21 I'm suggesting that the five (5) and ten
22 (10) ones are just echoes of the past.

23 MR. VINCE WARDEN: Mr. Chairman, as long
24 as I can remember, it has been fifteen (15) years, the
25 amortization period. We could get specifics of those

1 programs if it was important, but as Mr. Wiens indicated
2 that vast majority are fifteen (15) years and that is our
3 policy today that any programs that come into service are
4 amortized over fifteen (15) years.

5 THE CHAIRPERSON: Our understanding
6 unless we hear otherwise from you is that your accounting
7 policy today is to amortize DSM over fifteen (15) years.

8 MR. VINCE WARDEN: That's correct.

9

10 (BRIEF PAUSE)

11

12 CONTINUED BY MR. BOB PETERS:

13 MR. BOB PETERS: Just to follow up on the
14 DSM, Mr. Warden, I understand from your answer to the
15 Chairman that you account for these costs or your
16 amortize them to recover them fully over fifteen (15)
17 years based on the current -- the current policy at
18 Manitoba Hydro?

19 MR. VINCE WARDEN: Yes.

20 MR. BOB PETERS: And one-fifteenth of
21 those costs are then flowed through to Mr. Wiens and Mr.
22 Thomas when they do their cost of service study and those
23 costs are then put into the cost of service study?

24 MR. VINCE WARDEN: Yes.

25 MR. BOB PETERS: And Mr. Thomas, one-

1 fifteenth of the cost that's put into the cost of service
2 study, does it end up in a specific customer class or is
3 it shared generally amongst them all?

4 MR. CHIC THOMAS: As you can see by that
5 particular line item for DSM, it's functionalized as
6 generation. So therefore all customer classes would --
7 would pick up a piece.

8

9 (BRIEF PAUSE)

10

11 MR. BOB PETERS: My understanding was
12 that Manitoba Hydro was going to take the DSM costs and
13 directly assign them to the customer classes for which
14 the DSM program was intended.

15 MR. CHIC THOMAS: Yes, I was in error Mr.
16 Peters, that's correct.

17 MR. BOB PETERS: So rather than putting
18 them in the hopper, they are directly assigned to the
19 respective customer classes, depending on the program?

20 MR. CHIC THOMAS: That's correct.

21 MR. BOB PETERS: Put another way if the
22 program is for the residential consumer all of the costs
23 on an annual basis end up in the residential class direct
24 assignment?

25 MR. CHIC THOMAS: That's right.

1 MR. ROBERT MAYER: The first answer made
2 a lot more sense to me than the second one. I guess the
3 second one is true, the first one just made more sense.

4 If you -- the idea of DSM is that you cut
5 down on the use of power. The argument has been made in
6 this forum and in others that if you do enough of that
7 you don't have to build a hydro dam.

8 So why would the -- if one customer class
9 through DSM makes significant savings in the amount of
10 power you have to generate, why would that particular
11 class have to pay the costs of that saving?

12 MR. ROBIN WIENS: I'll attempt to respond
13 to that Mr. Mayer. First, not all programs but many
14 programs, DSM, not only result in deferring the
15 installation of new generation, but they may result in
16 deferring the installation of transmission and
17 distribution, as well.

18 So it's not strictly that all the benefits
19 are realized in the generation function. There are some
20 that are realized in the other functions. Most of them,
21 I would say are realized in the generation function.

22 But second, there is a -- what we have
23 encountered over the years is that there is a timing
24 issue associated with the incurrence of benefits and
25 costs. For instance, Manitoba Hydro may invest \$10

1 million in a DSM program or programs that exclusively
2 benefit a certain class. But, in the past, we may have
3 charged all those costs against the generation function.

4 And in effect, allocating all of those
5 costs to all the customer classes, such that there is an
6 inordinate benefit in some cases flowing to a customer
7 class that isn't paying for those costs.

8 That's not true of all programs but it is
9 true of some programs. And we encountered that issue
10 back in the 1990's and so at that point we did determine
11 and this Board concurred with us that for some types of
12 programs, we could allocate them and should allocate them
13 directly to customer classes so that the benefits and
14 costs are appropriately shared.

15 Now, even in those programs where one
16 class gets all the benefits and the classes are -- are
17 assigned all the costs, eventually over a long enough
18 period of time the benefits are shared. But that period
19 of time is sometimes too long to influence appropriate --
20 the arrival of appropriate results in our cost of service
21 study.

22 So we began that process, as I say, back
23 in probably the early to mid 1990's and eventually we had
24 enough classes being assigned directly the costs of DSM
25 that it was a natural step and an appropriate step to

1 move to that basis and that's where we are today.

2 MR. ROBERT MAYER: I take it then, the
3 one -- I suppose the DSM programs with which I'm most
4 familiar the ones that generally are intended, at least,
5 to benefit the residential class.

6 Home insulation program, the light bulb
7 give away, those kind of programs at least I understand
8 where I'm going to get the results because I'm not going
9 to have to buy a whole bunch more light bulbs and I'm
10 expectedly going to save money on my power bill by doing
11 this.

12 Are those the programs you're talking
13 about that -- that -- those programs, I take it, would be
14 assigned directly to the residential class?

15 MR. ROBIN WIENS: I'm probably not
16 recalling all the history. Certainly that's the case
17 today and I don't believe the residential class was the
18 first class for which that determination was made.

19 Part of this results from the fact that
20 just by -- by the natural evolution of DSM programs some
21 are -- some are highly economic and some are less
22 economic. So they get rolled in at different times.

23 The -- the temptation is to find -- take
24 those that are most economic and start on them right away
25 and defer some of the others. So you could find that we

1 had some very early DSM programs with some dramatic
2 results affecting general service large and affecting
3 street light class of service and that was when we began
4 to realize that perhaps we should be looking more at
5 matching cost to benefits by class.

6 Certainly if you're going to have eight
7 (8) or nine (9) or ten (10) years gap between when
8 programs are introduced from one class as opposed to
9 another, the failure to match benefits and costs by class
10 can have some significant impacts on your cost of service
11 results.

12 So this is why we opted for this position.

13 THE CHAIRPERSON: If you don't need
14 additional generation at a particular point in time then
15 it's available for export sale; correct?

16 MR. ROBIN WIENS: Yes.

17 THE CHAIRPERSON: So effective DSM
18 produces more potential for export sales?

19 MR. ROBIN WIENS: Or for deferral of
20 generating units further into the future. Export sales
21 in the near term, deferral in the longer term.

22 THE CHAIRPERSON: Thank you.

23

24 CONTINUED BY MR. BOB PETERS:

25 MR. BOB PETERS: Mr. Wiens, in light of

1 that last couple of answers to the Chairman in terms of
2 the purposes served by DSM, one of them is energy
3 conservation, from what I heard your answer, and one of
4 them is deferral of plant additions; correct?

5

6 (BRIEF PAUSE)

7

8 MR. ROBIN WIENS: Mr. Peters, DSM results
9 in energy conservation and in some cases in capacity
10 conservation and the result of that is that it would
11 facilitate, other things being equal, more exports.

12 And the economics, if you will, are
13 derived on the basis of -- of the value of energy in the
14 long term in the export market. But it does also have
15 the effect down the road of allowing us to defer
16 generation but we don't use that in the valuation of the
17 DSM program.

18 MR. BOB PETERS: Thank you for that and I
19 wasn't -- I didn't want to get back into the tests used
20 to evaluate the various programs so I understand the
21 answer and I appreciate that.

22 But it seems then -- why are the costs for
23 the DSM program that you list in document number 20; why
24 are those not changed to the export class?

25

1 (BRIEF PAUSE)

2

3 MR. ROBIN WIENS: We don't have any
4 programs for the export class.

5 MR. BOB PETERS: Mr. Wiens, you weren't
6 following my logical line of questioning. It -- it
7 seemed to me intuitive from your answers to the -- the
8 Chairman and the Vice-Chairman that DSM results in energy
9 conservation and deferral of plant additions, and that
10 energy conservation can be used for exports and,
11 therefore, the overall primary role of DSM appears to be
12 resulting in increases in export revenues.

13 Doesn't that follow?

14 MR. ROBIN WIENS: That is the immediate
15 and short-term impact of demand side management. But
16 you'll appreciate that demand side management is engaged
17 in -- because the optimum levels of demand side
18 management reduce the overall costs of the system,
19 thereby benefiting all of our customer classes,
20 particularly the participants whose bills are reduced.

21 MR. BOB PETERS: I -- I think we're
22 mixing the -- the result of the program for the consumer
23 and the result of the program to the Corporation as a
24 whole.

25 And if -- as a result of the DSM programs

1 and spending the \$150 million on programs frees up some
2 energy that can be exported, isn't there a logical
3 conclusion that some of those costs maybe should be
4 assigned to the export class?

5 MR. ROBIN WIENS: The export class does
6 not receive quantifiable benefits from DSM. They
7 continue to pay a price based on the market.

8 MR. BOB PETERS: But the residential
9 consumer who gets the free light bulbs sees a reduced
10 bill every month -- but some -- and then the energy that
11 that consumer has saved is exported and the benefit isn't
12 shared just with the residential class that uses the
13 light bulbs but it's now going to be shared with all the
14 classes, from what I hear you saying in the cost of
15 service study.

16 MR. ROBIN WIENS: Yes. And the export
17 revenue that is thereby received is allocated back for
18 all -- the benefit of all the customer classes.

19 MR. BOB PETERS: You're encouraging the
20 Board then to treat the export class as a -- the same as
21 a domestic customer and look at the costs and benefits to
22 that class of any specific DSM program, and in your
23 examples there are no DSM programs that are targeted to
24 export.

25 MR. ROBIN WIENS: No. It simply happens

1 that the surplus that is thereby created is exported for
2 the highest price that Manitoba Hydro can obtain for it.

3 MR. BOB PETERS: Manitoba Hydro doesn't
4 want to have DSM programs for export, that would be
5 counter-intuitive to -- to exporting as -- as much as you
6 can.

7 MR. ROBIN WIENS: Well, I guess you have
8 to ask the question, What benefit would Manitoba Hydro
9 receive by -- by paying for DSM costs for the customers
10 of Northern States Power, for example.

11 THE CHAIRPERSON: But, Mr. Wiens, just
12 following the discussion here, earlier you and others had
13 indicated that there had been a major change. You've
14 talked about the gain in the unit price of the sales of
15 the exports.

16 And in the last year, as I understand what
17 you said before, if you could not sell -- and of course
18 it even goes back to this letter that we were discussing
19 last week -- if you don't have to sell a kilowatt hour to
20 an industrial customer for, say, four (4) cents and
21 instead you can sell it in a peak power to the Americans
22 at nine (9) cents, there's a substantial gain that's been
23 realised, has there not?

24 And under the method that you are saying,
25 that that four (4) cents was prevented because of

1 expenditures incurred with respect to the industrial
2 class, you put the cost against the industrial class but
3 the revenues would flow to the export.

4 Is that not true?

5 MR. ROBIN WIENS: Well, the revenues
6 would flow to Manitoba Hydro and subsequently be
7 allocated among the customer classes of Manitoba Hydro.

8 THE CHAIRPERSON: But the revenue would
9 first go into the export class.

10 MR. ROBIN WIENS: The revenue would be
11 received from the export class.

12

13 CONTINUED BY MR. BOB PETERS:

14 MR. BOB PETERS: Do your answers change,
15 Mr. Wiens, when you consider that by use of an effective
16 DSM program the result is you don't have to import as
17 much power and then there is a direct cost and benefit to
18 certain customers?

19 MR. ROBIN WIENS: Well, it may well be
20 that as a result of the DSM program there's less power
21 that's required to be imported. But I'm just not sure
22 if, you know, if I can follow where you're going with
23 that Mr. Peters.

24 MR. BOB PETERS: Well, I was wondering,
25 whether or not, there would be benefits that would be --

1 in an import -- when you reduce the imports then maybe
2 the charges should be to the consuming customer classes
3 domestically, but if you're using the benefit of the DSM
4 for exporting then maybe some of the costs should follow
5 the benefits?

6 MR. ROBIN WIENS: But I think just by
7 virtue of paying the -- you know -- the costs that the
8 market will bear, the export customer is paying for those
9 benefits and they're coming back into the Province of
10 Manitoba and being distributed to each of the domestic
11 classes of service.

12 MR. BOB PETERS: All right. We've got
13 your point, thank you.

14 The next document in the book of documents
15 is document 21 and it deals with mitigation costs. And
16 while there are some acronyms on this page for Churchill
17 River Diversion and Lake Winnipeg Regulation and Northern
18 Flood Agreement and Non-northern Flood Agreement, these
19 numbers represent the amount that Manitoba Hydro has paid
20 out in mitigation expenses over the various decades
21 listed, correct?

22 MR. VINCE WARDEN: Correct.

23 MR. BOB PETERS: And is it correct that
24 \$570 million has been paid to date and there's still
25 approximately \$104 million to be paid although that \$104

1 million is, at this point, just an estimated figure?

2 MR. VINCE WARDEN: That's correct.

3 MR. BOB PETERS: In terms of accounting
4 purposes, Mr. Warden, how do you treat those mitigation
5 costs?

6 MR. VINCE WARDEN: The mitigation costs
7 are allocated to the respective assets to which they
8 pertain. So the list of assets is -- or projects is
9 identified on -- in the answer to PUB/Manitoba Hydro 5.

10 MR. BOB PETERS: You're telling the Board
11 that whatever mitigation costs arise as a result of the
12 generation project, those mitigation charges are charged
13 to the generation and then they are depreciated over the
14 life of the asset or the life of the plant that results?

15 MR. VINCE WARDEN: Yes, maybe just a
16 little bit further than that. The 570 million are costs
17 that we've expended to date. We also as you indicated,
18 estimate what our future liability is.

19 So it's a total of the \$570 million and
20 the estimated liability that is allocated to the
21 respective assets and amortized or depreciated over the
22 remaining life.

23 MR. BOB PETERS: You consider mitigation
24 costs as part of the cost of the capital asset?

25 MR. VINCE WARDEN: We do.

1 MR. BOB PETERS: And then from the cost
2 of service study then we've been told earlier in these
3 proceedings that the capital assets of the Corporation
4 are reflected in the cost of service study by way of the
5 depreciation costs that results annually?

6 MR. VINCE WARDEN: That's right.

7 MR. BOB PETERS: And included then in the
8 depreciation cost will be an amount that would have been
9 attributed to mitigation, Mr. Thomas?

10 MR. CHIC THOMAS: That's correct.

11 MR. BOB PETERS: Just a question, Mr.
12 Thomas, Mr. Wiens, if in the future Manitoba Hydro builds
13 for export and there is a mitigation cost associated with
14 that capital asset, how will those costs be reflected in
15 future cost of service studies?

16

17 (BRIEF PAUSE)

18

19 MR. ROBIN WIENS: Mr. Peters, regardless
20 of the purpose of a plant that's put in service, if there
21 are mitigation costs associated with it they would be
22 capitalized and depreciated in the same way as the one --
23 the costs that are depicted here.

24 MR. BOB PETERS: I'm not sure if my
25 question is too hypothetical or not, but if the

1 construction was building for export, Mr. Wiens, and
2 costs were incurred to -- to take advantage of or attempt
3 to take advantage of the export market would those costs
4 then end up being directly assigned to the export class?

5

6 (BRIEF PAUSE)

7

8 MR. ROBIN WIENS: I guess to the extent
9 that we determine that such a plant or plants are
10 dedicated to put in place -- dedicated to serve the
11 export market yes, we would, we would assign them
12 directly.

13 MR. ROBERT MAYER: Manitoba Hydro
14 presented to the Clean Environment Commission some very
15 concise pamphlets on mitigation costs. Two (2) of us
16 have seen those, neither Mr. Peters nor the rest of the
17 Panel here have seen them.

18 Are those pamphlets still available?

19

20 (BRIEF PAUSE)

21

22 MR. VINCE WARDEN: I don't -- I don't see
23 why not, Mr. Mayer.

24 MR. ROBERT MAYER: They might be helpful.
25 They weren't -- it seems to me there were three (3) or

1 four (4) of them and they were given out in a response to
2 a request by Dr. Avery-Kinew to Hydro at the hearings in
3 the Pas.

4 We had some discussion as to whether we
5 really wanted to put this in writing, but the end result
6 you produced a group of pamphlets. If we could be
7 provided with copies of those I think it might be helpful
8 in helping the rest of the Panel understand the
9 mitigation costs and how they went and how they were
10 arrived at.

11 MR. VINCE WARDEN: Certainly.

12

13 --- UNDERTAKING NO. 5: Provide pamphlets re
14 mitigation costs

15

16 MR. BOB PETERS: Thank you.

17

18 CONTINUED BY MR. BOB PETERS:

19 MR. BOB PETERS: Turning to another topic
20 I just want to touch with you, Mr. Warden, and that is
21 the possible impact of what is Bill 11 before the
22 Manitoba Legislature.

23 THE CHAIRPERSON: Mr. Peters, just before
24 you change the topic, I just have one (1) question just
25 for the understanding.

1 On the book of documents, Section 20, for
2 example, when you talk there about these deferred
3 unamortized balances and deferred costs totalling 151
4 million; are there other similar costs that are in
5 accounts such as construction and progress?

6 MR. VINCE WARDEN: Are there other costs
7 that are in construction and progress...?

8 THE CHAIRPERSON: Of similar nature; for
9 example, planning costs, site study costs, things of that
10 nature that haven't started to being amortized yet?

11 MR. VINCE WARDEN: Yes, there are.

12 THE CHAIRPERSON: Thank you.

13

14 CONTINUED BY MR. BOB PETERS:

15 MR. BOB PETERS: Those would be found
16 under the company's filings, I suppose, of capital --
17 capitalized costs, Mr. Warden, that are normally found at
18 GRA hearings?

19 MR. VINCE WARDEN: I'm just thinking
20 actually on reflecting a little bit more on your
21 question, Mr. Chairman, with respect to demand side
22 management those costs are flowed through -- they -- they
23 were taken out of work in progress and put into -- into
24 capitalized accounts for purpose of depreciation the year
25 after the incurrence.

1 So the only remaining work in progress for
2 the year in question -- the subsequent year they go into
3 -- into the fixed asset category.

4 THE CHAIRPERSON: So in construction and
5 progress one would find things like planning costs and
6 things of that nature? a

7 MR. VINCE WARDEN: For the current year.
8 Those planning costs go into our amortized over a fifteen
9 (15) year period in the year after the date of
10 incurrence.

11 THE CHAIRPERSON: So even in, for
12 example, projects that haven't even commenced yet, the
13 planning costs associated with Gull or Conawapa they'd be
14 in these numbers?

15 MR. VINCE WARDEN: Yes.

16 THE CHAIRPERSON: Thank you.

17

18 (BRIEF PAUSE)

19

20 CONTINUED BY MR. BOB PETERS:

21 MR. BOB PETERS: Mr. Warden as I -- just
22 before I close the Tab 20, then, of the deferred costs
23 and I look down to diesel site clean-up costs, fifteen
24 (15) years at \$18 million, that just, as described, would
25 be for clean-up of diesel generating sites in Northern

1 Manitoba?

2 MR. VINCE WARDEN: Yes.

3 MR. BOB PETERS: Would you agree that
4 there's really no value in that going forward and that
5 those diesel sites have probably been replaced with land
6 lines?

7

8 (BRIEF PAUSE)

9

10 MR. VINCE WARDEN: It's a question of how
11 those costs are recovered, Mr. Peters. We have a
12 separate cost of service study for diesel and those costs
13 are recovered prospectively in the diesel cost of service
14 study.

15 MR. BOB PETERS: And probably a good
16 distinction, Mr. Warden, in terms of how they are
17 recovered, but one (1) option for recovery would be to
18 recover them in one (1) year and write them off in the
19 year in which --

20 MR. VINCE WARDEN: Well, there's really
21 no place to write them off. We recover all costs
22 incurred -- or for the most part all costs incurred on
23 diesel -- at diesel sites from diesel customers. So we
24 can't write them off against diesel customers, otherwise
25 they'd be faced with a big bill -- a big bill in the year

1 of write off.

2 MR. BOB PETERS: I guess the same then
3 isn't true for the grid items, that those could be
4 written off in one (1) year if that was the
5 determination?

6 MR. VINCE WARDEN: Yes, if there is a
7 determination that there is no future value there could
8 be the -- a write off in that year.

9 MR. BOB PETERS: Mr. Warden, I wanted to
10 ask you about -- about the impact of Bill 11 and perhaps
11 you can confirm that presently that Bill is still before
12 the Manitoba legislature?

13 MR. VINCE WARDEN: Yes.

14 MR. BOB PETERS: And as I understand it,
15 one (1) of the aspects of Bill 11 was to create a fund
16 out of which -- or a fund to be set up by Manitoba Hydro?

17 MR. VINCE WARDEN: Yes, that's one (1) of
18 the provisions in Bill 11.

19 MR. BOB PETERS: And would I be correct
20 in saying no such fund has yet been set up?

21 MR. VINCE WARDEN: That's correct.

22 MR. BOB PETERS: And no such fund will be
23 set up until or unless the Bill was passed into law?

24 MR. VINCE WARDEN: That's right.

25 MR. BOB PETERS: If we assume and I'd

1 like Mr. Wiens and Mr. Thomas to help us here, if we
2 assume that the Bill is set up and passed into law, how
3 will the cost of service study reflect any fund that is
4 to be set up under that legislation?

5 MR. VINCE WARDEN: Maybe I'll respond to
6 that. The cost of service study would only recognize
7 costs that are actually incurred. So if there were costs
8 that were incurred for DSM for example, or for some kind
9 of a cross-subsidy which is also referenced in Bill 11,
10 it would only be at the point of that cost incurrence on
11 the financial statements in Manitoba Hydro that there
12 would be any recognition in the cost of service study.

13 MR. BOB PETERS: And you might have to
14 help me with the accounting part of that, Mr. Warden. If
15 -- and I appreciate there's a lot of if's in these
16 questions, but if the Bill is passed into law, if the
17 fund is set up, how will that fund then flow through the
18 cost of service study?

19 MR. VINCE WARDEN: There would be no
20 impact of setting up the fund on the cost of service
21 study, that would not impact the cost of service study,
22 at all.

23 MR. BOB PETERS: So all that would result
24 would be the net revenue that would be included to be
25 allocated would be reduced or the net income of the

1 Corporation would be reduced?

2 MR. VINCE WARDEN: Well, the net income
3 wouldn't be reduced until such time as there was an
4 expense incurred. So one (1) option that's being
5 considered, one (1) that I'm not advocating but is an
6 appropriation of retained earnings.

7 So we could just simply take the retained
8 earnings that's in Manitoba Hydro now and appropriate a
9 portion for the purposes of Bill 11, it does not seem to
10 be the right thing to do when our retained earnings, as
11 I've said many times, are already well below what they
12 should be.

13 We wouldn't want to restrict sthose
14 retained earnings for a purpose other than for the major
15 risks faced by the Corporation.

16 MR. BOB PETERS: Would another approach,
17 Mr. Warden, be to treat it the same as you'd do the
18 uniform rate adjustment?

19 MR. VINCE WARDEN: No. We're talking
20 totally different matters. There was a -- there was a
21 reduction in revenue associated with the -- with the
22 uniform rate legislation.

23 We're talking here about the possible
24 incurrence of some expenditures in the future. And those
25 expenditures would be allocated appropriately through the

1 cost of service study.

2 So it's really quite a different scenario
3 than the uniform rates, as I see it.

4 MR. BOB PETERS: Do I take the
5 distinction then, Mr. Warden, is in one example for the
6 uniform rates there's a revenue reduction but if Bill 11
7 comes into force and a fund is set up, it would be how
8 the fund was used, the cost out that fund that would be
9 allocated to the cost of service study?

10 MR. VINCE WARDEN: Yes, I agree with
11 that.

12 MR. BOB PETERS: All right. One of the
13 things you said in an answer just a few minutes ago, Mr.
14 Warden, was that the cost of service study only
15 recognizes costs incurred.

16 Do you recall saying that?

17 MR. VINCE WARDEN: Yes, I did.

18 MR. BOB PETERS: And is that in essence
19 the answer to one of the recommendations from RCM/TREE
20 who's advocating that certain externalities be charged to
21 consumers of Manitoba Hydro?

22 MR. VINCE WARDEN: Well, I wasn't really
23 thinking of RMC -- RCM/TREE when I responded but, yes,
24 what they are advocating would be the inclusion of -- of
25 costs not incurred by the Corporation, externalities, and

1 passing those on to -- to ratepayers.

2 MR. BOB PETERS: Manitoba Hydro sees
3 those externalities as being in addition to the cost of
4 service study items.

5 MR. VINCE WARDEN: They're not included
6 in our cost of service study today.

7 MR. BOB PETERS: In -- in some ways I
8 think Manitoba Hydro also says that the externalities are
9 in some ways already internalised by Manitoba Hydro in
10 its export pricing.

11 Have I understood that correctly?

12

13 (BRIEF PAUSE)

14

15 MR. VINCE WARDEN: Mr. Peters, only to
16 the extent that when we forecast prices to be received in
17 the future on the export market, we take into account
18 such things as carbon credits or some other externalities
19 that -- that may affect that price in the future.

20 And -- and I think, as Mr. Surminski
21 testified earlier, we do in -- in scenario planning for -
22 - for new generation, we look at -- at all costs, those
23 that are external to the Corporation as well as those
24 that will be incurred directly.

25 MR. BOB PETERS: All right. And I also

1 understand then that the externalities that the
2 Corporation feels it has been exposed to or have -- has
3 incurred to date already end up in the rates through
4 these mitigation and compensation payments and
5 environmental expenses to get the capital assets in
6 place.

7 MR. VINCE WARDEN: Well, I -- I wouldn't
8 call mitigation externalities. They -- those are actual
9 costs incurred or to be incurred.

10 MR. BOB PETERS: So the externalities
11 which you're referring to are the ones that would be
12 incurred by someone outside of Manitoba and by somebody
13 other than Manitoba Hydro?

14 MR. VINCE WARDEN: Yes.

15 MR. BOB PETERS: In the few minutes
16 remaining before -- before lunch and My Friend Mr.
17 Williams gets his materials in order, there was one (1)
18 question, Mr. Surminski, of you that I sdid want to touch
19 on and it had to do with how I interpreted one (1) of
20 your answers and I may have been wrong, but if I was
21 you're going to tell me.

22 I had understood you to be saying to the
23 Board that you're last unit of generation is cheaper to
24 use than the first units of generation that you put into
25 your generating stations?

1 MR. HAROLD SURMINSKI: I don't quite
2 understand your question, what do you mean by, to use?

3 MR. BOB PETERS: Is it correct, that the
4 last generator to run is run more cheaply than the first
5 generators that are spinning away?

6

7 (BRIEF PAUSE)

8

9 MR. HAROLD SURMINSKI: I still don't
10 understand exactly what you mean by that.

11 MR. BOB PETERS: All right. I'll keep
12 fishing here, Mr. Surminski. There are embedded costs
13 for each of the units of generation that you put into
14 your generating stations, your hydraulic generating
15 stations, correct?

16 MR. HAROLD SURMINSKI: Well, embedded
17 costs are for the plant, in total.

18 MR. BOB PETERS: And that plant in total
19 is comprised of the costs of individual units as they're
20 called or generators?

21 MR. HAROLD SURMINSKI: We don't
22 differentiate between units, it's the infrastructure,
23 it's the total for a site.

24 MR. BOB PETERS: Well, you indicated
25 before that your last unit may only be operated 5 percent

1 of the time in any type of a generating station, is that
2 correct?

3 MR. HAROLD SURMINSKI: No, it may be a
4 picking up the last 5 percent of the available water but
5 -- on a long term basis -- but it may be operating more
6 than that due to cycling in a plant.

7 MR. BOB PETERS: I don't want to get too
8 deep into the cycling, but does that just mean that you
9 try to run all the units with the same number of hours
10 under the same load so that they wear down evenly and you
11 have all cylinders roughly the same?

12 MR. HAROLD SURMINSKI: That is done but
13 it is a -- the cycling of a plant is determined by the
14 value of peak energy versus off peak energy.

15 MR. BOB PETERS: Maybe I could ask you
16 for this undertaking to short circuit this discussion,
17 Mr. Surminski. From the 04/05 power resource plan could
18 you provide the capital costs for a five (5) unit
19 Conawapa generating station as well as a ten (10) unit
20 Conawapa generating station? Could you provide those
21 assumed costs?

22 MR. HAROLD SURMINSKI: Yes, they can be
23 provided, we did consider those in our resource plan.

24 MR. BOB PETERS: And then could you also
25 provide as part of that undertaking the average energy

1 generated under each -- under each scenario?

2 MR. HAROLD SURMINSKI: Yes, we could.

3

4 --- UNDERTAKING NO. 6: To provide the assumed costs for
5 a five (5) unit and a ten (10) unit
6 Conawapa generating station, including
7 the average energy generated under each
8 scenario

9

10 CONTINUED BY MR. BOB PETERS:

11 MR. BOB PETERS: Thank you. To close off
12 if the Panel could turn to Tab 10, of the book of
13 documents, we will conclude with what I understand to be
14 the conclusion, Mr. Wiens and Mr. Thomas, of your four
15 (4) methodologies of cost of service studies and that --
16 are the revenue to cost ratios from each, correct?

17 MR. CHIC THOMAS: Yes.

18 MR. BOB PETERS: The current column
19 number one (1) represents the currently approved PUB
20 methodology that was approved in the last Board order?

21 MR. CHIC THOMAS: Yes.

22 MR. BOB PETERS: And next to that you
23 provide the cost of service methodology performed by
24 NERA, correct?

25 MR. CHIC THOMAS: Yes.

1 MR. BOB PETERS: And one (1) of the
2 distinctions about NERA from where the current
3 methodology is, is that NERA recommends the use of one
4 (1) export class, correct?

5 MR. CHIC THOMAS: That's one (1) of the
6 NERA recommendations, yes.

7 MR. BOB PETERS: And that export class by
8 NERA is -- and when NERA did their report they knew you
9 had opportunity exports and they knew you had firm
10 exports, as well, correct?

11 MR. CHIC THOMAS: Yes.

12 MR. BOB PETERS: And yet in their wisdom
13 they blended those into one (1) export class?

14 MR. CHIC THOMAS: That's right.

15 MR. BOB PETERS: And can you explain to
16 the Board what Manitoba Hydro's understanding is as to
17 why NERA incorporated all of your exports into one (1)
18 class rather than differentiate between the different
19 types of classes now being done by Manitoba Hydro?

20 MR. ROBIN WIENS: Mr. Peters, I'm not
21 sure if you'll recall but following the issuing of Order
22 7/03 Manitoba Hydro did express some concerns about going
23 with more than one (1) export class and those concerns
24 were largely tied in with how much information we would
25 have to provide and whether any of that information was

1 commercially sensitive in order to divide the exports
2 into those two (2) classes.

3 At the time that Manitoba Hydro engaged
4 NERA we had not resolved those concerns and we were still
5 in a position of thinking that if we were going to treat
6 exports we would have to look at a single export class.

7 Subsequent to having received the NERA
8 report we took a look at what the possibilities were that
9 we could actually look at two export classes and we
10 determined that there may be a basis on which we could
11 divide those exports up without getting into information
12 that was commercially sensitive.

13 And on that basis we undertook to provide
14 the cost of study material that we filed with this Board
15 at the end of October of 2005, and I think, as I have
16 mentioned earlier, we did contact NERA and had that
17 discussion with them and they were, at the risk of again
18 providing indirect information, that -- that they found
19 that to be appropriate.

20 MR. ROBERT MAYER: That was just about
21 the same answer you gave to the same question last week;
22 right?

23 MR. ROBIN WIENS: That's -- well, there's
24 a little more information there but it's basically the
25 same answer, yes.

1

2 CONTINUED BY MR. BOB PETERS:

3 MR. BOB PETERS: And in addition to the
4 NERA methodology you did the vintaging methodology again
5 in response to a directive from the Board in one of their
6 last orders?

7 MR. CHIC THOMAS: Yes.

8 MR. BOB PETERS: And the recommended
9 methodology, Mr. Wiens, I wasn't quite sure of the
10 timing. Maybe you could just help the board understand
11 from when you got the NERA report to when you decided to
12 go down the recommended methodology, what was the
13 timeframe involved there?

14 MR. ROBIN WIENS: Mr. Peters, I think you
15 may also recall that Manitoba Hydro filed some material
16 with the Board in respect of the differing methodologies
17 in February of 2005, and we did not have the recommended
18 methodology included at that time.

19 So the timing is sometime I would think in
20 the spring or perhaps early summer of 2005.

21 MR. BOB PETERS: And have all of these
22 revenue to cost coverage ratios that we see and the
23 changes that we see, we've looked at previous documents
24 where by far and away the vast majority of the impact is
25 as a result of the methodology in allocating and

1 determining the net export credit?

2 MR. ROBIN WIENS: That's correct.

3 MR. BOB PETERS: All right. Mr.
4 Chairman, with that I think it's an appropriate time for
5 the lunch break. I will review my notes, but I suspect I
6 will be finished and Mr. Williams will -- will be first
7 up this afternoon.

8 THE CHAIRPERSON: At the risk of having
9 things pitched at me, I had one (1) last question. Just
10 to assure myself that I understood the approach that
11 Hydro were following.

12 If we return to the example of Bill 11,
13 for example, okay, you indicated that the COSS wouldn't
14 be affected unless there were actually incurred costs;
15 okay, I can understand that.

16 So if there were incurred cost and if
17 those costs were incurred for, let's say, low income DSM
18 gas or something of that nature; do I understand your
19 approach would be you would assign those costs against
20 the residential class?

21 That was the category of customers that
22 received the benefit?

23 MR. ROBIN WIENS: Right. Mr. Chairman, I
24 -- I had been somewhat concerned about the direction of
25 the discussion with respect to Bill 11 because until we

1 actually do receive direction from the government of
2 Manitoba we're not in a position to actually determine
3 with any degree of finality how these costs are going to
4 be treated.

5 THE CHAIRPERSON: That actually wasn't my
6 point. I was only using it as an example. I was saying
7 if we return to the discussion before on DSM you were
8 indicating if DSM costs were incurred you would allocate
9 them to the class that, if you like, was the recipient?

10 MR. ROBIN WIENS: I mean, that's -- that
11 is one way you could look at it. I'm not sure that
12 that's the determination we would make. And, you know, I
13 would refer to the -- the situation where we had some
14 costs associated with uniform rates and rather than
15 allocate them to the residential class, they have been
16 taken as a first call on net export revenues.

17 I -- you know, I'm not saying that we
18 would have a -- a firm recommendation on that today but
19 just mentioning that there are alternatives to consider.

20 THE CHAIRPERSON: You're not foreclosing
21 any option then as far as that goes, if that situation
22 developed. I understand you.

23 Okay. Thank you everyone. We'll see you
24 all back at 1:30.

25

1 --- Upon recessing at 12:07 p.m.

2 --- Upon resuming at 1:36 p.m.

3

4 THE CHAIRPERSON: Okay. Welcome back
5 everyone.

6 Mr. Peters, if you could take us through a
7 few undertakings.

8

9 CONTINUED BY MR. BOB PETERS:

10 MR. BOB PETERS: Yes. Thank you. And
11 good afternoon, Mr. Chairman, Board Members, Ladies and
12 Gentlemen.

13 One -- I will call it an undertaking and
14 I'm, quite frankly, not sure how I left the questioning
15 on the record. So rather than wait for the transcript
16 and go back, I would turn to Mr. Surminski and wanted to
17 just get confirmation from the Corporation about losses
18 on the HVDC system and ask Mr. Surminski if he had a
19 chance to verify the numbers I put forward or to confirm
20 them and indicate to the Board what they are.

21 MR. HAROLD SURMINSKI: I don't recall
22 exactly how we got to that but I -- I think the question
23 was during the on-peak hours the losses on the HVDC
24 system, how much -- what proportion was for domestic --
25 can be assigned to domestic sales and what portion to

1 exports.

2 And I think Mr. Peters had a number like
3 55 percent for domestic and 45 percent for export. And I
4 can confirm that those numbers are correct.

5 MR. BOB PETERS: Thank you, Mr.
6 Surminski.

7 Mr. Chairman, there was earlier on in the
8 proceedings last week, I think the first day, a question
9 from the Corporation as to whether they would produce a
10 letter that gave rise to -- or at least was reported to
11 have given rise to an article in the newspaper that was
12 referenced in your opening comments.

13 That led to some research and it led to
14 some consultation by My Friends Ms. Ramage and Ms.
15 McCaffrey. And to that end there are now, as I
16 understand it, a total of four (4) letters, one (1) of
17 which has already been handed out.

18 The first letter has the date stamp of
19 October 4, 2005 in the top right-hand corner. The next
20 one has October 31, 2005 as a date stamp. That is
21 followed by one that was in December, I think, 5th of
22 2005.

23 And then lastly would be the December
24 15th, 2005 letter that was initially filed -- or
25 attempted to be filed by Manitoba Hydro before we tried

1 to straighten out the chronology and the -- the series of
2 documents that gave rise to -- to my question.

3 I propose at this time, Mr. Chairman, that
4 all four (4) of these letters be considered as Manitoba
5 Hydro Exhibit number 9. And that I will defer any
6 questions I have of these -- of these documents until, I
7 think, subsequently.

8 But it may be at this point in time Ms.
9 Ramage and her panel may wish to at least speak to them,
10 as they -- as they wish, as we file them. So I turn it
11 over to Ms. Ramage and Mr. Warden to see if there's any
12 further comments on those.

13

14 --- EXHIBIT NO. MH-9: Four (4) letters dated
15 October 4, 2005; October 31,
16 2005; December 5, 2005; and
17 December 15, 2005.

18

19 THE CHAIRPERSON: Mr. Warden...?

20 MR. VINCE WARDEN: Yes. Thank you. I
21 think the only point I'd like to make is I, in reviewing
22 this correspondence, I would put it under the heading of
23 Normal Correspondence Manitoba Hydro With Its Customers.
24 Although the subject is very important, it still is a
25 consultation process that -- that Manitoba Hydro would go

1 through with -- with customers.

2 There was never at any point any intention
3 on Manitoba Hydro's part to circumvent in any way the PUB
4 process.

5 The -- as I indicated earlier at the
6 appropriate time Manitoba Hydro will be coming forward
7 with a rate application and that was our position then
8 and is our position today.

9 THE CHAIRPERSON: Thank you Mr. Warden.
10 Okay.

11 That being done, we will move on to
12 CAC/MSOS, Mr. Williams.

13 MR. BYRON WILLIAMS: Thank you and good
14 afternoon Mr. Chairman and Members of the Board. I
15 should note that my client, Ms. Gloria Desorcy, Executive
16 Director of the Consumers Association, never one to miss
17 a rivetting discussion on marginal costs and opportunity
18 costs, has left her other very important commitments to
19 join us and to look over my shoulder.

20 THE CHAIRPERSON: Did she have to fight
21 her way through the press to get in here?

22 MR. BYRON WILLIAMS: It was overwhelming
23 the number of people interested in attending, Mr.
24 Chairman.

25 Just by way of introduction, perhaps I

1 might start by thanking My Friend, Mr. Peters, whose
2 diligent work has reduced a great deal of the amount of
3 work that my clients would have asked me to have done in
4 terms of cross-examination, so I appreciate that.

5 I've been monitoring his cross-examination
6 both in the room and in the Intervenor room, over the
7 monitor. There are some times when I will, either follow
8 up on his conversations or trench -- or walk down a
9 similar path for a different purpose.

10 I'll try not to duplicate what he has done
11 but there are moments where we will necessarily be some
12 duplication. I can also indicate to the Board that
13 essentially the examination this afternoon by CAC/MSOS is
14 divided into four (4) or five (5) sections and at the
15 intro of each section, I may just for the -- hopefully
16 for the assistance of the Board outline some of the
17 subjects that we may be covering and that may assist you
18 in following my convoluted path.

19 MR. ROBERT MAYER: Especially when you
20 start by telling us there's four (4) or five (5).

21 MR. BYRON WILLIAMS: Four (4) from me,
22 Mr. Mayer and perhaps one for my colleague Ms. Bowman.
23 Just in terms of where the first hour or so will take us,
24 I want to explore some -- go back to first principles and
25 some basic principles in terms of the mandate of Manitoba

1 Hydro, as well as the purpose of a cost of service study
2 analysis.

3 Secondly, we want to explore some
4 terminology and some concepts, including concepts such as
5 short run marginal costs and hopefully the reason for
6 that exploration will become apparent later in the
7 afternoon. We then want to look at the situation of the
8 general service large class, in terms -- in relation to
9 short run marginal costs, and we think that's an
10 important issue in this hearing.

11 And near the end of the first section,
12 we'll explore the fundamental change that has occurred,
13 in terms of the price per unit available in the export
14 market to Manitoba Hydro and some of the ramifications of
15 that for the current cost of service methodology, as well
16 as for the recommended methodology.

17 Without further, adieu after a lengthy
18 preamble, I'm going to turn to Mr. Warden.

19

20 CROSS-EXAMINATION BY MR. BYRON WILLIAMS:

21 MR. BYRON WILLIAMS: And, Mr. Warden,
22 I'll give you a chance to elaborate in a couple of
23 seconds, but I just want to confirm my sense of a
24 conversation that you had with Mr. Peters last week.

25 And I think it was day two (2) of the

1 proceeding and Mr. Peters was talking with you regarding
2 cost of service in general and the allocation of export
3 credits in particular. And I'm not -- certainly not
4 quoting him directly, but the thrust of his conversation
5 seem to be suggesting to you that as long as Manitoba
6 Hydro got its revenues that it could essentially be
7 indifferent to the results of the allocation of export
8 credits.

9 Without asking you to elaborate do you
10 remember that conversation, Mr. Warden?

11 MR. VINCE WARDEN: Yes, I do.

12 MR. BYRON WILLIAMS: And again without
13 asking you to elaborate, his suggestion was that while
14 Manitoba Hydro could be relatively indifferent it was
15 certainly of great interest to the various classes of
16 consumers whose ox might be gored by the outcome of the
17 proceedings?

18 MR. VINCE WARDEN: Yes.

19 MR. BYRON WILLIAMS: Now, again without
20 asking you to elaborate in great detail, my recollection
21 of that conversation was that you took issue with Mr.
22 Peters suggestion that Manitoba Hydro was indifferent to
23 the outcome of the allocation of export credits.

24 And one (1) of the reasons you cited was
25 that the outcome of this decision could have important

1 ramifications in terms of Manitoba Hydro, in terms of the
2 -- in terms of domestic consumption, in terms of system
3 planning and in terms of when and how generation might be
4 added; is that correct, sir?

5 MR. VINCE WARDEN: Yes.

6 MR. BYRON WILLIAMS: And I believe you
7 went further and suggested that, again, Manitoba Hydro
8 would not be indifferent to the results of the allocation
9 of net export credit because the outcome would affect the
10 various customer classes whom Manitoba Hydro exists to
11 serve and that's of importance to you?

12 MR. VINCE WARDEN: I agree.

13 MR. BYRON WILLIAMS: So Manitoba Hydro
14 certainly is not indifferent to the outcome of this --
15 this proceeding because it matters to the operations of
16 the Corporation and it also matters to the interests of
17 the customers whom Manitoba Hydro exists to serve;
18 correct?

19 MR. VINCE WARDEN: You still don't want
20 me to elaborate, so I'll just say correct.

21 MR. BYRON WILLIAMS: You -- we'll give
22 you a chance a bit later. Just in terms of your customer
23 base, Mr. -- Mr. Warden, and I don't want to ask you to
24 speak for your customers, but in your experience, if the
25 various customer classes feel that they're being treated

1 fairly and the Corporation is operating efficiently then
2 you tend to hear less complaints from customers of
3 Manitoba Hydro; would that be fair?

4 MR. VINCE WARDEN: Yes, that's fair as
5 well.

6 MR. BYRON WILLIAMS: I'll give someone a
7 chance to chat just a little bit now, not too much
8 though. But -- but in terms of the rate setting process
9 it might assist me, and certainly would assist my
10 clients, in understanding how Manitoba defines the -- the
11 term fairness and the term of efficiency? Perhaps Mr.
12 Wiens or Mr. Warden could help me with that?

13 MR. ROBIN WIENS: I tempted to just reply
14 with short answers like the last couple of questions but,
15 no, Mr. Williams, fairness broadly means that we treat
16 customers with similar circumstances in similar ways.
17 And customers with dissimilar circumstances in
18 appropriately dissimilar ways.

19 Efficiency means that our rates, that come
20 from, in part, out of our cost of service process,
21 provide the best possible incentive that we can to
22 customers in terms of reflecting the appropriate value of
23 power for -- at the margin for those decisions they make
24 to either consume or to conserve.

25 MR. BYRON WILLIAMS: Thank you, Mr.

1 Wiens, for your focussed and helpful answer. We'll come
2 back in a couple of minutes to that definition of
3 efficiency.

4 Mr. Warden, I also understand that you had
5 -- and I heard -- overheard you having discussions with
6 Mr. Peters regarding the various iterations of excerpts
7 from the Manitoba Hydro Act which appear at Tab 1 of the
8 -- of the book of documents of the Public Utilities
9 Board; do you recall that conversation?

10 MR. VINCE WARDEN: Yes, I do.

11 MR. BYRON WILLIAMS: I don't want My
12 Friend, Ms. Ramage, to get all anxious in the sense that
13 I would be seeking your legal opinion because I'm
14 certainly not. But I am interested in exploring how the
15 Act frames Manitoba Hydro's mandate.

16 And I wonder if you would agree with me
17 that in terms of Manitoba Hydro's mandate a key
18 obligation is to provide for the continuance of a supply
19 of power adequate for the needs of the Province; would
20 you agree with that, sir?

21 MR. VINCE WARDEN: Yes.

22 MR. BYRON WILLIAMS: And a second key
23 obligation, key part of your mandate, is to promote
24 economy and efficiency in the develop -- development,
25 generation, transmission, distribution, supply, and end

1 use of power; is that correct?

2 MR. VINCE WARDEN: Yes.

3 MR. BYRON WILLIAMS: A couple of other
4 mandates which I won't dwell on are to provide and market
5 products within and outside the products (sic) and also
6 to market and supply power; correct?

7 MR. VINCE WARDEN: Correct.

8 MR. BYRON WILLIAMS: I wonder if you'd
9 agree that in essence your mandate is to meet the power
10 needs of the province, promote -- and promote economy and
11 efficiency in the development and use of power in the
12 province, with an underlying objective of furthering the
13 well-being of the Province, the Corporation and your
14 customers.

15 Would that be a fair statement of your
16 mandate?

17 MR. VINCE WARDEN: The furthering the
18 well-being of the Province is of course not part of the
19 Manitoba Hydro Act, and although we may all have personal
20 ideas on that matter, it's probably not appropriate to
21 express those views.

22 MR. BYRON WILLIAMS: In terms of the --
23 the other two (2) obligations, you're to meet the needs
24 of -- for power and promote economy and efficiency, and
25 the -- that mandate in turn benefits the customers of

1 Manitoba Hydro.

2 MR. VINCE WARDEN: Yes.

3 MR. BYRON WILLIAMS: In -- in terms of
4 your mandate, the words used are economy and efficiency,
5 and I wonder whether you or Mr. Wiens can confirm that
6 these words can capture the concepts of -- whether these
7 words capture the concepts of conservation and
8 sustainable development -- whether in your view.

9 MR. VINCE WARDEN: Broadly speaking, I
10 would say yes, they do.

11 MR. BYRON WILLIAMS: We've been talking
12 at the level of motherhood statements, Mr. Warden, and
13 we'll do so for just a couple more minutes but, again, I
14 don't want to get into a -- a controversial discussion,
15 but you'll agree with me that while Hydro exists to serve
16 its customers, there may be differing perspectives in --
17 in how best to balance the interests of ratepayers with
18 the interest in having a healthy and strong corporation.

19 Would you agree with that?

20 MR. VINCE WARDEN: Long term, no. I
21 think they're one and the same.

22 MR. BYRON WILLIAMS: In -- in the short
23 term there may be some controversy, and I'll just give
24 you an example.

25 Manitoba Hydro may -- may have a view that

1 to increase the long-term health of the Corporation it
2 needs to improve its -- it needs a rate increase to
3 improve its debt equity position, whereas some ratepayers
4 may take a position that -- who are more concerned
5 perhaps with their own debt equity situation, that they'd
6 feel better with that money in their -- their pocket.

7 Would that be fair?

8 MR. VINCE WARDEN: That would be fair.

9 MR. BYRON WILLIAMS: So while we can
10 agree on those broad motherhood statements, when it comes
11 down to balancing interests, in the short term at least,
12 there may be challenges and there may be competing
13 perspectives; correct?

14 MR. VINCE WARDEN: Correct.

15 MR. BYRON WILLIAMS: I want to turn to
16 the -- to the rate setting process for a second, Mr.
17 Warden.

18 And this will come as no surprise to no
19 one but your rates are reviewed by an independent
20 regulator which acts pursuant to some sort of statutory
21 authority; correct?

22 MR. VINCE WARDEN: Correct.

23 MR. BYRON WILLIAMS: And looking at the
24 rate setting process, at the very broad strokes, you'll
25 agree -- agree with me that one (1) component of that

1 rate setting process is to consider the overall revenue
2 requirement of the Corporation in terms of what it needs
3 to meet its necessary costs; correct?

4 MR. VINCE WARDEN: Yes.

5 MR. BYRON WILLIAMS: And another part of
6 that process is the process of cost allocation whereby we
7 consider reasonable ways to allocate those costs amongst
8 various classes of consumers; correct?

9 MR. VINCE WARDEN: Correct.

10 MR. BYRON WILLIAMS: And another element
11 is the actual setting of rates in order to attempt to
12 recover those costs in a manner that promotes values such
13 as fairness and efficiency; correct?

14 MR. VINCE WARDEN: Correct.

15 MR. BYRON WILLIAMS: Ultimately, the
16 process is aimed at seeking a just and reasonable rate,
17 fair to the Corporation, fair to ratepayers as a whole
18 and fair as amongst various classes of ratepayers;
19 correct?

20 MR. VINCE WARDEN: Are you speaking from
21 the Corporation's perspective or the -- or the Board, the
22 Public Utilities Board's perspective?

23 MR. BYRON WILLIAMS: I think you speak
24 for the Corporation, so your understanding of the
25 process, sir.

1 MR. VINCE WARDEN: Well, fair and
2 reasonable rates are the objective. So I'm going to
3 agree with that, yes.

4 MR. BYRON WILLIAMS: Mr. Wiens, when we
5 look at the rate setting process, there's various views
6 on what are the key considerations. But I wonder if you
7 would agree with me that some of the -- the key
8 objectives -- of the key objectives for the rate setting
9 process, one (1) would be the recoverment of the
10 necessary revenue requirement; would that be correct?

11 MR. ROBIN WIENS: Yes.

12 MR. BYRON WILLIAMS: And another would be
13 a process that respects and achieves the objective of
14 fairness; would that be fair?

15 MR. ROBIN WIENS: Yes.

16 MR. BYRON WILLIAMS: And a third would be
17 the -- the idea of promoting efficiency of the rate
18 classes and rate blocks and discouraging wasteful
19 consumption; correct?

20 MR. ROBIN WIENS: Yes.

21 MR. BYRON WILLIAMS: And another key
22 value may be stab -- achieving stability of the rates
23 themselves with a minimum of unexpected changes which --
24 which might seriously be adverse to existing customers;
25 would that be fair?

1 MR. ROBIN WIENS: That sounds like
2 something that I might read before going to bed at night,
3 Mr. Williams.

4 MR. BYRON WILLIAMS: Sounds very close to
5 our good friend Mr. Bonbright which I've -- I've sadly
6 taken to reading from time to time as well.

7

8 (BRIEF PAUSE)

9

10 MR. BYRON WILLIAMS: Now, Mr. Wiens, you
11 know, the values and the objectives that we've cited,
12 such as fairness, efficiency, stability, you'll agree
13 with me that in the process of attempting to achieve a
14 just and reasonable rate there's -- it's a bit of a
15 balancing act because some of these values may come into
16 conflict from time to time; correct?

17 MR. ROBIN WIENS: Yes, this can happen.

18 MR. BYRON WILLIAMS: And I think even in
19 your discussion of efficiency you noted that you, in
20 aiming for the objective of efficiency, you -- you look
21 for the best possible signalling that you can given other
22 objectives; would that be fair?

23 MR. ROBIN WIENS: Yes, I think that's
24 fair. The -- the three (3) objectives, revenue
25 requirement recovery, fairness, and efficiency that you

1 have referenced in this line of questioning, I think it's
2 fair to say those are among the eight (8) and possibly
3 now ten (10) Bonbright criteria. Those are commonly used
4 to summarize and -- and -- and bring to bear the key
5 criteria.

6 And they can be in conflict from time to
7 time. also some of the -- some of the other criteria
8 like stability, simplicity and so forth certainly can --
9 can make it difficult to balance among the objectives.

10 MR. BYRON WILLIAMS: So in your job with
11 -- with Manitoba Hydro in terms of achieving these
12 objectives you're not aiming for perfection, you're
13 aiming for a reasonable balance?

14 MR. ROBIN WIENS: That's correct.

15

16 (BRIEF PAUSE)

17

18 MR. BYRON WILLIAMS: Now, in terms of the
19 purpose of the -- the cost of service analysis itself,
20 we've already agreed that one of the objectives in
21 setting rates is that they should be fair; correct?

22 MR. ROBIN WIENS: Yes.

23 MR. BYRON WILLIAMS: And in large part
24 fair rates are considered to be rates where customers pay
25 the cost incurred to serve them; would that also be

1 correct?

2 MR. ROBIN WIENS: Yes.

3 MR. BYRON WILLIAMS: And so the objective
4 of the cost of service process is to identify the portion
5 of the revenue requirement incurred to serve each
6 customers' class; you'd agree with that? The primary
7 objective?

8 MR. ROBIN WIENS: Yes.

9 MR. BYRON WILLIAMS: And as you've noted
10 already there may be other considerations such as
11 efficiency and environmental impacts that are legitimate
12 objectives that you may also have to factor in to the
13 cost of service process; correct?

14 MR. ROBIN WIENS: Yes.

15 MR. BYRON WILLIAMS: I wonder if you'd
16 agree with me that when you try and factor in these
17 principles, being fairness, efficiency, and conservation,
18 to a certain degree some compromises are required?

19 MR. ROBIN WIENS: That's usually the
20 case.

21 MR. BYRON WILLIAMS: And, in your view,
22 when we are looking at cost of service as opposed to
23 other elements of the -- the rate -- the rate setting
24 process do you have a view as to which of these factors
25 should be given primary consideration?

1 MR. ROBIN WIENS: Well, I don't know that
2 you can make a bold flat out statement on that without a
3 great deal of context because those which are important
4 at one time may be less important at another time.

5 But I think, broadly speaking, you know,
6 we would want to achieve the optimum compromise between
7 recovering what we require for our revenue requirement,
8 fairness and -- and sending the right price signals.
9 Efficiency.

10

11 (BRIEF PAUSE)

12

13 MR. BYRON WILLIAMS: If -- and just so I
14 understand and perhaps this is an answer that is
15 incapable of -- or a question that's incapable of an
16 answer, but in -- from the perspective of the
17 Corporation, if push comes to shove, for the cost of
18 service process, does fairness take priority over
19 efficiency?

20 MR. ROBIN WIENS: Again, there's an awful
21 lot of context that you have to put around that and it
22 may come to some of that even in this response. But when
23 you're talking about a cost of service study specifically
24 as opposed to the overall process of arriving at rates,
25 it is arguable that you may want to state, yes, you're

1 more concerned with fairness than you are with
2 efficiency.

3 That doesn't mean to say you can avoid the
4 issues related to efficiency completely and -- and let me
5 refer back to my favourite bedtime reading and what may
6 be becoming your favourite bedtime reading as well, Mr.
7 Bonbright does not typically look at embedded costs which
8 are the basis of this cost of service study as
9 necessarily meeting the fairness criteria.

10 Mr. Bonbright is an economist and as such
11 he is more concerned about marginal cost. He's more
12 concerned about the fair assignment of marginal cost
13 among customers classes than embedded cost.

14 Now, it is a fact that the history of
15 regulation, throughout most of North America anyway, has
16 dealt more with embedded costs than marginal costs. But
17 if you're going to refer back to the first principles I
18 think you do need to bear the issue of marginal cost in
19 mind.

20 And if you get to a point where, for
21 example, it becomes more and more difficult to say, well,
22 embedded costs are a reasonable proxy for marginal cost,
23 then you have to begin to ask the question as well about
24 how you deal with the fairness precept to the cost of
25 service study.

1 MR. BYRON WILLIAMS: Thank you, Mr.
2 Wiens, for responding to my sometimes opaque questions.
3 I appreciate that. That's a nice segue. I want to turn
4 to Part II which is to the -- not Part II of my outline,
5 but Part II of Part I.

6 I'd like to turn to -- to the -- some
7 discussion of marginal costs and for the Board's
8 assistance there is an analogy I -- that we've attached
9 in -- or an outline of an analogy that we've attached as
10 -- as Tab 2 to the -- to the CAC/MSOS book of references.

11

12 (BRIEF PAUSE)

13

14 MR. BYRON WILLIAMS: And, Mr. Wiens, just
15 by way of preamble, in my opening statement I confessed
16 that I was not a devotee or disciple of the Public
17 Utilities Board to the same extent as yourself or Mr.
18 Peters, but I am becoming one and -- but my client, Ms.
19 Desorcy and -- and myself and perhaps others in this room
20 sometimes struggle with concepts such as short run
21 marginal costs, opportunity costs and long run or long
22 term marginal costs.

23 And what I'm going to ask you to do is I'm
24 going to put parts of this -- the shared garage analogy
25 background to you via cross-examination and in the course

1 of doing so hope to explore some of those concepts; is --
2 is that fine with you, Mr. Wiens?

3

4 (BRIEF PAUSE)

5

6 MR. ROBIN WIENS: Mr. Williams, we will
7 see where this goes. And it may lead in the direction
8 that you had contemplated or perhaps not.

9 MR. BYRON WILLIAMS: You've served too
10 long as a witness, Mr. Wiens. But, thank you for your
11 initial assistance anyways.

12 Just by way of initial background, you'll
13 agree with me that we're looking at fact situation where
14 we have three (3) neighbours who don't own cars or own
15 garages.

16 Obviously this was written by someone in
17 Toronto, but do rent them occasionally and would like
18 somewhere to store them, you agree with that?

19 MR. ROBIN WIENS: I don't -- I can't
20 evaluate whether or not this came from Toronto, Mr.
21 Williams, but this is the situation that you are
22 positing, and I can read it, that's what it says.

23 MR. BYRON WILLIAMS: We're going to --
24 we're going to walk through a bit of I and then I'm going
25 to get you to assist me with it Mr. Wiens, because it

1 think it needs to be drawn through, so bear with me.

2 The other assumption I'm going to ask you
3 to make is that they have portable facilities that they
4 erect and take down each time. And that they find this
5 to be time consuming and a nuisance in bad weather.
6 You're prepared to make that assumption, Mr. Wiens?

7 MR. ROBIN WIENS: It's kind of stretching
8 credulity isn't it, I've rented cars in the past and it
9 belongs to somebody else. Unless I have to pay for hail
10 damage I'm not going to erect a temporary structure. But
11 we'll follow you there.

12 MR. BYRON WILLIAMS: Work with me, Mr.
13 Wiens, if you would. Make a further assumption, if you
14 would, that as a result they decide to go together to
15 construct garage facilities that will hold three (3) cars
16 and that they will share.

17 You'll make that assumption, sir?

18 MR. ROBIN WIENS: I will indeed.

19 MR. BYRON WILLIAMS: Assume again, if you
20 will, that to construct the garage and keep it ready for
21 cars, costs about eight thousand (8000) annually in
22 capital costs and maintenance, will you make that
23 assumption?

24 MR. ROBIN WIENS: Boy I wish I had that
25 garage, but okay.

1 MR. BYRON WILLIAMS: Not too much smart-
2 alec stuff Mr. Wiens, we'll work through it. Would you
3 also agree that it's estimate -- that they've estimated
4 the cost of electricity in heating each time the garage
5 is used will be about five dollars (\$5), correct, you'll
6 make that assumption?

7 MR. ROBIN WIENS: Sure, sure.

8 MR. BYRON WILLIAMS: I want to turn to
9 the -- in terms of the total number of usages, you'll
10 make the assumption that one (1) is expecting to use this
11 facility two hundred (200) times a year. Another is
12 expecting to use this facility two hundred and fifty
13 (250) times a year and the third is expected to use this
14 facility three hundred and fifty (350) times a year for a
15 total of eight hundred (800) uses, will you agree with
16 that sir or make that assumption?

17 MR. ROBIN WIENS: Yes.

18 MR. BYRON WILLIAMS: And that would leave
19 about two hundred and ninety-five (295) vacancies over
20 the course of one (1) year, that being calculated by
21 three (3) times three hundred and sixty-five (365) leaves
22 you a thousand and ninety-five (1095) minus eight hundred
23 (800) leaves you two ninety-five (295), correct?

24 MR. ROBIN WIENS: Yes.

25 MR. BYRON WILLIAMS: So when we're

1 looking at the cost for this facility we're looking at
2 fixed costs in the range of eight thousand (8000)
3 annually, and we're also looking at variable costs five
4 dollars (\$5) per use. You'll agree with that, Mr. Wiens?

5 MR. ROBIN WIENS: Yes.

6 MR. BYRON WILLIAMS: And so assuming
7 eight hundred (800) uses that leads us to variable costs
8 of four thousand dollars (\$4000), correct?

9 MR. ROBIN WIENS: Yes.

10 MR. BYRON WILLIAMS: And that leaves us
11 with a total cost annually of about twelve thousand
12 dollars (\$12,000) correct?

13 MR. ROBIN WIENS: Yes.

14 MR. BYRON WILLIAMS: And I'd ask you to
15 assume that the partners decide to share the cost of the
16 garage as follows, based on usage, fifteen dollars (\$15)
17 per use, ten dollars (\$10) for fixed costs and five
18 dollars (\$5) for variable costs, you'll make that
19 assumption?

20 MR. ROBIN WIENS: Yes.

21 MR. BYRON WILLIAMS: Now, Mr. Wiens, I'd
22 like you to -- we're moving to the middle of this page,
23 the rental of excess space. And you've agreed with me
24 previously that there's two hundred and ninety-five (295)
25 potential opportunities where that -- the space is not

1 expected to be used in the course of a year, correct?

2 MR. ROBIN WIENS: Yes.

3 MR. BYRON WILLIAMS: And you'll make the
4 assumption that another neighbour notices the garage and
5 asks if he can use it too, okay?

6 MR. ROBIN WIENS: Yes.

7 MR. BYRON WILLIAMS: And the partners say
8 that there's not enough room to guarantee him a space but
9 if he wants to use it when it's not fully used, they're
10 willing to negotiate, and you'll make that assumption?

11 MR. ROBIN WIENS: Yes.

12 MR. BYRON WILLIAMS: Now, being prudent
13 businessmen, notwithstanding the incredulous scenario,
14 Mr. Wiens, you'll agree with me that the lowest
15 compensation that it would make any sense for these
16 businessmen to accept for this use would be at least five
17 dollars (\$5) which is the variable cost of the garage?

18 MR. ROBIN WIENS: Yes.

19 MR. BYRON WILLIAMS: Now, of course, they
20 wouldn't tell the neighbour that but is another way that
21 we -- that -- the five dollar (\$5) figure, might we also
22 describe that as the short run marginal cost of another
23 car -- car using the garage?

24 MR. ROBIN WIENS: I think you've already
25 described it that way. It is the cost, apart from the

1 fixed cost, it is the variable cost associated with
2 another use of the garage. That's short run marginal
3 cost.

4 MR. BYRON WILLIAMS: Thank you, Mr.
5 Wiens. And I struggle with that concept, so I appreciate
6 you assisting me in that way.

7 And you'll agree with me, as we've stated
8 before, that it doesn't make sense to rent that facility
9 out for less than short run marginal cost.

10 MR. ROBIN WIENS: That is correct.

11 MR. BYRON WILLIAMS: Let's assume now,
12 Mr. Wiens, that this neighbour, who's unaware of the
13 actual cost of operation, offers to pay eleven dollars
14 (\$11) to use the garage whenever it is free, which is
15 expected to be a -- perhaps a hundred and fifty (150)
16 times per year.

17 MR. ROBIN WIENS: Well, you've already
18 told --

19 MR. BYRON WILLIAMS: Excuse me, Mr.
20 Wiens. Let's -- let's amend this slightly. Let's --
21 that the neighbour offers to pay eleven dollars (\$11) to
22 use the garage and his expectation is that he will use it
23 about a hundred and fifty (150) times per year.

24 Will you make that assumption with me?

25 MR. ROBIN WIENS: Yes.

1 MR. BYRON WILLIAMS: So if we want to do
2 the math behind that calculation, you'll agree with me
3 that if he's paying eleven dollars (\$11) per usage and
4 there's a hundred and fifty (150) usages per year,
5 there's a revenue that might accrue from that rental in
6 the range of one thousand six hundred and fifty dollars
7 (\$1,650).

8 Would you agree with that?

9 MR. ROBIN WIENS: It would be precisely
10 one thousand six hundred and fifty dollars (\$1,650).

11 MR. BYRON WILLIAMS: That's why I'm
12 talking to the economist.

13 You'll also agree with me that if the
14 variable -- or the -- the variable cost is five dollars
15 (\$5) per usage and, again, a hundred and fifty (150)
16 usages per year, that the -- the variable cost associated
17 with his usage would be about seven hundred and fifty
18 dollars (\$750) per year, being five (5) times one hundred
19 and fifty (150).

20 Would you agree with that, sir?

21 MR. ROBIN WIENS: It would be seven
22 hundred and fifty dollars (\$750) per year.

23 MR. BYRON WILLIAMS: And if I subtract
24 one thousand six hundred and fifty (1,650) minus seven
25 hundred and fifty (750), that leaves me with nine hundred

1 dollars (\$900), which some people might call profit.

2 Would you agree with that?

3 MR. ROBIN WIENS: Yes, I would agree with
4 that. It's -- it's incremental net revenue.

5

6 (BRIEF PAUSE)

7

8 MR. BYRON WILLIAMS: Now, looking at this
9 from the perspective of the three (3) owners of the
10 garage, we have agreed before that their total costs are
11 twelve thousand dollars (\$12,000); correct?

12 MR. ROBIN WIENS: Yes.

13 MR. BYRON WILLIAMS: And if we bring to
14 the table -- put in the pot, net incremental revenue of
15 nine hundred dollars (\$900), that means that we have to
16 take out -- that means about -- leaves about eleven
17 thousand one hundred dollars (\$11,100) that they still
18 have to contribute towards the costs of this facility in
19 one (1) year.

20 Is that correct?

21 MR. ROBIN WIENS: Yes.

22 MR. BYRON WILLIAMS: And again assuming
23 that they continue to make eight hundred (800) uses, if I
24 divide eleven thousand one hundred (11,100) by eight
25 hundred (800), that leaves me with something in the range

1 of a little less than fourteen dollars (\$14) per usage.

2 You'll agree with that?

3 MR. ROBIN WIENS: Yes.

4 MR. BYRON WILLIAMS: And assuming that
5 this relationship endures, the net cost that they have to
6 contribute to per use to break even is about fourteen
7 dollars (\$14); correct?

8 MR. ROBIN WIENS: Yes.

9 MR. BYRON WILLIAMS: And so every day or
10 night that the neighbour does not rent this facility when
11 there's a vacancy, that's a lost opportunity for the
12 three (3) garage owners.

13 You'll agree with that?

14 MR. ROBIN WIENS: It is -- I mean,
15 assuming that they want to rent it out on every possible
16 night, then yes, it is a lost opportunity.

17 MR. BYRON WILLIAMS: It's a lost
18 opportunity to increase their revenues; correct?

19 MR. ROBIN WIENS: Yes.

20 MR. BYRON WILLIAMS: And to the extent
21 that they lose an opportunity to increase revenues, that
22 means that there are most costs that they'll have to bear
23 than -- than if his usage was increased.

24 MR. ROBIN WIENS: Assuming that the lost
25 opportunity can be made up with someone who's willing to

1 pay more than the variable cost.

2 MR. BYRON WILLIAMS: So -- and just I may
3 have been unclear in my question, so the -- the nights --
4 assuming again that there is a -- that there's someone
5 able to pay that fee of eleven dollars (\$11) when -- when
6 that opportunity is not available or -- excuse me, when
7 that opportunity is not used there's an opportunity cost
8 for these -- for the owners of the -- of this facility;
9 correct?

10

11 (BRIEF PAUSE)

12

13 MR. ROBIN WIENS: Have to be careful when
14 we talk about opportunity cost. Technically what
15 opportunity cost is referring to is the cost that is
16 required to call into service a factor of production.
17 The cost that is required to call into service these
18 vacant spaces is really the variable cost and that would
19 be the opportunity cost that's associated with that
20 space.

21 If -- if there as somebody out there
22 known, willing to pay eleven dollars (\$11) for that space
23 and for whatever reason that opportunity was not taken
24 advantage, perhaps one of the three (3) neighbours
25 decided that, oh, just in case my daughter-in-law comes

1 over I would like to hold that space, I'm not sure that
2 the correct -- fully correct term would be opportunity
3 cost but it is -- it is the -- the lost opportunity
4 revenue, for sure.

5 MR. BYRON WILLIAMS: So I'm better off
6 using words like lost opportunity revenue, Mr. Wiens;
7 correct?

8 MR. ROBIN WIENS: I think you could use
9 the term opportunity cost as long as you understand where
10 you're going with this and what's underlying it.

11 MR. BYRON WILLIAMS: and I guess as you
12 said at the outset of this analogy that remains to be
13 seen; doesn't it, Mr. Wiens?

14 MR. ROBIN WIENS: Well, we're getting
15 close.

16 MR. BYRON WILLIAMS: Now, Mr. Wiens, just
17 work with me on these assumptions as we move through,
18 we've noted that given the usage of this one neighbour
19 that the partner net cost drops to less than fourteen
20 dollars (\$14) per use; correct?

21 MR. ROBIN WIENS: Yes.

22 MR. BYRON WILLIAMS: Now, assume with me,
23 if you will, that other neighbours hear about the deal
24 and pretty soon the garage is full every night and
25 without asking you to do the calculation I'll ask that

1 you accept that the revenues are one thousand, seven
2 hundred and seventy dollars (\$1,770) towards fixed costs.

3 Will you make that assumption?

4 MR. ROBIN WIENS: Sure.

5 MR. BYRON WILLIAMS: Assume with me as
6 well that the garage is filled on a first come, first
7 served basis which is not satisfactory to some of the
8 neighbours so that the partners are looking into building
9 an extension and determine that another car could be
10 accommodated for thirty-five hundred dollars (\$3500) in
11 fixed costs plus the same five dollar (\$5) variable cost
12 per use; will you make that assumption?

13 MR. ROBIN WIENS: Yes.

14 MR. BYRON WILLIAMS: Alternatively, and
15 would you agree with me that this would be the long run
16 marginal cost of the garage space; that figure of thirty-
17 five hundred dollars (\$3500) plus the five dollars (\$5)
18 from the fixed variable costs?

19

20 (BRIEF PAUSE)

21

22 MR. ROBIN WIENS: Yeah, I'll go with you
23 there. Long run marginal cost technically refers to that
24 situation in which all of the factors of production can
25 be varied.

1 In your short run marginal example you
2 were only varying the electricity and maintenance and
3 correctly defining those as short run marginal costs. In
4 the long run we are able to vary the -- all the factors
5 of production and whether we're at optimum once we do
6 that or not, which is a further consideration, I'm not
7 sure but -- but -- but we'll take it there. We'll call
8 it long run marginal cost.

9 MR. BYRON WILLIAMS: I appreciate your
10 clarification and your assistance, Mr. Wiens. Moving on,
11 towards the end of this example, you'll see that the
12 partners are considering whether to expand the facility.
13 They're also considering whether to reduce the
14 controversy by increasing the price of the extra spaces
15 to twenty dollars (\$20).

16 You'll make that assumption, sir?

17 MR. ROBIN WIENS: Yes.

18 MR. BYRON WILLIAMS: Now, the problem
19 with that is at that price, someone could eventually
20 build their own garage in the neighbourhood and that may
21 not be a viable option given current circumstances,
22 correct?

23 MR. ROBIN WIENS: Well, you're
24 introducing into the price the scarcity factor which is
25 not related to the marginal cost of the additional

1 spaces. And a scarcity factor may be -- may induce
2 further building. It's a signal that there is a
3 shortage, whether it's enough to actually induce the
4 further building or not, I guess in a market you see that
5 over time.

6 MR. BYRON WILLIAMS: Okay. And let's say
7 that instead of the market acting -- make the assumption
8 with me that the local municipality changes the bylaws so
9 that garages are more expensive to build. And the twenty
10 dollars (\$20) can now be sustained as a price based on
11 the cost of alternatives, will you agree with me on that,
12 sir?

13 MR. ROBIN WIENS: So the twenty dollars
14 (\$20) is sufficient to return to the -- to the lessor or
15 the renter an amount which would, over a sufficient
16 number of units replace the capital, as well as the
17 ongoing variable costs?

18 MR. BYRON WILLIAMS: That's right.

19 MR. ROBIN WIENS: Okay.

20 MR. BYRON WILLIAMS: Assuming that the
21 new cost is now -- that the market will bear is now
22 twenty dollars (\$20) and assuming, as well, that one (1)
23 could rent this facility given the new bylaws all two
24 hundred and ninety five (295) vacancy nights, I wonder if
25 you'll accept submit to check that the contribution to

1 fixed costs from part-time rentals would be about four
2 thousand four hundred and twenty-five dollars (\$4425),
3 would you accept that subject to check?

4 MR. ROBIN WIENS: Sure.

5 MR. BYRON WILLIAMS: And would you also
6 accept that that would thereby reduce the cost to
7 partners to roughly nine dollars (\$9.00) per use with
8 that contribution from these -- from there other sources
9 of revenue?

10 MR. ROBIN WIENS: So some value around
11 there, sure, yes.

12 MR. BYRON WILLIAMS: Now the conundrum,
13 Mr. Wiens, I'm going to suggest to you that this may
14 present to the partners is that they can, in the market
15 obtain twenty dollars (\$20) per usage from their
16 neighbours, but that if one (1) of their partner -- one
17 (1) of the owners of the garage increases their usage,
18 they'll only obtain nine dollars and fifty cents (\$9.50)
19 per usage.

20 And I'd suggest to you that your --
21 they're now in the situation where an increase in
22 consumption by one (1) of the owners of the garage
23 effectively takes money out of the pocket of the other
24 partners because it's denying them the opportunity to
25 collect greater revenues from their neighbours.

1 MR. ROBIN WIENS: Well, we're assuming
2 here that any one (1) of the partners would be able to
3 exercise rights to the free nights of parking. And
4 either bump someone else who may be paying the twenty
5 dollars (\$20) or get in before that.

6 So, yes, you have that conundrum and in
7 fact you may have a situation where because of the fact
8 that for the partners, they're now paying nine fifty
9 (9.50) as opposed to the fifteen dollars (\$15) that they
10 were paying when they first set up the arrangement, that
11 they may be induced to actually increase their usage over
12 and above what they had estimated back when they figured
13 they were going to use two hundred (200), two hundred and
14 fifty (250) and three hundred and fifty (350) nights.

15 MR. BYRON WILLIAMS: So, Mr. Wiens just
16 to sum up, we're looking at a change in circumstances.
17 You'll agree with me, that when we were dealing just with
18 the one (1) neighbour using that facility for eleven
19 dollars (\$11) a night, there was a benefit to the
20 partners but they still would be better off selling to
21 themselves at fourteen dollars (\$14) a night, rather than
22 selling to the neighbour at eleven dollars (\$11) a night,
23 you'll recall that?

24 MR. ROBIN WIENS: Yes, I do, yes, that's
25 correct.

1 MR. BYRON WILLIAMS: Now, there's been a
2 fundamental change in circumstances to this degree. Now,
3 to the extent that any of the owners of the garage
4 increase their usage of the garage, they are taking money
5 out of the pockets of their co-owners.

6 Would that be fair? They're increasing
7 the cost that the co-owners will have to assume.

8 MR. ROBIN WIENS: Well, they're
9 increasing the cost that they as well as their co-owners
10 will have to assume the next time they recalculate what
11 needs to be recovered from -- from each of them.

12 MR. BYRON WILLIAMS: And the other factor
13 that you've noted is that given the decline in the -- in
14 the actual rate that they are charged, from fifteen
15 dollars (\$15) down to nine fifty (9.50), there may be an
16 additional incentive for one of the -- or for perhaps all
17 of the owners to increase their usage of this facility.

18 MR. ROBIN WIENS: There will be that
19 incentive for all of them. And the extent to which that
20 manifests itself will depend on the characteristics of
21 each of the owners, which may be similar or may be
22 different.

23 MR. BYRON WILLIAMS: Mr. Wiens, I thank
24 you for your patience with that. The -- and I'm looking
25 back to Ms. Desorcy, I see her still scratching her head

1 but I'm hoping that assists her to some degree in terms
2 of the -- the concepts of short run marginal costs and --
3 as well as other concepts as well.

4 I'm now turning to the CAC/MSOS Book of
5 References, Tab 3 and Tab 4.

6

7 (BRIEF PAUSE)

8

9 MR. BYRON WILLIAMS: And I'm not sure to
10 who this goes to but I suspect it's you, Mr. Wiens.

11 There -- if memory serves me right, there
12 are two (2) studies by NERA on the record of this
13 proceedings. One is the review of time of use and
14 inverted rates and the other is a study and
15 recommendations regarding the cost of service methodology
16 as it relates to generation and transmission.

17 Is that correct?

18 MR. ROBIN WIENS: You're right.

19 MR. BYRON WILLIAMS: And in terms of...

20

21 (BRIEF PAUSE)

22

23 MR. ROBIN WIENS: The time of use and
24 inverted rates study was not filed as part of this
25 proceeding. It was filed prior to this proceeding. As

1 was the generation and transmission classification and
2 allocation study.

3 MR. BYRON WILLIAMS: I misspoke. And --
4 so there are -- but NERA has performed these two (2)
5 studies for Manitoba Hydro?

6 MR. ROBIN WIENS: Yes.

7 MR. BYRON WILLIAMS: And I was trying to
8 do a little bit of back -- research into the background
9 regarding NERA. And you'll agree with me that in -- in
10 terms of NERA and its expertise, they're hardly newcomers
11 to the issue of marginal cost studies.

12 Would -- would you agree with that?

13 MR. ROBIN WIENS: Yes.

14 MR. BYRON WILLIAMS: And in fact they did
15 some of the leading and seminal work for NARUC, N-A-R-U-
16 C, in terms of marginal -- marginal use studies -- or
17 marginal cost studies back in the late 1970's, which were
18 some groundbreaking studies in the United States;
19 correct?

20 MR. ROBIN WIENS: Yes.

21 MR. BYRON WILLIAMS: Now, you don't need
22 to turn there but NERA's conclusion is -- and this is set
23 out at page 14 of its time of use study -- is that the
24 price of electricity in the export market represents in
25 many hours of the year Manitoba Hydro's opportunity cost

1 that export revenue is used to the benefit of electricity
2 consumers; that is correct.

3 MR. BYRON WILLIAMS: Now, in NERA's view,
4 and I'm quoting from page 14, I believe, it's of their
5 cost of service methodology, and you don't need to turn
6 there, Mr. Wiens, but they seem to express the concern
7 that:

8 "Allocation of a large amount of export
9 revenue as credit to domestic classes
10 on the basis of only allocated
11 generation and transmission costs can
12 result in energy charges that fall
13 below short run marginal cost."

14 Do you recall NERA making that statement,
15 sir?

16 MR. ROBIN WIENS: Yes, I do.

17 MR. BYRON WILLIAMS: And you'll agree
18 that that's a risk with the current methodology?

19 MR. ROBIN WIENS: Yes, I will.

20 MR. BYRON WILLIAMS: And we talked about
21 this a little bit in terms of the garage owners, but
22 you'll agree with me as a general economic principle,
23 producers of product don't want to sell a product for
24 less than out-of-pocket expenses associated with
25 providing it because otherwise to do so would be selling

1 it at a loss?

2 MR. ROBIN WIENS: Well, they would stop
3 selling it if you've got to that stage. But, Mr.
4 Williams, you made a very important distinction when you
5 used a phrase that you haven't used up to now. You used
6 the term "out-of-pocket costs". It's true that by
7 selling at -- to at least some customers at some of the
8 rates today, Manitoba Hydro's revenue is reduced.

9 It's reduced because we are moving from
10 one market to another so the use opportunity cost is
11 pretty close to being accurate in that circumstance.

12 Out-of-pocket costs are those -- that --
13 that would relate to the -- what is actually spent to
14 produce that, which is quite a bit less. But subject to
15 that qualification I'm with you.

16

17 (BRIEF PAUSE)

18

19 MR. BYRON WILLIAMS: Well, and I
20 appreciate that qualification and we'll -- I'll try not
21 to use the words out-of-pocket costs in the -- in the
22 future and I'll stay with your qualified answer.

23 Following that philosophy though, that one
24 shouldn't be selling below short run marginal costs,
25 you'll agree, not using Manitoba Hydro as an example, but

1 for a typical utility with surplus capacity this would be
2 the cost of additional fuel and maintenance to make that
3 sale; that would be the out-of-pocket examples?

4 MR. ROBIN WIENS: Assuming there was
5 additional capacity on a thermal system that would be --
6 or a hydro thermal system that was operating in the
7 thermal range that would be true.

8 MR. BYRON WILLIAMS: And the point you
9 were making to me before which, when I stumbled upon the
10 words out-of-pocket costs is for Manitoba Hydro which can
11 export generally most, perhaps all of its export,
12 opportunity costs or short run marginal costs, are the
13 lost revenue from an export that would otherwise be made;
14 is that correct?

15 MR. ROBIN WIENS: Yes.

16

17 (BRIEF PAUSE)

18

19 MR. BYRON WILLIAMS: In terms of a proxy
20 for short run marginal costs, Mr. Wiens, if you turn to
21 Tab 4 of the CAC/MSOS book of documents, you'll see at
22 Tab 2 -- or at heading number 2, the heading "marginal
23 cost estimates"; do you see that, sir?

24 MR. ROBIN WIENS: I do.

25 MR. BYRON WILLIAMS: Now, you've had --

1 this was provided -- this document was provided to you
2 through your counsel earlier today. Have you had an
3 opportunity to review these documents, are you prepared
4 to accept the calculations, subject to check?

5 MR. ROBIN WIENS: It looks pretty close
6 to me. I'll accept them.

7 MR. BYRON WILLIAMS: And what this is
8 suggesting is that if you were going to use opportunity
9 exports as a proxy for short run marginal costs, you'd be
10 looking at a figure in the range of forty-nine dollars
11 and sixty cents (\$49.60) per megawatt hour based upon the
12 average between 2001 and 2004; would you accept that,
13 sir?

14 MR. ROBIN WIENS: Yes. I would accept
15 that that is the average for the period designated.

16 MR. BYRON WILLIAMS: And if you look at
17 SEP rates -- SEP rates, you'll see that the estimate
18 provided is forty-five dollars and eighty cents (\$45.80)
19 per megawatt hour and you'll also accept that, subject to
20 check?

21 MR. ROBIN WIENS: Yes.

22 MR. BYRON WILLIAMS: And would you accept
23 that either of these might be a reasonable proxy for
24 short run marginal opportunity costs for Manitoba Hydro?

25 MR. ROBIN WIENS: Yes.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

(BRIEF PAUSE)

MR. BYRON WILLIAMS: Mr. Wiens, keeping those figures in mind, being either somewhere between forty five dollars and eight cents (\$45.80) per megawatt hours and forty nine dollars and sixty cents (\$49.60) per megawatt hours as a proxy for short run marginal costs, I wonder if I could ask you to turn back to Tab 3 of the CAC/MSOS book of documents which is the -- the -- entitled Manitoba Hydro rates April 2005, do you have that?

MR. ROBIN WIENS: I do.

MR. BYRON WILLIAMS: And just, Mr. Wiens, to review what this table illustrates, the first column obviously speaks to which class of residential -- which class of consumers is represented and it sets out residential through GS large -- GSL greater than a hundred (100)kV, is that correct, sir?

MR. ROBIN WIENS: Yes.

MR. BYRON WILLIAMS: The middle column sets out the rates for incremental use taking into account both energy and demand and you'll accept these as being a fair representation or an accurate representation of the rates of Manitoba Hydro, will you sir?

MR. ROBIN WIENS: Well, they are an

1 accurate representation of the rates of Manitoba Hydro,
2 but they may not be the incremental use that you're
3 suggesting they are. And if you want, I can run through
4 some of that now or if you would prefer we could wait
5 until you get further into the discussion you want to
6 have.

7 I would say, in particular, that the
8 general service small, both non-demand and demand, may
9 vary significantly from the numbers that you have
10 included in this table.

11 MR. BYRON WILLIAMS: We'll come to that
12 in just one (1) second and I will appreciate the
13 clarification. Moving to the third column we're looking
14 at what are suggested to you to be the overall rate for
15 incremental use based upon a variety -- in the case of
16 residential, just based on their actual rates for energy
17 as well as for general service non-demand.

18 And for general service demand, general
19 service medium and general service large, based upon
20 assumptions in terms of various load factors, you see
21 that sir?

22 MR. ROBIN WIENS: I do.

23 MR. BYRON WILLIAMS: And I'm going to
24 give you a chance to -- and the concern you have
25 expressed is that these numbers may not be reflectful of

1 the overall rate for incremental use. Do you -- just so
2 I can be clear, do you have any concerns with the figure
3 used for residential?

4 MR. ROBIN WIENS: No, I don't. There may
5 be some customers who pay a different rate, but it's not
6 a large number, it's not really material --

7 MR. BYRON WILLIAMS: Okay --

8 MR. ROBIN WIENS: -- so, not for
9 residential.

10 MR. BYRON WILLIAMS: When we get -- I'm
11 going to skip over the two (2) general service non-demand
12 and demand for one (1) second.

13 When we get to general service medium do
14 you have any material concerns with that result?

15 MR. ROBIN WIENS: No, you have the rate
16 for incremental energy, you have the rate for incremental
17 demand, you have indicated the load factors that you
18 would like to consider as bounding this discussion and
19 from what I can see those numbers, if they're not
20 absolutely correct, they're close enough.

21 MR. BYRON WILLIAMS: And would you take
22 the same approach for GSL large greater than one hundred
23 (100) kV?

24 MR. ROBIN WIENS: For both GS medium and
25 GS large, yes.

1 MR. BYRON WILLIAMS: Okay. So we've
2 agreed on that, now here's your opportunity to correct
3 the Exhibit as presented to you.

4 MR. ROBIN WIENS: Well, I'll start with
5 the easier one, which is the general service small non-
6 demand, and you have indicated the rate that that class
7 is charged for customer that use within the range of one
8 thousand and ninety (1090) and eleven thousand and ninety
9 (1190) kilowatt hours a month, that is the rate that's
10 charged.

11 A customer -- he can still be a non-demand
12 customer and consume beyond that amount and the marginal
13 rate of consumption in excess of eleven thousand and
14 ninety (11,090) kilowatt hours a month is 3.936 is the
15 rate that you see just one step lower for general service
16 -- for general service demand.

17 And so because it's -- I think it's
18 defines it cleanly to think of general service small non-
19 demand as being customers with with 50 kVA or less of
20 usage.

21 So just to make it clear, a customer at 50
22 kVA, which is the upper end for general service small
23 non-demand, only needs a load factor of 30 percent to get
24 into the three point nine three six (3.936) cent block of
25 energy.

1 MR. BYRON WILLIAMS: That was 30 percent?

2 MR. ROBIN WIENS: 30 percent.

3 MR. BYRON WILLIAMS: So what you -- and
4 just for clarification, so in -- were you referring to
5 general service small demand, sir?

6 MR. ROBIN WIENS: No, no. General
7 service small non-demand.

8 MR. BYRON WILLIAMS: Non-demand. And
9 just to clarify then, you would say that the figure of
10 six point zero four (6.04) is -- is too high?

11 MR. ROBIN WIENS: No, I wouldn't say it's
12 too high. I just wouldn't say it applies to the entire
13 class. Most of the class -- and in fact we did check
14 this over at the break -- 95 percent of the customers in
15 this class, that six (6) cents or so, is correct.

16 For the other customers though, they will
17 get beyond the eleven thousand and ninety (11,090) even
18 though they're still below 50 kVA, and they will access,
19 at least in part, the transitional rate that we use to
20 bridge between non-demand and demand customer classes.

21 MR. BYRON WILLIAMS: So for -- for that
22 class -- for that 5 percent then the figure of six point
23 zero zero four (6.004) would be too high.

24 MR. ROBIN WIENS: It would be too high
25 for 5 percent or so of customers and considerably more

1 percent of actual usage.

2 MR. BYRON WILLIAMS: Fair enough. And in
3 terms of GSS demand?

4 MR. ROBIN WIENS: Well, general service
5 small demand, you've identified the penultimate energy
6 rate block, the three point nine three six (3.936) and
7 the final runoff rate of two point four four four
8 (2.444). And for a customer that -- I think for a
9 customer that has both of those applying to them, I think
10 your numbers are probably correct over the load factor
11 range.

12 But I would like to point that that is
13 going to vary depending on what the size of the actual
14 load is. So just bear with me for a -- a minute or so.

15 If we're talking about a general service
16 small demand customer that is not far above the 50 kVA
17 threshold, and the calculation that I've done is at 60
18 kVA, if they're at a 40 percent load factor, their usage
19 is at seventeen thousand five hundred (17,500) or so
20 kilowatt/hours. That gets them to three point nine three
21 six (3.936).

22 So that's the correct incremental energy
23 rate. It gets them to eight -- paying eight thirty-two
24 (8.32) per unit of demand and at 40 percent -- my
25 calculation is, which -- subject to check, is about six

1 point eight (6.8) cents a kilowatt hour. But that's
2 relatively small load in general service small demand.

3 At 60 percent load factor, which is the
4 upper end of the range you're using, goes to twenty-six
5 thousand (26,000), roughly, kilowatt hours a month. So
6 that customer does get into the two point four four
7 (2.44) cent per kilowatt hour range.

8 And at that point they are getting into
9 the -- the same -- you know, the same incremental rolled
10 up cost as a general service medium customer, at that
11 same load factor.

12 MR. BYRON WILLIAMS: So just so I
13 understand, that in terms of GSS demand, with the example
14 you used, the customer at the higher load factor, we have
15 overstated the overall rate for incremental use and
16 they're moving into the GS medium range; is that correct?

17 MR. ROBIN WIENS: You know, I -- I would
18 have to absolutely go through and check the -- the
19 number. You're -- you've used for GSS demand 440 to 60
20 percent. So the four point three four (4.34) is -- you
21 know, that -- that probably brackets it.

22 But there's a lot of these customers, just
23 so you know, that would fall into that range because they
24 don't have to get very high above the 50 kVA, even at a
25 low load factor, when they're accessing the -- the lower

1 energy rate. And, therefore, the -- the five point eight
2 (5.8) may be too high as the lower bound for -- for even
3 a small customer.

4 MR. BYRON WILLIAMS: Mr. Wiens, thank you
5 for that clarification. You bore -- bore with me through
6 the garage analogy so I was happy to do so on -- on that
7 one.

8 And just so I'm clear, going back to why
9 we undertook this exercise in the first place. The
10 concern expressed by NERA and shared by Manitoba Hydro is
11 where incremental costs of the next, kind of, kilowatt
12 hour of usage or running below short run marginal costs;
13 correct?

14 MR. ROBIN WIENS: Yes, that's correct.

15 MR. BYRON WILLIAMS: And going back to
16 Tab 4 of this exhibit we've agreed that -- and a
17 reasonable proxy for short run marginal costs for
18 Manitoba Hydro is somewhere between forty-six (46) --
19 forty-five eighty (45.80) per megawatt hour and forty-
20 nine sixty (9.60) for -- per megawatt hour; is that
21 right, sir?

22 MR. ROBIN WIENS: That's certainly been
23 the case in recent years and basically expected ongoing
24 as well.

25 MR. BYRON WILLIAMS: And after you've

1 politely savaged the examples for GSS non-demand and
2 demand I'm not going to run through those, but in terms
3 of residential, in terms of comparing the overall rate
4 for incremental use versus the -- the short run marginal
5 costs, you'll agree with me that residential rates are
6 not below short run marginal costs; correct?

7 MR. ROBIN WIENS: Mr. Williams, that I --
8 that would generally appear to be the case. Of course, I
9 will put a bit of context on this in that we are talking
10 about short run costs, marginal costs of generation here.

11 Not -- we haven't added in the short run
12 marginal cost of transmission, sub-transmission and
13 distribution. Now, I would not think, in most cases,
14 that those would be very large. But you'll understand
15 that as you get to the limits of the capability of a
16 distribution system you may start to notice larger short
17 run marginal costs.

18 So with that caveat, yes.

19 MR. BYRON WILLIAMS: And just so I
20 understand then you -- you've noted the caveat to the
21 extent that as you near the -- the -- the outer end of
22 capacity of the distribution system there may be a
23 problem but the general statement that I've suggested to
24 you that the incremental costs for residential are not
25 running below short run marginal costs, generally you're

1 not opposed to that conclusion?

2 MR. ROBIN WIENS: Provided that you have
3 some surplus capability on a distribution line, the short
4 run marginal cost is probably pretty close to the losses
5 incurred on the line.

6 MR. BYRON WILLIAMS: Now, if we -- if we
7 run down to general service large, greater than 100 kV,
8 you'll agree with me that -- that that appear to be
9 clearly -- the rates for incremental use -- usage appear
10 to be clearly running below short run marginal costs;
11 will you agree with me, sir?

12 MR. ROBIN WIENS: Yes.

13 MR. BYRON WILLIAMS: And in terms of
14 general service medium they appear to be right on the
15 border; would that be fair?

16 MR. ROBIN WIENS: It's close.

17 MR. BYRON WILLIAMS: And the observation
18 that you would make would be in terms of general service
19 demand, especially those working on load factors in the
20 60 percent range; they're fairly close in -- in results
21 to general service medium, would that be fair?

22 MR. ROBIN WIENS: Yes.

23 THE CHAIRPERSON: You okay if we take a
24 short break now, Mr. Williams?

25 MR. BYRON WILLIAMS: Yes, sir.

1 THE CHAIRPERSON: Thank you. We'll be
2 back in fifteen (15) minutes.

3

4 --- Upon recessing at 2:50 p.m.

5 --- Upon resuming at 3:12 p.m.

6

7 THE CHAIRPERSON: Mr. Williams...?

8 MR. BYRON WILLIAMS: Thank you. Mr.
9 Chairman. And thank you for the rapt attention that My
10 Learned Friend was paying too.

11

12 CONTINUED BY MR. BYRON WILLIAMS:

13 MR. BYRON WILLIAMS: Mr. Wiens, just to
14 finish off on the table of Manitoba Hydro rates, which is
15 found in Tab 3 of the CAC/MSOS book of references,
16 essentially in terms of -- we've agreed on the
17 conclusions but in terms of the data, you took no
18 significant issue with the residential GSM or GSL large,
19 is that correct, sir?

20 MR. ROBIN WIENS: That's correct.

21 MR. BYRON WILLIAMS: You did highlight
22 some important caveats in terms of GSS small, non-demand
23 and demand. And given -- given that, I wonder if
24 Manitoba Hydro is capable and willing to reproduce a
25 version of this table taking into account the important

1 caveats that you noted in terms of GSS non-demand and GSS
2 demand.

3 MR. ROBIN WIENS: It's in progress as we
4 speak.

5 MR. BYRON WILLIAMS: So that's an
6 undertaking?

7 MR. ROBIN WIENS: It's already been
8 undertaken.

9

10 ---UNDERTAKING NO. 7: Reproduce the "Manitoba Hydro
11 Rates -April 2005" table (tab 3 -
12 CAC/MSOS Book of References)
13 specifically correcting the rates for
14 incremental use for the Gss (Non Demand
15 and Demand) and GSM customer classes

16

17 CONTINUED BY MR. BYRON WILLIAMS:

18 MR. BYRON WILLIAMS: You're prescient,
19 Mr. Wiens. Thank you for that. Turning to --

20 MR. ROBIN WIENS: A little bird told me.

21 MR. BYRON WILLIAMS: Turning to Tab 4 --
22 and I thank Manitoba Hydro for their cooperation.

23 Turning to Tab 4, I won't drag the Panel through this
24 Exhibit in any great detail but, Mr. Wiens I do want to
25 draw your attention to two (2) matters here.

1 Under heading two (2) marginal cost
2 estimates, there's also an estimate of long run marginal
3 costs with generation being at fifty-three point five
4 dollars (\$53.50) dollars per megawatt hour, transmission
5 distribution being at thirteen point eight (13.8) per
6 megawatt hour, and total being sixty-seven point three
7 (67.3), and that's referenced at CAC/MSOS/MH-2-36(A).

8 I take it you have no objections to that
9 calculation?

10 MR. HAROLD SURMINSKI: Yes. The numbers
11 appear consistent with what we provided.

12 MR. BYRON WILLIAMS: And I'm wondering --
13 we may use this table later in the -- the hearing -- I
14 wonder if Manitoba Hydro -- you don't need to do it now
15 but if -- going up to -- number 1, PCOSS results, which
16 is derived from PUB Manitoba Hydro first round 45, I
17 wonder if at your leisure you would review those numbers
18 and if you have any concerns with them get back to us.

19 Is that satisfactory?

20 MR. ROBIN WIENS: Sure.

21

22 (BRIEF PAUSE)

23

24 MR. BYRON WILLIAMS: And I'm not sure, I
25 am assuming this question goes again to you, Mr. Wiens.

1 But I'm moving off those tables but perhaps highlighting
2 the concerns that -- that may flow from those tables.

3 You'll agree with me that one (1) concern
4 is when the incremental cost of usage for certain classes
5 fall below short run marginal cost, that's a concern for
6 the Corporation?

7 MR. ROBIN WIENS: It's an issue for the
8 Corporation.

9 MR. BYRON WILLIAMS: And it was also an
10 issue for NERA, is that correct?

11 MR. ROBIN WIENS: Yes.

12 MR. BYRON WILLIAMS: And if we try and
13 diagnose what has led to -- to this situation, I wonder
14 if you would agree with me that one (1) of the factors
15 that led to this situation -- one (1) of the factors
16 that's led to some concern in terms of the current cost
17 of service methodology and it's -- in particular it's
18 allocation of net export revenues, is the fact that there
19 has been a fundamental change in the export market, in
20 particular in the price per unit obtainable in that
21 market.

22 Would you agree with that?

23 MR. ROBIN WIENS: Yes.

24 MR. BYRON WILLIAMS: And we've gone
25 through this before, so I won't belabour it, but just to

1 summarize that concern.

2 The concern is that the average price per
3 kilowatt hour for export exceeds the average price per
4 kilowatt hour for domestic and, therefore, an increase in
5 domestic consumption results in a lost opportunity to
6 gain revenues in the export market and a loss of system
7 revenues.

8 Is that correct, sir?

9 MR. ROBIN WIENS: Yes, that's correct.

10 MR. BYRON WILLIAMS: And this concern is
11 highlighted or exacerbated by the current cost of service
12 methodology which allocates those net export revenues on
13 generation and transmission; correct?

14 MR. ROBIN WIENS: Yes.

15 MR. BYRON WILLIAMS: And essentially the
16 concern of the Corporation in terms of fairness issues is
17 that if a class increases their consumption, they
18 increase their share of net export revenues
19 notwithstanding the fact that that increased consumption
20 reduces system revenues.

21 Is that correct?

22 MR. ROBIN WIENS: That is a concern.

23 MR. BYRON WILLIAMS: There is a -- on the
24 record of this proceeding there is various examples of
25 the fundamental change that has -- the Corporation has

1 undergone, Mr. Wiens, but one (1) of the ones that I was
2 taken -- that I felt was interesting -- and you don't
3 need to turn there but I'd ask you just to confirm this
4 with me -- is from the Public Utilities Board
5 Interrogatory to Manitoba Hydro first round 26.

6 And the example used there was from --
7 they were comparing the situation in 1984 to the current
8 cost of service analysis.

9 Do you recall that analysis generally,
10 sir? I'll go through it but I wonder if you recall it
11 generally.

12 MR. ROBIN WIENS: I think so.

13 MR. BYRON WILLIAMS: I -- I'm not sure if
14 the monitor picked up that heavy sigh or not, but I'll
15 endeavour to make it as painless as possible.

16 My -- my understanding -- my recollection
17 is that in -- I'll just wait until Mr. Wiens is back with
18 us.

19

20 (BRIEF PAUSE)

21

22 MR. BYRON WILLIAMS: If it assists you,
23 Mr. Wiens, I'm turning to page 2 of that Interrogatory
24 Response. The last two (2) paragraphs.

25 MR. ROBIN WIENS: Okay.

1 MR. BYRON WILLIAMS: Just to highlight
2 the fundamental change, my -- my understanding is that
3 back in 1984 the average price per export revenue was
4 only one point five (1.5) cents per kilowatt hour
5 compared to average domestic revenue of three point eight
6 (3.8) cents per kilowatt hour?

7 MR. ROBIN WIENS: Yes. If we did our
8 math right that's right.

9 MR. BYRON WILLIAMS: And the average cost
10 per delivered kilowatt hour for generation and
11 transmission was one point nine (1.9) cents; if you did
12 your math right, correct?

13 MR. ROBIN WIENS: Yes.

14 MR. BYRON WILLIAMS: In that scenario,
15 back in the old days, a kilowatt hour diverted from
16 export sales to serve the domestic market would cost the
17 Corporation on average one point five (1.5) cents per
18 kilowatt hour and would bring to the Corporation on
19 average three point eight (3.8) cents; correct?

20 MR. ROBIN WIENS: Correct.

21 MR. BYRON WILLIAMS: And in that period
22 of time there was a revenue advantage to the Corporation
23 from a diversion from the export market to the domestic
24 market; that's correct?

25 MR. ROBIN WIENS: Yes.

1 wasn't so bad; was it, Mr. Wiens?

2 MR. ROBIN WIENS: Not once I had it in
3 front of me.

4

5 (BRIEF PAUSE)

6

7 MR. BYRON WILLIAMS: Mr. Wiens, right at
8 the start we talked about some of the basic principles
9 that should guide -- and certainly guide the Corporation
10 and also guide all parties in this room in terms of
11 consideration of rate setting.

12 Going back to some of those Bonbright
13 principles and two (2) of the key ones we spoke of were
14 fairness and efficiency; you recall that discussion?

15 MR. ROBIN WIENS: Yes.

16 MR. BYRON WILLIAMS: And if we look at
17 the current method and it's treatment of net export
18 costs, you'll agree that -- that in terms of fairness one
19 of the issues is the fact that the current system is
20 rewarding those who increase consumption notwithstanding
21 their negative impact upon overall revenues; that's a
22 fairness issue?

23 MR. ROBIN WIENS: I think if you -- you
24 know, if you get into the discussion of fairness that Mr.
25 Bonbright has in his book I -- I think he would

1 characterize it that way, yes.

2 MR. BYRON WILLIAMS: And there's also a
3 concern with the current methodology in that it's
4 inefficient especially when the incremental rates are
5 running below short run marginal costs; correct?

6 MR. ROBIN WIENS: Yes, that's correct.

7 MR. BYRON WILLIAMS: And -- and a further
8 concern in terms of efficiency might roll out of this
9 situation into rate design itself in that the -- in that
10 it may pose some difficulties for the Corporation in
11 terms of designing inverted rates for large industrial
12 loads; would that be fair?

13 MR. ROBIN WIENS: Well, not in terms of
14 designing them but in terms of whether or not they would
15 actually have their intended impact.

16 MR. BYRON WILLIAMS: And thank you for
17 that clarification and, again, we don't know if the
18 Public Utilities Board will go down that path. But the --
19 -- the one of the theories behind inverted rates is that
20 it will send better signals to consumers in terms of the
21 consequences of their consumption choices; correct?

22 MR. ROBIN WIENS: Correct.

23 MR. BYRON WILLIAMS: And the better
24 signals that are sent the better the message in terms of
25 efficiency is achieved, correct?

1 MR. ROBIN WIENS: That's correct.

2 MR. BYRON WILLIAMS: And you're telling
3 me that the status quo raises some concerns not in terms
4 of designing inverted rates for large industrials but
5 whether the appropriate signal can be sent using inverted
6 rates, given their current share of costs, is that
7 correct?

8 MR. ROBIN WIENS: A correct share of
9 costs does make it more difficult to design inverted
10 rates for that class, which would be effective over a
11 wide range of circumstances.

12 MR. BYRON WILLIAMS: And just by contrast
13 and I believe this is the evidence of the Corporation on
14 page 21 of your rebuttal. But its position is that it
15 can design a meaningful inverted rate for residential
16 customers because it's dealing with costs in the context
17 of the overall revenue requirement in the order of six
18 (6) cents per kilowatt hour and a marginal cost in the
19 order of seven (7) cents per kilowatt hour, is that
20 correct?

21 MR. ROBIN WIENS: Yeah, I wouldn't want
22 to leave the impression that there's not some serious
23 issues that have to be dealt with and resolved with
24 respect to designing inverted rates for residential
25 customers, as well. But the gap between -- the gap

1 between marginal costs and embedded costs as not as
2 serious for them as it is for some of the other classes.

3 MR. BYRON WILLIAMS: Okay. And I
4 appreciate that clarification and we won't walk down that
5 path. But the space heating issue for residential
6 consumers would be one (1) of those presumably.

7 MR. ROBIN WIENS: That's part of the
8 concern, yes.

9 MR. BYRON WILLIAMS: So the big problem
10 in terms of it the Board decides go down the path of
11 inverted rates in order to enhance efficiency is the gap
12 between marginal costs and embedded costs for certain
13 classes of consumers, correct?

14 MR. ROBIN WIENS: It's a key concern,
15 yes.

16 MR. BYRON WILLIAMS: And that concern is
17 particularly pronounced in terms of GSL large?

18 MR. ROBIN WIENS: Yes, it is.

19 THE CHAIRPERSON: While Mr. Williams is
20 getting ready there, just to ensure our understanding is
21 accurate, from what's been put before us I understand
22 that domestic sales in 2004/05 were twenty-two thousand,
23 three hundred and fifty (22,350) gigawatt hours.

24 And from looking at this material that Mr.
25 Williams has put before us it would appear that 50

1 percent or more than 50 percent of domestic sales came at
2 prices that were below SEP opportunity export and sale
3 prices in 04/05 and all were below the long run marginal
4 costs, is that a fair statement?

5 MR. ROBIN WIENS: That's reasonable,
6 there maybe some exceptions but for the most yeah most
7 sales would occur below the six point one three (6.13)
8 cents that's identified as the --

9 THE CHAIRPERSON: We'll even accept the
10 opportunity export prices that we were just looking at
11 that were around -- just around five (5) cents a kilowatt
12 hour, if you like?

13 MR. ROBIN WIENS: Yeah, there's a large
14 portion of the domestic sales that are taking place at
15 less than that, yes.

16 THE CHAIRPERSON: I also thought that you
17 said before that the SEP and opportunity sales rates in
18 05/06 were considerably higher than 04/05? Given that
19 that's the year of the spike in natural gas, watching the
20 SEP price.

21 MR. ROBIN WIENS: We're not absolutely
22 sure of that Mr. Chairman, certainly there would have
23 been times in 05/06 where we would have had very high SEP
24 rates, but, there's also been some times when they've
25 been pretty low, as well.

1 And it may be, on balance, there's not
2 that much difference between the two (2) years.

3 THE CHAIRPERSON: I'm saying basically
4 that based on what you put before us here, what we've
5 heard is that the situation 04/05 is certainly not
6 changed in 05/06, the comparison against the SEP and the
7 opportunity sale prices or against the marginal costs?

8 MR. ROBIN WIENS: Probably not by much,
9 no.

10 THE CHAIRPERSON: Thank you. Mr.
11 Williams...?

12

13 CONTINUED BY MR. BYRON WILLIAMS:

14 MR. BYRON WILLIAMS: Thank you, Mr.
15 Chairman.

16 Mr. Wiens, I just want you to take those
17 same key principles of Bonbright which we just applied to
18 the current method and apply those same principles to the
19 recommended method if we might.

20 And just for -- I'm -- I'm going to be
21 moving into the -- this -- the export class that has been
22 created or recommended by Manitoba Hydro in just one (1)
23 second.

24 So just by recommended method, by that I
25 mean the creation of export class with two (2) sub-

1 classes, firm and opportunity, and also the allocation of
2 net export revenues along generation transmission and
3 distribution.

4 Do you understand that, sir?

5 MR. ROBIN WIENS: Yes.

6 MR. BYRON WILLIAMS: Now, applying the
7 Bonbright principle of fairness, you would argue,
8 presumably, that this new class or this new proposal,
9 recommendation, meets -- meets this objective in two (2)
10 ways presumably.

11 First of all, in that the -- there's an
12 allocation of embedded cost to the export class so that
13 it's covering what might be considered a fair share of
14 embedded generation transmission costs?

15 MR. ROBIN WIENS: Yes.

16 MR. BYRON WILLIAMS: And secondly, it's
17 also -- once that is done the allocation of net export
18 revenues on a wider distribution base to generation and
19 transmission distribution rather than just to generation
20 and transmission, provides less of a reward to those
21 whose consumption choices are reducing overall revenues.

22 MR. ROBIN WIENS: Overall, averaged over
23 all the customer classes, it does not produce any
24 different results than the current method. We're still
25 recovering pretty similar costs from the domestic

1 customers.

2 It does reduce the gap between marginal
3 costs and -- and embedded costs for those customer
4 classes for which that gap is currently the largest and
5 it increases it for those for which the gap is currently
6 the least.

7 Does it go all the way to resolving the
8 issues of efficiency in having rates that will be above
9 short run marginal cost? No, it doesn't. But, you know,
10 that's -- that's something that is both a plus and a
11 negative.

12 We do not have a revenue requirement that
13 will -- would get our embedded costs up to such a place
14 where we could confidently say that for all classes or
15 for most consumption our rates are in excess of our short
16 run marginal costs.

17 So we're left with the types of -- of
18 changes that we're recommending here, that try to balance
19 that gap over the classes and then hopefully in the next
20 stage look towards some sort of rate design that will go
21 another part of the way towards addressing those issues.

22 MR. BYRON WILLIAMS: And I guess that's
23 the balance that we spoke of at the -- the start in terms
24 of our discussion, Mr. Wiens. The -- you will agree
25 though that this goes some way -- your recommended method

1 overall improves the efficiency objective.

2 MR. ROBIN WIENS: It contributes to the
3 improvement of the efficiency objective.

4 MR. BYRON WILLIAMS: And you will be
5 looking to other elements of the rate setting process,
6 including rate design, to move farther along that path;
7 correct?

8 MR. ROBIN WIENS: Correct.

9 MR. BYRON WILLIAMS: And the other --
10 going back to Bonbright principles, which are beside your
11 bedside and my bedside now, the other one (1) key
12 principle we spoke of was gradualism and stability.

13 And I -- I guess one of the other
14 advantages of this proposal is that it does react to a
15 fundamental change but it does so while building upon the
16 strengths of the current cost of service system.

17 MR. ROBIN WIENS: I think that's fair to
18 say. I think it's fair to say that if -- if it's
19 accepted, it leaves us with a situation in which we don't
20 have to make any discontinuous changes in -- in the level
21 of rates that's collected from each customer class.

22 MR. BYRON WILLIAMS: Thank you, Mr.
23 Wiens.

24 Mr. Chairman and Member of the Board --
25 and Members of the Board, Part 1 of my outline took a

1 little longer to -- to get through than I expected, for
2 which I apologize. We'll try and make up that time in
3 Parts 3 and 4, which will come tomorrow.

4 And we're moving to the section -- second
5 section of our -- our cross. And, really, in this
6 section we're, for the benefit of the Board, trying to
7 explore the -- the merits of the creation of the export
8 class, in principle why that or may not be a good thing.

9 We're also going to be examining at a high
10 level the question raised by MIPUG of whether exports
11 have been allocated their fair share of the export class.
12 We're going to touch upon a bit of the ground that Mr.
13 Peters chatted about late this morning in terms of the
14 views of the NERA, in terms of the export subclass as
15 proposed by Manitoba Hydro.

16 And we're going to again be looking at the
17 impact in terms of planning, system operations and
18 investment decisions of the Corporation of the various
19 categories of export sales, being those based upon
20 dependable power and those based upon surplus capacity.

21 MR. ROBERT MAYER: Mr. Williams, while
22 you're dealing with the merits of the export class you
23 might keep in mind that this Board was the only group in
24 this room up until recently that actually thought that
25 was a good idea.

1 So you might not have to go too far to
2 convince us that we still think that way.

3 MR. BYRON WILLIAMS: I don't intend to go
4 far down it, Mr. Chairman, but I thought you would give
5 us that helpful reminder at some point during this
6 hearing.

7

8 CONTINUED BY MR. BYRON WILLIAMS:

9 MR. BYRON WILLIAMS: Mr. Wiens, the Vice-
10 Chair has provided a helpful segue to me, but I guess the
11 -- we've had this discussion regarding the creation of
12 the export class and it begs one (1) question, which is
13 why that should be done and without asking you to
14 elaborate, one reason that Manitoba Hydro embarked upon
15 this exercise was that the Public Utilities Board indeed
16 invited you to conduct this exercise, correct?

17 MR. ROBIN WIENS: Yes, that's correct.

18 MR. BYRON WILLIAMS: And it did so, first
19 of all in Board Order 7 from 2003 in which it invited you
20 to look at the creation of two (2) classes, one (1) being
21 a firm export class and the second being an opportunity
22 export class, correct?

23 MR. ROBIN WIENS: Yes.

24 MR. BYRON WILLIAMS: And it's interesting
25 this issue was repeated in Board Order 101/04, correct,

1 in which it recommended that you look at the NERA
2 methodology, vintaging and propose your recommended
3 method, as well?

4 MR. ROBIN WIENS: Yes, although it was, I
5 believe, and I'll be corrected if I'm wrong, it was
6 silent on the issue of the number of export classes. But
7 it did direct us as you say to produce results in
8 accordance with the NERA method and in accordance with
9 the existing method and in accordance with what Manitoba
10 Hydro would recommend, yes.

11 MR. BYRON WILLIAMS: Mr. Wiens, mindful
12 of the Vice-Chairman's caution, apart from the fact that
13 the Board told you this might be a good idea, you'll
14 agree with me that NERA, as well, also thought that this
15 might be a good idea, correct?

16 MR. ROBIN WIENS: Yes.

17 MR. BYRON WILLIAMS: And I won't go
18 through the entire rationale of NERA which is set out at
19 pages 30 to 31 of its report regarding classification,
20 allocation methods for generation and transmission, but
21 you'll recall and agree with me that one (1) of the key
22 points made by NERA, they argued that inclusion of an
23 export class makes it obvious that the export sales are
24 covering their full embedded costs of service, correct?

25 MR. ROBIN WIENS: Yes.

1 MR. BYRON WILLIAMS: Now, analytically at
2 a very high level, do you agree with that observation by
3 NERA?

4 MR. ROBIN WIENS: Yes, I think that that
5 is the strongest case for the inclusion of an export
6 class is to assure to the satisfaction of this Board that
7 exports are indeed covering their costs and that
8 therefore it is appropriate to look beyond just
9 generation and transmission, as a basis for the
10 allocation or otherwise of any export revenues in excess
11 of that amount.

12 MR. BYRON WILLIAMS: So, in terms of it
13 being the strongest case, you see the value of this in
14 providing assurance to the Board that the export class
15 has essentially paid its dues, in terms of generation and
16 transmission costs?

17 MR. ROBIN WIENS: That's correct.

18 MR. BYRON WILLIAMS: And then you would
19 go on to say that once this cost causation link has been
20 broken, the Board can take some comfort in looking at a
21 wider allocation of net export revenues.

22 MR. ROBIN WIENS: I would say that it can
23 take a look at alternatives to generation and
24 transportation -- transmission as the only basis that has
25 been used to date.

1 MR. BYRON WILLIAMS: And, Mr. Wiens, just
2 for your benefit I'm going to be turning to Tab 7 through
3 -- through 10 or 11 -- 7 through 11 of the CAC/MSOS book
4 of reference; do you have that, sir?

5 MR. ROBIN WIENS: I do.

6 MR. BYRON WILLIAMS: Now, our discussion
7 was, of course, and NERA's observation, was, of course,
8 premised on the assumption that export sales are covering
9 their full embedded cost of service; correct?

10 MR. ROBIN WIENS: Yes.

11 MR. BYRON WILLIAMS: And I'm going to
12 draw your attention to Tab 7 of the CAC/MSOS book of
13 references which is coincidentally the response of the
14 Manitoba Industrial Power Group to CAC/MSOS Interrogatory
15 Number 7; do you have that, sir?

16 MR. ROBIN WIENS: I have it.

17 MR. BYRON WILLIAMS: And, in particular,
18 I'll refer your attention to sub (b) of the response
19 produced by MIPUG in which they -- they -- you'll agree
20 with me they appear to be taking issue with the -- your
21 assertion that the export class is fully recovering its -
22 - a fair share of its embedded costs; would that be fair,
23 sir?

24 MR. ROBIN WIENS: Yeah, that would be
25 fair.

1 MR. BYRON WILLIAMS: And I'm going to
2 give you an opportunity to -- to respond to their
3 conclusions in some detail a little bit farther along the
4 -- the line.

5 But just in terms of the broad strokes of
6 this Interrogatory response you'll agree with me that the
7 one key argument introduced by MIPUG is that the export
8 class -- the class currently recommended by Manitoba
9 Hydro fails to capture sufficiently the quantum of costs
10 that Hydro incurs for exports; you'll agree with that?

11 MR. ROBIN WIENS: I'll agree that that's
12 what they said, yes.

13 MR. BYRON WILLIAMS: And again, I'm
14 asking you -- what I just want to do is get the thrust of
15 MIPUG's arguments and I'll try and present them in a more
16 articulate manner than I've done so today.

17 Going on with -- from that general
18 statement, MIPUG is making the assertion that Manitoba
19 Hydro's willing to incur up to the value of exports --
20 exports -- excuse me. Let me restate that.

21 MIPUG is making the assertion, and this is
22 set out in the fourth line of the second paragraph under
23 sub (b) that Manitoba Hydro's generally prepared to make
24 investments in new generation, et cetera, and incur costs
25 up to the value that the increased power can provide from

1 sale on the export markets.

2 You'll see that -- do you see that, sir?
3 That's the assertion that they're making?

4 MR. ROBIN WIENS: Yes, I see that.

5 MR. BYRON WILLIAMS: And, again, just by
6 way of summarizing MIPUG's arguments, they argue at
7 today's prices the long run levelized costs are as high
8 as six point seven (6.7) cents per kilowatt hour;
9 correct?

10 MR. ROBIN WIENS: I think if you include
11 my earlier response, both transmission and the
12 distribution into that that's where the six point seven
13 (6.7) cents comes from.

14 MR. BYRON WILLIAMS: So that -- that
15 figure includes transmission and distribution?

16 MR. ROBIN WIENS: It does.

17 MR. BYRON WILLIAMS: And going on, and
18 just putting MIPUG's argument to you, they also argue
19 that this raises concern given that the recommended
20 method -- method only allocates four point zero one
21 (4.01) cents to firm and one point two (1.2) cents to
22 opportunity sales; that's the argument made by MIPUG?
23 That's on the next page of this submission.

24 MR. ROBIN WIENS: Yeah, we're -- yeah,
25 we're talking about their share of embedded costs and

1 their share of the variable costs in the case of
2 opportunity export sales.

3 MR. BYRON WILLIAMS: And, Mr. Wiens,
4 MIPUG then goes on to argue that as -- and I'm referring
5 to the last paragraph on the second page of this, as
6 further evidence that the quantum allocated to the export
7 class is unfair, they look at the costs in year one (1)
8 of Wuskwatim which they suggest is about four point seven
9 (4.7) cents per kilowatt hour; do you see that, sir?

10 MR. ROBIN WIENS: I see it. Yes.

11 MR. BYRON WILLIAMS: And finally they
12 argue that -- near the end of this paragraph that similar
13 but less dramatic decisions on bulk power system
14 additions are expected to be routinely made in exercises
15 with regard to DSM, wind and SSE's. You see that
16 suggestion, sir?

17 MR. ROBIN WIENS: I see that.

18 MR. BYRON WILLIAMS: I wonder, I'm going
19 to go through this in detail in a little bit, but at a
20 high level if you can respond to the assertion made by
21 Manitoba Industrial Power Group.

22 MR. ROBIN WIENS: Well, if I understand
23 this response correctly and there may be some nuances
24 that I'm not grasping, but the suggestion is being made
25 here that Manitoba Hydro should be, in terms of the

1 export class, should be allocating marginal costs against
2 those revenues, rather than embedded costs which, you
3 know, I think that that simply leads us to the same
4 conclusion that we have with our current cost of service
5 methodology.

6 It doesn't -- adoption of this type of a
7 suggestion would not address at all the concerns that
8 we've brought to the table with our recommended
9 methodology. That's my high level response to that
10 suggestion.

11 It treats, basically, all export revenue
12 as being associated with generation and transmission. So
13 we are crediting customer classes on the basis of their
14 usage, in effect, with the full sum of export revenue
15 which doesn't deal with -- doesn't deal with the issues
16 that we're trying to deal with here today, at all.

17 MR. BYRON WILLIAMS: Thank you for that
18 high level response. I want to walk through some of the
19 assertions made by MIPUG in a little bit greater detail.
20 One (1) of them relates to the argument that when
21 Wuskwatim comes on line that the cost per kilowatt hour
22 in year one will be four point seven (4.7) cents.

23 And I guess in terms of responding to
24 that, I wonder if you could confirm that current exports
25 are from excess supply from hydro facilities installed

1 many years ago, would you agree with that?

2 MR. ROBIN WIENS: Certainly some of them
3 are.

4 MR. BYRON WILLIAMS: I wonder if Hydro
5 can confirm that even when Wuskwatim is in service over
6 half of the firm exports will still be from the older
7 stations as opposed to Wuskwatim and new wind purchases,
8 is that a -- can you confirm that?

9 MR. HAROLD SURMINSKI: Are you inferring
10 that from the quantity of exports at the time and
11 Wuskwatim is about fifteen hundred (1500) gigawatt hours
12 and total exports are double that?

13 MR. BYRON WILLIAMS: That's fair, sir.
14 Was that a yes?

15 MR. HAROLD SURMINSKI: Yes.

16

17 (BRIEF PAUSE)

18

19 MR. BYRON WILLIAMS: Mr. Chairman, it's
20 about ten to 4:00 and there's a -- I'm just going through
21 my notes here and this is an issue that I do want to go
22 at in a more elegant way.

23 I apologize for this but I'm just
24 wondering if it might be more efficient -- otherwise I
25 will have to move on to a new area and then come back to

1 this area.

2 I may want to get a brief adjournment or
3 an adjournment until tomorrow to go over my notes from
4 this section, and then come back.

5 THE CHAIRPERSON: Do you have any small
6 section that you could put in for the next fifteen (15)
7 minutes that wouldn't throw you off your game?

8 MR. BYRON WILLIAMS: Yeah -- what we'll
9 do, yeah, I can move on Mr. Chairman, thank you for your
10 guidance.

11

12 CONTINUED BY MR. BYRON WILLIAMS:

13 MR. BYRON WILLIAMS: I'll come back to
14 this point tomorrow in a more articulate fashion. You
15 had some discussion, Mr. Wiens today in terms of the
16 creation of -- Hydro's recommendation to create two (2)
17 export subclasses, correct?

18 MR. ROBIN WIENS: That is our
19 recommendation.

20 MR. BYRON WILLIAMS: And you discussed
21 with Mr. Peters the fact that you had run this suggestion
22 by NERA and they considered that to be appropriate, is
23 that correct?

24 MR. ROBIN WIENS: Yes.

25 MR. BYRON WILLIAMS: I understand your

1 reluctance to offer out of court statements of others,
2 but the fact that they considered it to be appropriate
3 didn't offer me a lot of comfort in terms of the position
4 of NERA.

5 Is Hydro aware of whether or not NERA
6 prefers the sub-classes to -- the idea of a firm and
7 opportunity sub-class to the idea of just one (1) export
8 sub-class?

9 MR. ROBIN WIENS: If it tracks the
10 embedded costs incurred to meet those export sales you
11 know, I'm -- I'm somewhat reluctant to appear to be
12 putting words in their mouths. But I -- I think that
13 would be reasonably fair provided that it tracks costs
14 reasonably.

15 THE CHAIRPERSON: I think it is kind of
16 unfair to ask Mr. Wiens to do that. I'm just wondering
17 if it was helpful if it would be possible to get a one
18 page letter from NERA just confirming their view and then
19 you don't have to give, sort of, secondhand views of what
20 their view is?

21 If that wasn't too costly for the
22 consumers.

23 MR. ROBIN WIENS: We can arrange to
24 produce something, Mr. Chairman.

25 THE CHAIRPERSON: Thank you.

1

2 --- UNDERTAKING NO. 8: Obtain correspondence from NERA
3 confirming their view of the relative
4 merits of one export class versus two
5 export subclasses

6

7 CONTINUED BY MR. BYRON WILLIAMS:

8 MR. BYRON WILLIAMS: So thank you, Mr.
9 Chairman, for that guidance and so Manitoba Hydro is
10 undertaking to provide a response to -- from NERA in
11 terms of the relative merits of the one (1) export class
12 versus two (2) export sub-classes; is that correct?

13 MR. ROBIN WIENS: Yes.

14 MR. BYRON WILLIAMS: Mr. Chairman, the --
15 I'm moving on and, again, I'm in an area where I will be
16 stepping lightly across Mr. Peters' toes with -- which is
17 fine, without trying to duplicate his efforts and --

18 THE CHAIRPERSON: He's wearing heavy
19 boots.

20 MR. BYRON WILLIAMS: So just -- and I
21 want to turn to the area and to the issue of the impact
22 of -- of -- on system planning and investment decisions
23 of the -- the both firm sales sourced from dependable
24 power and opportunity sales sourced from surplus
25 capacity.

1

2 CONTINUED BY MR. BYRON WILLIAMS:

3 MR. BYRON WILLIAMS: So are you ready,
4 Mr. Surminski?

5 MR. HAROLD SURMINSKI: Yes, Mr. Williams.

6 MR. BYRON WILLIAMS: We're all excited.
7 This will take us a bit into tomorrow morning as well.
8 And, again, mindful, I don't want to duplicate Mr.
9 Peters' work but I do want to just for the purposes of
10 context.

11 My understanding is that Manitoba Hydro
12 defines firm exports as long-term sales of up to twenty
13 (20) years in duration which -- and that they are sourced
14 from Manitoba Hydro's dependable and acredible --
15 accreditable energy resources; would that be fair?

16 MR. HAROLD SURMINSKI: Yes.

17 MR. BYRON WILLIAMS: By contrast,
18 opportunity exports are sourced from Manitoba Hydro's
19 non-dependable energy resources or from purchases; would
20 that be fair?

21 MR. HAROLD SURMINSKI: yes.

22 MR. BYRON WILLIAMS: And those quantities
23 sold are dependent on Hydro's current surplus capacity in
24 energy situation and the spreads in the market prices;
25 would that be fair?

1 MR. HAROLD SURMINSKI: Yes.

2 MR. BYRON WILLIAMS: And in terms of the
3 opportunity export portfolio, my understanding is that it
4 could include short-term firm sales but it also includes
5 spot market and monthly energy sales; would that be
6 correct?

7 MR. HAROLD SURMINSKI: Yes.

8 MR. BYRON WILLIAMS: And in terms of just
9 for further clarification, short term sales, my
10 understanding is that the shortest duration for short
11 term sales is about five (5) minutes in the MISO market?

12 MR. HAROLD SURMINSKI: Yes, that is the
13 finest timeframe.

14 MR. BYRON WILLIAMS: And would it be fair
15 to say that the typical transaction in the real time or
16 day ahead market is one (1) hour; would that be fair?

17 MR. HAROLD SURMINSKI: Yes.

18 MR. BYRON WILLIAMS: And that the typical
19 short term contract is one (1) month; would that also be
20 fair?

21 MR. HAROLD SURMINSKI: That's what we
22 provide in our evidence.

23 MR. BYRON WILLIAMS: And -- and just in
24 case the Board thinks I'm so brilliant for absorbing
25 that, the reference for that is probably CAC/MSOS/II-3.

1 Now, Mr. Surminski, I want to explore the
2 subject of the two (2) export sub-classes, as I said
3 before, from a system planning perspective and also look
4 at the impact that these may have on Manitoba Hydro
5 investment decisions.

6 And I'd like to turn your attention to Tab
7 12 of the CAC/MSOS book of documents; do you have that,
8 sir?

9 MR. HAROLD SURMINSKI: Yes, I do.

10 MR. BYRON WILLIAMS: And this may be
11 familiar to some members of the Board as it is an excerpt
12 from the submission to the Manitoba Clean Environment
13 Commission regarding the need for alternatives to the
14 Wuskwatim project.

15 So you have that in front of you, sir?

16 MR. HAROLD SURMINSKI: Yes, I do.

17 MR. BYRON WILLIAMS: And what this is,
18 and I think it's helpful, Mr. Surminski, for the purposes
19 of clarify, is it's a -- a brief summary of how the power
20 resource plan fits within overall hydro planning and --
21 and investment decision.

22 Is that fair?

23 MR. HAROLD SURMINSKI: Yes.

24 MR. BYRON WILLIAMS: And just to start --
25 and I won't go through this whole document but I'm

1 looking to go through parts of it and then draw some
2 conclusions at an end -- you'll agree with me that on an
3 annual basis Hydro reviews all current information with
4 respect to generation requirements in order to ensure
5 that it can meet all firm domestic load requirements
6 together with firm committed exports.

7 Is that correct, sir?

8 MR. HAROLD SURMINSKI: Yes, that is.

9 MR. BYRON WILLIAMS: And when you do this
10 review you include incorporation of updates to the load
11 forecast, field price forecast, export price projections,
12 capital costs, and a number of other factors.

13 Is that right?

14 MR. HAROLD SURMINSKI: Yes, that's right.

15 MR. BYRON WILLIAMS: And the end product
16 of this is a thirty-five (35) year power resource
17 sequence for planning purposes.

18 Is that correct?

19 MR. HAROLD SURMINSKI: Yes, that's right.

20 MR. BYRON WILLIAMS: And what you do with
21 this document is use it to update the integrated
22 financial forecast, or IFF, as well as Manitoba Hydro's
23 long-term capital plan.

24 Would that be fair?

25 MR. HAROLD SURMINSKI: Yes, that's right.

1 MR. BYRON WILLIAMS: And the information
2 that's garnered consists of expected capital
3 expenditures, costs of operating the generating system
4 and revenues from export transactions; correct?

5 MR. HAROLD SURMINSKI: Correct.

6 MR. BYRON WILLIAMS: So this is a key
7 document in terms of planning for future generation needs
8 and also in terms of looking at the future investment
9 decisions by this Corporation; correct?

10 MR. HAROLD SURMINSKI: Yes. It provides
11 -- that is one (1) of the main purposes, is to provide an
12 indication of -- of potential options that -- that we
13 should consider and protect for the future.

14 MR. BYRON WILLIAMS: And when we -- we
15 look at this -- moving into this document in greater
16 detail, and Mr. Peters touched on part of this but I do
17 want to go through bits of it again.

18 There are -- when looking at the planning
19 for the reliable supply of electrical power for
20 Manitobans, Manitoba Hydro looks both at capacity
21 criterion as well as dependable energy criterion; is that
22 correct?

23 MR. HAROLD SURMINSKI: Yes, that's
24 correct.

25 MR. BYRON WILLIAMS: And when we look at

1 capacity criterion, it requires -- the planned generation
2 capacity in terms of megawatts must not be less than
3 forecast annual firm peak demand plus a reserve
4 requirement of 12 percent of forecast firm loads;
5 correct?

6 MR. HAROLD SURMINSKI: Correct.

7 MR. BYRON WILLIAMS: And we're looking --
8 when we're looking at firm loads for reserve
9 determination, we're including only those firm export
10 contracts that require Manitoba Hydro to provide the
11 reserve requirement; is that right?

12 MR. HAROLD SURMINSKI: That's right.

13 MR. BYRON WILLIAMS: Turning to
14 dependable energy criterion. The criterion here are in -
15 - in large part focussed upon the limit or -- created in
16 recognition of the limitations of hydraulic generation
17 during drought conditions.

18 Would that be fair?

19 MR. HAROLD SURMINSKI: Yes, it is.

20 MR. BYRON WILLIAMS: And what they
21 require is that Manitoba Hydro be capable of a dependable
22 supply of energy to meet the basic level of forecast firm
23 load demand; correct?

24 MR. HAROLD SURMINSKI: Yes.

25 MR. BYRON WILLIAMS: And specifically,

1 there has to be sufficient firm energy sources to meet
2 firm energy demand in the event of a repeat of the lowest
3 historic river flow conditions; correct?

4 MR. HAROLD SURMINSKI: Yes.

5 MR. BYRON WILLIAMS: And just by way of
6 interest, you adjust historic flows to represent present
7 use conditions and also take into account upstream water
8 conditions and expected withdrawals; correct?

9 MR. HAROLD SURMINSKI: Yes, that's right.

10 MR. BYRON WILLIAMS: And when we're
11 looking at dependable supply, you're looking at energy
12 from hydro-electric and thermal stations within Manitoba;
13 correct?

14 MR. HAROLD SURMINSKI: Yes.

15 MR. BYRON WILLIAMS: You're also looking
16 at firm energy imports from out of province; correct?

17 MR. HAROLD SURMINSKI: Correct.

18 MR. BYRON WILLIAMS: And you're also
19 looking at contracted non-firm imports from the reserves
20 of neighbouring utilities; would that be fair?

21 MR. HAROLD SURMINSKI: Yes.

22 MR. BYRON WILLIAMS: And one (1) rule of
23 -- one (1) important rule is that contracted non firm
24 exports for medium firm load should not exceed 10 percent
25 of firm energy requirements; correct?

1 MR. HAROLD SURMINSKI: Correct.

2 MR. BYRON WILLIAMS: Thank you.

3 MR. ROBERT MAYER: I take it, sir, that
4 document would now have to be updated to include your
5 power purchases from your wind generators.

6 MR. HAROLD SURMINSKI: Yes. I --

7 MR. BYRON WILLIAMS: So, Mr. Mayer,
8 you're just stealing all my thunder there, but I'll --
9 no, I'm just teasing. I want to pursue this for about
10 another fifteen (15) minutes but I -- I can either do
11 that now or I can carry on tomorrow morning.

12

13 CONTINUED BY MR. BYRON WILLIAMS:

14 MR. BYRON WILLIAMS: Mr. Surminski, thank
15 you for that helpful summary at least it was helpful to
16 me and I think for my clients and I'm hoping to others in
17 this room.

18 I want to just try and summarize some of
19 what we just discussed and then look at the implications
20 in terms of Manitoba Hydro's investment decisions. So it
21 may be a bit harder slogging than the first part.

22 Let's start going back again to the
23 capacity criteria. And just so I understand it, the
24 criteria is that in-service plant must exceed annual firm
25 peak plus required reserves, correct?

1 MR. HAROLD SURMINSKI: Yes.

2 MR. BYRON WILLIAMS: And domestic load
3 and firm exports are included in the demand forecast used
4 for planning purposes, correct?

5 MR. HAROLD SURMINSKI: Yes.

6 MR. BYRON WILLIAMS: And that 12 percent
7 reserves are included for domestic load and for firm
8 exports where hydro is required to provide the reserves,
9 correct?

10 MR. HAROLD SURMINSKI: Yes.

11 MR. BYRON WILLIAMS: Would it be fair to
12 conclude from that that firm export contracts are
13 included for planning purposes but non-firm contracts,
14 are not, would that be fair?

15 MR. HAROLD SURMINSKI: Yes and its only
16 firm contracts that require Manitoba Hydro to carry the
17 reserve. We could have contracts where we are not
18 required to carry the reserve.

19 MR. BYRON WILLIAMS: So in terms of the
20 capacity criterion you're looking exclusively at in terms
21 of firm contracts, those where Manitoba Hydro is required
22 to carry the reserve? Manitoba Hydro is required to
23 provide the reserves?

24 MR. HAROLD SURMINSKI: I'm not sure if
25 you're drawing the conclusion that only contracts that

1 require Manitoba Hydro to carry reserve are categorized
2 as firm, that is not the case.

3 MR. BYRON WILLIAMS: I mis-spoke. I
4 probably have clouded the record rather than cleared it.
5 Just going back to my suggestion that firm export
6 contracts are included for planning purposes, but non-
7 firm contracts are not, and you can confirm that?

8 MR. HAROLD SURMINSKI: Yes.

9 MR. BYRON WILLIAMS: And would you go
10 further and say that not all firm export contracts are
11 required for -- excuse me -- that's fair enough. Okay.

12 Moving to the energy criteria. My
13 understanding is that the criteria is the projected
14 dependable energy must be sufficient to be meet firm
15 energy demand, in the event of a repeat of the lowest
16 historical river flow conditions, correct?

17 MR. HAROLD SURMINSKI: That is the
18 criterion that we have developed.

19 MR. BYRON WILLIAMS: And we've talked
20 about the inputs including wind now, and dependable hydro
21 is what could be produced assuming the lowest flows on
22 record, would that be right?

23 MR. HAROLD SURMINSKI: Yes, that's right.

24 MR. BYRON WILLIAMS: In terms of planning
25 purposes, would I be again correct in concluding that

1 while firm export contracts are included for planning
2 purposes, non-firm exports are not, would that be fair?

3 MR. HAROLD SURMINSKI: Yes, that's right.

4 MR. BYRON WILLIAMS: And that's within
5 the context of the capacity and energy criteria. Moving
6 on and just overall, my understanding is that firm
7 exports require the availability of surplus dependable
8 energy and capacity for the duration of the planned
9 contract, would that be fair?

10 MR. HAROLD SURMINSKI: Yes.

11 MR. BYRON WILLIAMS: And if those
12 surpluses are not available in the -- are not available,
13 that contract could only be entered into if additional
14 dependable generating capacity and energy is installed,
15 would that also be fair?

16 MR. HAROLD SURMINSKI: Yes, that's fair.

17 MR. BYRON WILLIAMS: Would you agree that
18 normally the terms for firm export contracts are set
19 based on anticipated surpluses and normally would not
20 inadvertently trigger the need for new supply in the
21 future?

22 MR. HAROLD SURMINSKI: That has been our
23 approach in the past.

24 MR. BYRON WILLIAMS: So that's based on
25 past experience, correct?

1 MR. HAROLD SURMINSKI: Correct.

2 MR. BYRON WILLIAMS: Now what --

3 MR. ROBERT MAYER: You've got to ask the
4 next question.

5 MR. BYRON WILLIAMS: I'll leave that to
6 you, Mr. Mayer.

7 MR. ROBERT MAYER: Is that its present
8 policy?

9 MR. HAROLD SURMINSKI: I was thinking of
10 -- we -- our current policy is -- is we build -- we can
11 build generation without having firm contracts.

12 MR. ROBERT MAYER: But you won't have
13 firm contracts without having a plan to build the
14 generation, the extra generation.

15 MR. HAROLD SURMINSKI: Yes.

16

17 CONTINUED BY MR. BYRON WILLIAMS:

18 MR. BYRON WILLIAMS: Thank you for that
19 clarification, Mr. Mayer.

20 Just again for planning purposes, once
21 you've signed these firm contracts, they -- they
22 represent a commitment and your planning criteria require
23 that they be considered in future forecasts.

24 Is that right?

25 MR. HAROLD SURMINSKI: Yes.

1 MR. BYRON WILLIAMS: And I guess in
2 certain cases, signing for firm export contracts that
3 commit surplus dependable energy could preclude the
4 ability of Hydro to enter into other more lucrative
5 contracts should the opportunity arise.

6 Would that be fair?

7 MR. HAROLD SURMINSKI: Yes, it is.

8 MR. BYRON WILLIAMS: Turning to
9 opportunity exports now. We've established probably
10 about twelve (12) times now that they're made from
11 surplus supply over and above dependable supply; correct?

12 MR. HAROLD SURMINSKI: Correct.

13 MR. BYRON WILLIAMS: And they can also be
14 the result of purchase-sell arrangements where
15 electricity is purchased during low cost periods and
16 resold in higher cost periods.

17 Would that be fair?

18 MR. HAROLD SURMINSKI: Yes.

19 MR. BYRON WILLIAMS: And those
20 arrangements, would it be fair to say, cannot be used for
21 firm exports since the purchases would not necessarily
22 qualify as dependable energy.

23 MR. HAROLD SURMINSKI: Yes, assuming the
24 -- the purchases are non-firm.

25 MR. BYRON WILLIAMS: And just out of

1 fairness, it would be fair to say some opportunity sales
2 including some sales to the MISO market, are guaranteed
3 in the sense that financial restitution must be made if
4 deliveries fail.

5 Would that be fair?

6 MR. HAROLD SURMINSKI: Yes.

7 MR. BYRON WILLIAMS: I wonder if you'd
8 agree that given the short-term nature of those
9 arrangements the likelihood of this occurring is far
10 less.

11 MR. HAROLD SURMINSKI: Yes, that's right.
12 Because we negotiate shorter term based on our estimate
13 of water availability.

14 MR. BYRON WILLIAMS: Just looking, going
15 from these criteria to the implications for investment
16 decisions, I wonder if you'd agree that -- and I'm
17 speaking now of the non-firm contracts, the opportunity
18 contracts.

19 Given the short nature of these contracts,
20 Manitoba Hydro could not put additional facilities in
21 place in time to meet a specific short-term or
22 opportunity sale.

23 Would that be fair?

24 MR. HAROLD SURMINSKI: Yes. That
25 certainly is the case.

1 MR. BYRON WILLIAMS: It would likely take
2 at least a year to install some facilities and far longer
3 to install others; correct?

4 MR. HAROLD SURMINSKI: I -- I agree with
5 that completely.

6 MR. BYRON WILLIAMS: And you've had this
7 discussion with Mr. Mayer but just to -- to highlight the
8 contrast, in contrast Manitoba Hydro can consider making
9 investments and facilities to support or enable long-term
10 firm contracts; correct?

11 MR. HAROLD SURMINSKI: Yes.

12 MR. BYRON WILLIAMS: Notwithstanding the
13 -- the experience of the drought year, I wonder if you'd
14 agree with me that typically firm exports are more
15 lucrative than opportunity exports.

16 Would you agree with that in general
17 terms?

18 MR. HAROLD SURMINSKI: Yes, in general
19 terms.

20 MR. BYRON WILLIAMS: And one (1) of the
21 reasons, again leaving aside the -- the drought year,
22 they typically command higher prices.

23 Would that be fair?

24 MR. HAROLD SURMINSKI: Yes, that has been
25 the case.

1 MR. BYRON WILLIAMS: And the other key
2 reason why they tend to be more lucrative is that firm
3 export revenues are effectively guaranteed to come every
4 year, whereas opportunity revenues depend on water flow
5 conditions.

6 Is that correct?

7 MR. HAROLD SURMINSKI: Yes, that's
8 correct.

9 MR. BYRON WILLIAMS: Mr. Chairman, I did
10 that in -- in eight (8) minutes. I'm pretty proud of
11 myself. So the -- I've underestimated --

12 THE CHAIRPERSON: So --

13 MR. BYRON WILLIAMS: -- or overestimated
14 my time.

15 THE CHAIRPERSON: -- we'll congratulate
16 you, Mr. Williams, and wait for you to recommence
17 tomorrow morning.

18 Thank you everyone. We'll see you
19 tomorrow at 9:00.

20

21 (MANITOBA HYDRO PANEL RETIRES)

22

23 MR. BOB PETERS: Mr. Chairman, just to
24 get the last word over here from Board Counsel table, I
25 just wanted to the Board Members and -- and all assembled

1 Warden has also indicated to me that tomorrow being
2 Tuesday, is Manitoba Hydro's executive committee meeting
3 at 7:30 a.m. and I just thought I would let the parties
4 know that Mr. Warden may be late and just make sure that
5 there's no objections if he's not here at the
6 commencement tomorrow morning.

7 THE CHAIRPERSON: That would be fine and
8 we'd be pleased to allow the executive committee to use
9 our boardroom number one if they'd like.

10 Thank you. Good night.

11

12 --- Upon concluding at 4:10 p.m.

13

14

15

16 Certified Correct

17

18

19

20

21 _____
Ryan Pickering

22

23

24

25