

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA HYDRO
COST OF SERVICE STUDY

Before Board Panel:

- Graham Lane - Board Chairman
- Robert Mayer - Board Member
- Kathi Avery Kinew - Board Member
- Len Evans - Board Member

HELD AT:

Public Utilities Board
400, 330 Portage Avenue
Winnipeg, Manitoba
May 9th, 2006
Volume IV
Pages 693 to 903

APPEARANCES

1
2
3 R.F. Peters) Board Counsel
4
5 Patti Ramage) Manitoba Hydro
6 Odette Fernandes)
7
8 Bryon Williams) CAC/MSOS
9 Myfanwy Bowman)
10
11 Doug Buhr) City of Winnipeg
12
13 Peter Miller) TREE
14
15 Tamara McCaffrey) MIPUG
16 Patrick Bowman)
17 Andrew McLaren (np))
18
19 Jurgen Feldschmid (np)) CCEP
20
21 Michael Anderson (np)) MKO
22
23
24
25

	TABLE OF CONTENTS	
		Page No.
1		
2		
3	List of Exhibits	696
4	List of Undertaking	697
5		
6	MANITOBA HYDRO PANEL:	
7		
8	VINCE WARDEN, Resumed	
9	ROBIN WIENS, Resumed	
10	CHIC THOMAS, Resumed	
11	HAROLD SURMINSKI, Resumed	
12		
13	Continued Cross-Examination by Mr. Byron Williams	698
14	Cross-Examination by Ms. Myfanwy Bowman	737
15	Continued Cross-Examination by Mr. Byron Williams	793
16		
17	Presentations by MIPUG	828
18		
19	Continued Cross-Examination by Mr. Byron Williams	863
20	Cross-Examination by Mr. Doug Buhr	890
21		
22	Certificate of Transcript	903
23		
24		
25		

1	LIST OF EXHIBITS		
2	EXHIBIT NO.	DESCRIPTION	PAGE NO.
3	10	Pamphlets handed out to the CEC	785
4		Hearings dealing with mitigation costs	
5	11	Extrapolating from the 04/05 Power	785
6		Resource Plan the capital cost of a five (5)	
7		unit and ten (10) unit Canowapa Generating	
8		Station along with the average energy	
9		generated under those scenarios	
10	12	Corrections to table with respect	786
11		to GSS non-demand and demand classes	
12	13	Correspondence from NERA confirming	787
13		their view of the merits of one (1) export	
14		class versus two (2)	
15	14	Manitoba Hydro's long-term expectation for	890
16		natural gas and surplus energy prices.	
17			
18			
19			
20			
21			
22			
23			
24			
25			

LIST OF UNDERTAKINGS			
	Number	Description	Page No.
1			
2			
3	9	Indicate under what circumstances	714
4		seasonal diversity sales or system	
5		participation power sales could be interrupted	
6		to serve domestic load without penalty and if	
7		there are penalties, the nature of those	
8		penalties.	
9	10	Provide curtailment reports for	720
10		the years 2000/01 through 2004/05.	
11	11	Provide information on the percentage of	760
12		greenhouse gas emissions that come from	
13		Manitoba Hydro	
14	12	Re-analyse Mr. Lazar's report concerning	789
15		arc elasticity	
16	13	Confirm whether for the purposes	866
17		of effecting diversity sale contracts,	
18		membership in either MISO or MAPP is	
19		necessary, and if so which, if any, of those	
20		two (2) organizations is membership necessary	
21	14	Confirm, in terms of allowing	867
22		for emergency purchases in the event of	
23		failure of transmission connecting northern	
24		generation, is there membership required for	
25		either of MISO or MAPP	

1 --- Upon commencing at 9:08 a.m.

2

3 THE CHAIRPERSON: Right. Mr. Warden is
4 away. That's correct.

5 MS. PATTI RAMAGE: Yeah. He's --
6 executive committee this morning. He -- he could walk in
7 anytime, I'm not sure.

8 THE CHAIRPERSON: It sounds like an
9 excellent reason to be away. Okay. We'll return now to
10 Mr. Williams.

11

12 MANITOBA HYDRO PANEL:

13

14 VINCE WARDEN, Resumed

15 ROBIN WIENS, Resumed

16 CHIC THOMAS, Resumed

17 HAROLD SURMINSKI, Resumed

18

19 CONTINUED CROSS-EXAMINATION BY MR. BYRON WILLIAMS:

20 MR. BYRON WILLIAMS: Thank you, Mr.
21 Chairman. And good morning, Members of the Board.

22 Mr. Surminski, I think when we finished
23 off yesterday at ten (10) after 4:00 we had -- were just
24 discussing the relative impact of -- of dependable or --
25 or firm exports on system plan and investment decisions

1 versus the impact of opportunity sales.

2 Do you recall that discussion?

3 MR. HAROLD SURMINSKI: Yes, I recall
4 that.

5 MR. BYRON WILLIAMS: And we agreed, I
6 believe, that dependable or firm exports drawn from
7 dependable power play a different -- a fundamentally
8 different role in system planning and system investment
9 than opportunity sales, which are drawn from surplus
10 capacity; correct?

11 MR. HAROLD SURMINSKI: Yes, I agree with
12 that.

13 MR. BYRON WILLIAMS: And in terms of that
14 difference I wonder if you would agree that expansion of
15 any long-term sale requires the availability of surplus
16 capacity and dependable energy on the system, or may
17 require the advancement and building of new capacity.

18 Is that a fair statement?

19 MR. HAROLD SURMINSKI: Yes.

20 MR. BYRON WILLIAMS: And that's why, in
21 the view of Manitoba Hydro, sales from its dependable
22 portfolio can legitimately be ascribed a share of
23 existing or new capital costs.

24 Would that be correct?

25 MR. HAROLD SURMINSKI: Yes.

1 MR. BYRON WILLIAMS: By contrast,
2 opportunity sales are always made from the existing
3 system capacity and, therefore, do no incur capital
4 costs.

5 Would that be a fair statement?

6 MR. HAROLD SURMINSKI: Yes.

7 MR. BYRON WILLIAMS: And I neglected to
8 note that Ms. Desorcy is -- is here.

9 THE CHAIRPERSON: I thought maybe we were
10 getting another garage.

11

12 CONTINUED BY MR. BYRON WILLIAMS:

13 MR. BYRON WILLIAMS: Two (2) more
14 garages, no. Mr. Warden I thought might have scared it
15 away, he had mentioned the word "derivatives," but
16 apparently she's back, in any event.

17 Now, Mr. Surminski -- and you can just --
18 the last little while I've been using the words firm or
19 dependable exports interchangeably, is that a misnomer or
20 am I okay to -- to be using those terms interchangeably?

21 MR. HAROLD SURMINSKI: We have labelled
22 it firm in our filing, as I had indicated earlier. It
23 really -- firmness is a -- is a guarantee of delivery and
24 that's really not a -- a characteristic of -- of these
25 classes of sales.

1 MR. BYRON WILLIAMS: We -- I want to look
2 at the -- again, still on the issue of cost causality,
3 but I -- I want to look at the difference in terms of
4 cost causality domestic, firm export and opportunity
5 export sales from a bit of a different perspective. And
6 namely, in terms of the reliability of the service.

7 Are you prepared to go down that
8 discussion with me, Mr. Surminski?

9 MR. HAROLD SURMINSKI: Yes. We'll see
10 where that goes.

11 MR. BYRON WILLIAMS: And let me start
12 first -- and, again, I'll try not to step upon Mr.
13 Peters' toes. There might be a little bit of that, but
14 let me start with domestic sales.

15 Am I right in observing that there is a
16 class of customers known as curtailable customers or I
17 think another way to call it is GSL greater than 100 kV
18 curtailable.

19 Is that right?

20 MR. ROBIN WIENS: Mr. Williams, we do
21 have a class of service, curtailable service it is
22 provided to customer who qualify for it and I believe
23 they are both in the over 100 kV and 30 to 100 kV classes
24 of general service large.

25 MR. BYRON WILLIAMS: And I used the word

1 "customer," and I should have used the word "service;" is
2 that right?

3 MR. ROBIN WIENS: That's okay, Mr.
4 Williams.

5 MR. BYRON WILLIAMS: Well you got a
6 little picky yesterday, Mr. Wiens so -- some people did
7 Mr. Mayer -- just following up the domestic curtailable
8 customer or service, my understanding is that they're
9 treated domestic firm customers, except for contractually
10 limited curtailments that can be initiated by Manitoba
11 Hydro for the purposes of maintaining capacity reserves,
12 is that correct?

13 MR. ROBIN WIENS: Yes.

14 MR. BYRON WILLIAMS: And just so I
15 understand it, is that the only reason that that service
16 can be curtailed for the purpose of maintaining capacity
17 reserves?

18

19 (BRIEF PAUSE)

20

21 MR. ROBIN WIENS: Mr. Williams -- we've --
22 - I believe we've filed material which indicates the
23 basis on which Manitoba Hydro would carry out
24 curtailments.

25 We would carry out curtailments in order

1 to maintain Manitoba Hydro's planning reserve obligations
2 within the map region. To re-establish Manitoba Hydro's
3 contingency reserves and to protect firm Manitoba load
4 when operating reserves are insufficient to avoid
5 curtailing firm load.

6 MR. BYRON WILLIAMS: So just so I
7 understand it's -- the curtailments may be in the case of
8 protecting planning reserves, contingency reserves or
9 firm load, is that correct, sir?

10 MR. ROBIN WIENS: That's correct.

11 MR. BYRON WILLIAMS: And I don't want to
12 get into too much detail about this program because it
13 certainly may be beyond my abilities, if not yours, but I
14 understand that in terms of the contractual limits found
15 in these programs that they can define the maximum number
16 of curtailments that can be initiated in any year, the
17 maximum hours per curtailment and the maximum total
18 hours, is that correct?

19 MR. ROBIN WIENS: Yes, that is.

20 MR. BYRON WILLIAMS: And I understand
21 there's a couple of options, I think one (1) is option
22 (a) and is the other option (e).

23 MR. ROBIN WIENS: There's actually more
24 options than that, Mr. Williams. We have an option (a)
25 which, if you'd like, I can go through some of the

1 different terms and conditions that are involved in that.

2 MR. BYRON WILLIAMS: Just, we'll stick
3 with (a) and the only thing I want to confirm about (a)
4 is that it covers most of the curtailable load available
5 to Manitoba Hydro, is that right?

6 MR. ROBIN WIENS: I believe that's
7 correct.

8 MR. BYRON WILLIAMS: And the maximum
9 amount of curtailment for that with regard to option (a)
10 in terms of the whole year is sixty-three point seven
11 five (63.75) hours would that be correct?

12 MR. ROBIN WIENS: Yes.

13 MR. BYRON WILLIAMS: And just so I
14 understand, other than these curtailments provisions,
15 Manitoba Hydro is obliged to provide firm service to
16 these customers up to 110 percent of their contract
17 levels as long as the customer desires service, is that
18 fair?

19 MR. ROBIN WIENS: Yes that's fair.

20 MR. BYRON WILLIAMS: And I understand
21 that -- I understand that it's served by firm
22 transmission, is that correct?

23 MR. ROBIN WIENS: Yes.

24 MR. BYRON WILLIAMS: Just so I understand
25 this -- what is mean by the term, firm transmission?

1 MR. ROBIN WIENS: That means that under
2 all normal operating conditions, that transmission is
3 available to provide service to that customer.

4 MR. BYRON WILLIAMS: Okay. And what's a
5 transmission contingency event?

6 MR. ROBIN WIENS: Transmission
7 contingency event is a situation in which the
8 transmission is not available to provide service.

9 MR. BYRON WILLIAMS: Thanks for the
10 curtailable, I want to just move a little bit sideways to
11 domestic firm sales which are not curtailable. When I
12 use the term domestic firm sales, my understanding is
13 this includes firm power for which reserves are carried
14 by Manitoba Hydro?

15 MR. ROBIN WIENS: Yes.

16 MR. BYRON WILLIAMS: And that -- that
17 power is delivered via firm transmission; is that
18 correct?

19 MR. ROBIN WIENS: Correct.

20 MR. BYRON WILLIAMS: And in terms of the
21 domestic firm customers, I believe in Manitoba Hydro's
22 material they indicated that it would -- that would
23 survive a single transmission contingency event; is that
24 correct?

25 MR. ROBIN WIENS: Yes.

1 MR. BYRON WILLIAMS: So is that something
2 that distinguishes it from curtailable power?

3 MR. ROBIN WIENS: Well, I think it means
4 that the system is designed so that we can maintain firm
5 service to customers in the event of a single
6 transmission contingency. Curtailable customer is not
7 really defined in terms of transmission availability.
8 You will note that we don't describe -- we don't describe
9 that -- well, actually I believe we could curtail a
10 curtailable customer in the event of a transmission
11 contingency if there was no other option.

12 But normally we're looking at -- at -- it
13 has to do with generation reserves.

14 MR. BYRON WILLIAMS: Thank you. I
15 appreciate that. And just to finish up on domestic firm,
16 and we've gone through this before, but the energy sold
17 to domestic firm customers is dependable energy in that
18 it can be delivered under the most adverse historic water
19 conditions; correct?

20 MR. ROBIN WIENS: The system is planned
21 to do that.

22 MR. BYRON WILLIAMS: And just moving to
23 export sales in terms of -- I'm going to use the term
24 firm power in terms of a category of export sales; is
25 that a term you're familiar with?

1 MR. HAROLD SURMINSKI: Yes, it is.

2 MR. BYRON WILLIAMS: And my understanding
3 is that this category of sale is identical in terms of
4 dependability to domestic sales; would that be fair?

5 MR. HAROLD SURMINSKI: In terms of our
6 planning for it and having supply guaranteed for it, yes.

7 MR. BYRON WILLIAMS: And, in fact,
8 Manitoba Hydro carries reserves and firms transmission to
9 support a firm export sale; correct?

10 MR. HAROLD SURMINSKI: Yes, that's right.

11 MR. BYRON WILLIAMS: Now, my
12 understanding is Manitoba Hydro has five hundred (500)
13 megawatts of seasonal diversity sale that fall into this
14 category; correct?

15 MR. HAROLD SURMINSKI: In the category of
16 firm sales, yes.

17 MR. BYRON WILLIAMS: And again energy,
18 we've gone through that, but the energy sold for this --
19 from this -- as part of firm export is dependable;
20 correct?

21 MR. HAROLD SURMINSKI: Yes, that's right.

22 MR. BYRON WILLIAMS: And just to be
23 clear, system participation power is similar to firm
24 power but with the exception that the customer provides
25 their own reserves; is that right?

1 MR. HAROLD SURMINSKI: Yes, that's right.

2 MR. BYRON WILLIAMS: And transmission for
3 this power is firm as well; correct?

4 MR. HAROLD SURMINSKI: Yes, that's right.

5 MR. BYRON WILLIAMS: And as I understand
6 it all of Manitoba Hydro's long-term firm export sales,
7 other than that seasonal diversity sale are of this type;
8 is that correct?

9 MR. HAROLD SURMINSKI: Yes, I believe
10 that's correct.

11 MR. BYRON WILLIAMS: And again, the
12 energy sold under this type of sale is dependable;
13 correct?

14 MR. HAROLD SURMINSKI: Yes, it is.

15 MR. BYRON WILLIAMS: Now, turning to
16 opportunity export sales and we've gone through this too
17 many times, but they're made from surplus energy and
18 excessive dependable energy; correct?

19 MR. HAROLD SURMINSKI: Yes.

20 MR. BYRON WILLIAMS: And they can range
21 generally from an hour to a -- to a year; correct?

22 MR. HAROLD SURMINSKI: Generally. We
23 mentioned even five (5) minutes.

24 MR. BYRON WILLIAMS: Yes. I think I even
25 brought that up yesterday. I apologize for that. Now, I

1 want to be clear sometimes in some of Manitoba Hydro's
2 material they use the word "system energy"; what does
3 system energy mean? There's a reference to it in, I
4 think, PUB --

5 MR. HAROLD SURMINSKI: Yes, I have the
6 reference. But I'm not sure exactly --

7 MS. PATTI RAMAGE: Mr. Williams, perhaps
8 you could help me out and give me the reference?

9 MR. BYRON WILLIAMS: Yes, I should have.
10 It's from going off of memory but I believe it's Tab 20
11 the CAC/MSOS book of references and it's PUB/MH/II-25 and
12 on page 2 of 3 under the heading "opportunity sales"
13 there is a reference to system energy.

14 No, Mr. Mayer, I'm going down another
15 line, it says "system energy."

16 Are you familiar with that term, Mr.
17 Surminski?

18 MR. HAROLD SURMINSKI: No, I'm not. But
19 it seems to be the -- the lowest priority of energy
20 sales. It's a terminology our traders have used. So if
21 you see on the last page, page 3 of 3, the domestic firm
22 is the highest priority and the system energy sales are
23 at the very lowest.

24 MR. BYRON WILLIAMS: And just perhaps --
25 and hopefully you can answer this. If not, perhaps you

1 can provide me with clarity at a later point in time.
2 But am I correct in suggesting that all system energy
3 sales are opportunity sales?

4 Would that be correct?

5 MR. HAROLD SURMINSKI: Yes, certainly,
6 that would be the case.

7 MR. BYRON WILLIAMS: So just going to the
8 reference that you noted on the -- on the -- the next
9 page of this interrogatory response, in terms of
10 curtailment, you mentioned a -- mentioned a priority of
11 curtailment.

12 Is that correct?

13 MR. HAROLD SURMINSKI: Yes, that's right.

14 MR. BYRON WILLIAMS: And I want to leave
15 aside curtailable for a second, but the first to go is
16 system energy sales, then system participation export
17 sales, then firm power export sales, and then finally
18 domestic firm load.

19 Is that correct, leaving aside
20 curtailable?

21 MR. HAROLD SURMINSKI: Yes, that is the
22 correct order.

23 MR. BYRON WILLIAMS: And just so I
24 understand, in terms of curtailable, if there's
25 curtailable or curtailment available under the contract,

1 they follow only system energy in terms of ranking in
2 terms of curtailment.

3 Is that correct?

4 MR. HAROLD SURMINSKI: Yes, it is.

5 MR. BYRON WILLIAMS: So they're the
6 second to go?

7 MR. HAROLD SURMINSKI: Yes.

8 MR. BYRON WILLIAMS: If there's
9 curtailment available?

10 MR. HAROLD SURMINSKI: Yes.

11 MR. BYRON WILLIAMS: However, if you've
12 reached the maximum number of curtailments, then they're
13 treated the same as domestic firm; correct?

14 MR. ROBIN WIENS: Yes, that's correct.

15 MR. BYRON WILLIAMS: So if you reach the
16 maximum they're at the -- the bottom of the list in terms
17 of curtailment?

18 MR. ROBIN WIENS: They'll be treated the
19 same as any domestic firm load.

20 MR. BYRON WILLIAMS: Just so I understand
21 -- and I'm not -- in a year of median water flows, let's
22 take that customer from the option (a) category, would
23 they expect to -- to reach their maximum number of
24 curtailments, being sixty-three point seven five (63.75)
25 hours?

1 (BRIEF PAUSE)

2

3 MR. ROBIN WIENS: Mr. Williams, in a --
4 in a year of - well, water flows are not the primary
5 determinant of whether or not we're going to carry out a
6 curtailment. In a year of -- whether it's median or low
7 water flows, it's an issue of whether or not the system
8 can -- has the capacity to continue service.

9 MR. BYRON WILLIAMS: Thank you for that
10 clarification. It's a capacity issue; correct?

11 MR. ROBIN WIENS: Yes.

12 MR. BYRON WILLIAMS: Just for a moment
13 I'd like to compare and contrast the curtailable class
14 versus opportunity sales. Just going back over what
15 we've discussed.

16 And in the case of generation my
17 understanding is that curtailable load must be served
18 except under certain specific circumstances and then it
19 can be cut only for the period defined in the contract;
20 correct?

21 MR. ROBIN WIENS: Yes.

22 MR. BYRON WILLIAMS: By contrast,
23 opportunity sales are only made when there's sufficient
24 surplus generation available; correct?

25 MR. ROBIN WIENS: Yes.

1 MR. BYRON WILLIAMS: And we've also
2 agreed previously that curtailable is served by firm
3 transmission; correct?

4 MR. ROBIN WIENS: Yes.

5 MR. BYRON WILLIAMS: Just going back to
6 our discussion yesterday of the significance of power
7 source from dependable power for system planning,
8 operations and investment, I'm correct in assuming that
9 curtailable clients are considered to be sourced from
10 dependable supply and, therefore, from your perspective,
11 it's appropriate to allocate to them a -- to the
12 curtailable class a share of the fixed and operating
13 costs of both generation and transmission; correct?

14 MR. ROBIN WIENS: Yes.

15 MR. BYRON WILLIAMS: And your -- and for
16 those who might argue that the costs assigned to the
17 curtailable class should resemble the costs assigned to
18 the opportunity class of export sales, you'd argue that
19 that is wrong; correct?

20 MR. ROBIN WIENS: Yes, that's correct.

21 MR. BYRON WILLIAMS: And that's wrong
22 because curtailable power serves -- puts very real
23 demands upon the system in terms of system planning
24 demands and investment, whereas the -- the real
25 incremental impact of opportunity sales is on variable

1 costs, would the be fair?

2 MR. ROBIN WIENS: That would be fair.

3 MR. BYRON WILLIAMS: Mr. Surminski and
4 you may have been asked this question by Mr. Peters
5 before by way of an undertaking, so if you have you'll
6 clarify that for me.

7 But, in terms of firm exports whether
8 those are seasonal diversity sales or system
9 participation power sales, I wonder if you can indicate
10 under what circumstances such sales could be interrupted
11 without penalty to serve domestic load?

12 MR. HAROLD SURMINSKI: Yes, but I'd have
13 to look it up. We have about four (4) different
14 provisions in our responses. Would you want me to look
15 that up?

16 MR. BYRON WILLIAMS: I don't need it
17 right now, if you could just provide it for me at a later
18 date, it's more for Mr. Harper's benefit, frankly, than
19 my own. Would you be able to provide that by way of an
20 undertaking?

21 MR. HAROLD SURMINSKI: Yes I could do
22 that.

23

24 --- UNDERTAKING NO. 9: Indicate under what
25 circumstances seasonal

1 diversity sales or system
2 participation power sales
3 could be interrupted to serve
4 domestic load without penalty
5 and if there are penalties,
6 the nature of those
7 penalties.

8

9 CONTINUED BY MR. BYRON WILLIAMS:

10 MR. BYRON WILLIAMS: And while you're
11 doing that, and maybe I should have asked this first, if
12 there are penalties, I wonder if you can indicate for
13 each type of firm sale the nature of those penalties,
14 would you be able to do that?

15 MR. HAROLD SURMINSKI: Yes, but, I
16 believe there are no penalties.

17 MR. BYRON WILLIAMS: Okay. Thank you.

18

19 (BRIEF PAUSE)

20

21 MR. BYRON WILLIAMS: I'm going to be
22 turning for a brief period of time to the PUB book of
23 references, Tab 13, which is the response to PUB
24 interrogatory first round 22, the response from Manitoba
25 Hydro sub (c).

1 And I want to explore the issue of
2 reliability a bit more in terms of -- do you have that
3 Mr. Surminski, it's the PUB book of documents that I'm
4 referring to. The pile in front of you seems to resemble
5 the pile in front of me but -- do you have that Mr.
6 Surminski?

7 MR. HAROLD SURMINSKI: Yes, I have it
8 now.

9 MR. BYRON WILLIAMS: And I -- really I'm
10 looking at the opportunity exports and I'll be getting to
11 a particular reference to the drought years, parts of
12 2002 through 2004.

13 But, just for clarity purposes, my
14 understanding is that on a going forward basis, before we
15 turn to this table, projecting five (5) years into the
16 future Manitoba Hydro's expectation is the split between
17 dependable or excuse me, firm export sales and
18 opportunity export sales, will be approximately 55
19 percent for firm and 45 percent for drought, is that
20 right?

21 MR. HAROLD SURMINSKI: Yes that's right.

22 MR. BYRON WILLIAMS: Excuse me, drought,
23 I'm getting ahead of myself, Mr. Surminski you should be
24 as picky as Mr. Wiens. That would be 45 percent for
25 opportunity, is that correct?

1 MR. HAROLD SURMINSKI: Yes I was hearing
2 what I thought I wanted to hear.

3 MR. BYRON WILLIAMS: I do a lot of that
4 in these proceedings. I want to turn your attention now,
5 though, to the year of 2003/04 and you'll see that firm
6 exports for that year are about fifty eight hundred
7 (5800) gigawatt hours whereas opportunity exports are
8 about somewhere between eleven and twelve hundred (1100-
9 1200) gigawatt hours, is that right, sir?

10 MR. HAROLD SURMINSKI: Yes, that's right.

11 MR. BYRON WILLIAMS: And so in the
12 drought year, opportunity sales accounted for only about
13 17 percent of export sales, in terms of gigawatt hours,
14 correct?

15 MR. HAROLD SURMINSKI: Subject to
16 checking an exact number, but it looks approximately
17 correct.

18 MR. BYRON WILLIAMS: I think it's a bit
19 less than 17 percent, but that's fine. And so in
20 essence, looking at this year, in particular, opportunity
21 export sales were drastically curtailed in response to
22 the drought, is that fair?

23 MR. HAROLD SURMINSKI: Not necessarily
24 curtailed, they were just not negotiated.

25 MR. BYRON WILLIAMS: Excuse me, exactly,

1 they were not negotiated. And that to a certain degree
2 emphasizes the point that in times of limited energy
3 opportunities, opportunity sales are often the first --
4 when there's limited energy supply opportunity sales are
5 the first to go, is that correct?

6 MR. HAROLD SURMINSKI: First not to be
7 there.

8 MR. BYRON WILLIAMS: Now, you're getting
9 more precise and you're helping me out. I appreciate
10 that. And I think Mr. Wiens has already implicitly
11 answered this question, but in the drought year would I
12 have expected the curtailment of curtailable service to -
13 - to be materially different?

14 Would I have expected that to be
15 significantly different than the -- than normal years?

16

17 (BRIEF PAUSE)

18

19 MR. ROBIN WIENS: Mr. Williams, these
20 things are never as absolutely clear cut as you've
21 imagined them to be. The records that I'm looking at
22 show that during the drought year we did, in fact, have
23 more hours or curtailment than we've had in the
24 subsequent years although not -- not of an order of
25 magnitude of difference, simply higher.

1 And I don't have the information in front
2 of me to be able to explain precisely why but there's
3 been a suggestion that perhaps if drought is associated
4 with heat there are capacity implications as well.

5

6 (BRIEF PAUSE)

7

8 MR. ROBIN WIENS: In this case I think
9 we've determined that most of these curtailments occurred
10 during the month of August which I do recall myself was
11 an extremely hot month. One of the hottest in recent
12 history and that would affect the availability of
13 capacity.

14 MR. BYRON WILLIAMS: And I may have
15 missed this on the record, Mr. Wiens, but the material
16 that you have in front of me, can you give me a source
17 for that -- where that is on the record?

18

19 (BRIEF PAUSE)

20

21 MR. ROBIN WIENS: Mr. Williams, it's
22 probably not on the record of this proceeding but this is
23 reporting that we do on an annual basis in respect of our
24 curtailable service program.

25 MR. BYRON WILLIAMS: Would it be for the

1 years of 2002/03 and '04; or would it be possible to get
2 a report on that for the -- perhaps a few years, let's
3 say from 2000 to 2004/05 in a fairly easy fashion, Mr.
4 Wiens?

5

6 (BRIEF PAUSE)

7

8 MR. ROBIN WIENS: Yes, we can do that.

9 MR. BYRON WILLIAMS: Okay, and I don't
10 want to put you to too much work so -- but perhaps for
11 the years 2000/01 through 2004/05; would that be fair?
12 You'll undertake to do that?

13 MR. ROBIN WIENS: Yes, we will.

14

15 --- UNDERTAKING NO. 10: Provide curtailment reports for
16 the years 2000/01 through 2004/05.

17

18 CONTINUED BY MR. BYRON WILLIAMS:

19 MR. BYRON WILLIAMS: Thank you. Staying
20 on PUB/MH/I-22(c), when I look at the export volumes
21 quoted by Manitoba Hydro, Mr. -- I'm not sure who to put
22 this to, but are reasonable -- seasonal diversity exports
23 included in those export sale volumes?

24 MR. HAROLD SURMINSKI: Yes, they are.

25 MR. BYRON WILLIAMS: Now, are reasonable

1 -- excuse me, seasonable -- are seasonal diversity
2 imports included in Manitoba Hydro's reported purchase
3 power dollars and/or megawatt hours?

4 MR. HAROLD SURMINSKI: Yes, they are.

5 MR. BYRON WILLIAMS: And where would I
6 see those captured; under imports?

7 MR. HAROLD SURMINSKI: Under imports,
8 yes.

9

10 (BRIEF PAUSE)

11

12 MR. BYRON WILLIAMS: I want to turn
13 briefly to the subject of judgment in the cost of service
14 process and you may have covered some of this ground with
15 Mr. Peters but I'll try, again, to travel upon new
16 territory.

17 As I understand in interpreting the
18 results of a cost of service study they indicate the
19 degree to which the rate class or sub-class revenues
20 recover allocated costs; is that fair?

21 MR. ROBIN WIENS: Yes, when you compare
22 the forecast revenues with the forecast allocated costs,
23 that is the information that you obtain.

24 MR. BYRON WILLIAMS: And you'd agree with
25 me that all the -- although the study has the appearance

1 of exactness, it doesn't disclose the actual costs of
2 serving a particular customer or group of customers, it
3 only provides an approximation?

4 MR. ROBIN WIENS: Yeah, and not with
5 absolute precision. We -- we believe it's approximately
6 correct.

7 MR. BYRON WILLIAMS: And it's only
8 approximately correct because there are many judgements
9 involved in the process of classifying and allocating
10 costs.

11 Is that correct?

12 MR. ROBIN WIENS: Yes. It's safe to say
13 that there are judgments on some of the key matters
14 affecting the allocation of costs.

15 MR. BYRON WILLIAMS: And perhaps the most
16 important of those matters is capital investment;
17 correct?

18 MR. ROBIN WIENS: Yes, that's correct.
19 The -- the common costs which are not directly allocable
20 to any particular customer or class of customers.

21 MR. ROBERT MAYER: Mr. Wiens, following
22 up just briefly on that question. A number of times
23 there's been a fairly clear suggestion, and I think
24 fairly obvious to everyone involved in the hearings, that
25 this process of assigning costs requires a significant

1 amount of judgment, hopefully judgment well reasoned but
2 still, a significant amount of judgment and some amount
3 of imprecision.

4 That being the case, and I know this Board
5 has, on a number of occasions, expressed the desire to
6 bring all classes to unity.

7 Firstly, is that possible having regard to
8 the imprecision of the numbers?

9 And secondly, is it even reasonable to try
10 to get your numbers any closer than plus or minus five
11 (5)?

12 MR. ROBIN WIENS: To answer the first
13 part of your question, it is possible. One can simply
14 say, we accept without reservation the results of a
15 particular cost of service study and we will set rates
16 such that each customer class provides, on a forward
17 looking one (1) year basis, test year basis, 100 percent
18 of its costs. So that is possible.

19 Is -- is it reasonable to say that you're
20 100 percent precise? Mr. Chairman, I don't believe that
21 it is. And that's why we talk about a zone of
22 reasonableness, to -- to try and -- to try and put a less
23 precise bracket on that assignment of costs.

24

25 CONTINUED BY MR. BYRON WILLIAMS:

1 MR. BYRON WILLIAMS: Just to follow up on
2 Mr. Mayer's question, if you could confidently directly
3 assign costs then we wouldn't need a -- a zone of
4 reasonableness because we'd have a -- a fair degree of
5 confidence that class RCC's were accurate; correct?

6 MR. ROBIN WIENS: If we could confidently
7 directly assign all of the costs to serve our customers,
8 I -- I don't think we'd be here today, Mr. Williams.

9 MR. BYRON WILLIAMS: I'd be a much
10 happier man. But just --

11 MR. ROBIN WIENS: You might not be, but
12 you would be a more certain man.

13 THE CHAIRPERSON: I recall some of the
14 other comments earlier in these proceedings, we must also
15 remind ourselves that the costs can be defined
16 differently by different people. And, as well, there's
17 the old matter of to what degree does the COSS determine
18 the final rates.

19 MR. ROBIN WIENS: All of that is true,
20 Mr. Chairman.

21

22 CONTINUED BY MR. BYRON WILLIAMS:

23 Mr. BYRON WILLIAMS: Just in terms of --
24 just a brief follow-up again to the -- the question posed
25 by the Vice-Chair.

1 In terms of some of the limitations of
2 costs of service, not in a pejorative sense but in a
3 realistic sense, one of the limitations is we can't
4 directly assign all costs with any degree of confidence.

5 Would that be fair?

6 MR. ROBIN WIENS: Yes, that would be
7 fair.

8 MR. BYRON WILLIAMS: And, again, you've
9 already identified the issue of joint costs and the
10 difficulty particularly as they relate to capital
11 investments as a difficulty in -- in the confidence that
12 we ascribe to classification allocation; correct?

13 MR. ROBIN WIENS: Yes.

14 MR. BYRON WILLIAMS: And another issue
15 would be that the characteristics of each utility are
16 somewhat unique. So while there may be some approaches
17 that work well in other jurisdictions, they may not be
18 applicable as well to our jurisdiction.

19 Would that be fair?

20 MR. ROBIN WIENS: That would indeed be
21 fair.

22 MR. BYRON WILLIAMS: And I guess another
23 complicating factor would be that when you're trying to
24 understand for which purpose an investment was made that
25 purpose may, in fact, change over time to a certain

1 degree; would that be fair?

2 MR. ROBIN WIENS: Yes, I think that's
3 fair as well.

4 MR. BYRON WILLIAMS: And I -- I -- I
5 probably misspoke. I used the word purpose but I should
6 have said the word the use of that investment -- the
7 purpose to which it's used over time may change; correct?

8 MR. ROBIN WIENS: That can happen. Yes.

9 MR. BYRON WILLIAMS: And I think an
10 excellent example of that, certainly you don't need to
11 turn to it, but is the unit -- the coal-fired unit number
12 5 at the Brandon Generating Station.

13 And you'll agree with me that originally
14 its original role was to provide energy support to the
15 predominantly hydraulic period -- hydraulic system during
16 periods of drought; correct?

17 MR. ROBIN WIENS: It had a number of
18 purposes, Mr. Williams, but that was definitely one of
19 them.

20 MR. BYRON WILLIAMS: And it was, in fact,
21 a very important role initially for this -- this unit;
22 correct?

23 MR. ROBIN WIENS: Yes.

24 MR. BYRON WILLIAMS: And you know that it
25 had a number of other purposes and some of those purposes

1 in the early days -- early time of that was also to
2 support export sales; correct?

3

4

(BRIEF PAUSE)

5

6 MR. HAROLD SURMINSKI: Yes, it would.
7 It's a resource that we would not have expected to use
8 often but it was there in the one (1) in ten (10) year
9 low flow period.

10 MR. BYRON WILLIAMS: And I guess since
11 the mid-1990's export prices have increased significantly
12 and therefore the use and the operation of that Unit
13 Number 5 to support export sales has also correspondingly
14 increased; would that be fair?

15 MR. HAROLD SURMINSKI: Yes, that's what I
16 had indicated earlier.

17 MR. BYRON WILLIAMS: And I guess that
18 just goes back to the point that the use for which it was
19 put over time has changed, not in absolute terms, but in
20 relative terms; would that be accurate?

21 MR. HAROLD SURMINSKI: Relative to what?

22 MR. BYRON WILLIAMS: Let me try it again.
23 In the old days you used it less for export -- supporting
24 export sales and it was there more for reliability
25 purposes; today it's operating all out to support export

1 sales; correct?

2 MR. HAROLD SURMINSKI: Yes. But not
3 operating all out actually. We're -- we're not operating
4 all out. We're operating at a reduced level but -- but
5 many hours in the week.

6 MR. ROBERT MAYER: I realize that this is
7 somewhat -- well, it's not off the topic but the coal-
8 fired unit in Brandon; from where do you purchase the
9 coal?

10 MR. HAROLD SURMINSKI: It's the Powder
11 River Basin, Wyoming and that area. It's a cleaner
12 quality coal so that's why we go further afield to
13 purchase that coal.

14 MR. ROBERT MAYER: And do you have any
15 special equipment on that generating unit to further
16 scrub the coal?

17 MR. HAROLD SURMINSKI: Yes. There is a
18 filter that removes a large percentage of the
19 particulates, I think 95 percent or so.

20

21 CONTINUED BY MR. BYRON WILLIAMS:

22 MR. BYRON WILLIAMS: Just to finish up on
23 this -- this area of judgment, I want to turn to the
24 issue of system load factor for just one moment and
25 you'll agree with me, Mr. Wiens, that at best when we're

1 looking at cost causality, the use of system load factor
2 at best provides a directionally correct link; would that
3 be correct?

4 MR. ROBIN WIENS: It -- yeah, it is
5 directionally correct.

6 MR. BYRON WILLIAMS: You'd agree with me
7 though, that it cannot be considered to provide a very
8 accurate tracking of the relative costs incurred to
9 provide customers' capacity versus energy requirements;
10 would that be fair?

11 MR. ROBIN WIENS: Well, it's difficult,
12 Mr. Williams, in a system like Manitoba Hydro's to -- to
13 find such a -- such a determinant -- most of the plants
14 in the Manitoba Hydro system are designed to serve both
15 capacity and energy unlike perhaps in some other systems
16 where you could define types of plants that are available
17 and used very, very few hours of the year.

18 So we've historically had this issue with
19 how do you -- how do you define what is legitimately
20 incurred to provide capacity and which is the -- which --
21 what part of our investment is incurred to provide -- to
22 provide energy.

23 So the system load factor has been a proxy
24 that has been used for a long time during the past
25 because it was convenient and simple to do so.

1 MR. BYRON WILLIAMS: And I appreciate the
2 substance of your answer, but just in terms of the direct
3 question that was asking which is, that system load
4 factor can not be considered as providing an accurate
5 tracking of the relative costs incurred to provide for
6 customers' capacity versus energy requirements, you would
7 agree with that?

8 MR. ROBIN WIENS: Yes, generally I'd
9 agree with that.

10 MR. BYRON WILLIAMS: And you've
11 mentioned that it's been used for a long time for reasons
12 of simplicity and convenience and presumably for want of
13 something better in the Corporation's experience, to date
14 there wasn't something that could do the job better, is
15 that fair?

16 MR. ROBIN WIENS: Well, yeah I would say
17 generally that's fair, yes.

18 MR. BYRON WILLIAMS: And just so I'm
19 clear and I won't go into this in any great detail, but
20 in this proceeding you're recommending that the Board
21 consider something in terms of the marginal weighting of
22 embedded costs, something that you think would be more
23 and of greater assistance and accurately reflecting cost
24 causation with regard to generation costs, would that be
25 fair?

1 MR. ROBIN WIENS: That would be fair. I
2 think it's fair to say that the marginal costs which are
3 determined in a free and open market provide reasonably
4 current price signals that we can use to say what energy
5 is worth or what the output of a generator is worth, at a
6 particular point in time.

7 And a process whereby we would take those
8 signals and average them over a reasonably long recent
9 period of time, may not capture as precisely as -- you
10 know, current costs and the distinction between marginal
11 costs and different hours of the year, it provides a good
12 indicator and provides some stability, as well.

13 MR. BYRON WILLIAMS: So in your view
14 while the new recommended proposal is not a perfect
15 proposal it's a -- in terms of accurately measuring cost
16 causation regarding generation it's likely to be more
17 accurate and more representative than the system load
18 factor, would that be correct?

19 MR. ROBIN WIENS: Yeah, it has the
20 potential to maintain more accuracy over time.

21 MR. BYRON WILLIAMS: I'm going to be
22 leaving this area fairly soon, but perhaps to take us
23 towards the break, we've already talked about the
24 Corporation's views in terms of the relative weight that
25 should be assigned to firm versus opportunity export

1 sales in terms of embedded costs. I want to turn to the
2 question or -- or an exploration of the issues between
3 domestic sales and dependable or firm exports, in terms
4 of their responsibility for embedded costs.

5 And in terms of the impact upon system
6 design, Mr. Surminski, I wondered if you would agree with
7 me that one (1) potential difference between domestic
8 sales and firm export sales is that Manitoba Hydro is
9 obliged to serve domestic load as it materializes while
10 the decision to enter into an arrangement for dependable
11 exports or firm exports is discretionary and subject to
12 whether a business case could be made, is that one (1)
13 fundamental difference?

14 MR. HAROLD SURMINSKI: Yes, I agree with
15 that.

16 MR. BYRON WILLIAMS: And both you and Mr.
17 Wiens yesterday, I believe, in your discussion with Mr.
18 Peters expressed the opinion that, although it's not
19 quantifiable, the incremental cost of generation and
20 transmission associated with export is much lower --
21 would have a much lower unit cost than average embedded
22 cost, would that be fair?

23 MR. HAROLD SURMINSKI: Yes that's right.

24 MR. BYRON WILLIAMS: And recognizing, as
25 we've just discussed, that the allocation of joint

1 embedded costs of generation and transmission is hardly
2 an exact science, I wonder if it would be your view that
3 if anything, allocating a full share of generation and
4 transmission costs to the dependable export class, might
5 somewhat overstate its cost responsibility.

6 MR. ROBIN WIENS: I think we'd agree with
7 that.

8 MR. BYRON WILLIAMS: Now, you've reviewed
9 the evidence of Mr. Harper on behalf of CAC/MSOS, Mr.
10 Wiens?

11 MR. ROBIN WIENS: Yes, I have.

12 MR. BYRON WILLIAMS: No doubt it's --
13 forms bedtime reading for you much as Mr. Bonbright's
14 tome does.

15 MR. ROBIN WIENS: Well, it sits
16 underneath Mr. Bonbright's tome, Mr. Williams.

17 MR. BYRON WILLIAMS: I use it as a pillow
18 myself. And you're aware that Mr. Harper has expressed
19 the view that in terms of the allocation of costs, the
20 recommended methodology of Manitoba Hydro probably
21 somewhat overstates the amount allocated to the export
22 class and probably somewhat understates the amount one --
23 of generation transmission you might allocate to the
24 opportunity class, but that overall it's a reasonable
25 compromise.

1 And I wonder if you have some thoughts on
2 the -- the tome that lies under Mr. Bonbright's bed -- or
3 Mr. Bonbright's tome.

4 MR. ROBIN WIENS: Mr. Williams, yeah,
5 we've provided our thoughts on -- on that particular tome
6 and we filed them with this Board and with Intervenors.

7 MR. BYRON WILLIAMS: Just on that point
8 though, let's go back to that point. Harper says
9 probably a bit too much for -- allocated in terms of
10 generation and transmission to the export class and
11 probably not quite enough in terms of the opportunity
12 class but given the limits of this -- this approach,
13 that's a reasonable result.

14 And what's your view on his opinion?

15 MR. ROBIN WIENS: Well, I think he's
16 viewing it from a pretty similar perspective to the way
17 that -- that we viewed it when we put it forward, which
18 is, as -- as I believe I've -- I've commented in response
19 to Mr. Peters, you may be able to put a -- a finer
20 desegregation in place at considerable cost in terms of
21 resources and time spent in studying it.

22 But we think it is -- it is a reasonable
23 compromise and -- and it is within -- within a group of -
24 - of recommendations on this and related matters that
25 we've put forward in our recommended method that I think

1 is a reasonable compromise and -- and allows for a
2 reasonable margin of safety in terms of the impact on all
3 of our customer classes.

4 So that would be my comments on that.

5 MR. BYRON WILLIAMS: I appreciate that.

6 Mr. Chairman, I have a few questions that
7 might properly be put to Mr. Warden and there's also a
8 question -- because I note that Ms. Hunter is here -- in
9 terms of the order that our -- our cross-examination may
10 proceed. I just want to -- and I wonder if I could step
11 down -- I'm not sure when Mr. Warden is expected to be
12 back.

13 MR. ROBERT MAYER: Mr. Warden just walked
14 by --

15 MR. BYRON WILLIAMS: Ah, okay.

16 MR. ROBERT MAYER: -- about five (5)
17 minutes ago.

18 MR. BYRON WILLIAMS: So I wonder if we
19 might step down just a bit early. I -- I'm mindful of
20 time constraints for today.

21 THE CHAIRPERSON: There's no problem.
22 Okay. We'll have our break a little early. We'll come
23 back at ten (10) after 10:00.

24 MR. BYRON WILLIAMS: Okay. And I'm not
25 promising I'll be up next. It may be my colleague, Ms.

1 Bowman, and I may return.

2 THE CHAIRPERSON: That's fine.

3

4 --- Upon recessing at 9:53 a.m.

5 --- Upon resuming at 9:55 a.m.

6

7 THE CHAIRPERSON: Welcome back, Mr.

8 Warden.

9 MR. VINCE WARDEN: Thank you Mr.

10 Chairman.

11 THE CHAIRPERSON: I hope you made some
12 money for the people of Manitoba while you were away.

13 MR. VINCE WARDEN: We're always trying.

14 THE CHAIRPERSON: Mr. Williams, are you
15 recommencing or is your colleague?

16 MR. BYRON WILLIAMS: My friend Ms.

17 Bowman is.

18 THE CHAIRPERSON: Very good, please
19 proceed.

20 MS. PATTI RAMAGE: Before Ms. Bowman
21 jumps in, I just thought because I've spoken with My
22 Friends from CAC/MSOS and they've advised me of the topic
23 of their next area of cross, so I thought it might be
24 timely to introduce a new member of our back row, who I
25 suspect we will see the front rows backs a few times,

1 while they consult with Mr. Bill Hamlin who is Manitoba
2 Hydro's energy policy officer.

3 I also thought I should introduce -- we
4 have brought next to Ms. Fernandez, our new articling
5 student who this is her first day of work, she graduated
6 last week from law school. So we're having her jump
7 right into administrative law and that's Ms. Theresa
8 Vandean is in our back row, also.

9 THE CHAIRPERSON: Welcome to both of you.

10 MS. MYFANWY BOWMAN: Thank you Mr.
11 Chairman, members of the Panel. I'm hoping everyone can
12 hear me.

13

14 CROSS-EXAMINATION BY MS. MYFANWY BOWMAN:

15 MS. MYFANWY BOWMAN: I have some
16 questions dealing with the implications of Mr. Lazar's
17 report. And I will be, I hope, blessedly brief.

18 The first question I have is, can someone
19 on the Panel, and I'm not going to direct my questions to
20 anyone specific as I'm not sure who deals with what, but
21 hopefully can give me a sense of what proportion of
22 Manitoba Hydro's generation is associated with some kind
23 of material CO2 emissions? I assume that that would be
24 diesel and natural gas coal, but there may be other
25 things too.

1 MR. HAROLD SURMINSKI: On average in an
2 average flow year, less than 3 percent of our generation
3 would be from those sources.

4 MS. MYFANWY BOWMAN: And are there
5 factors or system changes or whatever that might be
6 inclined to make that percentage go up or down?

7

8 (BRIEF PAUSE)

9

10 THE CHAIRPERSON: Ms. Ramage's prediction
11 is being realized.

12 MR. HAROLD SURMINSKI: First of all, are
13 you limiting it to Manitoba Hydro generation as opposed
14 to import energy?

15

16 CONTINUED BY MS. MYFANWY BOWMAN:

17 MS. MYFANWY BOWMAN: Let's talk about
18 Manitoba Hydro generation to start with?

19 MR. HAROLD SURMINSKI: Yes, Manitoba
20 Hydro during drought conditions, lowest -- low water
21 conditions, we depend on our non hydro resources so our
22 thermal plants, so gas fire generation and coal fire
23 generation. So that could be three thousand (3000)
24 gigawatt hours, I'm going off the top of my head, out of
25 thirty thousand (30,000) so it could be up to 10 percent.

1 MS. MYFANWY BOWMAN: Would export prices
2 be a factor that might affect Manitoba Hydro's emissions
3 in terms of the frequency, for example, with which you
4 might run Brandon?

5 MR. HAROLD SURMINSKI: Yes, we had
6 indicated that favourable export prices are the cause of
7 running Brandon more frequently, Brandon coal as opposed
8 to natural gas.

9 MS. MYFANWY BOWMAN: Now, my initial
10 questions related to CO2, are there other emissions that
11 Manitoba Hydro produces through its generation? And I'm
12 a hydro neophyte, so you'll have to bear with me.

13

14 (BRIEF PAUSE)

15

16 MR. HAROLD SURMINSKI: Yes, we produce
17 noxious, oxo-noxious, nitrogen oxides, sulphur dioxide
18 and mercury, as well as particulates.

19 THE CHAIRPERSON: Ms. Bowman, just before
20 you continue and before the thought leaves my mind. You
21 were speaking a minute ago about the preference, if you
22 like, of coal over natural gas because of the spike in
23 natural gas, could you correct my misunderstanding if I
24 do misunderstand it, natural gas prices have fallen back
25 substantially from the peaks where I understand coal is

1 still substantially high relative to the past; is that
2 true, or not?

3 MR. HAROLD SURMINSKI: Yes, the costs of
4 the fuels, but the generating plant that we have, our
5 combustion turbine is very inefficient in converting gas
6 into energy. It's a single cycle. It's not a combined
7 cycle, so the very low efficiency causes it to be costly
8 to generate electricity economically.

9 THE CHAIRPERSON: So even if natural gas
10 prices have fallen by say, spot market 60 percent from
11 the peak in December and coal remains double what it was
12 a year or so ago or two years ago, that comment still
13 remains as it --

14 MR. HAROLD SURMINSKI: Yes, the
15 efficiency of burning coal through the steam process, is
16 much higher than gas through the single cycle process.

17 THE CHAIRPERSON: Thank you. I apologize
18 Ms. Bowman.

19 MS. KATHI AVERY-KINEW: Ms. Bowman, can
20 you move your mic closer, please?

21 MS. MYFANWY BOWMAN: I'll try and speak
22 up too.

23 THE CHAIRPERSON: You're doing fine.

24 MS. MYFANWY BOWMAN: Thank you.

25

1 CONTINUED BY MS. MYFANWY BOWMAN:

2 MS. MYFANWY BOWMAN: With respect to
3 Brandon, how does -- I'm assuming Manitoba Hydro does
4 take Brandon emissions into account when deciding whether
5 or not to run that particular facility.

6 Can you tell me how Hydro takes that into
7 account?

8

9 (BRIEF PAUSE)

10

11 MR. HAROLD SURMINSKI: Before we dispatch
12 the operation, means operate the plant -- we had put an
13 adder on and it's approximately two dollar (\$2) a
14 megawatt/hour for environmental considerations. So we --
15 we consider the environmental factors as a penalty and --
16 and don't dispatch just for, you know, a single or very
17 little profit. We allow a little adder in -- in the
18 decision.

19 MS. MYFANWY BOWMAN: Am I correct in
20 understanding that's a notional adder, you're not
21 actually adding that on to anyone's bill.

22 Am I right?

23 MR. HAROLD SURMINSKI: No, that's right.
24 That's only in making the decision when we turn on the
25 coal plant.

1 MS. MYFANWY BOWMAN: Okay.

2

3 (BRIEF PAUSE)

4

5 THE CHAIRPERSON: Ms. Ramage, if it would
6 be more efficient, we could always swear the gentleman in
7 and move him up to the front row along with the rest of
8 you.

9 MS. PATTI RAMAGE: That's exactly what we
10 were thinking. We were just wondering if Ms. Bowman
11 could give us an idea how -- how many more questions she
12 has in this area and if it is going to bog us down that
13 much, maybe we'll bring Mr. Hamlin up to the front row.

14 MS. MYFANWY BOWMAN: There might be a
15 few.

16 MS. PATTI RAMAGE: Come on up, Bill.

17 MS. MYFANWY BOWMAN: Get comfortable,
18 Bill.

19 THE CHAIRPERSON: Mr. Barron, would you
20 spring into action, please.

21 THE CHAIRPERSON: It's not quite a
22 promotion, Mr. Hamlin, so don't rejoice.

23 MS. PATTI RAMAGE: This would be the time
24 to negotiate.

25

1 WILLIAM HAMLIN, Sworn

2

3 THE CHAIRPERSON: Ms. Bowman, over to
4 you.

5

6 CONTINUED BY MS. MYFANWY BOWMAN:

7 MS. MYFANWY BOWMAN: Were you wanting to
8 clarify the answer regarding the CO2 adder for Brandon?
9 I -- I noted there was a lot of discussion.

10 MR. WILLIAM HAMLIN: The -- there are
11 circumstances upon which that could be a real cost. If -
12 - if our emissions exceed our commitment levels under our
13 voluntary commitment, our corporate voluntary commitment,
14 and/or our Chicago Climate Exchange commitment.

15 But to date we have remained in a surplus
16 position under both of those commitments. So there has
17 been no requirement to purchase offsets for those
18 emissions.

19 MS. MYFANWY BOWMAN: Is -- is there
20 technology available that would permit us to retrofit
21 Brandon to make it -- to produce fewer emissions? Is
22 that possible? Does that technology exist?

23 MR. WILLIAM HAMLIN: Is your question
24 specific to greenhouse gas emissions or -- or other
25 emissions?

1 MS. MYFANWY BOWMAN: Well, Mr. Surminski
2 had mentioned that there's already a filter for
3 particulate matter, so I don't know if we can do better
4 with respect to particulate; but anything, whatever
5 Brandon is giving off, is there anything we can do about
6 it?

7 MR. WILLIAM HAMLIN: They -- there are
8 technologies to further mitigate emissions of
9 particulates. You can go from electrostatic
10 precipitator, which is what we have now, to something
11 like a bag house which reduces it from something on the
12 order of 95 percent efficient to 98 or 99 percent
13 efficient at taking out those particulates.

14 There are additional scrubbing
15 technologies that could remove sulphur dioxides or a
16 portion of the sulphur dioxides. There are theoretical
17 technologies for mercury, although there's still a great
18 deal of discussion about what technologies might be
19 practical to mitigate those emissions.

20 But for -- and for greenhouse gas it's the
21 focus of a great deal of research in terms of how you
22 could best strip the CO2 emissions out of the exhaust
23 stream and sequester those in an underground fashion.
24 It's probably -- it would probably never be cost-
25 effective for Brandon 5 because it's a relatively small

1 plant.

2 MS. MYFANWY BOWMAN: Just out of
3 curiosity, what do you do with it once it's underground?

4 MR. WILLIAM HAMLIN: And then it's --
5 it's -- it's thought to be permanently sequestered much
6 as natural -- much as natural gas is -- is stored in
7 reservoirs in continuity.

8 MS. MYFANWY BOWMAN: So as I understand
9 it there's some technology that is or potentially might
10 be available down the road. And am I correct in assuming
11 that for the benefit that would be derived, Manitoba
12 Hydro doesn't feel that that's an efficient use of
13 resources?

14 MR. WILLIAM HAMLIN: Yes, that it would
15 probably never be economic to retrofit a plant for those
16 -- for that technology. It may become economic in the --
17 in the broader North American context to build new plants
18 specifically to -- for that purpose.

19 MS. MYFANWY BOWMAN: Is that something
20 that's on Manitoba Hydro's horizon right now?

21 MR. WILLIAM HAMLIN: It -- it's not part
22 of our -- our current planning context other than to --
23 to monitor the -- the progress and status on an ongoing
24 basis.

25 MS. MYFANWY BOWMAN: Now, as I understand

1 it because of the cost of natural gas fuel the gas-fired
2 units at Brandon, and I assume Selkirk, are not being
3 used very much?

4 MR. WILLIAM HAMLIN: Correct.

5 MS. MYFANWY BOWMAN: And are they being
6 used at all?

7 MR. HAROLD SURMINSKI: They are not used
8 for generation purposes but they are used for training --
9 staff training and testing of the equipment. Staff have
10 found that it is necessary to keep up their skills so
11 there are something like one (1) or two (2) days a month
12 that testing takes place.

13 MS. MYFANWY BOWMAN: In its decisions not
14 to run the natural gas-fired facilities, does Manitoba
15 Hydro take into account greenhouse gas emissions from
16 those facilities?

17 MR. WILLIAM HAMLIN: It -- it's a
18 consideration, as we said, for Brandon but it -- it's not
19 a significant consideration. It's dwarfed by the -- the
20 -- the cost dispatch question.

21 MS. MYFANWY BOWMAN: What would be the
22 consequences, and I suspect they would be wide ranging,
23 but what would be the consequences of choosing not to use
24 the -- the Brandon coal unit, first of all, for export
25 purposes; to reserve it simply for domestic need should

1 the need arise. Has anyone considered that?

2 MR. WILLIAM HAMLIN: Well, the -- the
3 environmental consequences, when we talk about greenhouse
4 gas policy, we talk about leakage and if not everybody is
5 playing by the same set of rules the economic opportunity
6 and emissions migrate to somewhere where they're less
7 constrained.

8 So, that is our expectation, if we put
9 arbitrary constraints on our dispatch of -- of Brandon 5
10 we would lose the economic opportunity to -- to use that
11 generation and it would migrate to anywhere outside of
12 our control, the Dakotas or Saskatchewan, somewhere where
13 they haven't imposed such a constraint upon themselves.

14 MS. MYFANWY BOWMAN: Would there be -- I
15 assume there would have to be some kinds of financial
16 consequences for Manitoba Hydro if it were to make that
17 kind of a choice, as well. Can anyone comment on that?

18

19 (BRIEF PAUSE)

20

21 MR. WILLIAM HAMLIN: Those resources play
22 a very important role within our system, while on average
23 we are -- generation becomes 97 percent typically from
24 hydro power, that thermal resources plays an important
25 niche role. And if it wasn't there, it would come --

1 it's removal would be at significant economic cost.

2 We would not only lose the opportunity
3 sales that come from the dispatch of those units, but
4 also the capability to back up the firm sales with the
5 dependable energy.

6 We haven't got an estimate of what kinds
7 of costs would come at their loss but it is considerable.

8 MR. ROBERT MAYER: I'm assuming, sir,
9 that those units are part of your 12 percent reserve that
10 we read about?

11 MR. HAROLD SURMINSKI: Yes, on the
12 capacity side, the reserve is for capacity.

13

14 CONTINUED BY MS. MYFANWY BOWMAN:

15 MS. MYFANWY BOWMAN: And they would also
16 presumably be part of your firm energy on the basis of
17 which you can then enter into -- sorry, your dependable
18 energy on the basis of which you can enter into firm
19 contracts and so on and plan your system, in general, is
20 that right?

21 MR. HAROLD SURMINSKI: Yes they're
22 central to our planning, it's something thirty-two
23 hundred (3200) gigawatt hours of energy, 10 percent of
24 our supply is from thermal resources.

25 MS. MYFANWY BOWMAN: So even if you don't

1 use it, having it is important?

2 MR. HAROLD SURMINSKI: Yes.

3 MR. LEN EVANS: Excuse me, just for a
4 matter of clarification, I'm very interested in the
5 Brandon plant. For many years I used to look out of my
6 living room window and watch the Brandon plant operate.

7 Since then they put a row of housing when
8 I lived right on Pembina Way in Brandon East. But, my
9 understanding that historically this plant and the
10 Selkirk plant were used for peak purposes. In other
11 words, if it was a time of peak demand and water was
12 perhaps lower at that time of the year; and that was
13 essentially a seasonal function.

14 Now, I'm just trying to clarify in my own
15 mind because of the changing market conditions in the
16 United States, higher prices, it's now economic to run
17 these plants throughout the year and whatever, including
18 the exportation of that power, for the net economic
19 benefit of the hydro system.

20 Is that a correct understanding?

21 MR. HAROLD SURMINSKI: Yes, that is
22 correct. And as earlier testimony had indicated export
23 prices were one and a half (1.5) cents a megawatt hour,
24 fifteen (15) years ago and coal wasn't greatly different
25 from what it is today. So you could easily see -- and

1 the cost of generation is in the order of twenty or
2 twenty-five dollars (\$20-\$25) a megawatt hour, so fifteen
3 dollars (\$15) and one a half (1.5) cents.

4 That fifteen dollars (\$15) a megawatt hour
5 with the value of exports and the cost of generating by
6 coal was pretty well the same. So it was not -- it was
7 not economic to generate for export.

8 But now with the value of export rising to
9 fifty dollars (\$50) a megawatt hour and -- and cost being
10 twenty-five dollars (\$25), or in that order, you can see
11 there is a -- a quick profit to be made on that.

12 MR. LEN EVANS: Just as a subsequent --
13 would any of the power in January, February peak time be
14 considered -- I know this is very complicated to figure
15 out, but would you consider part of that being dedicated
16 to meet your peak load as well as any exportation?

17 MR. WILLIAM HAMLIN: The -- our thermal
18 units play a variety of roles and even -- even going back
19 historically, probably one of the -- one of the biggest
20 roles is the energy guarantee against drought, but they
21 are also dispatched to meet peak needs and -- and also
22 fill roles as such regional voltage support and -- and a
23 variety of other roles.

24 MR. LEN EVANS: Thanks.

25

1 CONTINUED BY MS. MYFANWY BOWMAN:

2 MS. MYFANWY BOWMAN: So just to go back
3 to the question I had asked about the consequences of not
4 using Brandon for export.

5 Can I assume then that if, for example,
6 Manitoba Hydro were to choose to decommission Brandon,
7 the consequences would be the same or that much greater?

8 MR. WILLIAM HAMLIN: Could you repeat the
9 question.

10 MS. MYFANWY BOWMAN: You had talked about
11 the consequences, both environmentally and economically,
12 of not using Brandon, the coal facility, for export
13 purposes.

14 If Manitoba Hydro were to decide not to
15 use that facility at all, I assume that the consequences
16 would be the same or -- or greater.

17 That's a safe assumption?

18 MR. WILLIAM HAMLIN: Yeah. Or greater.

19 MS. MYFANWY BOWMAN: And in addition to
20 the consequences we talked about, Manitoba Hydro would
21 probably then have to look at things like advancing
22 generation -- other generation projects, Wuskwatim or
23 something else.

24 MR. WILLIAM HAMLIN: It would have to
25 look at advancing hydro generation or building additional

1 new fossil fuel generation or increasing our reliance on
2 imports.

3 MS. MYFANWY BOWMAN: And, in the same
4 vein, if Manitoba Hydro were to decide not to use its
5 natural gas fired facilities, again the consequences
6 would be similar. You're not really using them a lot
7 right now but having them is important in terms of -- of
8 the other activities you can then undertake.

9 Is that right?

10 MR. WILLIAM HAMLIN: The -- the energy
11 guaranteed benefit is significant.

12 MS. MYFANWY BOWMAN: So -- so there would
13 be similar consequences if -- if Manitoba Hydro were to
14 choose not to use those facilities?

15 MR. WILLIAM HAMLIN: Yes.

16 MS. MYFANWY BOWMAN: Okay. Thank you.

17 How does Manitoba Hydro take into account
18 emissions, either of CO2 or other pollutants, in terms of
19 making resource planning decisions? And I'm sure it's a
20 complicated answer.

21 MR. WILLIAM HAMLIN: I'm struggling to
22 try and figure out a way to make it simpler.

23 We -- we look at the emissions associated
24 with resources. We factor in costs for those resources
25 in planning exercises, costs for those emissions. Those

1 costs are -- are based on what we're seeing forecasted in
2 -- in the US marketplace for various emissions, for the
3 non-greenhouse gas emissions and for greenhouse gas
4 emissions.

5 We are coming up with assumptions for what
6 would -- what would be in place in the Canadian
7 marketplace. And those costs are included in -- in the
8 various resources and compared with other resources that
9 don't have those emissions.

10 So they're internalized as costs.

11 MS. MYFANWY BOWMAN: And that would
12 obviously be simply for the purposes of making decisions
13 as opposed to actually passing on those particular costs
14 to somebody.

15 MR. WILLIAM HAMLIN: Correct. Correct.
16 Those are considered too so that we've given due
17 consideration so that if those things -- if those costs
18 evolve as we expect they will we will have fully
19 considered them and not have made decisions in error.

20 MS. MYFANWY BOWMAN: Now, we've talked
21 about the Brandon facility particularly, is there
22 anything we need to add to that answer if I ask you about
23 how Manitoba Hydro takes emissions into account in making
24 operations decisions for the system more broadly or is
25 the answer the same?

1 You talked about the -- sort of the CO2
2 adder that you use notionally for Brandon.

3 MR. WILLIAM HAMLIN: I'm sorry, I got
4 lost. Could you try one more time?

5 MS. MYFANWY BOWMAN: I asked you a few
6 minutes ago about how Hydro makes decisions about whether
7 or not to use Brandon at any given time. You had
8 mentioned that there was a CO2 adder that you used
9 notionally in making that decision.

10 If we look beyond Brandon to the system as
11 a whole, is there anything other than that that Manitoba
12 Hydro does to take emissions into account when making
13 decisions around what to run and what not to run at any
14 given time?

15 MR. WILLIAM HAMLIN: The -- the
16 consideration of emissions in the dispatch of units are
17 restricted to those units that have emissions so there
18 wouldn't be considerations beyond the Brandon and
19 Selkirk.

20

21 (BRIEF PAUSE)

22

23 MR. WILLIAM HAMLIN: Brandon is two-
24 thirds (2/3) of the total thermal generation.

25 MS. MYFANWY BOWMAN: So -- so really the

1 issue is the same?

2 MR. WILLIAM HAMLIN: Yeah. Yes.

3 MS. MYFANWY BOWMAN: That factor, the CO2
4 adder, is that taken -- treated any differently if you're
5 making a decision to generate for export purposes as
6 opposed to domestic purposes or is the process the same
7 regardless?

8 MR. WILLIAM HAMLIN: The consideration
9 for the adder is the same regardless of whether it's
10 domestic or export.

11 MS. MYFANWY BOWMAN: Manitoba Hydro
12 purchases power on a reasonably regular basis from other
13 utilities; is that right?

14 MR. WILLIAM HAMLIN: Correct.

15 MS. MYFANWY BOWMAN: Where does Manitoba
16 Hydro tend to purchase its power from? I don't need an
17 exhaustive list, just a general idea would be sufficient.

18 MR. WILLIAM HAMLIN: Predominantly from -
19 - from the US marketplace.

20 MS. MYFANWY BOWMAN: Do you know how much
21 of that purchased power is generated in a fashion that
22 would be associated with materials emissions?

23 MR. WILLIAM HAMLIN: What, we would
24 consider is that all the units with low dispatch costs
25 are already -- are already dispatched so -- so it is

1 predominantly a mixture of coal and natural gas high --
2 higher operating cost generation that we would be relying
3 on to import.

4 MS. MYFANWY BOWMAN: So the majority of
5 the imported power would be generated in that fashion,
6 you would expect?

7 MR. WILLIAM HAMLIN: We would expect,
8 yes.

9 MS. MYFANWY BOWMAN: And as I understand
10 it most of Manitoba's power purchases, on average, would
11 be for export or resale purposes as opposed to for
12 domestic use; is that right? Or in a very unusual year?

13 MR. HAROLD SURMINSKI: Yes. Depending on
14 the flow year. So in normal water conditions it would be
15 for export purposes. But the one (1) in ten (10) lower
16 flow year would be for domestic security.

17 MS. MYFANWY BOWMAN: Does Manitoba Hydro
18 do anything in terms of taking into account emissions
19 when deciding whether to purchase power? Or where to
20 purchase, for that matter?

21 MR. WILLIAM HAMLIN: For -- for the types
22 of purchases that -- that we do, no, we wouldn't -- we
23 don't -- we consider those -- well, indirectly we do --
24 we do consider those. When we quantify our global impact
25 on greenhouse gas emissions we consider our net exports.

1 So we -- we factor in the emissions reductions that could
2 be displaced by our exports but we reduce those by the
3 amount we import.

4 So there is an indirect consideration when
5 we assess global -- the global impacts of our total
6 operations. But, no, there isn't a consideration like
7 the -- like for the dispatch of the -- of our own units.

8 MS. MYFANWY BOWMAN: So just to make sure
9 I understand you, when you're for example, reporting on
10 or making decisions about Manitoba Hydro's global
11 greenhouse gas emissions, you would consider emissions
12 from imports.

13 But when you're making a decision on
14 Tuesday morning, we're going to purchase some power
15 today, you don't factor it in at the level, am I right?

16 MR. WILLIAM HAMLIN: That's correct.

17 MS. MYFANWY BOWMAN: Okay. But to some
18 extent when you're deciding whether to purchase power as
19 opposed to, for example, run Brandon it's factored in for
20 Brandon because you're applying, sort of the shadow
21 greenhouse gas premium for Brandon but not for the
22 import, is that also right?

23 MR. WILLIAM HAMLIN: That's correct.

24 MS. MYFANWY BOWMAN: We've talked about
25 emissions for a little while, so let's talk about

1 something new.

2 MR. ROBERT MAYER: Before we leave that--

3 MS. MYFANWY BOWMAN: Okay.

4 MR. ROBERT MAYER: -- I've been wanting
5 to ask this since we had the first answer.

6 When you were asked about emissions you
7 indicated sulphur dioxide and nitrous oxide, I understand
8 those are basically producers of acid rain, am I correct?

9 MR. WILLIAM HAMLIN: Correct, those are
10 constituents of acid rain.

11 MR. ROBERT MAYER: And what surprized me
12 is when you put mercury on that list, I understood that
13 sometimes we would leach mercury out in the fore bays and
14 that would eventually -- because that was a natural
15 process.

16 Where are we producing mercury in our gas
17 fired equipment?

18 MR. WILLIAM HAMLIN: There's no mercury
19 in our natural gas fired generation, but there is mercury
20 as a constituent of the coal.

21 MR. ROBERT MAYER: I understand mercury
22 to be relatively heavy, what happens to it?

23 MR. WILLIAM HAMLIN: You may be going
24 beyond my expertise. I understand that it's expressed in
25 -- in two different forms, an organic form and inorganic

1 form. But --

2 MR. ROBERT MAYER: It goes out the stack.

3 MR. WILLIAM HAMLIN: It goes out the
4 stack, yes.

5 MR. ROBERT MAYER: Thank you.

6 MR. LEN EVANS: I wonder if I could ask a
7 supplementary question before we get off the emissions
8 topic. Greenhouse gas emissions essentially come from
9 Selkirk and Brandon, these are the two points for
10 Manitoba Hydro?

11 MR. WILLIAM HAMLIN: That's correct.

12 MR. LEN EVANS: Do you have any idea of
13 what percentage of total emissions, greenhouse gas
14 emissions in Manitoba come from these sources? I know
15 I've seen a figure somewhere produced by the Manitoba
16 Department of Energy which estimated 35 percent of
17 greenhouse emissions come from motor vehicle operations
18 on our roads.

19 That's one figure that sticks in my mind.
20 But I didn't remember seeing any number related to the
21 Selkirk and Brandon operations of hydro, but I would
22 imagine it would be fairly small?

23 MR. WILLIAM HAMLIN: I haven't got those
24 numbers. I can -- I can undertake to find them for you,
25 but they are a small portion of Manitoba's total

1 emissions, subject to correction I believe they're less
2 than 5 percent. And compared with other utilities as a
3 portion of their generation, it's extremely small.

4 MR. LEN EVANS: If you could get that
5 information, it would be very useful.

6 MR. WILLIAM HAMLIN: I will.

7 MR. LEN EVANS: Thank you.

8

9 --- UNDERTAKING NO. 11: Provide information on the
10 percentage of greenhouse gas
11 emissions that come from
12 Manitoba Hydro

13

14 MS. MYFANWY BOWMAN: I'll thank the Board
15 because you reminded me of something else that I had
16 intended to ask.

17

18 CONTINUED BY MS. MYFANWY BOWMAN:

19 MS. MYFANWY BOWMAN: We've talked about
20 Selkirk and Brandon, but, there's also your diesel
21 stations. And they would presumably be responsible for
22 some emissions, would that be fair?

23 MR. WILLIAM HAMLIN: Yes, they are not --
24 but they are relatively small compared with our total
25 emissions and are not considered in the same fashion as

1 the resources that are connected to our integrated
2 system.

3 MS. MYFANWY BOWMAN: What does that mean?

4

5 (BRIEF PAUSE)

6

7 MR. WILLIAM HAMLIN: Twelve (12) gigawatt
8 hours a year as opposed to three thousand (3,000) for our
9 other resources, demonstrates that it's -- it's a very
10 small piece of the picture.

11 They're not -- I'm not sure what the --
12 the process is for considering the implications of those
13 -- those resources, but they're not part of the
14 considerations of emissions in terms of the -- the
15 dispatch criteria and those other things that we've
16 discussed.

17 MS. MYFANWY BOWMAN: Because there aren't
18 any alternatives in those -- in those communities; is
19 that right?

20 MR. WILLIAM HAMLIN: Yes.

21 MR. ROBIN WIENS: That's correct.

22 MS. MYFANWY BOWMAN: Okay.

23 THE CHAIRPERSON: The proper way of
24 expressing that may be, I'd offer, there's no other
25 economical options.

1 MR. ROBIN WIENS: Well, in the long --
2 the longer term, perhaps that's correct. In the short
3 term, there are no other options, period.

4 MS. MYFANWY BOWMAN: That was -- that was
5 the point I was trying to get at.

6 MR. ROBIN WIENS: They're what other
7 places we call must-run plants.

8

9 CONTINUED BY MS. MYFANWY BOWMAN:

10 MS. MYFANWY BOWMAN: And would it be fair
11 to say that in determining whether to maintain diesel
12 generation in those communities or to look at other
13 options such as connecting into the grid, greenhouse
14 gases may be one (1) of the many factors that Hydro would
15 consider?

16 MR. WILLIAM HAMLIN: I think that's
17 correct.

18 MS. MYFANWY BOWMAN: And -- and if I
19 understand -- if I take anything from all of this, would
20 it be fair to say that there are a lot of complex issues
21 that go into this decision-making process -- all of these
22 decision-making processes that we talked about, and
23 greenhouse gas emissions are one (1) factor among many?

24 MR. WILLIAM HAMLIN: Correct.

25 MS. MYFANWY BOWMAN: Moving on then to --

1 to something other than greenhouse gases, just for a
2 change.

3 Are there other environmental impacts
4 related to Manitoba Hydro's generation transmission
5 distribution of power?

6 MR. WILLIAM HAMLIN: So you're talking
7 about implications coming from all of our system?

8 MS. MYFANWY BOWMAN: Yeah. For example,
9 yes, the dams and those kind of generation stations,
10 transmission lines, all of that, the whole system.

11 MR. WILLIAM HAMLIN: There are --

12 MS. MYFANWY BOWMAN: An overview is fine.

13 MR. WILLIAM HAMLIN: There are
14 environmental implications with every human activity. I
15 don't know where to -- to start but there are
16 implications for -- for all of our resources.

17 MS. MYFANWY BOWMAN: Can you give us a
18 very brief summary of the highlights, how would that be?
19 Very brief.

20 MR. WILLIAM HAMLIN: Resource by
21 resource?

22 MS. MYFANWY BOWMAN: If that's what makes
23 sense of you, yes. Perhaps you can talk about hydro
24 generation as a start. I believe flooding is something
25 I've heard something about.

1 (BRIEF PAUSE)

2

3 MR. WILLIAM HAMLIN: It just so happens I
4 was reviewing a Canadian Electricity Association pamphlet
5 this morning that dealt with this.

6 THE CHAIRPERSON: It's nice to know
7 you're not plagiarising, Mr. Hamlin.

8 MR. WILLIAM HAMLIN: Demand side
9 management options have no direct air emission,
10 greenhouse gas emissions, water use impacts or extraction
11 implications, but can have disposal implications if --
12 depending on what they're made of and if there are
13 hazardous materials.

14 Resev -- hydro power has no criteria. Air
15 pollutants, no direct greenhouse gas emissions, can have
16 implications due to flooding, flow pattern changes,
17 implications for habitat, but doesn't have any
18 significant extraction or waste implications.

19 It can have both positive and negative
20 implications for recreation activities. It can have
21 implications for fishery resources. Natural gas
22 generation has lower air criteria pollutants than coal
23 and medium levels of greenhouse gasses.

24 It can have thermal discharge implications
25 from the cooling water and -- and water demands

1 associated with the cooling. It does have resource
2 extraction issues associated with the collection of the
3 natural gas. But no -- no waste issues.

4 Conventional coal has high levels of
5 criteria air pollutants, high levels of greenhouse gas,
6 the thermal discharge and cooling water requirements that
7 -- similar to natural gas.

8 It has mining extraction type issues
9 associated with getting the coal and it has wastes left
10 over after the combustion that must be disposed of. Are
11 those the kind of implications --

12 MS. MYFANWY BOWMAN: Precisely, yes. It
13 was a delightfully succinct summary.

14 THE CHAIRPERSON: No reference to wind,
15 Mr. Hamlin?

16

17 (BRIEF PAUSE)

18

19 MR. WILLIAM HAMLIN: Wind power has no
20 direct air criteria pollutants. No direct greenhouse gas
21 emissions. No implications on water use. Doesn't have a
22 fuel that needs to be extracted and any residual wastes
23 that are left over.

24 There could be implications for birds and
25 bats in certain circumstances. And going beyond this

1 some of the things that we would think of is visual
2 disturbance, flicker effect which is another form of
3 visual disturbance and noise implications.

4

5 CONTINUED BY MS. MYFANWY BOWMAN:

6 MS. MYFANWY BOWMAN: And are there any
7 significant environmental impacts related to transmission
8 or distribution?

9 MR. WILLIAM HAMLIN: There -- there are
10 implications in terms of you're changing -- you may be
11 changing a habitat from -- from one type to another so
12 instead of forest there may be a low bush or a grassland
13 type habitat. A conversion of habitat.

14 And there are considerations that must be
15 taken for -- it's just creating a linear disturbance and
16 do those have any -- any important impacts.

17 MS. MYFANWY BOWMAN: Forgive my naivete
18 but what's a linear disturbance?

19 MR. WILLIAM HAMLIN: Does -- does the
20 bisection of a habitat like putting this strip of a
21 different type of habitat down the middle of it cause any
22 implications for the habitats on either side.

23 MS. MYFANWY BOWMAN: Thank you. And
24 would it be fair to say that Manitoba Hydro tries to take
25 all of these different considerations and probably others

1 into account when it makes decisions about system
2 planning?

3 MR. WILLIAM HAMLIN: We strive to factor
4 in all of those considerations to the best of our
5 abilities.

6 MS. MYFANWY BOWMAN: Would it be fair to
7 say that that's a fairly complicated process?

8 MR. WILLIAM HAMLIN: Yes. Yes.

9 MR. LEN EVANS: Yes, sort of a corollary
10 question. I gather the question -- line of questioning
11 is the impact of Hydro and its operations on the
12 environment of Manitoba and everyone's concerned to
13 minimize negative implications, even the bats and the
14 birds.

15 But there's another consideration and I
16 don't know whether it's adequate or fair for a provincial
17 jurisdiction but another consideration is that the large
18 and growing amount of exports, at least from time to time
19 from Manitoba to the mid-western United States is a major
20 contribution to environmental protection in North America
21 because what we're doing is essentially using hydro power
22 to replace thermal generation in the upper Mid-Western
23 United States.

24 And that to me is a very significant
25 contribution of Manitoba Hydro to the environmental

1 problems we face in North America. Am I right in that
2 observation?

3 MR. WILLIAM HAMLIN: I would agree with
4 that.

5 THE CHAIRPERSON: Do your American
6 counterparts place any monetary value on that
7 contribution?

8 MR. WILLIAM HAMLIN: It -- it is
9 difficult to ascertain in a negotiation what -- what
10 various components your counterparty is considering in --
11 in establishing what they think is a fair purchase price.

12 But to the extent that they're considering
13 it against resources that they would develop they are
14 striving -- it's our understanding that they're striving
15 to factor in the risk that whatever resources they
16 develop will have to offset or mitigate these emissions
17 and have the costs associated with them.

18 So it -- it's our understanding that it is
19 a consideration within their -- their thinking.

20 MR. HAROLD SURMINSKI: I would just like
21 to follow up on Mr. Evans' point on the displacement of
22 the greenhouse gases. In the Wuskwatim Clean Environment
23 Commission hearing we used that argument a great deal;
24 the displacement that Wuskwatim would assist in
25 displacing greenhouse gasses in export markets.

1 THE CHAIRPERSON: How does the -- our
2 coal thermal plant compare with plants of that nature
3 that are used to generate electricity with your MISO
4 colleagues with respect to emissions?

5 MR. WILLIAM HAMLIN: My -- my
6 understanding is that for -- compared with plants of
7 comparable size and age they -- they are roughly --
8 roughly equivalent. There are probably economy of scales
9 and drivers that larger facilities in that region may
10 have greater -- have more mitigation technologies
11 associated with them for scrubbing of sulphur dioxides
12 and -- and perhaps particulate collection.

13 THE CHAIRPERSON: Thank you, Mr. Hamlin.
14 Ms. Bowman...?

15

16 (BRIEF PAUSE)

17

18 CONTINUED BY MS. MYFANWY BOWMAN:

19 MS. MYFANWY BOWMAN: Sorry, I was just
20 making a note there. Manitoba Hydro takes into account
21 displacement of greenhouse gasses in export markets in
22 making export decisions; is that fair?

23 MR. WILLIAM HAMLIN: My mind is drifting,
24 could you hit me with that one one more time?

25 MS. MYFANWY BOWMAN: I got it out clearly

1 all at once and you want me to do it again? Manitoba
2 Hydro takes into account displacement of greenhouse gas
3 emissions in export markets in making export decisions;
4 would that be fair?

5 MR. WILLIAM HAMLIN: We -- we consider
6 the implications in terms of tracking what our global --
7 our global implications are. We strive to -- to get our
8 counterparties to sign over any emission reduction
9 benefits that might come associated with our sales.

10 And I think that -- that's the limit of
11 our -- our consideration.

12 MS. MYFANWY BOWMAN: Okay. And so to
13 some extent Manitoba Hydro takes that into account. But
14 Hydro is also required to take into account environmental
15 implications at home of its generation and distribution
16 choices, is that also fair?

17 MR. WILLIAM HAMLIN: That's correct.

18 MS. MYFANWY BOWMAN: So would it be fair
19 to say that it's a balancing act that Manitoba Hydro has
20 to maintain as best it can at all times?

21 MR. WILLIAM HAMLIN: We've tried to
22 maintain all those considerations to the best of our
23 ability.

24 MS. MYFANWY BOWMAN: And that's a fairly
25 complex process?

1 MR. WILLIAM HAMLIN: Correct.

2 MS. MYFANWY BOWMAN: Moving onto
3 something a little bit different, I understand that the
4 thinking behind DSM programs is that they lead to
5 conservation which can allow us either to defer new plant
6 or to export more power, is that right?

7 MR. HAROLD SURMINSKI: Yes, that's
8 correct.

9 MS. MYFANWY BOWMAN: Are there plant
10 additions that have been deferred or are currently being
11 deferred as a result of conservation efforts in Manitoba?

12

13 (BRIEF PAUSE)

14

15 MR. HAROLD SURMINSKI: Yes, we have an
16 existing DSM saving that's already built into our system,
17 into our planning. So the next in-service date accounts
18 for or takes into account this saving the DSM has
19 provided.

20 MS. MYFANWY BOWMAN: Thank you. Now, to
21 go back to the issue of displacing greenhouse gas
22 emissions and export markets, is it Manitoba Hydro's
23 understanding that when it sells a kilowatt hour of power
24 to an export market, is it displacing an entire -- is
25 there a one (1) for one (1) exchange in terms of what

1 it's displacing, or does Manitoba Hydro know?

2 MR. WILLIAM HAMLIN: We consider that for
3 a kilowatt hour that we export it displaces a mixture of
4 coal and natural gas resources and we use a proxy
5 emission factor that's in between those two (2) resources
6 to consider the implications.

7 Coal -- coal being -- having an emission
8 factor of about one (1) ton per megawatt hour and the
9 best natural gas having an emission factor of about point
10 four (.4) tons a megawatt hour, we use a factor of about
11 point seven five (.75) for our calculations.

12 MS. MYFANWY BOWMAN: That wasn't actually
13 quite what I was trying to get at. When you sell a
14 kilowatt hour into an export market does Manitoba Hydro
15 know whether it is displacing an entire kilowatt hour of
16 production in that market, or is it simply allowing the
17 kilowatt hour in the export market to be used for some
18 other purpose?

19 MR. WILLIAM HAMLIN: Unless you're trying
20 to factor in transmission line losses, it's -- it's one
21 (1) kilowatt for one (1) kilowatt.

22 MS. MYFANWY BOWMAN: So as far as
23 Manitoba Hydro is aware if we sell a kilowatt hour down
24 south they don't produce that kilowatt hour, as opposed
25 to they produce a kilowatt hour and they do something

1 else with it?

2 MR. WILLIAM HAMLIN: Correct. Every
3 kilowatt hour we deliver at the US border we consider a
4 kilowatt hour of generation displaced.

5 MS. MYFANWY BOWMAN: Does Manitoba Hydro
6 have any research or evidence to support that belief or
7 is that simply an assumption that Hydro is making?

8 MR. WILLIAM HAMLIN: Again, falling back
9 to the only consideration that could come into play is
10 the line losses, and we would consider the line losses
11 comparable -- for every kilowatt hour we deliver at the
12 border, our assumption is line losses from the alternate
13 US source to get to the US load are comparable to
14 transmission from our border to that load.

15 MS. MYFANWY BOWMAN: It -- it is not
16 actually line losses I'm trying to get at. I'm trying to
17 get at generation and export markets.

18 And if Manitoba Hydro exports a kilowatt
19 hour, does that export market then not generate a
20 kilowatt hour or does it generate a kilowatt hour or part
21 of it for some other purpose? Or does Manitoba Hydro
22 have any idea?

23 MR. WILLIAM HAMLIN: I'll fall back to
24 other -- other than the line loss issue there -- there's
25 no other consideration that we would add into that. So

1 it's a kilowatt hour for a kilowatt hour.

2 MR. HAROLD SURMINSKI: Can you suggest
3 what you're thinking of? Because energy is a fixed
4 quantity and if there is a demand in the US, you know, a
5 kilowatt hour is a finite amount and --

6 MS. MYFANWY BOWMAN: What I'm trying to
7 get at, and -- and perhaps I'm -- I'm asking it
8 awkwardly, and I apologize if that's the case -- what I'm
9 trying to get at is if we export more, does the export
10 market then produce less or does it produce the same
11 amount and simply use more? Or do we know?

12 MR. HAROLD SURMINSKI: It's a one-for-one
13 relationship. If the demand is -- is there, in the US,
14 it's either that -- must be generated in the US or it's
15 generated here. There is no multiplying or dividing
16 factor in the energy. A unit of energy is -- it's the
17 same here as it is there.

18 MS. MYFANWY BOWMAN: Thank you. I'm not
19 sure that -- that I'm communicating my question as
20 clearly as I should but I'll -- perhaps I'll try someone
21 else.

22 MR. WILLIAM HAMLIN: I think -- I think
23 we're now understanding the -- the question. We -- we
24 would not consider Manitoba Hydro's exports to have a
25 significant impact on the -- the supply and demand

1 characteristics of the US market. We're a fairly small
2 contributor into that -- into that marketplace.

3 And so I think perhaps what you're getting
4 at is -- is perhaps because our resources might be lower-
5 cost, that it would provide an incentive to -- but I
6 don't believe it would provide an incentive to additional
7 energy demand. I -- I don't think that's the case.

8 We sell at the market price within the US
9 market. And so I don't think that that's a significant
10 consideration at all.

11 MS. MYFANWY BOWMAN: And do you know that
12 or is that simply your assumption?

13 MR. WILLIAM HAMLIN: That is our
14 assumption.

15 MS. MYFANWY BOWMAN: Fair enough.

16 MR. ROBIN WIENS: I -- I might add, I
17 think that's a reasonable inference to make because, as
18 Mr. Hamlin indicated, in the global marketplace in the
19 United States, Manitoba Hydro is a very small player.
20 And even if it were not, even if it were a significant
21 player such that it could influence the price in that
22 marketplace, you know, the typical elasticity response to
23 price of electricity is considerably less than unity.

24 So I think it's a reasonable inference,
25 what Mr. Hamlin has stated.

1 MS. MYFANWY BOWMAN: Thank you, Mr.
2 Wiens.

3 Now, as I understand it, as of 2003
4 exports were displacing primarily but not exclusively
5 coal generation in export markets.

6 Is that right?

7 MR. WILLIAM HAMLIN: I said a mixture of
8 -- of coal and natural gas resources.

9 MS. MYFANWY BOWMAN: I'm looking at
10 Manitoba Hydro's VCR report, the 2003 update. And as of
11 2003 the report says that:

12 "Currently, almost all of our exports
13 displace coal fired generation."

14 Would that be an accurate statement as of
15 2003? Do you want me to read it again?

16 MR. WILLIAM HAMLIN: I would -- I would
17 concur with the statement. There -- there's an
18 expectation of a changing balance and that our historic
19 resources displaced mostly coal and -- and there is
20 increasing amounts of natural gas in the mixture that is
21 being displaced.

22 MS. MYFANWY BOWMAN: Your foresaw where I
23 was going. In fact, the report indicates that:

24 "By 2010 it is assumed that Manitoba
25 Hydro will offset mainly natural gas

1 fired generation."

2 Is that your understanding as well?

3 MR. WILLIAM HAMLIN: That -- that was our
4 understanding in 2003. But since then our expectations
5 have changed because of the natural gas prices and the --
6 and the difference in economics between coal and natural
7 gas. We would still consider that more natural gas is
8 displaced than historically but we would not assume that
9 it migrates completely to a natural gas displacement over
10 time now.

11 MS. MYFANWY BOWMAN: Are you expecting
12 that that trend will continue and that over time you'll
13 be displacing more and more natural gas and less and less
14 coal?

15 MR. WILLIAM HAMLIN: We expect that there
16 will be -- our -- our expectation is -- is summarized by
17 a mixture of combined cycle natural gas, simple cycle
18 natural gas and -- and coal to come up with a -- a long-
19 term anticipated displacement of zero point seven five
20 (0.75) tonnes per megawatt hour exported.

21 MR. HAROLD SURMINSKI: A lot of the
22 change in our thinking is the -- the change that has
23 occurred in the US. Three (3) years ago the -- gas
24 generation was -- was predominant in plans for all
25 utilities and -- and coal was not a factor and we have

1 found since then things have changed and coal -- new coal
2 generation in the future is, again, a possibility.

3 So it's a thinking that has changed
4 because of the natural gas prices and also there was just
5 so much generation it was difficult even keeping up with
6 the orders for the units -- generating units.

7 There was a real flurry of purchase
8 activity but that no longer exists now.

9 MR. ROBERT MAYER: Just following on from
10 that, I realize politics don't influence Hydro's decision
11 at all, but we did hear at Wuskwatim -- we did hear at
12 Wuskwatim that they were, in some of the long-term
13 planning, there was expectation of stricter environmental
14 regulations in the States and as a result that might
15 provide a higher market for Manitoba Hydro's product.

16 We saw that come to an end with
17 Bush/Cheney. However, we can say without a doubt that
18 Bush/Cheney, as a pair in any event, won't be around any
19 longer than two (2) years. Have we added that back into
20 the consideration?

21 MR. WILLIAM HAMLIN: It was never removed
22 from the consideration. Our -- our expectations have
23 modified in terms of timing but not in the eventuality
24 that there will be constraints on greenhouse gas
25 emissions within the US marketplace.

1 but that's the ideal world. I think that's where TREE
2 will likely come from.

3 THE CHAIRPERSON: Some may not agree with
4 you, Mr. Evans.

5 MR. ROBERT MAYER: I expect we're going
6 to hear about that this afternoon.

7 MR. LEN EVANS: It's my philosophical
8 approach.

9

10 CONTINUED BY MR. MYFANWY BOWMAN:

11 MS. MYFANWY BOWMAN: To follow up on that
12 question then, would it be fair to say that greenhouse
13 gas emissions are one (1) of the factors that Manitoba
14 Hydro considers, but there's a lot of other factors, as
15 well?

16 MR. WILLIAM HAMLIN: I'm not sure what,
17 in particular, you're referring to but in general for
18 dispatch considerations, for resource planning
19 considerations, greenhouse gas is one (1) among many
20 considerations.

21 MS. MYFANWY BOWMAN: Now Hydro's response
22 to an interrogatory by RCM/TREE -- and this isn't -- you
23 don't have to turn to it, but if you want to its
24 Interrogatory 10-G indicates that increased domestic
25 electricity consumption has a potential to displace

1 emissions here at home.

2 And I think that at some point the example
3 was given of space heating and water heating. Is that
4 what Hydro had in mind or was it thinking of other
5 emissions that can be displaced domestically?

6 MR. ROBIN WIENS: I think that's fair to
7 say. Manitobans use a variety of fuels in their domestic
8 and commercial operations and in some cases increased
9 usage of electricity may displace, for example, natural
10 gas if somebody were to change over water heating, for
11 example.

12 There is a potential that there would be
13 reduced emissions within the Province associated with
14 that type of a change.

15 MS. MYFANWY BOWMAN: Thank you.

16

17 (BRIEF PAUSE)

18

19 MS. MYFANWY BOWMAN: If we look at
20 Manitoba Hydro's rebuttal evidence at page 24, Manitoba
21 Hydro distinguishes between full cost accounting and full
22 cost pricing. And I'm just wondering if one (1) of you
23 can help me be clear on what that distinction means?

24 MR. WILLIAM HAMLIN: We would consider
25 full cost accounting to be the consideration of the

1 implications to the extent practical in all major -- in
2 our major decisions.

3 Full cost pricing is going well beyond
4 that to try and monetize all these considerations and put
5 them as an adder to the price that consumers receive.

6 MS. MYFANWY BOWMAN: And Manitoba Hydro
7 does not support full cost pricing, as I understand it?

8 MR. WILLIAM HAMLIN: Correct. I think I
9 have to -- we would -- ultimately it's sound economics
10 that the price consumers pay reflect all of the
11 implications of the resources used in getting that
12 product. We believe that that process is going to happen
13 for greenhouse gasses through other and more appropriate
14 mechanisms.

15 And that putting it as a price adder on
16 the electricity here is not the most effective way to
17 deliver that price signal.

18 MR. ROBIN WIENS: If I may, I'd just like
19 to add to that, Mr. Chairman, that to the extent that
20 Manitoba Hydro in making decisions with respect to
21 resource development internalizes some of these costs,
22 and that would include the mitigation payments,
23 compensation payments, decisions to opt for a more costly
24 resource rather than a less costly resource because of
25 the environmental implication, then those costs are

1 internalized and they do flow through, but they're not
2 directly added as an adder to a price after you've --
3 after you've done your revenue requirement. They're
4 already included in the revenue requirement.

5 THE CHAIRPERSON: Thank you Mr. Wiens,
6 it's a very valid point.

7 MS. MYFANWY BOWMAN: If I could just have
8 a moment?

9 THE CHAIRPERSON: Mr. Peters, I'll just
10 take this opportunity to suggest, if you wouldn't mind,
11 if you could, acting in your general role, if you could
12 let Professor Miller know of this interesting discussion
13 we had this morning so that he could review the
14 transcripts before he begins his cross.

15 MR. BOB PETERS: I will do that at the
16 break.

17 THE CHAIRPERSON: Thank you.

18 MS. PATTI RAMAGE: Mr. Chairman, if Ms.
19 Bowman wants to have a moment, perhaps this might be a
20 good time to distribute some undertakings.

21 THE CHAIRPERSON: Very good.

22 MR. BYRON WILLIAMS: Mr. Chair, if you'll
23 excuse us, we'll just step out for a minute or two (2).

24 THE CHAIRPERSON: That's fine.

25 MS. MYFANWY BOWMAN: And you'll be

1 pleased to know I'm just about done.

2 THE CHAIRPERSON: As long as you're
3 coming back.

4

5 (BRIEF PAUSE)

6

7 THE CHAIRPERSON: We'll officially
8 declare this a brief break in the proceedings.

9

10 --- Upon recessing at 11:26 a.m.

11 --- Upon resuming at 11:29 a.m.

12

13 THE CHAIRPERSON: Okay. We'll call the
14 proceedings back to order now.

15 Ms. Ramage, if you don't mind the
16 introducing, I believe you've got response undertakings 5
17 through 8 here?

18 MS. PATTI RAMAGE: That's correct. The
19 first in the group of four (4) is what Manitoba Hydro has
20 documented as Undertaking Number 5 and that was providing
21 the copies of the pamphlets handed out to the CEC
22 Hearings dealing with mitigation costs.

23 THE CHAIRPERSON: And I believe it was
24 the Vice Chair's suggestion?

25 MS. PATTI RAMAGE: That's correct. And I

1 believe that is -- that could be Exhibit 10, I think
2 that's where we are at.

3 THE CHAIRPERSON: Subject to check.

4

5 --- EXHIBIT NO. 10: Pamphlets handed out to the CEC
6 Hearings dealing with mitigation costs

7

8 MS. PATTI RAMAGE: The next would be
9 Undertaking Number 6 and that was the -- extrapolating
10 from the 04/05 Power Resource Plan the -- providing the
11 capital cost of a five (5) unit and ten (10) unit
12 Canowapa Generating Station along with the average energy
13 generated under those scenarios.

14 And I'd suggest that be marked at Number
15 11?

16 THE CHAIRPERSON: Thank you.

17

18 --- EXHIBIT NO. 11: Extrapolating from the 04/05 Power
19 Resource Plan the capital cost of a
20 five (5) unit and ten (10) unit
21 Canowapa Generating Station along with
22 the average energy generated under
23 those scenarios

24

25 MS. PATTI RAMAGE: Next is Undertaking

1 Number 7 and that was in response to Mr. Williams' -- one
2 of the charts he ran through during his cross yesterday
3 and Mr. Wiens had some corrections with respect to the
4 GSS non-demand and demand classes and he reproduced that
5 table.

6 THE CHAIRPERSON: Thank you.

7 MS. PATTI RAMAGE: And I'd suggest that
8 would be number 12.

9

10 --- EXHIBIT NO. 12: Corrections to table with respect
11 to GSS non-demand and demand classes

12

13 MS. PATTI RAMAGE: And finally as
14 Undertaking Number 8 there had been a request, I believe
15 it may have come from you, Mr. Chair, regarding obtaining
16 correspondence from NERA confirming their view of the
17 merits of one (1) export class versus two (2).

18 And I would first suggest that become
19 Exhibit 13 and next simply draw your attention to the
20 fact this is an e-mail exchange between Mr. Wiens and
21 NERA and I was simply going to draw your attention to the
22 dates. This was from last August. It's not something we
23 obtained yesterday but rather their confirmation that
24 came last summer when Manitoba Hydro had first proposed
25 this.

1 THE CHAIRPERSON: The modern age enters
2 our proceedings. Thank you.

3

4 --- EXHIBIT NO. 13: Correspondence from NERA confirming
5 their view of the merits of one (1)
6 export class versus two (2)

7

8 MR. ROBERT MAYER: So did the word
9 "political".

10 MS. MYFANWY BOWMAN: Thank you, for --

11 THE CHAIRPERSON: Thank you, Ms. Ramage.
12 Ms. Bowman...?

13 MS. MYFANWY BOWMAN: I thank the Panel
14 for its indulgence in giving me a moment there. I just
15 have a couple --

16 THE CHAIRPERSON: Don't worry about it.
17 I think everyone appreciated the brief pause.

18

19 CONTINUED BY MR. MYFANWY BOWMAN:

20 MS. MYFANWY BOWMAN: I just have a couple
21 of questions left. First of all, Mr. Lazar, in his
22 report, does a calculation of the impact of what turns
23 out in the end to be a 127 percent rate increase. What
24 the impact of that would be on domestic consumption.

25 And he does that on the basis of

1 elasticity estimates provided by Manitoba Hydro. Can
2 anyone on the panel tell me whether those elasticity
3 estimates would still be appropriate when we're talking
4 about a rate increase of that magnitude?

5 MR. ROBIN WIENS: We have to be very
6 careful with that. I think you would -- you would at
7 least want to ask that question. I think -- I don't
8 think that Mr. Lazar was trying to say -- to suggest in
9 any way that his analysis was precise.

10 But I do think that you would have to take
11 into consideration that notion of arc elasticity might
12 not -- might not travel as well from, say, a 10 or 20
13 percent rate increase to a rate increase of that
14 magnitude.

15 Now, having said that, I -- I -- I would
16 have to take another look at what Mr. Lazar has presented
17 and probably analyse it again a little more carefully
18 just to be able to provide a complete response to that
19 question.

20 But -- but generally I think your
21 suggestion is -- is reasonable.

22 MS. MYFANWY BOWMAN: Would you be
23 prepared to take a look at that and get back to us on
24 that issue?

25 MR. ROBIN WIENS: I've been meaning to do

1 that so, yes, I will.

2 MS. MYFANWY BOWMAN: Thank you. You'll
3 undertake that then?

4 MR. ROBIN WIENS: Yes.

5

6 --- UNDERTAKING NO. 12: Mr. Wiens to re-analyse
7 Mr. Lazar's report concerning arc
8 elasticity

9

10 CONTINUED BY MS. MYFANWY BOWMAN:

11 MS. MYFANWY BOWMAN: Thank you. My last
12 couple of questions relate to, again, Mr. Lazar's report
13 and if all of his recommendations were implemented they
14 would take us in the direction of a fairly significant
15 rate increase.

16 Can anyone -- his first version of the
17 table that does that calculation indicates that the rate
18 increase would be 56 percent. Later I believe he
19 discovered that he made a mathematical error and he upped
20 that number.

21 But if we were talking about a 56 percent
22 rate increase can the Panel or anyone on it comment on
23 what would be the implications of that for the Manitoba
24 economy and Manitoba Hydro customers?

25

1 (BRIEF PAUSE)

2

3 MR. VINCE WARDEN: Well there's no doubt
4 in the climate, for one (1) thing that we live in, any --
5 any rate increase of that magnitude is just unfathomable
6 really, we can't imagine. It would create significant
7 hardship on customers. It would have a very negative
8 effect on industry who depend on the low rates for -- to
9 offset transportation costs that are -- higher
10 transportation cost that are incurred because of
11 geography.

12 There's a host of implications that would
13 be derived from a rate increase of that magnitude and
14 something we haven't thought a lot about because it just
15 isn't -- isn't something that would even be contemplated
16 by Manitoba Hydro.

17 We've, in the past, prided ourselves,
18 perhaps too much, on the fact that we've got the lowest
19 rates in Canada, North America, the world. I think
20 that's very good thing for Manitoba and the economy.
21 There are limits however. And when we see inefficient
22 use of our resources that's perhaps when those limits
23 have been reached.

24 MR. ROBIN WIENS: Yes, I think I could
25 add to that that it certainly if it there was a perceived

1 need to increase rates of any significant magnitude,
2 Manitoba Hydro would not look at doing it only once. If
3 you were compelled for whatever reason and I'm not sure
4 that that is what Mr. Lazar is actually recommending or
5 suggesting.

6 But, you know, if for whatever reason you
7 were compelled to do that you would, in addition to the
8 hardship for all classes of customer, I think you would
9 have some significant reduction in the use of energy by
10 all Manitoban -- all rate classes within Manitoba and
11 probably particularly in the large industry group.

12 MS. MYFANWY BOWMAN: Would it be fair to
13 expect that another consequence of that would be a
14 significant increase in the number of disconnections that
15 Manitoba Hydro sees amongst the residential class?

16

17 (BRIEF PAUSE)

18

19 MR. VINCE WARDEN: We've seen a
20 significant increase in the disconnections because of
21 high gas prices. So it would seem reasonable if the
22 price of electricity went up, we would see greater number
23 of disconnections, yes.

24 MS. MYFANWY BOWMAN: And it would also be
25 fair to expect that residential consumers, in particular,

1 low income residential consumers would be profoundly
2 effected by such a change?

3 MR. VINCE WARDEN: Absolutely.

4 THE CHAIRPERSON: Is there anything to be
5 learned from the California experience when their energy
6 prices soared for a period of time, as to the effect it
7 had on demand in California and the effect on residential
8 customers?

9 MR. ROBIN WIENS: The biggest problem
10 with California experience was not the increase in retail
11 prices, it was the fact that the utilities weren't
12 allowed to increase their retail prices in any
13 significant degree, but they had to pay much higher
14 wholesale prices.

15 So we're not talking about the same thing.
16 We're talking about the major impact in California was on
17 utilities, some of which technically became bankrupt.

18

19 (BRIEF PAUSE)

20

21 MS. MYFANWY BOWMAN: Thank you those are
22 my questions. I will turn the mic back over to My
23 Friend, Mr. Williams.

24 THE CHAIRPERSON: Thank you, Ms. Bowman.
25 Mr. Williams...?

1 MR. BYRON WILLIAMS: Thank you very much
2 Mr. Chair. I just -- first of all on behalf of my
3 clients, I did want to thank Manitoba Hydro for putting
4 Mr. Hamlin up as a witness. It's a subject that's of, of
5 course great interest. Someone mic's on here -- I'm
6 hearing -- getting some feedback --

7 THE CHAIRPERSON: We are faultless up
8 here.

9 MR. BYRON WILLIAMS: Maybe I'm leaning
10 too close. It's a subject of obvious significant concern
11 and I do want to thank my colleague Ms. Bowman, who I
12 persuaded or coerced into embarking upon this Public
13 Utility Board adventure.

14 I fear that she may become, like Mr. Wiens
15 or Mr. Bowman, a disciple or devotee of this process, and
16 there are certainly worse thing that can -- can happen to
17 -- to My Friends.

18

19 CONTINUED CROSS-EXAMINATION BY MR. BYRON WILLIAMS:

20 MR. BYRON WILLIAMS: In terms of, Mr.
21 Wiens -- just perhaps some cleanup in terms of two (2)
22 undertakings that arose in the -- the course of our
23 discussions yesterday, one (1) in response to a CAC
24 request and one (1) in response to a question from the
25 Chair.

1 I'll direct your attention first -- and
2 I'm still hearing the feedback -- to Exhibit 12, which is
3 Manitoba Hydro Undertaking number 7. And I would ask
4 you, just for comparison purposes, to compare that to the
5 -- Tab 3 of the CAC/MSOS book of references.

6

7 (BRIEF PAUSE)

8

9 MR. BYRON WILLIAMS: That would be the
10 CAC/MSOS book of references. Thank you, Mr. Wiens.

11 And just so I understand what you've done,
12 if I go to the bottom line, which is the overall rate for
13 incremental use, and comparing the two (2) tables, I see
14 that the rate for residential is unchanged; correct?

15 MR. ROBIN WIENS: That's right.

16 MR. BYRON WILLIAMS: And you've made some
17 significant modifications to general service small non-
18 demand with particular emphasis on those over eleven
19 thousand ninety (11,090) kilowatt/hours; is that correct?

20 MR. ROBIN WIENS: Yes, that's correct.

21 MR. BYRON WILLIAMS: And the other change
22 is with regard to GSS demand, and you've made some
23 changes in terms of that category as well; correct?

24 MR. ROBIN WIENS: That is correct.

25 MR. BYRON WILLIAMS: In terms of general

1 service medium or general service large greater than 100
2 kV, those results are -- are the same with the original
3 table; correct?

4 MR. ROBIN WIENS: That appears to be the
5 case, yes.

6 MR. BYRON WILLIAMS: And I won't go
7 through our discussion of yesterday but to the -- the
8 conclusions that were drawn with regard to the
9 residential GSM and GSL would be unchanged from our
10 discussion yesterday?

11 MR. ROBIN WIENS: Yes. Our discussion of
12 yesterday would encapsulate that conclusion.

13 MR. BYRON WILLIAMS: Okay. Thank you.
14 And I thank you for the assistance, I'm sure it will be
15 of assistance to Mr. Harper as well.

16 And just very quickly in terms of your
17 response to Undertaking number 8, Exhibit 13, which is a
18 correspondence from NERA, just to follow up on what your
19 counsel said.

20 This is documentation from long before the
21 filing of the rate application. It dates back to August
22 of 2005; correct?

23 MR. ROBIN WIENS: That's correct.

24 MR. BYRON WILLIAMS: And in response to a
25 request from you, NERA, and in particular Heathy

1 Parmesano (phonetic) had an opportunity to caucus with
2 two (2) other analysts from NERA, being Bill and Amparo
3 (phonetic); correct?

4 MR. ROBIN WIENS: That's correct.

5 MR. BYRON WILLIAMS: And the subject of
6 your conversation was Manitoba Hydro's modification to
7 the NERA recommendation of one (1) export class and to
8 split that into a firm class and an opportunity class;
9 correct?

10 MR. ROBIN WIENS: That's right.

11 MR. BYRON WILLIAMS: And the opinion
12 expressed by NERA was that it makes a lot of sense and
13 that is something that they would normally recommend in
14 terms of a separate treatment for opportunity and firm
15 sales.

16 MR. ROBIN WIENS: That's what she said,
17 yes.

18 MR. BYRON WILLIAMS: Thank you for that.

19 MR. ROBERT MAYER: Was it a political or
20 a data problem?

21 MR. ROBIN WIENS: Mr. Mayer, it was not a
22 political problem. It was a commercial problem.

23

24 CONTINUED BY MR. BYRON WILLIAMS:

25 MR. BYRON WILLIAMS: Mr. Warden, welcome

1 back. And I won't have much to chat with you about but I
2 do have a -- a couple of questions now and then perhaps a
3 few --

4 THE CHAIRPERSON: I just meant to say,
5 regardless of the nature of the problem, we do appreciate
6 the sharing of that e-mail.

7

8 CONTINUED BY MR. BYRON WILLIAMS:

9 MR. BYRON WILLIAMS: Mr. Warden, so, as I
10 was saying, in terms of this hearing, you -- there has
11 been, as you recall, to date some discussion of the
12 purpose underlying the advancement of Wuskwatim -- or --
13 prior to the time that it might be needed for domestic
14 purposes.

15 You recall that discussion?

16 MR. VINCE WARDEN: Yes.

17 MR. BYRON WILLIAMS: And I don't know if
18 you need to turn there, but for your benefit in the
19 CAC/MSOS book of references, Tab 15, I've indicated --
20 included an excerpt from the Manitoba Hydro submission
21 before the Clean Environment Commission.

22 But as I understand the justification put
23 forward by Manitoba Hydro with regard to Wuskwatim, first
24 of all, it was allowing -- to proceed with new generation
25 would allow Hydro to benefit from export opportunities

1 which would contribute to its ability to maintain low
2 domestic rates; that was part of the rationale put
3 forward by Hydro?

4 MR. VINCE WARDEN: Yes.

5 MR. BYRON WILLIAMS: And in terms of the
6 advancement of the in-service date one of the objectives
7 was -- in fact, a prime objective was to obtain
8 additional export revenues and profits; correct?

9 MR. VINCE WARDEN: Correct.

10 MR. BYRON WILLIAMS: And that was done in
11 the context of an expectation that the Manitoba load is
12 going to grow and therefore less surplus power will be
13 available for exports and that exports would inevitably
14 decline; correct?

15 MR. VINCE WARDEN: Yes, that is correct.

16 MR. BYRON WILLIAMS: And so the
17 expectation was that the additional power from Wuskwatim
18 would assist in offsetting the decline in exports and
19 maintaining current export revenues and profits; would
20 that be a fair summary of the Hydro position?

21 MR. VINCE WARDEN: Well, as we stated,
22 Wuskwatim was not being built for -- to serve the
23 domestic load but the net result is -- is as you've
24 stated, yes.

25 MR. BYRON WILLIAMS: And the expectation

1 that one of the benefits of that would be the ability for
2 Manitobans to continue to enjoy the low rates of which
3 you spoke previously?

4 MR. VINCE WARDEN: I agree.

5 MR. BYRON WILLIAMS: Just in terms of the
6 business case for Wuskwatim and my understanding is that
7 when we looked at the business case and I'm speaking in
8 the Clean Environment Commission hearing, the business
9 case for the advancement was based on the fact that the
10 IRR or internal rate of return associated with advancing
11 the project was acceptable and in the order of 10
12 percent; would that be fair?

13 MR. VINCE WARDEN: Yes.

14 MR. BYRON WILLIAMS: And at the same time
15 as you looked at the business case in terms of the
16 internal rate of return, Manitoba Hydro also looked at
17 Wuskwatim and undertook a financial analysis to explore
18 the long-term impact on rates of advancing the station
19 and it demonstrated that rates would be somewhat lower in
20 the long run as well; correct?

21 MR. VINCE WARDEN: Yes.

22 MR. BYRON WILLIAMS: Now, just to, in
23 terms of Wuskwatim, and I'm trying to get a sense of
24 what, if anything, it offers for future ratepayers, it's
25 my understanding the advancement of Wuskwatim, one of the

1 results of that is that the actual cost of the plant in
2 2020 will be less due to the advancement than if
3 construction had been delayed to bring the plant in
4 service for that date; is that your understanding as
5 well?

6

7

(BRIEF PAUSE)

8

9 MR. BYRON WILLIAMS: If you don't recall,
10 Mr. Warden, it's not that critical.

11 MR. VINCE WARDEN: Well, you know, I
12 don't recall the specific numbers but it's logical that,
13 you know, building earlier rather than later is going to
14 result in a lower capital cost.

15 MR. BYRON WILLIAMS: And just staying
16 with Wuskwatim for -- for a minute, my understanding was
17 that the expectation with that generating station was
18 always that as the Manitoba load grows, Wuskwatim at some
19 point in time or some similar generating option would
20 have to be -- or would be required for domestic purposes
21 in any event; is that right?

22 MR. VINCE WARDEN: Yes, that's true.

23 MR. BYRON WILLIAMS: So there's some
24 crossover point in the future, all other things being
25 equal, where Wuskwatim will be required to support

1 domestic needs assuming the load growth in the domestic
2 market that exists -- was forecast at the time of the
3 Clean Environment Commission Hearings?

4 MR. VINCE WARDEN: All other things being
5 equal, yes, I agree with that as well.

6 MR. BYRON WILLIAMS: sIt's always the
7 important caveat, isn't it? And once Wuskwatim is on
8 line, if it is online, am I right in assuming that it
9 will serve as a back up for purposes of system
10 reliability?

11 It's one (1) more resource on the system
12 that may be drawn upon in the event of any concerns?

13 MR. VINCE WARDEN: Sure.

14 MR. BYRON WILLIAMS: Mr. Chair, with some
15 regret I'm moving to my next to final topic and it will
16 be relatively brief, but these are the questions that Mr.
17 Harper has asked me to ask, for the purposes of his
18 direct evidence. So it probably will take about thirty
19 (30) minutes, in total. So I'll take your guidance on
20 how you would like me proceed.

21 THE CHAIRPERSON: Well, I don't know what
22 everyone's arrangements were. We were going to shorten
23 our lunchbreak down to 45 minutes. So if we close down
24 at 12:15 then we come back at 1:00 rather than 1:30, is
25 that acceptable to the Panel?

1 And Mr. Buhr will you be available to come
2 at 1:00, if Mr. Williams manages to finish by 12:15 or
3 you -- so it appears Mr. Buhr that you won't be required
4 ahead of the presenters to cross-examine.

5 Okay. Then Mr. Williams you can carry
6 onto 12:15.

7

8 (BRIEF PAUSE)

9

10 CONTINUED BY MR. BYRON WILLIAMS:

11 MR. BYRON WILLIAMS: Mr. Thomas, you and
12 I never get to get to chat. I'm not sure if this is the
13 Wiens department or the Thomas department, but I think
14 there will be some overlap. But perhaps if the both of
15 you could turn to Tab 6 of the CAC/MSOS book of
16 references.

17

18 (BRIEF PAUSE)

19

20 MR. BYRON WILLIAMS: And you can see what
21 we've attempted to do here is outline for certain items
22 the cost of service treatment under the current method
23 and also under the recommended method, is that correct?

24 MR. CHIC THOMAS: It appears that way,
25 yes.

1 MR. BYRON WILLIAMS: And I have to
2 confess that when we go through these subjects I tend to
3 not retain which proposed allocation method is being
4 used. So I'm going to ask you to just walk through this
5 with me in order that I can try and keep these clear.

6 First of all, for an item, Brandon fuel
7 costs, the treatment, Hydro's evidence the treatment
8 under the current method is that it's allocated 50
9 percent domestic and 50 percent to exports, is that
10 correct?

11 MR. CHIC THOMAS: Yes.

12 MR. BYRON WILLIAMS: And under the
13 recommended method that treatment will remain the same,
14 in that 50 percent will go to domestic and 50 percent
15 will be allocated to export, is that correct?

16 MR. CHIC THOMAS: Yes.

17 MR. BYRON WILLIAMS: Now, the export
18 portion as I understand it will be split 55 percent to
19 firm and 45 percent to opportunity, correct?

20 MR. CHIC THOMAS: Yes.

21 MR. BYRON WILLIAMS: So -- and given the
22 methodology proposed the domestic and firm portions will
23 be allocated to the domestic and firm export classes,
24 correct?

25 MR. CHIC THOMAS: Yes.

1 MR. BYRON WILLIAMS: So that's
2 essentially a 50/50 split between domestic and export?

3 MR. CHIC THOMAS: Yes.

4 MR. BYRON WILLIAMS: The Selkirk fuel
5 classes costs were under the current method allocated 100
6 percent domestic, correct?

7 MR. CHIC THOMAS: Yes.

8 MR. BYRON WILLIAMS: And that is -- under
9 the recommended method, again there's an allocation of
10 100 percent domestic, correct?

11 MR. CHIC THOMAS: Yes --

12 MR. BYRON WILLIAMS: The initial and
13 allocation and then subsequently those costs will be
14 allocated amongst the domestic and firm export classes,
15 correct?

16 MR. CHIC THOMAS: That would be the
17 distinction, yes, between the two (2) methods.

18 MR. BYRON WILLIAMS: And in terms of
19 purchases and we've got there in brackets, imports, under
20 the current method it's 100 percent export and under the
21 recommended method again it's initially 100 percent
22 export with a subsequent split, export split, 55 percent
23 firm, 45 percent opportunity, correct?

24 MR. CHIC THOMAS: Yes.

25 MR. BYRON WILLIAMS: And those domestic

1 and firm portions will be allocated to the domestic and
2 firm export classes.

3 MR. CHIC THOMAS: Yes.

4 MR. BYRON WILLIAMS: And that same
5 treatment holds true for wind; correct?

6 MR. CHIC THOMAS: Yes.

7 MR. BYRON WILLIAMS: And in terms of
8 Wuskwatim we've put in big question marks because
9 Wuskwatim is not in the cost of service approach right
10 now; is that correct?

11 MR. CHIC THOMAS: Yes, that's true.

12 THE CHAIRPERSON: However, earlier we did
13 speculate on where the costs would go.

14

15 CONTINUED BY MR. BYRON WILLIAMS:

16 MR. BYRON WILLIAMS: And it's always open
17 to the Board to -- to speculate.

18 What I wanted to do, just as -- just to
19 clarify a few matters for Mr. Harper, I want to clarify
20 what appears to be an apparent inconsistency in terms of
21 the -- the treatment of fuel costs.

22 And just to go back to that, our
23 understanding of the current method is that 50 percent
24 are allocated to domestic, 50 percent to export. And I
25 wonder if you could turn with me to Tab 17 of the

1 CAC/MSOS book of references.

2 And I'm sure you can clarify this for me
3 but you'll -- you'll recognize that this is an
4 interrogatory from the 2004 General Rate Application,
5 being CAC/MSOS first round 109.

6 Is that correct, sir?

7 MR. CHIC THOMAS: Yes.

8 MR. BYRON WILLIAMS: And I -- I'll let
9 you review it for a couple of seconds, then I'll pose my
10 question.

11

12 (BRIEF PAUSE)

13

14 MR. BYRON WILLIAMS: Now, the question
15 posed back then was, Why are there no O&A costs or
16 thermal costs associated with export sales. And you'll -
17 - just to summarize, you'll agree the response of Hydro
18 was that export sales are largely supported by surplus
19 domestic capability, but that some thermal and some
20 import are also used to support export sales.

21 Do you see that, sir?

22 MR. CHIC THOMAS: I do.

23 MR. BYRON WILLIAMS: You also note that -
24 - in this response, that there's no convenient method to
25 determine the proportion. So the PCOSS-04 has adopted

1 the convention of charging 100 percent of imports but no
2 thermal -- and I underline the word -- generation against
3 exports.

4 Do you see that, sir?

5 MR. CHIC THOMAS: I do.

6 MR. BYRON WILLIAMS: So when we initially
7 reviewed this response, we would say that that would
8 appear to be inconsistent with the fifty-fifty (50/50)
9 split in terms of fuel costs.

10 So perhaps you can clarify to me whether
11 or not there is an inconsistency or if we're just
12 misinterpreting the response.

13

14 (BRIEF PAUSE)

15

16 MR. ROBIN WIENS: Mr. Williams, I'm --
17 I'm trying to be as helpful as I can here. This response
18 would appear to suggest that no thermal fuel costs were
19 assigned to exports in 2004, and that would not be
20 correct. There would be 50 percent of the thermal fuel
21 costs would be -- would have been pre-assigned to exports
22 in this response.

23 With respect to operating and
24 administration, this response would be correct in that
25 there were no operating and administration expenses

1 charged against exports in -- in 2004, but they would
2 have flowed through to the generation pool and however
3 that was allocated at that time, that would have been the
4 result.

5 MR. BYRON WILLIAMS: And I do appreciate
6 the clarification.

7 So just so that I understand this, the
8 response before us at CAC/MSOS first round 109 from 2004,
9 that, to the extent that it related to thermal fuel, was
10 inaccurate; is that correct?

11 MR. ROBIN WIENS: We've had some
12 discussion here and we've agreed that -- that that would
13 not have been the case --

14 MR. BYRON WILLIAMS: Okay

15 MR. ROBIN WIENS: -- that we would have
16 assigned -- made the initial 50 percent assignment.

17 MR. BYRON WILLIAMS: And so that's
18 consistent with your evidence in this proceeding that the
19 traditional allocation of Brandon thermal fuel has been
20 on a fifty-fifty (50/50) basis between domestic and firm;
21 correct? Or that --

22 MR. CHIC THOMAS: Yes.

23

24

(BRIEF PAUSE)

25

1 MR. BYRON WILLIAMS: Just so I'm clear in
2 terms of the historic treatment of Selkirk and fuel cost;
3 has that always been on the 100 percent to imports or has
4 that, in the past, been on a fifty-fifty (50/50) basis?

5 MR. CHIC THOMAS: In my tenure anyway
6 it's always been that way.

7 MR. BYRON WILLIAMS: And how long have
8 you been around Mr. Thomas?

9 MR. CHIC THOMAS: 100 percent domestic.

10 MR. BYRON WILLIAMS: How long have you
11 been here?

12 MR. CHIC THOMAS: 1993 I believe.

13 MR. BYRON WILLIAMS: Okay, that's good
14 enough for our purposes.

15

16 (BRIEF PAUSE)

17

18 MR. BYRON WILLIAMS: I want to clear up
19 some -- help hopefully clear up something else from Mr.
20 Harper so if you can have at hand two documents being
21 from the Public Utilities Board book of documents Tab 13,
22 which is the response to PUB/I-22(c) and also from the
23 CAC/MSOS book of documents, Tab 24 which is a response to
24 first round Interrogatory PUB-24(d).

25 MR. ROBIN WIENS: Can you give us the

1 reference from the CAC book of documents again?

2 MR. BYRON WILLIAMS: Yes, Tab 24. The
3 very last page. Thank you for that assistance from the
4 back row.

5 I want to turn to -- to the drought period
6 2002 to 2004 and consider the relative impact on power
7 purchases during the drought on the various classes
8 including domestic, dependable, export and opportunity
9 export.

10 So, if I look at PUB/I-22(c), the
11 purchases would be captured in the fourth column in which
12 is imports; is that right?

13 MR. CHIC THOMAS: Yes.

14 MR. BYRON WILLIAMS: And you see in that
15 -- in that column a range of -- of purchases in various
16 years ranging from a low of three hundred and thirty-
17 three (333) gigawatt hours in 2001, up to a high of over
18 seven thousand (7,000) gigawatt hours in the year
19 2003/04; is that right?

20 MR. CHIC THOMAS: Yes.

21 MR. BYRON WILLIAMS: And I wonder if
22 you'd accept, subject to check, that if I totalled those
23 purchases for the period of 1995 through 2005 that would
24 get me a bit over sixteen thousand, three hundred
25 (16,300) gigawatt hours would that be about right?

1 MR. CHIC THOMAS: Subject to check, yes.

2

3 (BRIEF PAUSE)

4

5 MR. BYRON WILLIAMS: I'll come back to
6 that in a couple of moments but I just want to turn now,
7 and I'm clearly leaning too close to the mike, to PUB --
8 to Tab 24, the CAC/MSOS book of references because I want
9 to understand why you make imports and the various
10 approaches you use to imports, what they're used for
11 during various water periods.

12 And just by way of -- and perhaps to this
13 is to Mr. Surminski, everyone's eyes seem to be looking
14 towards him. Just to -- to assist me in summarizing this
15 -- this Interrogatory, my understanding is that import
16 transactions can be required for two (2) reasons. One
17 being economics and the other being energy security; is
18 that right?

19 MR. HAROLD SURMINSKI: Yes.

20 MR. BYRON WILLIAMS: And in terms of
21 economic transactions there's two (2) types and the first
22 type is in terms of -- in order to capture arbitrage
23 opportunities; is that correct, sir?

24 MR. HAROLD SURMINSKI: Yes.

25 MR. BYRON WILLIAMS: And the second type

1 of -- of transaction in terms of imports are those made
2 to avoid operating more expensive generation in Manitoba,
3 correct?

4 MR. HAROLD SURMINSKI: Yes, okay.

5 MR. BYRON WILLIAMS: Now, my
6 understanding is that during droughts, energy is imported
7 to displace hydraulic generation and maintain reservoir
8 storages for energy security or to displace more
9 expensive thermal generation; correct?

10 MR. HAROLD SURMINSKI: Yes, correct.

11 MR. BYRON WILLIAMS: And just if we go
12 back to that high year from the other table of seven
13 thousand fifty-three (7,053) of imports during the
14 2003/04 year, my understanding is that all of those
15 imports were made to support reservoir storages or to --
16 or to serve the domestic load directly rather than
17 operating more expensive gas fired generation; is that
18 right?

19 MR. HAROLD SURMINSKI: Yes, gas fired
20 generation in our system.

21 MR. BYRON WILLIAMS: And just going to
22 the bottom line of the -- this response:

23 "Imports to support reservoir storages
24 for firming export sales were not
25 required as export sales were firming up

1 from the market during this period."

2 Is that right?

3 MR. HAROLD SURMINSKI: Yes.

4

5 (BRIEF PAUSE)

6

7 MR. BYRON WILLIAMS: What exactly does
8 that -- that phrase mean, that the export sales were
9 firmed up from the market during this period?

10 MR. HAROLD SURMINSKI: Well, we are able
11 to -- to purchase energy directly in the US and -- and
12 offset obligations to counter-parties instead of
13 delivering from our system or -- or other means, or
14 generating gas fired generation in our system.

15 MR. BYRON WILLIAMS: So when it says
16 that:

17 "Imports to reservoir storage for
18 firming export sales were not
19 required."

20 Does that mean that for -- for this
21 specific year you firmed up export sales through
22 purchases in the US market rather than importing
23 electricity -- or importing energy to support reservoir
24 storage for firming export sales?

25 That was very articulately asked, wasn't

1 it?

2 What I'm trying to get at, Mr. Surminski,
3 is-- what I'm trying to understand is, it seems to me
4 that you're telling us in this interrogatory response
5 that you used all seven thousand fifty-three (7,053)
6 gigawatt hours of imports to -- in Manitoba and that you,
7 in terms of -- that in addition to that there were
8 purchases in the US market over and above that seven
9 thousand fifty-three (7,053) gigawatt hours to firm up
10 export sales; is that right?

11 MR. HAROLD SURMINSKI: Yes, that's
12 correct. If you followed the -- the energy flow across
13 that row for that year, you would find that there's a
14 shortage, that the supply does not match demand because
15 there are purchases in the US that do not show up in
16 these numbers.

17 MR. BYRON WILLIAMS: So just two (2)
18 questions of clarification for Mr. -- Mr. Harper that
19 flow from that.

20 One (1) is, do you sometimes use the word
21 -- are the words purchases and imports always used
22 interchangeably? Or, in this case, is there a difference
23 between purchases and imports?

24 MR. HAROLD SURMINSKI: There is. There
25 has been a difficulty in reporting purchases specifically

1 and imports we are now creating a system that is -- that
2 will reconcile or will consider the factors more -- more
3 appropriately for the future.

4 MR. BYRON WILLIAMS: Just so I
5 understand, if I go back to PUB-122-C, where will I find
6 -- will I see those purchases reflected anywhere on that
7 -- that document? And by purchases, I mean purchases in
8 the -- the US market to -- in -- in that year, 2003/04?

9 MR. HAROLD SURMINSKI: In terms of energy
10 quantities, no, you will not see them there. They were -
11 - they were not -- in some cases they may not be energy
12 quantities, they may be a financial settlement.

13 MR. BYRON WILLIAMS: So you -- you spoke
14 of difficulties in reporting these purchases.

15 Where -- where would I find that
16 documentation in terms of either energy quantities or
17 financial compensation?

18

19

(BRIEF PAUSE)

20

21 THE CHAIRPERSON: Ms. Ramage, we're going
22 to give you some time to go through this because we're
23 scheduled to have the break at 12:15 because we want to
24 come back for 1:00 so that we can continue with Mr.
25 Williams and then we have the presenters at 1:30 because

1 this is a short day.

2 Mr. Williams...?

3 MR. BYRON WILLIAMS: Mr. Chairman, if --
4 if I might just, as Hydro goes away to -- to help me with
5 my answer I'll just let -- or my question. I'll let you
6 know just a couple of other questions that I was going to
7 ask and you may be able to -- they may not be as
8 difficult as this one apparently is. But I just want to
9 -- they may be, I'm not sure.

10 The next -- the next questions, I just
11 want to understand are -- and I'll pose them afterwards
12 but just so you know, are imports under diversity
13 agreements reported as, first of all purchase power in
14 the IFF, and as imports for the purposes of responding to
15 PUB-I-22(c); that's one (1) question.

16 Secondly, and this may be a version of the
17 one we just discussed; are purchases made to support firm
18 exports, in brackets, (i.e. power not really imported to
19 Manitoba) reported as purchase power?

20 And the answer to CAC/MSOS/Hydro-II-10(a)
21 might give you some guidance on that, I'm not sure it
22 gave me much guidance; or as imports? And so that's kind
23 of where I'm going with some of these questions.

24 THE CHAIRPERSON: Thank you, Mr.
25 Williams. We'll look forward to everyone's return at one

1 o'clock. Thank you.

2

3 --- Upon recessing at 12:14 p.m.

4 --- Upon resuming at 1:08 p.m.

5

6 THE CHAIRPERSON: Okay, Mr. Williams. We
7 were left with the heroine lying across the railway
8 tracks and then we had the break.

9

10 (BRIEF PAUSE)

11

12 MR. BYRON WILLIAMS: I may have been
13 asking the question but I believe the ball was in Hydro's
14 court in -- in terms of answering the question, so.

15 THE CHAIRPERSON: I was hoping you could
16 say it again for those just returning.

17 MR. BYRON WILLIAMS: I'm not sure I can,
18 but I think Ms. -- Ms. Ramage has something to say.

19 THE CHAIRPERSON: Please, Ms. Ramage.

20 MS. PATTI RAMAGE: It's not a lot of
21 insight. What I was going to advise, Mr. Chairman, is
22 that we've determined we need to look at this a little
23 more carefully and we're going to be using the time at
24 three o'clock to go back to the office and speak to those
25 in the know and come back in the morning with the answer

1 Mr. Williams is looking for.

2 THE CHAIRPERSON: Sounds quite
3 reasonable. Mr. Williams...?

4 MR. BYRON WILLIAMS: Yes. And just
5 further to this, Mr. Chairman, certainly I'll be
6 reserving my right -- my right to -- to resume
7 questioning on this.

8 And to assist Manitoba Hydro, once we've
9 got that little issue clarified, the next area I want to
10 go to on a related theme relates to page 33 of the
11 evidence of Manitoba Hydro, lines 15 through 23.

12 MS. PATTI RAMAGE: Is that the rebuttal?

13 MR. BYRON WILLIAMS: Yes. Thank you for
14 that clarification.

15

16 (BRIEF PAUSE)

17

18 MR. BYRON WILLIAMS: Sadly, Mr. Chair,
19 that does not conclude my cross-examination. I still
20 have a bit of weighting to do.

21 THE CHAIRPERSON: We were hoping you
22 weren't finished, Mr. Williams.

23 MR. BYRON WILLIAMS: I've rarely heard
24 that kind of comment, sir. I turn...

25

1 (BRIEF PAUSE)

2

3 CONTINUED BY MR. BYRON WILLIAMS:

4 Mr. BYRON WILLIAMS: Next, just again some
5 Bill Harper related short snappers. I'll turn your
6 attention to Tab 23 of the CAC/MSOS book of references.

7

8 (BRIEF PAUSE)

9

10 MR. BYRON WILLIAMS: And you can see --
11 I'm assuming again it's my new friend Mr. Thomas that --
12 we're dealing with an excerpt from the prospective cost
13 of service study, and in particular I'm drawing your
14 attention to the top of page 21, which is titled "The
15 Calculation of the Firm Opportunity Split."

16 Do you see that, sir?

17 MR. CHIC THOMAS: I do.

18 MR. BYRON WILLIAMS: I wonder if you can
19 indicate for me how the surplus energy for the purposes
20 of that calculation is determined. And in particular -
21 and sorry, Mr. Surminski, I should have known it was you
22 -- in particular I'm wondering about the assumptions made
23 in terms of the operations of Brandon and Selkirk.

24 MR. HAROLD SURMINSKI: These are
25 estimates that are consistent with our integrated

1 financial forecast. What it combines is the use of
2 median flow conditions in the first two (2) years and the
3 expected of all eighty-six (86) flows in the remaining
4 years.

5 So I believe '06 was -- no. Actually,
6 this -- this was an '04 estimate. So two (2) years out -
7 - everything in the two (2) years out and further was
8 derived from eight-six (86) possible flow conditions.

9 So in those eighty-six (86) possible flow
10 conditions there are low flow cases, which utilise a lot
11 of thermal and import energy, as well -- the whole range
12 of flows as well as the highest flow cases which utilise
13 very little, only the testing portion of -- of thermal.

14 So it's the entire range that's used and
15 averaged to get a central number, a representative number
16 for the year.

17 MR. BYRON WILLIAMS: That's helpful, sir.
18 And just I understand, this is not reflective of median
19 flows, the assumption is based upon the eighty-six (86)
20 flows?

21 MR. HAROLD SURMINSKI: That's correct.

22 MR. BYRON WILLIAMS: Just -- in terms of
23 considering Selkirk and Brandon, would it be fair to say
24 that not all dependable Selkirk and Brandon production
25 capability is treated as potential surplus for export

1 under this calculation, or would that be inaccurate?

2 MR. HAROLD SURMINSKI: That is accurate.
3 Because the weighting, for example, may be in the very
4 lowest flow, a maximum capability or dependable
5 capability may be utilised. But for all other flow
6 conditions it's lesser amounts and practically zero (0)
7 for -- for maybe 40 percent of the flow conditions.

8 MR. BYRON WILLIAMS: Okay. Thank you for
9 that.

10 Mr. Wiens, you'll recall you had some
11 conversation with -- I was going to call him doctor, but
12 -- with Mr. Peters in terms of the direct assignment of
13 costs to -- certain costs to the export class. And
14 you're familiar, as you've indicated, with Mr. Harper's
15 evidence.

16 And do you recall that -- that he raises a
17 concern, at page 44 of his evidence, that:

18 "The introduction of any departure from
19 the approach of treating firm export
20 customers similar to domestic customers
21 for purposes of allocating generation
22 and transmission costs opens somewhat
23 of a pandora's box and begs a question
24 as to what other adjustments departure
25 should be made."

1 Do you recall that evidence?

2 MR. ROBIN WIENS: Well, I have a -- I
3 have a general recollection of it but if you would give
4 me the page reference I could go right to it and that
5 might be helpful in responding to whatever you've got in
6 store for me.

7 MR. BYRON WILLIAMS: Okay. Well, in
8 terms of what I've got in store, you can either turn to
9 page 44 of Mr. Harper's evidence or it might be more
10 helpful actually to turn to the interrogatory posed by
11 the Public Utilities Board to CAC/MSOS, which is number
12 13. So the actual interrogatory for the -- from the
13 Public Utilities Board to CAC/MSOS, which is number 13.

14

15 (BRIEF PAUSE)

16

17 MR. BYRON WILLIAMS: No, it's not in the
18 CAC/MSOS book of references, for those who are searching
19 desperately for it. It's -- yeah.

20

21 (BRIEF PAUSE)

22

23 MR. BYRON WILLIAMS: Actually, it is.
24 It's in Tab 22. I misspoke. Thank you, Mr. Mayer.

25

1 (BRIEF PAUSE)

2

3 THE CHAIRPERSON: That's a good
4 admission, Mr. Mayer.

5

6 (BRIEF PAUSE)

7

8 MR. BYRON WILLIAMS: Thank you Mr. Wiens.
9 In terms of that just to attempt briefly summarize the --
10 his response. He appears to be making the point that
11 attempt to directly assign transmission costs or
12 generation costs or firm exports could require an
13 adjustment to the proposed methodology of allocating the
14 remaining costs of firm and exports and it was not
15 immediately obvious that such adjustment could reasonable
16 be made.

17 I won't bore you with the remainder of the
18 details, but do you have any comments about the thrust of
19 his concerns?

20 MR. ROBIN WIENS: Well, I think that
21 would be a concern similar to one that we would have.
22 Once we start hiving off special costs for exports or
23 attempting to do so it does begin to beg the question,
24 well when we now treat this export class as part of a
25 group of domestic and export classes into which we

1 allocate costs, are there some costs we should exclude.

2 So it would add some complexity in terms
3 of the number of tables that Mr. Thomas would have in his
4 allocation structure, quite possibly.

5 MR. BYRON WILLIAMS: Mr. Harper goes
6 further in this interrogaty, I believe and he speaks, in
7 particular near the bottom of this page and moving onto
8 the second pages and raises a concern about directly
9 assigning some water rentals. And he says:

10 "But since the allocation of generation
11 costs using marginal costs is designed
12 to allocate all generation costs it is
13 not intuitively obvious how the
14 methodology could be adjusted if water
15 rentals were excluded."

16 And just perhaps, you've made this point
17 already, but is that a concern that you would share on
18 behalf of Manitoba Hydro?

19 MR. ROBIN WIENS: Well, yes, if we were
20 to -- if we were to depart from what we are recommending,
21 we would have to give that some consideration, whether
22 the issue is -- is important enough that we have to make
23 some broad scale adjustments or whether we could fine
24 tune it, we'd have to consider that.

25 MR. BYRON WILLIAMS: And to the extent

1 that this Board is considering additional direct
2 assignments, it also has to be cognizant of the rollout
3 in terms of unforeseen consequences to the model as a
4 whole?

5 MR. ROBIN WIENS: I think when you get to
6 making any change in what Manitoba Hydro has recommended,
7 we would have to investigate what the impact of such a
8 change is on some of the other features of the
9 recommended methodology. And it could go beyond the
10 allocation, classification and allocation of generation
11 costs, to issues including how we are proposing to credit
12 net export revenues back to customer classes.

13 And all of these things would have to come
14 into consideration, if we were talking about any kind of
15 a substantive change to what Manitoba Hydro's proposed.

16 MR. BYRON WILLIAMS: Mr. Chairman, I'm
17 moving a slightly different subject in terms of
18 transmission charges at all. I'm not sure if the whole
19 Manitoba Industrial Power Users Group is here or not.

20 I see, from my perspective I'm certainly
21 willing to stand down at any time when it's of assistance
22 to the Board.

23

24

(BRIEF PAUSE)

25

1 THE CHAIRPERSON: Thank you, Mr.
2 Williams. Ms. McCaffrey, would your presenters wish to
3 proceed at this time?

4 MS. TAMARA MCCAFFREY: We're ready to go.

5 THE CHAIRPERSON: Excellent. That would
6 be nice.

7

8 (BRIEF PAUSE)

9

10 MS. TAMARA MCCAFFREY: Mr. Chair, there
11 are going to three (3) presenters from the Manitoba
12 Industrial Power Users Group.

13 THE CHAIRPERSON: And we'll call on you
14 to introduce them.

15 MS. TAMARA MCCAFFREY: And I will
16 introduce them shortly once we -- once we have the
17 materials distributed.

18

19 (BRIEF PAUSE)

20

21 THE CHAIRPERSON: Okay, Ms. McCaffrey, if
22 you wouldn't mind introducing your presenters.

23 MS. TAMARA MCCAFFREY: Well, it would be
24 my pleasure, Mr. Chairman and members of the Board, to
25 introduce to you three (3) representatives from the

1 Manitoba Industrial Power Users Group.

2 With me to my immediate left is Mr. Bill
3 Turner, I think familiar now to the Board. He is the
4 Chairman of the Manitoba Industrial Power Users Group and
5 he's also a plant manager a Canexus Chemicals Brandon
6 plant.

7 And he will be giving you a brief
8 presentation followed by comments from David Markham who
9 sits to Mr. Chairman's left and he is here on behalf of
10 the Mining Association of Manitoba and we'll sum up with
11 Mr. Darren McDonald's comments and he's here from Gerdau
12 Ameristeel Manitoba.

13 We've been distributing copies of each
14 presentation so that you can follow along and I can
15 indicate that Mr. Turner will be referring as well to an
16 economic impact statement that was prepared with respect
17 to the -- some of the value that industry does provide to
18 Manitobans.

19 I provided a few copies of that to Mr.
20 Barron should the Board be interested in looking at that
21 later and I certainly have extras for anyone that's
22 interested. But it's not strictly necessary to follow
23 along the presentation.

24 THE CHAIRPERSON: We would like to see
25 that, Mr. Barron, when you get a chance.

1 MS. TAMARA MCCAFFREY: With those opening
2 comments then I'd like to turn the mike over to Mr.
3 Turner from Canexus.

4 THE CHAIRPERSON: Welcome, Mr. Turner.

5 MR. BILL TURNER: Thank you. Mr.
6 Chairman and members of the Board. My name is Bill
7 Turner, I'm the plant manager at Canexus Chemicals in
8 Brandon.

9 Since November 2000 I have been the
10 Chairman of Manitoba Industrial Power Users Group. MIPUG
11 membership currently consists of the following companies,
12 Cannex's Chemicals Brandon, formerly, Nexen. Inco
13 Manitoba Division in Thompson, Hudson Bay Mining and
14 Smelting Company in Flin Flan, Erco Worldwide, Enbridge
15 Inc., Tolco Manitoba Kraft Papers, Simplot Canada
16 Limited, Griffin Canada Limited, Tembec and Gerdau
17 Ameristeel Manitoba.

18 We would like to thank you for the
19 opportunity to address you today. We have brought
20 documents that deal in greater detail with who MIPUG is
21 and the economic impact that MIPUG members have in their
22 respective communities and in the province. I would just
23 like to note that this economic impact study was prepared
24 before Tembec became a member.

25 MIPUG is an association of major

1 industrial companies operating in Manitoba. The purpose
2 of the association is to work together on issues of
3 common concern related to electricity supply and rates in
4 Manitoba.

5 To that end, MIPUG has participated as an
6 Intervenor in each of the Board's reviews of hydro rates
7 since 1988, as well as the Board's review of the Centra
8 gas acquisition in 1999, and Hydro's major -- major
9 capital projects in 1990.

10 At that last hearing we explained that in
11 each case power costs are extremely important to the
12 continued operation and growth of the MIPUG member
13 companies. Also, we emphasized that the fact that MIPUG
14 members compete in a global marketplace. If we are to
15 remain competitive, electricity rates in Manitoba must
16 help offset some of the geographic, climatic
17 disadvantages we face.

18 A more recent concern is the exchange rate
19 on the Canadian dollar. This means we in industry
20 require predictable firm power rates for all industrial
21 customers that reflect the cost of providing service.

22 We are well aware that our members
23 currently pay rates that are about 14 percent more than
24 it costs to provide them with service, or about \$27
25 million per year in extra operating costs. Addressing

1 this disparity would help to encourage competitiveness
2 and growth in Manitoba in each of our industries.

3 This was part of the rationale put forward
4 as the basis for the 2 percent rate decrease to our
5 members. We considered this a move in the right
6 direction and an important signal to our members that
7 Manitoba remains committed to fair rates for industrials.

8 Fair rates that reflect Hydro's costs and
9 diligent attention to ensure those costs are as low as
10 possible while maintaining a financially healthy utility,
11 that are in fact an essential part of ensuring that
12 Manitoba companies continue to survive and grow.

13 This is critical in maintaining and
14 enhancing the long-term investments, jobs and other
15 benefits that come from having these other operations in
16 Manitoba.

17 Manitoba companies annually purchase about
18 four thousand (4,000) gigawatt hours of electricity at a
19 cost of well over \$100 million from Manitoba Hydro. In
20 total, MIPUG members employ over forty-five hundred
21 (4,500) people, have a replacement value of their assets
22 in Manitoba of over \$2 billion, and sell over 90 percent
23 of the products they produce outside of Manitoba.

24 Many of Manitoba's communities and workers
25 depend on our continued survival and growth. And we have

1 all seen the consequences of this alternative. For
2 example, in Northern Ontario, forestry operations have
3 closed in part due to high energy prices. It should be
4 noted that while operations have shut down in Ontario,
5 Manitoba has yet to lose a major forestry operation.

6 With me today I've brought Darren McDonald
7 from Gergau Ameristeel Manitoba, and David Markham from
8 the Mining Association, who'll be happy to answer
9 questions from the Board after the presentation.

10 David...?

11 MR. DAVID MARKHAM: Thank you.

12 THE CHAIRPERSON: Welcome, Mr. Markham.

13 MR. DAVID MARKHAM: Thank you very much,
14 Mr. Chairman and to the Board.

15 My name is David Markham. I am the
16 Executive Vice-President of the Mining Association of
17 Manitoba. Our association has represented the interests
18 of mining and mineral exploration sectors in the province
19 since 1940. And our membership includes all mines
20 currently operating in the province of Manitoba,
21 including the Thompson Operation and Hudson Bay Mining
22 and Smelting Company's operations in Flin Flon and Snow
23 Lake.

24 I wanted to start by impressing upon you
25 the significant contributions that the mining industry

1 continues to make to the lives of Manitobans and the
2 overall economy.

3 The mining industry employs approximately
4 three thousand two hundred (3,200) persons directly, as
5 well as a very broad and diverse supply chain ranging
6 from contract miners, diamond drillers, geologists,
7 engineers, and various other suppliers. These people,
8 their families and communities rely on the sustainability
9 of the industry for their livelihoods.

10 For every direct job created in the mining
11 industry a further four (4) indirect jobs are created to
12 support that position. In total, sixteen thousand
13 (16,000) Manitobans are employed in the mining industry,
14 or one (1) out of every thirty-eight (38) Manitoba
15 workers.

16 Furthermore, the mining industry pays the
17 highest average industrial wage of any industry sector in
18 the province. We would suggest that as consumers of
19 Manitoba Hydro power, that firms in the mining industry
20 provide a substantial return to all Manitobans as results
21 of the Manitoba Hydro advantage currently in place in
22 this province.

23 With regard to the current proceedings, I
24 want to get right to the point and address some of the
25 issues identified by Manitoba Hydro as part of the cost

1 of service study that the mining industry is extremely
2 concerned about.

3 To be blunt, the mining industry has grave
4 concerns regarding any move by Manitoba Hydro that would
5 impose the full market rate for supplying power to
6 industrials. This would devastate the climate for
7 operating mines in Manitoba and seriously impeded any
8 future growth and advancement of our industry in the
9 Province.

10 It has been the position of the mining
11 association that general service large rates must be
12 structured to reflect Manitoba Hydro's actual costs of
13 providing power to its large industrial customers and
14 that mechanisms should be considered that provide
15 assurances of long term rate stability to industrial
16 firms that operate in this Province.

17 While the mining industry is currently
18 enjoying the benefits of strong commodity prices, in
19 Manitoba there remains considerable pressure to identify
20 new ore reserves in order to sustain operations in Flin
21 Flon, Thompson and Snow Lake.

22 In the Minister of Conservations' 2005
23 Provincial Sustainability Report for Manitoba, the
24 declining state of the Provinces reserves of metals was
25 identified as a source of major concern, in fact, was one

1 (1) of the only economic indicators that was a source of
2 concern.

3 Bringing a new deposit into production is
4 an extremely lengthy process that is subject to high
5 financial risks and major capital demands. In order for
6 a deposit to be commercial viable it is critical that
7 risks and costs are minimized.

8 As Hydro charges represent significant
9 input costs for operating mines, in most cases a mines
10 hydro bill is it's second highest expense after labour
11 cost, decisions made today will directly impact upon the
12 viability of developing new mines in the future.

13 For any mining company, electricity costs
14 are one of the critical variables that determine whether
15 an ore body is to become a valuable mineable deposit or
16 remain worthless rock.

17 It is also important to recognize that the
18 business of processing and smelting ore in this Province
19 is changing quite drastically. The Province's two (2)
20 major mining facilities no longer simply process the ore
21 that they have extracted from their properties here in
22 Manitoba.

23 In response to the declining feed stocks
24 and ore reserves available in Manitoba, our mining
25 companies are competing internationally to attract new

1 processing capacities for facilities outside the Province
2 to their facilities up north.

3 Attracting new source of outside
4 concentrate is a critical means of ensuring that surface
5 processing continues to its fullest capacity and that the
6 mining industry remains viable in these communities.

7 Transporting this material to mining
8 facilities up north imposes severe costs on mining
9 companies. For example, Inco Limited ships concentrate
10 from its Voisey Bay facilities in Newfoundland and
11 Labrador by ship to Quebec City, then by rail to Winnipeg
12 and finally by truck to Thompson.

13 The concentrate is actually shipped past
14 three (3) other competing smelters to get to Thompson.
15 However, the economics of proceeding imported feed in
16 places like Flin Flon or Thompson work because of
17 competitive hydro rates.

18 The absence of competitive hydro rates
19 would negate the possibility that outside feeds could be
20 processed at Manitoba service operations. And if
21 surface operations are producing at less than optimum
22 capacity the entire mine operations are marginalized as a
23 result.

24 I also wanted to assure you that the
25 mining industry actively works with Manitoba Hydro to

1 make sure that the energy use in our operations is used
2 effectively and efficiently. Manitoba mining companies
3 have made considerable efforts to control their
4 consumption of energy.

5 For example, Hudson Bay Mining and
6 Smelting's new electrolytic cell house, a facility that
7 uses the latest technology and was constructed at a cost
8 in excess of \$100 million has improved the efficiency of
9 the company's power consumption to the extent that the
10 amount of power consumed per unit per zinc output has
11 declined by 18 percent.

12 Inco Limited's Thompson's operations have
13 pro-actively applied demand side management principles
14 with the assistance of Manitoba Hydro's Powersmart
15 program. This year alone the company has implemented
16 various projects including the replacement of compressors
17 for the company's Birch Tree mine, an audit of the
18 company's existing steam trap capabilities and the cost
19 sharing of a study into the company's converter air
20 system.

21 Such projects have resulted in significant
22 reductions in electricity consumption and the resulting
23 cost savings have enhanced the efficiency and
24 competitiveness of the Thompson facility.

25 Operations such as Inco's Thompson's

1 operation, Hudson Bay Mining and Smelting have embraced
2 energy conservation enthusiastically and achieved
3 significant cost savings and reductions in consumption
4 that have made their operations more competitive and
5 efficient while at the same time, benefiting Manitoba
6 Hydro and Manitoba ratepayers.

7 Thank you.

8 MR. ROBERT MAYER: Ms. McCaffrey, would
9 you -- how do you propose when we should ask questions?

10 MS. TAMARA MCCAFFREY: Any time you like
11 or can you jump in now if you have questions now, or you
12 can wait for Mr. McDonald to give his presentation and
13 then follow up with questions to whom ever you'd like.

14 THE CHAIRPERSON: Mr. McDonald...?

15 MR. DARREN MCDONALD: Mr. Chairman,
16 Members of the Board, thank you for the opportunity to
17 discuss our concerns here today.

18 My name is Darren McDonald. I'm the
19 energy manager for Gerdau Ameristeel Northeast Operations
20 which includes two (2) operations in New Jersey, two (2)
21 in Ontario and the one (1) here in Selkirk, Manitoba.

22 Gerdau Ameristeel operates fifteen (15)
23 plants in North America, all of which are nearly
24 identical in equipment and process. Gerdau has over a
25 hundred (100) years experience in the steel business and

1 translates the best practices from each mill throughout
2 the portfolio of plants to achieve the best and most
3 efficient operation.

4 Our business is global. We have commodity
5 prices for our steel which means we must have operating
6 costs that are competitive on a global basis. As you
7 know, steel is a very cyclical business. Today we are in
8 the top of that cycle but we have to be able to weather
9 the trough and we've been in a -- in a topping cycle for
10 quite some period of time as far as steel timeline goes,
11 so we're expecting that trough to come soon.

12 We're here today to ensure your awareness
13 of our sensitivity as a large industrial consumer to any
14 increase in electricity costs. We have a great deal of
15 experience in other markets, in deregulated markets in
16 the northeast US and pricing at the potential export
17 price is -- is something that concerns us because we are
18 dealing with these jurisdictions that price at marginal
19 pricing today and we're seeing industry fail in those
20 jurisdictions.

21 Second slide. A little bit of information
22 on our contributions as Gerdau Ameristeel to -- to the
23 province. We're the largest shipper in the province. We
24 ship a hundred and fifty (150) truck loads per week.
25 Spend about \$20 million a year on shipping.

1 Our presence in the province has attracted
2 downstream jobs. I've listed four companies here,
3 Montiferral America (phonetic), T.C. Industries
4 (phonetic) in Selkirk, Black Cat Blades (phonetic) and
5 Bradley Steel Producers (phonetic). These are some
6 examples of businesses that are here because our primary
7 manufacturing is located here.

8 We employ fifty (50) full-time equivalent
9 positions in -- through local contractors each year in
10 maintenance and capital expenditure projects and we're
11 the largest recycler in the province.

12 The next page covers some of our
13 contributions in dollars and cents. We have five hundred
14 and twenty-two (522) employees employed in Manitoba. We
15 spend \$43 million a year in wages with an average salary
16 of about eighty-two thousand dollars (\$82,000) including
17 the benefits.

18 We pay over six hundred thousand dollars
19 (\$600,000) in property tax, eight hundred thousand
20 (800,000) in health and education, three ninety-five
21 (395) in provincial fuel tax and energy purchases over
22 \$12 and a half million and that includes natural gas. So
23 we spend annually, this is 2004 dollars, about \$57
24 million a year.

25 I think the next line, capital investment

1 since 1995, showed Gerdau Ameristeel's long-term
2 commitment to the province in the capital investment
3 that's been made in the province. If we were to replace
4 the total capital that exists in the province today we'd
5 be at about \$225 million.

6 Not on this slide is also some -- there is
7 also some things not on this slide that I'd like to
8 highlight and that is donations in 2004. We're very
9 active in the community.

10 We've made over sixty thousand dollars
11 (\$60,000) in donations to things like the Selkirk
12 waterfront project. We support the Canada Day
13 activities. We purchased playground equipment for a
14 couple of local schools. Sponsor RCMP drug awareness
15 programs. And -- and we support environmental
16 initiatives sponsored by Ducks Unlimited.

17 Next slide. So what is our situation?
18 Steel is capital intensive and energy intensive. Our
19 investment horizons are long-term. We're looking ten
20 (10), fifteen (15), twenty (20) years down the road
21 because we're spending large dollars on capital
22 equipment.

23 We need stable electricity rates and
24 stable policy to ensure the long-term investments occur.
25 Low cost, stable, reliable delivery of electricity is

1 essential to our operations in Manitoba.

2 Manitoba, our operations within Gerdau
3 Ameristeel, we have fifteen (15) locations. We have to
4 fight within the company for production rights for some -
5 - some of the tonnes that we produce. We also have to
6 attract the capital dollars from a limited capital fund
7 within those fifteen (15) locations. So we're really
8 looking for, where are we making the best return on
9 investment and that's where we're going to make those
10 capital investments.

11 So each plant is really doing its best to
12 control its operating costs. In Manitoba the operating
13 costs are -- are rising, partly because of the rising
14 Canadian dollar and we're all facing that issue,
15 relatively high labour costs and rising transportation
16 and fuel costs. We have -- because of our location,
17 shipping is an issue for us.

18 As a kind of demonstration of our concern
19 for what might happen in -- in power -- I'm still on the
20 same slide -- on our last quarter in conference call our
21 CEO mentioned two (2) locations in particular where he
22 had some concerns with respect to power prices and our
23 sensitivity to power prices. He mentioned New Jersey
24 operations and Manitoba operations on that conference
25 call. The recent rate increases and -- and rate

1 structure changes in -- in Manitoba are a concern.

2 Our experience in the PJM market in -- in
3 the US Northeast has -- has brought to our attention the
4 concern with marginal type pricing. And we've seen
5 industry leaving New Jersey, where our two -- two (2)
6 operations are, Ford has closed down, Alcoa, three
7 hundred and fifty (350) megawatt smelter has closed down.

8 And -- and in those states we're seeing
9 the -- yet the State commissions, public utility
10 commissions, going to FERC and asking, Why are these
11 industries leaving our jurisdiction, Why are they fleeing
12 to lower cost jurisdictions. And that kind of question
13 is -- is coming from -- that kind of migration of jobs is
14 coming from marginal cost pricing.

15 And we're seeing -- and I'll show you
16 further on in this -- in this presentation how our own
17 prices stack up where we're paying marginal cost type
18 markets or where we're working in regulated markets.

19 Next slide. Our manufacturing costs.
20 These are all of our locations in North America, Canada
21 and the US. The black -- the black column is our
22 Manitoba facility. It has the highest operating costs of
23 -- of all locations.

24 Although we enjoy the -- the lowest power
25 costs, we are in the unfavourable position of having the

1 highest cost structure. This is in part due to the
2 Canadian dollar, high transportation costs, high labour
3 costs, and -- and some product mix implications.

4 If you turn to the next slide, Relative
5 Power Costs, you can see where Selkirk is on this slide.
6 We're the -- we're the lowest power cost. But, as you
7 can see, there are many locations with power costs that
8 are very close to the costs, but they don't have the same
9 labour and logistical type of challenges that we face
10 here.

11 I would also like to point out to the --
12 to you the high price jurisdiction on this slide are all
13 the deregulated states that have the LMP or marginal type
14 cost setting. You're looking at the -- the New Jersey
15 facilities and the Ontario facilities having that type of
16 power market.

17 And to the right of Ontario, those are all
18 our -- the states that we operate in with regulated
19 pricing. And these are our actual costs -- ratioed to
20 New Jersey so that we're not divulging any actual
21 dollars.

22 The next slide. I wanted to point out
23 that although prices aren't high for electricity in
24 Manitoba, we are operating a very efficient operation in
25 Manitoba. We don't need high power prices to drive

1 efficiency. The balance of the prices -- of the costs
2 that we have in Manitoba are enough to drive our
3 operators to be as efficient as they can in all areas of
4 our business, including the electricity consumption. And
5 you can see on this recent chart that the dark line is
6 where Manitoba sits in relation to the rest of our
7 facilities.

8 The other thing -- the other point I
9 wanted to make on this -- on this slide is that low cost,
10 stable, flat pricing in a -- in a business like ours,
11 heavy manufacturing, promotes efficiency. In our
12 operations that -- that have prices that change hourly,
13 we are stopping and starting those operations in -- in
14 response to high prices. That saves us money on -- on
15 dollars and cents but it costs us on efficiency.

16 Every time you stop and start an
17 operation, very large industrial operation, you're losing
18 efficiency. And that's a point that's kind of missed in
19 a lot of cases when you're looking at hourly price
20 signals to determine when -- if you want manufacturing to
21 determine when it will run by -- by hourly pricing
22 signals, that's very tough on an operation. It costs you
23 a lot of money for equipment, starts and stops, and it
24 also impedes the operator's rhythm, which -- which is
25 critical to a -- a smooth operation.

1 Next slide. Basically the conclusions.
2 We believe regulation to achieve firm, low cost, stable
3 power rates are necessary to maintain investment in the
4 province. Gerdau considers the stability of electricity
5 prices when making these long-term investment decisions.

6 Rate designs that increase costs for
7 incremental or new load in the province provides a signal
8 to Gerdau to invest outside of the province. We're
9 already, as you saw from our operating costs and from our
10 other slides, challenged. So keeping the -- keeping the
11 electricity rates low encourages investment.

12 Time of use rates may not necessarily
13 improve efficiency as -- as people commonly believe. And
14 the last point, low cost electricity much be viewed as a
15 means to achieve and retain economic growth in the
16 province.

17 Thank you.

18 THE CHAIRPERSON: Thank you, sir.

19 MS. TAMARA MCCAFFREY: Thank you, Mr.
20 McDonald and other members. I now turn it over to the
21 Board for any questions that you may have. They'd be
22 more than happy to have a discussion with you at this
23 time?

24 MR. ROBERT MAYER: Mr. Chair, if I
25 might...?

1 outside Manitoba and approximately 95 percent of it goes
2 to the United States. The North American market for our
3 product is very competitive. Canexus operates on plant
4 in each of BC, Alberta, Manitoba, Quebec and Brazil. In
5 the last three (3) years Canexus has shut down two (2) of
6 our operating facilities, mainly due to high power
7 pricing, leaving several families either without
8 employment or requiring moves to other jurisdictions
9 looking for employment

10 In times when the industry is not
11 operating at 100 percent capacity the plants with the
12 lowest costs of production run full load and the plants
13 with the highest costs of production are cut back.

14 Our Brandon plant competes with our
15 external competitors as well as our internal competitors
16 within Canexus. Sodium Chlorate plants the -- pardon me.
17 The competitiveness of any Sodium Chlorate producer can
18 be assessed easily with only three (3) key
19 considerations; power price stability and availability,
20 salt price and availability and transportation to
21 markets.

22 Of the three (3) factors, power is the
23 most important because of the large amounts of power
24 required for electrolysis. Electricity is a feed stock
25 just like natural gas is feed stock for the fertilizer

1 industry. Canexus has been producing Sodium Chlorate in
2 Brandon since 1968.

3 At that time the plant started at an
4 annual rate of twelve thousand (12,000) tonnes. Through
5 several upgrades, incremental expansions and a major
6 expansion that was completed in 2004, which we spent
7 approximately \$50 million on, we currently manufacture in
8 excess of two hundred and sixty-three thousand (263,000)
9 metric tonnes per year.

10 This now makes us the largest Sodium
11 Chlorate plant in the world. Our most recent expansion
12 was the relocation of our plant from Louisiana to Brandon
13 due, in part, to the high cost of electricity energy in
14 the US.

15 This expansion project was a major
16 commitment of capital dollars and time. The cost of that
17 2004 expansion was almost as large as the MTS Centre next
18 door to us here and in a place the size of Brandon you
19 can imagine the economic impact that that would have.

20 The main reason the most recent expansion
21 was awarded to the Brandon plant was the fact that
22 Manitoba has had a history of very stable and cost
23 effective power rates. This has been a positive factor
24 in convincing our board of directors that expansions
25 should occur in Manitoba.

1 Once again, Canexus is considering an
2 expansion due in part to the closure of our facility in
3 Ontario.

4 We have been evaluating several options
5 and upon hearing of a potential change to charges for new
6 or expanded electrical loads, we have become quite
7 concerned. Any expansion of our operations is a major
8 commitment of resources, including people, time, and
9 money.

10 For such commitments to be justifiable,
11 there has to be some level of certainty as to costs, both
12 now and in the future. We need some level of confidence
13 that the rules won't suddenly change on us.

14 Before we make an investment of capital
15 and time we need to know what the rates will look like in
16 long term and that there won't be any nasty surprises
17 later.

18 It's not low prices that bring industry.
19 Low prices can become very, very high very quickly if
20 there is instability in the principles and systems used
21 to set rates. We saw this in spades in Alberta, where
22 one of our lowest costs plants became one of the highest
23 during less than a decade in the mid-90's when Alberta
24 changed how it set it sets rates.

25 Prices do matter. But, it is confidence

1 in the long term regulation and pricing system that is
2 key, not just today's rates. We know that fair, cost
3 based rates that are stable and that treat existing
4 customers the same as those who grow or who are new, have
5 been good for industry and for Manitoba.

6 Until recently we have had confidence in
7 our investments in this Province, due to the fact that
8 the rates were set in a principled manner and that any
9 changes to those rates required a review by the PUB
10 before they could be imposed.

11 Hydro has sent out a letter which I
12 understand you have a copy of, which indicates that they
13 are considering a new system extension policy, designed
14 to target and discourage growing or new companies from
15 expanding in Manitoba.

16 We are not against paying what it cost of
17 service, but it appears that Manitoba Hydro is trying to
18 select the types of industry being brought into the
19 Province based on the number of jobs that will be
20 provided.

21 This may prevent growth in industries that
22 provide other critical benefits to the Province. While
23 there may be fewer workers, these workers are well paid
24 and have higher than average salaries. Industry has
25 benefited from consistent PUB involvement in rate setting

1 to ensure an independent review of proposals in order to
2 protect all the consumers from unfair proposals.

3 Canexus may not be the largest company --
4 biggest company in Manitoba, but we have quality
5 committed work force of sixty-seven (67) people. Skilled
6 workers with well paying jobs who play important roles in
7 the Brandon community.

8 We view our place in the community with
9 pride helping support our families, pay taxes and provide
10 opportunities for trained people to find employment in
11 the Westman Region.

12 I should also note that Canexus is one (1)
13 of Manitoba Hydro's largest DSM participants, offering
14 about a hundred and sixty (160) megawatts of load that
15 can be -- curtailed by Hydro on short notice. This
16 program was developed over a number of years by working
17 closely with Hydro as a participant in the curtailable
18 rates monitoring committee.

19 Through solid communication the work of
20 this former committee addressed the issues and concerns
21 of both parties quickly and amicably and the program is
22 now one of the most successful conservation programs
23 Hydro operates, providing benefits to both Conexus and
24 all the other customers on Hydro's system. Conexus
25 appreciates working with Manitoba Hydro cooperatively in

1 this manner.

2 And in closing, Mr. Chairman, the
3 industrial consumers of Manitoba Hydro have been well
4 served by this Utility in the past. Hydro is a good
5 company to deal with and we would not want our comments
6 to be read as criticism of the professional and competent
7 staff that Hydro employs.

8 Although we have been blessed in the past
9 with a good partner in Hydro we are concerned by what
10 appears to be slow shifts over time in Manitoba Hydro's
11 priorities, away from its domestic customers to its
12 export sales.

13 For industries that invest significant
14 capital and resources Manitoba, the most important factor
15 with respect to Hydro rates is a stable and predictable
16 price environment. In that regard, we believe that
17 Manitoba ratepayers in all classes have been well served
18 by having Hydro's rates regulated by a principled PUB.

19 Industrial customers, in particular, have
20 seen the havoc that arises when other jurisdictions in
21 Canada and in the US have veered off into unregulated
22 market driven or privatized environments, where market
23 forces are put ahead of principled cost allocated and
24 rate stability.

25 I would ask the Board to consider the

1 presentations made by the Manitoba Power Users Group in
2 light of the competitive challenges faced by Conexus and
3 other energy intensive industries in Manitoba and help us
4 retain our competitive position in Manitoba and in North
5 America.

6 The future growth of large industry in
7 Manitoba depends on reliable firm power at fair and
8 reasonable rates. Rates that reflect cost of service
9 principles and demonstrate commitment to innovative rate
10 options that benefit both industry and Manitoba Hydro.

11 I thank you.

12 THE CHAIRPERSON: Thank you, Mr. Turner.
13 Are there any questions?

14 MR. ROBERT MAYER: Mr. Chair, yes. A
15 couple.

16 Dealing with Canexus, you've indicated
17 that electricity or power input is 60 percent of your
18 manufacturing costs. Judging from your paper in whole, I
19 take it your labour costs rank no higher than fourth?

20 MR. BILL TURNER: When we talk 60 percent
21 we break our operating costs into two levels. One is
22 variable costs which is pure raw materials going into our
23 finished goods; that is 60 percent -- Hydro is 60 percent
24 of that cost.

25 We also then have what we call cash costs

1 and that's our labour cost, taxes and any operating
2 expenses that we have to operate our facility.

3 MR. ROBERT MAYER: And you pay -- then
4 your comment in your written materials is a little
5 misleading then if you say 60 percent of your
6 manufacturing costs is the cost of electricity.

7 MR. BILL TURNER: In our industry we
8 refer to the manufacturing costs as variable costs.
9 We've got -- we have different accountants working for
10 us.

11 MR. ROBERT MAYER: Thank you for
12 clarifying that.

13 MR. LEN EVANS: Thank you, Mr. Chair. I
14 appreciated your comprehensive and clear presentation
15 about the importance of the industries in Manitoba.

16 Members of the Industrial Power Users
17 Group, and of course your own company that you gave us
18 some background on and I notice Canexus you mention the
19 previous name Nexen. Can you recall the earlier names
20 because it's gone through a variety of owners and name
21 changes, I believe.

22 MR. BILL TURNER: Well, if you start
23 right from day one, initially it was Dryden Chemicals
24 which was sold to Occidental Petroleum. And the Canadian
25 division of that was actually handled by, at that time,

1 Hooker Chemicals.

2 We then split off into a Canadian division
3 called Canadian Occidental Petroleum and an umbrella
4 company was CXY Chemicals at that time and then that was
5 -- we were totally bought out -- or we bought out our
6 parent company, Occidental Petroleum, to become Nexen.
7 And then last August Nexen actually spun us off into an
8 income trust.

9 MR. LEN EVANS: That's a very interesting
10 story of history of industrial development. I just
11 wanted to say that I remember it initially as Dryden
12 Chemicals so I'm going to confess, maybe I've mentioned
13 this to you before, when I was Minister of Industry back
14 in 1970 I was at the plant and I officially opened this
15 plant, cut the ribbon.

16 I had Mr. Sidney Spivack (phonetic) come
17 along with me because he was really the minister involved
18 in, I think, attracting your industry in the first place.
19 So I thought out of fairness we should recognize Mr. --
20 the Late Mr. Spivack.

21 But I do recall Mr. Tim Sale -- The
22 Honourable Mr. Tim Sale (phonetic) who is now in
23 government, sent me a picture of this opening, for
24 whatever reason, a few months ago of me standing in front
25 at this ribbon cutting ceremony or whatever we did.

1 So that brings -- that's just off -- off
2 the record sort of comments. I had a -- another question
3 of the group. Mr. McDonald, and I enjoyed looking at
4 your charts and I just want a clarification.

5 The chart which is referred to as
6 "relative power costs" --

7 MR. DARREN MCDONALD: Yes, sir.

8 MR. LEN EVANS: -- and I notice the ones
9 from Perth Amboy (phonetic) to Cambridge --

10 MR. DARREN MCDONALD: Right.

11 MR. LEN EVANS: -- and maybe Cover to be
12 -- those to be considerable higher than the others. Did
13 I hear you properly when you said those were less
14 regulated or were not regulated?

15 MR. DARREN MCDONALD: Right. Whitby, the
16 two (2) Ontario plants and the two (2) New Jersey plants
17 are in -- I guess you -- I don't know what you would call
18 Ontario today. It's quasi-regulated. But the New Jersey
19 plants are -- are, you know, FERC's standard market
20 design model fully deregulated competitive market.

21 MR. LEN EVANS: So the point of this
22 graph or the story of this graph is that you achieve
23 lowers rates in a regulated environment than in a so-
24 called competitive environment?

25 MR. DARREN MCDONALD: Well, this is just

1 the reality of the pricing that we have at these
2 locations. It appears that the -- the marginal cost
3 model, highest priced megawatt sets the price, is causing
4 prices to increase beyond those that are regulated.

5 MR. LEN EVANS: Right. Thank you. And
6 just one other question about your charts, the one that
7 is entitled "efficiency is not an issue" --

8 MR. DARREN MCDONALD: Right.

9 MR. LEN EVANS: -- this one here. And I
10 just may have -- may just not have heard you, but I'm
11 looking at the bar charts and I don't know what the
12 reference is. There's no names or numbers down here.

13 MR. DARREN MCDONALD: Yeah, that's
14 intentional. We didn't want to release which plants were
15 more efficient than others. What we wanted to show is
16 the dark column is Manitoba and where it ranks with --

17 MR. LEN EVANS: Oh, I see.

18 MR. DARREN MCDONALD: -- with respect to
19 the rest of our locations.

20 MR. LEN EVANS: All right. So each one
21 of these are your --

22 MR. DARREN MCDONALD: Each one --

23 MR. LEN EVANS: -- each one of these --

24 MR. DARREN MCDONALD: Represents a plant.

25 MR. LEN EVANS: -- is a location, a

1 plant. I see.

2 MR. DARREN MCDONALD: Yes.

3 MR. LEN EVANS: And this is where
4 Manitoba stands.

5 MR. DARREN MCDONALD: Yes.

6 MR. LEN EVANS: Yes. Okay. Thank you.

7 MR. DARREN MCDONALD: So Manitoba is --
8 is relatively efficient compared to the rest, even with
9 low cost of power, was the message I was trying to
10 deliver there.

11 MR. LEN EVANS: This is total efficiency?

12 MR. DARREN MCDONALD: This is the -- this
13 is our major power consumer in the plant, our arc
14 furnace, and this is -- so this is where we consume the
15 bulk of the electricity. And it is -- there's the
16 ranking and consumption per ton of steel produced.

17 MR. LEN EVANS: Hmm hmm. Okay. Thank
18 you.

19 THE CHAIRPERSON: Mr. Mayer...?

20 MR. ROBERT MAYER: Yes, I do. Mr.
21 Turner, as you are undoubtedly aware, as I assume your
22 counsel or your consultants have told you, the Winnipeg
23 Free Press article of May 1st, 2006 has been brought to
24 the attention of this Board.

25 Were you aware of that?

1 MR. BILL TURNER: Yes, I was.

2 MR. ROBERT MAYER: And I take it you've
3 had an opportunity to review that article?

4 MR. BILL TURNER: Yes, I have.

5 MR. ROBERT MAYER: Are the statements
6 attributed to you, accurate?

7 MR. BILL TURNER: My statements or Mr.
8 Brennan's statements?

9 MR. ROBERT MAYER: Your statements, sir.

10 MR. BILL TURNER: To the best of my
11 knowledge, yes, they are.

12 MR. ROBERT MAYER: Then I'm reading from
13 the article:

14 "Industrial customers receive..."

15 And this appears to be something that the
16 author of the article attributed to you.

17 "Industrial companies received a letter
18 last fall from Hydro President Bob
19 Brennan, serving notice the Utility was
20 considering a fee on surges in
21 consumption above normal levels that
22 would bring rates closer to what was
23 being earned from the export of
24 electricity."

25 Is that what you said?

1 MR. BILL TURNER: The -- the letter that
2 I received was from our Hydro rep operating out of
3 Brandon.

4 MR. ROBERT MAYER: So that letter wasn't
5 from Mr. Brennan then?

6 MR. BILL TURNER: No. I -- I think --
7 Tamara were you --

8 MS. TAMARA MCCAFFREY: The letter that
9 came from Mr. Brennan was, I believe, in response to Mr.
10 Turner's letter. The original letters were from, I think
11 a fellow name Mr. Gary Moore (phonetic), if I remember
12 correctly, who is, Mr. Turner indicated, their Hydro
13 representative out in Brandon.

14 So it may be that there was -- there
15 certainly was some correspondence with Mr. Brennan but
16 with resp -- I don't think that's a direct quote that
17 he's attributing the first letter to Mr. Brennan. Maybe
18 it was a minor mistake, it seems. But, in any event,
19 certainly a communication from Manitoba Hydro.

20 MR. ROBERT MAYER: Okay. I was just
21 trying to determine whether there was something we didn't
22 get in this package because the only letter we have with
23 Mr. Brennan's signature on it is basically an invitation
24 to talk.

25 MS. TAMARA MCCAFFREY: Mr. Chair has

1 confirmed that that was the only letter from Mr. Brennan.

2 MR. ROBERT MAYER: Thank you very much.

3 THE CHAIRPERSON: Yes, thank you, Ms.
4 McCaffrey and Gentlemen.

5 I think, just as a way of commenting, the
6 companies that MIPUG represent are well known to the
7 Board. Manitoba, as you know -- in particular know, is a
8 fairly small community, and various ways of life. We've
9 become fairly familiar with the large companies that
10 operate in our midst.

11 I think a lot of us were quite aware and
12 met on several occasions, Gary Leech (phonetic), for
13 example, used to be known as MRM. I remember Went Newman
14 (phonetic) from the Mining Association quite well. We
15 can see the significance of the companies.

16 And I just wanted to say that you can be
17 assured in our deliberations -- first of all, we're not
18 actually talking about rates in this process, we're
19 examining the cost of service methodology of the company,
20 which is one (1) potential determinant of rates at the
21 end.

22 But we understand the significance of the
23 issue to you. And you can be assured through your
24 competent counsel's representations, the materials you
25 filed and our interest in the subject, that we will give

1 fair deliberation to your concerns.

2 Thank you very much for coming.

3 MR. ROBERT MAYER: I think just one other
4 comment, coming from what the Chair said. At some point
5 in this correspondence there is question that never
6 appears to be answered by Hydro. And the question was:
7 Would the matter be brought before the Public Utilities
8 Board.

9 As I understand the law, it has to be,
10 before they can mess with the rates.

11 MS. TAMARA MCCAFFREY: Thank you for
12 that, Mr. Mayer. I'm just making extra sure that
13 everyone has had an opportunity to say everything that
14 they wanted to say while they have this opportunity
15 before you.

16 It seems that they have, so.

17 THE CHAIRPERSON: Take your time.

18

19 (BRIEF PAUSE)

20

21 MS. TAMARA MCCAFFREY: Thank you very
22 much for your time.

23 THE CHAIRPERSON: Well, thank you. Thank
24 you again for coming.

25

1 (BRIEF PAUSE)

2

3 THE CHAIRPERSON: Okay. Mr. Williams,
4 we're back to you.

5

6 (BRIEF PAUSE)

7

8 MR. BYRON WILLIAMS: I guess it's good
9 afternoon now, or good afternoon again. We're back to a
10 few more Harperisms. And we're going to be jumping from
11 subject to subject for the next few minutes.

12

13 CONTINUED CROSS-EXAMINATION BY MR. BYRON WILLIAMS:

14 MR. BYRON WILLIAMS: I want to just turn
15 to the treatment of what are termed as TD transmission
16 charges. And I don't think I have a reference for you,
17 Mr. Thomas, although I guess the interrogatory that you
18 might want to have nearby, I don't -- is CAC/MSOS
19 Manitoba Hydro 2-5(c).

20 In terms of these charges, Mr. Thomas, my
21 understanding is that they include MISO membership fees
22 and legal fees, as well as MAPP membership fees; is that
23 right?

24 MR. CHIC THOMAS: Yes, that's what the IR
25 says.

1 MR. BYRON WILLIAMS: Now, in terms of the
2 difference between MISO and MAPP, I wonder if you could
3 indicate, for each of the respective organizations, MISO
4 being M-I-S-O for the record and MAPP being M-A-P-P, what
5 the purpose is of each, please.

6 Mr. Surminski, I always forget to direct
7 my questions to you for that, I apologize.

8 MR. HAROLD SURMINSKI: I'm not in the
9 best position to answer this either, but I can attempt to
10 go as far as I can on it. The MAPP was formerly -- had
11 several purposes, it was a reliability organization and
12 it had the -- the reserve sharing pool was part of that.

13 MR. BYRON WILLIAMS: And in terms of
14 MISO?

15 MR. HAROLD SURMINSKI: MISO -- footprint
16 wise, MISO is a larger footprint. MISO extends further
17 into the eastern part of the US. So MAPP is a smaller
18 part of MISO from that perspective. And MISO is an
19 independent system operator, so that's what the --
20 Midwest Independent System Operator is where the acronym
21 comes from. And MISO is part of FERC's deregulated plan
22 for the open access transmission and the deregulated
23 environment in the US.

24 So there was several stages of market
25 development. There was day one (1), day two (2), where

1 day one (1) was open access transmission. And followed
2 by day two (2) of April in 2005 where a trading market
3 was also set up.

4 So originally it was just open access
5 transmission without a market. Starting in April of '05
6 a market was actually set up. We're a day ahead and real
7 time trading took place.

8 MR. BYRON WILLIAMS: Thank you for that.
9 And I'm clear on MISO. And just going back to MAPP, for
10 just one second. The organiz -- it leaves a smaller
11 footprint, and the focus, I believe you were suggesting,
12 is in terms of issues relating to reliability and
13 reserves; is that right?

14 MR. HAROLD SURMINSKI: Yes.

15 MR. BYRON WILLIAMS: What I'm interested
16 in exploring very briefly is whether or not there are
17 benefits to domestic customers, leaving aside the
18 creation of export revenues, from participating in these
19 two (2) bodies?

20 For example, is membership necessary in
21 one (1) or each of these organizations in order to effect
22 diversity sale contracts?

23 MR. HAROLD SURMINSKI: MAPP is still a
24 reliability organization so it would be definitely
25 required -- membership would be required in MAPP. And in

1 order to undertake power trading, MISO oversees the power
2 trading now, so that implies that require -- there is a
3 requirement for Manitoba Hydro to be part of MISO also.

4 MR. BYRON WILLIAMS: And just so I'm
5 clear, you're quite confident that in terms of the
6 ability to effect diversity sale contracts, membership in
7 MAPP is required, and it may be for MISO; is that right?

8

9 (BRIEF PAUSE)

10

11 MR. HAROLD SURMINSKI: I may have to take
12 this back -- I will have to take it back if you want an
13 answer to this.

14 MR. BYRON WILLIAMS: Yeah, I would
15 appreciate an answer. So if you can confirm whether for
16 the purposes of effecting diversity sale contracts,
17 membership in either MISO or MAPP is necessary, and if so
18 which, if any, of those two (2) organizations is
19 membership necessary.

20 MR. HAROLD SURMINSKI: Yes, I'll
21 undertake that.

22

23 --- UNDERTAKING NO. 13: Confirm whether for the purposes
24 of effecting diversity sale contracts,
25 membership in either MISO or MAPP is

1 necessary, and if so which, if any, of
2 those two (2) organizations is
3 membership necessary.
4

5 CONTINUED BY MR. BYRON WILLIAMS:

6 MR. BYRON WILLIAMS: And I'll just -- the
7 other two questions: In terms of the allowing for
8 emergency purchases in the event of failure of
9 transmission connecting northern generation, is
10 membership necessary in either of these organizations?

11 MR. HAROLD SURMINSKI: Can you clarify;
12 in order to do what?

13 MR. BYRON WILLIAMS: Sorry. In terms of
14 allowing for emergency purchases in the event of failure
15 of transmission connecting northern generation, is there
16 membership required for either of these groups?

17 MR. HAROLD SURMINSKI: So you're saying
18 failure of our northern transmission --

19 MR. BYRON WILLIAMS: Yeah, and to enable
20 emergency purchases to -- to compensate for that?

21 MR. HAROLD SURMINSKI: I would have to
22 get back to you on that also.

23 MR. BYRON WILLIAMS: Okay.
24

25 --- UNDERTAKING NO. 14: Confirm, in terms of allowing

1 for emergency purchases in the event of
2 failure of transmission connecting
3 northern generation, is there
4 membership required for either of MISO
5 or MAPP.
6

7 CONTINUED BY MR. BYRON WILLIAMS:

8 MR. BYRON WILLIAMS: Finally, are there
9 operating benefits, such as reserve sharing, that accrue
10 through membership in either of these organizations, and
11 if so, are there fees necessary to support this?

12 MR. HAROLD SURMINSKI: Yes, I'd indicated
13 the MAPP is a reserve sharing pool and there are fees
14 associated with membership in MAPP.

15 MR. BYRON WILLIAMS: Okay. I want to
16 turn now to the treatment of PSO transmission charges.

17 MR. ROBERT MAYER: Before you go there,
18 Mr. Williams, it seems to follow from -- assuming I can't
19 assume an answer, a yes or a no, it appears to follow
20 from Mr. Williams' questions, that if membership in those
21 organizations are not required, I, for one, would like to
22 know why we pay them?

23 And if they are required, that's not an
24 issue. If they're not required, then I'd like to know
25 why we -- why it is seen by Manitoba Hydro to be

1 advantageous to belong to those organizations if
2 membership is not required for our benefit?

3 MR. VINCE WARDEN: Mr. Mayer, maybe I can
4 just respond that there's no doubt for us to realize our
5 export sales to the extent that we have -- we need to
6 belong to those organizations.

7 Do we need to belong for the reasons Mr.
8 Williams requested, we'll have to confirm that. We may
9 be able to enter into bi-lateral agreements for diversity
10 sale purposes, but whether we absolutely have to belong
11 to MISO for that purpose, we'll find out for sure.

12 MR. ROBERT MAYER: Well, that's -- and
13 that's great. I was wondering why somebody didn't say
14 somewhat earlier why we're there and what the reason was.
15 I realize that you're now limiting your response strictly
16 to one (1) particular contract that Mr. Williams seems to
17 be concerned about. You can ignore what I asked.

18 MR. BYRON WILLIAMS: Really just for
19 clarification, Mr. Mayer, there's clear benefits for the
20 export class. My question, where I was going was just
21 trying to determine what if any benefits from
22 participation in these organizations accrues to the
23 domestic class of consumers.

24 MR. ROBERT MAYER: I would have thought
25 that the fact that we're able to sell so much more power

1 and therefore allocate it back might be some value to the
2 domestic customers, but I guess we'll get that answer on
3 -- tomorrow.

4

5

(BRIEF PAUSE)

6

7 CONTINUED BY MR. BYRON WILLIAMS:

8 MR. BYRON WILLIAMS: Turning to some
9 rivetting questions on treatment of PSO transmission
10 charges, I wonder if you can confirm that all
11 transmission charges directly assigned to exports are
12 transmission service for export sales, is that right?

13 MR. HAROLD SURMINSKI: I believe all
14 transmission charges are for export sales, is that what
15 your question is?

16 MR. BYRON WILLIAMS: What I was asking to
17 confirm, was that all transmission charges directly
18 assigned to exports are transmission services for export
19 sales?

20 MR. HAROLD SURMINSKI: Yes.

21 MR. BYRON WILLIAMS: Are there any
22 transmission charges incurred to imports or purchases?

23

24

(BRIEF PAUSE)

25

1 MR. CHIC THOMAS: Yes, they would all be
2 in the power purchase cost that we assign in the cost of
3 service study.

4 MR. BYRON WILLIAMS: And I apologize for
5 the tediousness of my questions, there's a few -- just
6 things we're trying to clarify.

7 In terms of how the transmission -- now my
8 understanding is that the transmission tariff application
9 depends on whether the export destination is inside or
10 outside the MISO tariff region, is that correct?

11 You know what I may do, Mr. Chairman,
12 there's -- some of these questions are, as I said they're
13 probably important to Mr. Harper for some technical
14 elements of his evidence.

15 What I may do to move things along, is
16 suggest that I share them with Manitoba Hydro kind of by
17 way of pre-ask. And we might be in a better position to
18 -- I'll confer with my colleague off line at the close of
19 some of my other questions and just see if that's
20 appropriate for her.

21 But, it just may move things along in
22 terms of the next little while.

23 THE CHAIRPERSON: If that's acceptable to
24 Ms. Ramage, then proceed on that basis. You can just
25 file the questions and the responses with us and we can

1 share it will all parties.

2 MS. PATTI RAMAGE: I think that would be
3 a good idea.

4 MR. BYRON WILLIAMS: And you can
5 certainly hear a huge sigh of relief coming from over
6 here, as well, Mr. Chairman. And I'll certainly -- if
7 there are questions that Ms. Ramage feels are
8 inappropriate we'll certainly bring that to the Board's
9 attention.

10

11 CONTINUED BY MR. BYRON WILLIAMS:

12 MR. BYRON WILLIAMS: Just moving towards,
13 near the end Mr. Warden, so long ago when I started this
14 cross-examination the -- or actually when we started your
15 evidence, in your opening evidence you talked about your
16 many years of experience with the Corporation, do you
17 recall that sir?

18 MR. VINCE WARDEN: Well, I went over my
19 experience and yes, it's many years.

20 MR. BYRON WILLIAMS: Thank you for that
21 noble concession. And I didn't mean that in a pejorative
22 sense because, of course, one of the many advantages of
23 your many years of service with the Corporation is that
24 you've had the experience of being through the
25 Corporation through its highs and through its lows; would

1 that be fair?

2 MR. VINCE WARDEN: Mostly highs, but
3 there have been a few lows along the way.

4 MR. BYRON WILLIAMS: And in the course of
5 experiencing both highs and lows perhaps you'd agree with
6 me that one of the benefits that comes from that is
7 developing some sense of balance or perspective; would
8 that be fair?

9 MR. VINCE WARDEN: Yes.

10 MR. BYRON WILLIAMS: And I'm going to put
11 this another way, just so you're clear where I'm coming
12 from. One of the lows which might seem earth shattering
13 to a -- to a -- a rookie, you, as a -- not to say you're
14 a grizzled veteran but as someone with a bit more
15 experience, you might see it as a serious issue but
16 something that you can deal with that's not a crisis;
17 just that sense of the balance that you get from
18 experience?

19 MR. VINCE WARDEN: I'd guess I'd prefer
20 you were more specific with that, Mr. Williams, but I
21 guess I can agree with you thought.

22 MR. BYRON WILLIAMS: And in my discussion
23 with you and Mr. Wiens near the start of my cross-
24 examination we also talked about the -- the competing
25 interests that the Corporation sometimes has to address

1 and the fact that there is some -- some sort of balancing
2 act that you must engage in; do you recall that
3 discussion?

4 MR. VINCE WARDEN: I do.

5 MR. BYRON WILLIAMS: And I -- I think
6 you'd agree with me that sometimes when you're balancing
7 things there are certain compromises, at a high level
8 generally, that may be that -- that you may need to
9 strike?

10 MR. VINCE WARDEN: Yes, I agree with
11 that.

12 MR. BYRON WILLIAMS: But my take on you,
13 certainly, and perhaps you would agree with this, is that
14 as a senior, loyal and long-standing member of this
15 Corporation you would never compromise on an issue if you
16 felt that the short or medium or long-term future of the
17 Corporation was at risk?

18 MR. VINCE WARDEN: Absolutely.

19 MR. BYRON WILLIAMS: Just going back
20 through a bit of history, Mr. Warden, my understanding is
21 that based on a previous Board Order from the Board from
22 the 2004 General Rate Application the Corporation had the
23 opportunity, if it chose, to come before the Board and
24 seek a 2.25 percent rate increase effective October 1st,
25 2005; is that your understanding as well?

1 MR. VINCE WARDEN: Yes.

2 MR. BYRON WILLIAMS: Now -- and if memory
3 serve me right, you wrote to the Board and indicated that
4 that -- that the Corporation would not be seeking that
5 rate increase at that point in time; is that right?

6 MR. VINCE WARDEN: That's correct, yes.

7

8 (BRIEF PAUSE)

9

10 MR. BYRON WILLIAMS: And likewise, in
11 more recent memory, I recall in the fall or early winter
12 of 2005 the Corporation had actually filed a request for
13 rate increase for 06/07; is that correct?

14 MR. VINCE WARDEN: Yes.

15 MR. BYRON WILLIAMS: And you subsequently
16 announced that you won't be seeking a rate increase in
17 2006/07; correct?

18 MR. VINCE WARDEN: Correct.

19 MR. ROBERT MAYER: Was that correct or
20 was it just 2006 you said you're not --

21 MR. VINCE WARDEN: I think Mr. Williams
22 was referring to the 06/07 fiscal year.

23 MR. BYRON WILLIAMS: And I should have
24 certainly put a backslash in there, Mr. Mayer, but that
25 was the thrust of my question.

1

2 CONTINUED BY MR. BYRON WILLIAMS:

3 MR. BYRON WILLIAMS: And without asking
4 you to elaborate on the view -- on your view, but you've
5 made no secret of your opinion that over the long-term
6 you think a debt equity ratio of 75/25 for the
7 Corporation is important to provide an adequate -- an
8 adequate cushion against untoward events; is that fair
9 enough?

10 MR. VINCE WARDEN: Yes. I think I've
11 been quite consistent in that.

12 MR. BYRON WILLIAMS: And you don't need
13 to turn to it but I'm going to quote to you from page 6
14 of Hydro's rebuttal evidence at line 17 through 20. I
15 see Mr. Wiens is turning there.

16 But Manitoba Hydro makes the point that
17 the issue of appropriate financial reserves should be
18 considered independently from the issue of the
19 appropriate treatment of net export revenues. The latter
20 needs to focus on cost definition and other cost issues
21 as well as rate design criteria such as inter-class
22 equity and efficiency considerations.

23 Do you concur in that view, Mr. Warden?

24 MR. VINCE WARDEN: I concur with our
25 rebuttal evidence. Yes, I do.

1 MR. BYRON WILLIAMS: And with the
2 specific section as well, you concur with that?

3 MR. VINCE WARDEN: Yes.

4 MR. BYRON WILLIAMS: And certainly, from
5 my client's perspective, we tend to agree with you. But,
6 again, without elaborating, you'll agree with me that as
7 a senior loyal and longstanding member of Manitoba Hydro,
8 if you felt that the short or medium or long-term future
9 of the Corporation was being seriously imperilled today
10 because of inadequate progress towards that debt equity
11 ratio, you would be in here seeking a rate increase
12 tomorrow, correct?

13 MR. VINCE WARDEN: Well, I would
14 certainly make my views known back at Manitoba Hydro with
15 the -- with the executive, with the board, which I've
16 done.

17 MR. BYRON WILLIAMS: That's probably why
18 you have a better future with your organization, you
19 actually check with your bosses before you do things,
20 which may reflect my status in my organization.

21 Mr. Surminski, you may or not be aware of
22 this, but long ago, when both the Chairperson and myself
23 had less gray hair, my experience with the Public
24 Utilities Board stated with the Manitoba Public
25 Insurance.

1 Were you aware of that fact, sir?

2 MR. HAROLD SURMINSKI: No, I was not.

3 MR. BYRON WILLIAMS: Well you learn
4 something new every day.

5 I wonder if you're aware, at least at a
6 high level, that Manitoba Public Insurance operates what
7 is known as a rate stabilisation reserve.

8 Are you aware of that?

9 MR. VINCE WARDEN: We're -- Manitoba
10 Hydro is aware of that, I'm not sure whether Mr.
11 Surminski is, but --

12 MR. BYRON WILLIAMS: As long as you're
13 aware, Mr. Warden, that's all I care about.

14 I wonder if you're also aware that over
15 the course of the last decade, before the Public
16 Utilities Board, on matters dealing with Manitoba Public
17 Insurance, that the quantum of that rate stabilization
18 reserve has been a hotly contested item, with pre-filed
19 evidence, interrogatories, cross-examination, competing -
20 - competing versions of expert opinions.

21 Were you aware of that fact, sir?

22 MR. VINCE WARDEN: Yes. Certainly not as
23 intimately as -- as you are or those directly involved,
24 but I am aware of it.

25 MR. BYRON WILLIAMS: Yes. And always the

1 ever popular rebates.

2 Mr. Surminski, just going back to you, and
3 you had this discussion with Mr. Peters, but I believe in
4 your discussion with him in terms of the -- the financial
5 impact magnitude and probability of a five (5) year
6 drought, you suggested to him that it was a qualitative
7 assessment; is that right?

8 MR. HAROLD SURMINSKI: Specifically, the
9 \$2 billion estimate, relative to the one point five
10 (1.5), the 1.5 billion we do have a quantitative estimate
11 for.

12 MR. BYRON WILLIAMS: Well, in terms of
13 that 2 billion figure and -- and perhaps even the one
14 point five (1.5), I wonder if you would agree with me
15 that it has not been tested before this Public Utilities
16 Board to the same intensity such as the Manitoba rate
17 stabilisation rate reserve, with pre-filed evidence,
18 interrogatories, cross-examination and competing expert
19 evidence.

20 Would that be fair?

21

22 (BRIEF PAUSE)

23

24 MR. VINCE WARDEN: Probably more a
25 question related to rate application. We certainly filed

1 information with respect to risks faced by the
2 Corporation. We have made known in that -- through that
3 report and through our annual report, published annual
4 report, that we believe that number to be in the range of
5 \$2 billion.

6 Has it ever been tested before in this
7 forum? No, probably not.

8 MR. BYRON WILLIAMS: Or certainly not to
9 the intensity that I'm -- and I'm not suggesting we'd do
10 that today, I'm just making that -- that observation.
11 That's really a debate for another day.

12 MR. ROBERT MAYER: Mr. Warden, I could
13 have sworn that -- I thought in the last hearing,
14 firstly, there was significant cross-examination about
15 that \$2 million based on something we knew about, the
16 horrible impact of the last drought.

17 And it seems to me, and I haven't got our
18 Orders committed to memory, but I thought we kind of
19 implicitly bought into that \$2 million. And you would
20 probably, from reading our Order, believe that it had, in
21 fact, been tested and accepted.

22 MR. BYRON WILLIAMS: That might be my
23 concern, Mr. Mayer, but I'll --

24 THE CHAIRPERSON: We were referring to 2
25 billion, I think.

1 MR. BYRON WILLIAMS: Yeah, 2 billion.
2 But I'll -- but I guess the simple point I was trying to
3 make on behalf on my clients, and I -- I think Manitoba
4 Public Insurance would -- excuse me, I've got the wrong
5 utility.

6 The simple point is that the rigour with
7 which we approach Manitoba Public Insurance rate
8 stabilization reserve in the regulatory process, I think
9 is yet to come, in terms of the Corporation's risk
10 estimates. But I'll speak to that, I guess, in closing.

11 THE CHAIRPERSON: We did not determine,
12 in a very exact basis, whether or not the \$2 billion
13 estimate, plus the extra \$200 million for imputed
14 interest was or was not accurate. We could imagine it
15 being in that range, given the experience between 2002
16 and 2004.

17 So it was not hard to imagine \$2 billion,
18 particularly when the Corporation indicated that if they
19 hadn't taken certain trading actions the loss would have
20 been considerably higher.

21

22 (BRIEF PAUSE)

23

24 CONTINUED BY MR. BYRON WILLIAMS:

25 MR. BYRON WILLIAMS: Just by way of

1 closing, Mr. Wiens, I want to go back to Mr. Bonbright
2 and I believe that we -- there's no garage analogies so
3 you can all heave a sigh of relief.

4 You will recall that according to
5 Bonbright, and that's cited by Philips, the three (3)
6 primary criteria in rate setting were to recover the
7 revenue requirement, fairness, and to encourage
8 efficiency; is that your recollection?

9 MR. ROBIN WIENS: That is my
10 recollection.

11 MR. BYRON WILLIAMS: And again, going
12 back to the discussion of marginal costs, at a very high
13 level you'll agree with me that there are two (2)
14 conceptions of marginal costs, is that correct; that
15 being short run and long run?

16 MR. ROBIN WIENS: There are at least two
17 (2), Mr. Williams.

18 MR. BYRON WILLIAMS: Yes, thank you for
19 that Mr. Wiens. In terms of short run, they're typically
20 calculated by terming the incremental costs of producing
21 more than existing plant, i.e., no additional investment
22 required or timeframe for increase in use.

23 Because that -- so as a result, short run
24 marginal costs is more out of pocket immediate cost,
25 generally -- that's how they're generally understood?

1 MR. ROBIN WIENS: Yes, short run
2 marginal costs refers to that situation where the
3 existing capital plant is assumed to be not capable of
4 expansion and the costs that are necessary to incur to
5 increase output under those circumstances.

6 MR. BYRON WILLIAMS: And in terms of long
7 run, that assumes output will increase permanently such
8 that an addition to plant capacity will be needed. So
9 therefore, long run marginal costs therefore also include
10 investment and fixed costs; would that be fair?

11 MR. ROBIN WIENS: Yeah. Long run
12 marginal costs is what occurs when you can vary all the
13 inputs in the production.

14 MR. BYRON WILLIAMS: You're always
15 helpful Mr. Wiens. In terms of long run costs, you'll
16 agree that they're typically higher than short runs
17 costs, except in the event of a shortage; would that be
18 fair?

19 MR. ROBIN WIENS: Typically, yes.

20 MR. BYRON WILLIAMS: I want to apply
21 those concepts to a certain degree to the Bonbright rate
22 criteria and see how they merit consideration with that -
23 - within that context.

24 And so I'd ask you first to turn -- and
25 I'll turn you first to the recovering the revenue

1 requirement. You'll agree with me that if rates for
2 incremental use don't cover short run costs, then a
3 utility is losing money on each increment of sales it
4 makes; is that right?

5 MR. ROBIN WIENS: Yes, it is.

6 MR. BYRON WILLIAMS: And at a theoretical
7 level, this puts the recovery of the revenue requirement
8 at risk, correct?

9 MR. ROBIN WIENS: Perhaps not in the
10 immediate term, but eventually.

11 MR. BYRON WILLIAMS: Just following along
12 a bit, ideally, one would want rates for incremental use
13 to make a contribution to fixed costs and cover long run
14 marginal costs, but at a minimum, you'll agree with me
15 that they should cover the costs immediately imposed by
16 increased use; is that correct?

17 MR. ROBIN WIENS: That's an ideal, and
18 bearing in mind that the situation of the utility may be
19 quite different from the situation of a business that has
20 to compete with other businesses.

21 MR. BYRON WILLIAMS: But, ideally, it's
22 fundamental that one does not sell for less than variable
23 costs, correct?

24 MR. ROBIN WIENS: That's a fundamental of
25 economics, yes.

1 MR. BYRON WILLIAMS: And it's a
2 fundamental of Bonbright he states that:

3 "Marginal costs may play a dual role in
4 rate structure, first in setting a
5 lower limit below which no rates should
6 be fixed."

7 Is that right?

8 MR. ROBIN WIENS: I do recall that from
9 Mr. Bonbright, yes.

10 MR. BYRON WILLIAMS: And again, just
11 looking at the application of these concepts to principle
12 number two (2), I'll call it fairness, one could argue
13 that if the rates a customer pays for use are not even
14 covering variable costs, then they're being clearly
15 cross-subsidized by their customers, correct?

16 MR. ROBIN WIENS: Well, I think you have
17 to be careful when you begin to stray into this realm,
18 Mr. Williams. As I say, a situation of the utilities,
19 such as Manitoba Hydro, while ultimately the same
20 economic rules prevail, they may not prevail in the short
21 term to the same extent.

22 Manitoba Hydro, if it views into the
23 future that it is not recovering its revenue requirement,
24 it has some options. And among those options, of course,
25 are to come to this Board and ask for increased domestic

1 rates.

2 Other factors, as well, you may be -- you
3 may want to -- and I think legitimately, from an economic
4 perspective, refer to a situation in which a rate is not
5 covering short run marginal cost as being a subsidy
6 situation.

7 But if there are funds available to
8 provide such a subsidy, the Utility itself is not in any
9 immediate danger of not recovering its costs.

10 MR. BYRON WILLIAMS: And thank you for
11 that clarification. And so you were speaking in response
12 both to the issue of fairness and also to the issue of
13 the revenue requirement recovery?

14 MR. ROBIN WIENS: Yes.

15 MR. BYRON WILLIAMS: In terms of
16 efficiency, one can argue whether short run or long run
17 marginal costs send the most appropriate economic
18 signals; you'll agree with that?

19 We could have a long argument about that?

20 MR. ROBIN WIENS: We could have a long
21 discussion; some if it might be an argument and some of
22 it might not be. But that's agreed, yes.

23 MR. BYRON WILLIAMS: And that, in fact,
24 is a subject of some contention; is it not?

25 MR. ROBIN WIENS: Certainly some

1 discussion.

2 MR. BYRON WILLIAMS: You'll agree with
3 me, though, and I suspect there will be no dispute, that
4 if rates for incremental use are lower than even short
5 run costs, then, clearly, the pricing signal is
6 inefficient; would you agree with that?

7 MR. ROBIN WIENS: Yes.

8 MR. BYRON WILLIAMS: Mr. Chairman, I have
9 a few responses to -- I guess there's two (2) things yet
10 to be dealt with by me. One (1) is the questions shortly
11 before lunch in terms of purchase power and import
12 powers.

13 And then in my effort to -- to get my
14 colleague Intervenors on, there's also some questions
15 that we may put to Manitoba Hydro via pre-asks that I'll
16 discuss off line with My Friend, Ms. Ramage.

17 MR. LEN EVANS: Mr. Chairman, I wonder
18 just before -- just to ask Mr. Wiens a couple of
19 technical questions just to refresh my memory.

20 We've been talking about marginal costs
21 and marginal revenues and so on, and it seems to me, in
22 many corporations -- many large corporations, many large
23 businesses, it's very difficult to know what your
24 marginal costs are, let alone marginal revenue at times.

25 But you'd agree that the place of

1 maximization of profit, your very best position is where
2 your marginal cost equals your marginal revenue?

3 MR. ROBIN WIENS: That's fundamental, Mr.
4 Evans.

5 MR. LEN EVANS: Okay. Right. And
6 another point: The marginal cost equals average cost at
7 which point?

8 MR. ROBIN WIENS: If my recollection is
9 correct the marginal cost curve intersects the average
10 cost curve at the lowest point of the average cost curve.

11 MR. LEN EVANS: That's what I have here
12 so you're confirming my -- my memory on this. Thank you
13 very much.

14

15 (BRIEF PAUSE)

16

17 THE CHAIRPERSON: So, Mr. Williams, we're
18 going to come back to you then?

19 MR. BYRON WILLIAMS: Yes, Mr. Chairman.

20 THE CHAIRPERSON: Thank you, very much.

21 And thank you Ms. Bowman.

22 Well, we have the next one we're moving on
23 to is Professor Miller -- oh, I'm sorry, Mr. Buhr.

24 After setting you back, when we originally
25 thought we were going to go with you at 12:45, we almost

1 omitted you entirely. Mr. Buhr, could you do your cross-
2 examine now?

3 MR. DOUG BUHR: I can start, Mr.
4 Chairman, but I have grave doubts that I'm going to
5 finish in twenty (20) minutes.

6 THE CHAIRPERSON: Well, give it a shot,
7 and we'll defer the rest of it until the next day. Take
8 your time, Mr. Buhr. You've been very patient.

9 MR. DOUG BUHR: Thank you.

10 MS. PATTI RAMAGE: Mr. Chairman, while
11 Mr. Buhr is -- I assume he's -- I'm not even sure if you
12 have a mic back there. But we were -- I -- Ms. Fernandes
13 and Ms. VanDean were just passing out an undertaking,
14 just --

15 THE CHAIRPERSON: Oh very good. Thank
16 you.

17 MS. PATTI RAMAGE: -- to give Mr. Buhr a
18 minute to get organized, if he needs it.

19

20 (BRIEF PAUSE)

21

22 THE CHAIRPERSON: I gather, Mr. Buhr,
23 you're ready to go?

24 MR. DOUG BUHR: Yes, Mr. Chairman.

25 THE CHAIRPERSON: Just take one second

1 until we receive this undertaking and give it an exhibit
2 number.

3

4

(BRIEF PAUSE)

5

6 THE CHAIRPERSON: Is this Exhibit number
7 14, Ms. Ramage?

8 MS. PATTI RAMAGE: Yes. That's what we
9 have it marked as, and it is the question regarding the -
10 - Manitoba Hydro's long-term expectation for natural gas
11 and surplus energy prices.

12 THE CHAIRPERSON: Thank you very much.
13 Greatly appreciated.

14

15 --- EXHIBIT NO. 14: Manitoba Hydro's long-term
16 expectation for natural gas
17 and surplus energy prices.

18

19 THE CHAIRPERSON: Okay, Mr. Buhr.

20 MR. DOUG BUHR: Thank you, Mr. Chairman.

21

22 CROSS-EXAMINATION BY MR. DOUG BUHR:

23 MR. DOUG BUHR: Mr. Wiens, I suspect, from
24 our history before this Board, that my questions are
25 going to be addressed and answered by you, but, please,

1 if any member of the Panel is more appropriate, by all
2 means. I just want that as a qualification.

3 And the other thing I want you to know is
4 I'm dealing strictly with street lighting, and -- and all
5 of the questions are in that area. And -- and I would
6 hope the responses would be restricted to that area as
7 well, please.

8 So let's start with history. The history,
9 as I understand it for the last thirty (30) years, is
10 that street lightings RCC has been well above one hundred
11 (100) and well above any zone of reasonableness.

12 Is that correct?

13 MR. ROBIN WIENS: Well, Mr. Buhr, there's
14 a considerable degree of truth in that. We have filed,
15 as part of our -- as part of our cost of service original
16 filing back in October of 2005, I'll refer you to the
17 perspective cost of service study for the fiscal year
18 ending March 31st, 2006, and in there I'll refer you to
19 page 34, where we have provided a history since 1992,
20 which may not cover the entire period of your interest,
21 but it's the recent ten (10) years -- or the recent
22 twelve (12) or fourteen (14) years.

23 And you can see in the early 1990's that
24 area and roadway lighting was indeed above 100 percent
25 and, in fact, it was in the range of 110 percent for a

1 is one (1) actual study, and I believe that's correct,
2 Mr. Buhr.

3 MR. VINCE WARDEN: I think, though, we do
4 have to realize that we are talking post export revenue
5 allocation. So if we were to do an actual cost of
6 service study in the drought year, 03-04, that certainly
7 wouldn't be the case.

8 MR. DOUG BUHR: Well -- but you did do an
9 actual study for the fiscal year ending March 2003,
10 correct?

11 MR. VINCE WARDEN: I was referring to the
12 drought year though, 03-04.

13 MR. DOUG BUHR: And the actuals for 2003
14 showed street lighting at one-o-nine point nine (109.9),
15 or a hundred and ten (110), correct?

16 MR. VINCE WARDEN: That's correct. But
17 it's before the drought year that I was referencing.

18 MR. DOUG BUHR: And I suggest to you that
19 the other actual studies you have, the RCC for street
20 lighting is always higher than what the perspective RCC
21 is.

22 MR. VINCE WARDEN: My only point, Mr.
23 Buhr, was it -- it really does depend so much on water
24 conditions. In those years where we have better water
25 conditions than median, on which the -- on which the cost

1 of service study is based, you'll get that results.

2 In those years when it's lower, you'll get
3 the opposite result.

4 MR. DOUG BUHR: Let me try this a little
5 differently then. Let me suggest to you that in 1996 the
6 RCC was a hundred and fifteen (115), and that the Board
7 ordered reductions to reduce the RCC to one ten (110) in
8 94/95, and one o nine (109) in 95/96. That was the
9 intent of their ordered reductions; do you agree with
10 that?

11 MR. ROBIN WIENS: Yes.

12 MR. DOUG BUHR: And yet in 2003 your
13 actual study shows an RCC of one ten (110). So we're
14 back just about where we started.

15 MR. ROBIN WIENS: Well -- just a moment,
16 please.

17

18 (BRIEF PAUSE)

19

20 MR. ROBIN WIENS: Mr. Buhr, if you're
21 still following in the same location, we're showing the
22 2003 actual at a hundred and ten (110), and the 2004
23 prospective, in this case, at a hundred and nine (109),
24 which is not very different, one from the other.

25 And in both of those years you'll recall

1 that the acquisition of Winnipeg Hydro had taken place
2 not very long before. And we had not been fully able to
3 integrate all of the costs into the -- on the cost side,
4 particularly for the street lighting class of service.

5 And those costs were buried in the
6 distribution function. So we were not, we believe we
7 were not allocating all of the street lighting costs in
8 both 2003 and 2004. So those are the results that are
9 shown, and those results we believe would be at the upper
10 end of where we would have expected the costs to be.

11 And the RCC was probably somewhat lower
12 than that. We see in the 2006, using the current
13 methodology, that I believe now we have been able to
14 integrate all of those costs, and we're showing about 105
15 percent revenue cost coverage ratio.

16 MR. DOUG BUHR: Mr. Wiens --

17 MR. ROBIN WIENS: Post export, I'm
18 reminded.

19 MR. DOUG BUHR: Mr. Wiens, I was hoping
20 to avoid this debate. But let me suggest to you that the
21 history has been, for example, in '94 Manitoba Hydro
22 predicted a certain RCC and, in fact, what happened is it
23 went up, not down. And that's when we ended up in '96,
24 and that's when we got the Board Order to cut it so that
25 it would get cut.

1 And I'm suggesting to you, very simply,
2 that the history over the thirty (30) years has been that
3 the actual RCC's, when you do an actual study, are always
4 higher than what your perspective study is.

5

6 (BRIEF PAUSE)

7

8 MR. ROBIN WIENS: Mr. Buhr, I'm trying to
9 be helpful here. I'm familiar with only two (2) actual
10 studies that were done in the period covered in this
11 table; I believe 1995/96 and 2003. And yes, you are
12 correct, in both cases the actuals were higher than the
13 forecast. And I'm advised, in both cases, that we had
14 higher water flows than we had forecast in each of those
15 years.

16 Whether or not that was a -- a factor or
17 to what extent it was a factor, I don't know. But the
18 universe that I'm familiar with is two (2) actual cost of
19 service studies.

20 MR. DOUG BUHR: You will recall, perhaps,
21 then, that in the '96 hearing Manitoba Hydro prepared a
22 chart showing perspective and actual RCC's?

23 MR. ROBIN WIENS: That's entirely
24 possible.

25 MR. DOUG BUHR: I suggest to you that

1 whatever the RCC is, it's made no difference who's owned
2 the poles and the lights, whether it was the City of
3 Winnipeg through Winnipeg Hydro, or Manitoba Hydro?

4 MR. ROBIN WIENS: Made no difference with
5 respect to...?

6 MR. DOUG BUHR: To the RCC.

7 MR. ROBIN WIENS: I'm not sure that I can
8 confirm that on the basis of the data that -- that I've
9 observed. We've got -- we've got revenue cost coverage
10 ratios around the 2000 -- 1999/2001 period, when the City
11 of Winnipeg owned the poles that are below 100 percent,
12 and now we are above 100 percent, subsequent to the
13 acquisition.

14 So I'm not sure that it's made no
15 difference. I -- I'm not sure that it's worth engaging
16 in a lengthy discussion about. The results are what they
17 are.

18 MR. DOUG BUHR: Thank you, Mr. Wiens.

19

20 (BRIEF PAUSE)

21

22 MR. DOUG BUHR: Sorry. I want to move to
23 one of Mr. Peters' favourite topics, namely, the number
24 of customers you have for street lighting.

25 Your numbers, I think, show a number of

1 customers at about a hundred and forty-four thousand
2 (144,000) and change?

3

4 (BRIEF PAUSE)

5

6 MR. CHIC THOMAS: About one forty-seven
7 (147), Mr. Buhr, but -- and that's on Schedule B-8 of the
8 recommended method in the PCOSS-06.

9 MR. DOUG BUHR: Is that accurate?

10 MR. CHIC THOMAS: To the best of our
11 knowledge, yes.

12 MR. DOUG BUHR: You actually have that
13 many customers, sir?

14 MR. CHIC THOMAS: It's the number of
15 poles and fix -- pardon.

16

17 (BRIEF PAUSE)

18

19 MR. DOUG BUHR: Now -- Now, let me ask
20 this one more time. How many customers do you have for
21 street lighting?

22

23 (BRIEF PAUSE)

24

25 MR. DOUG BUHR: If it's of any

1 assistance, you equate the city as to seven thousand nine
2 hundred and three (7,903).

3 MR. ROBIN WIENS: The hundred and forty-
4 seven thousand two hundred and ninety (147,290) on
5 Schedule B-8 refers to the number of streetlights in
6 Manitoba.

7 MR. DOUG BUHR: It refers to the number
8 of...?

9 MR. ROBIN WIENS: Streetlights in
10 Manitoba. The number of customers, I'm advised, without
11 being absolutely precise, is in the order of seven
12 hundred (700), which would typically be municipalities,
13 Department of Highways; there may be some others.

14 MR. DOUG BUHR: And that's for all of
15 Manitoba?

16 MR. ROBIN WIENS: That's for all of
17 Manitoba.

18 MR. DOUG BUHR: And if I understand
19 Manitoba Hydro's answers to our interrogatories
20 correctly, you equate the City to seven thousand nine
21 hundred and three (7,903) customers?

22 MR. ROBIN WIENS: Mr. Buhr, that would be
23 the number of streetlights within the city of Winnipeg,
24 divided by ten (10), to come up with a denominator for
25 the allocation of customer related costs to that class of

1 service, and that's in the city of Winnipeg.

2 Overall, it would -- we would be talking
3 about the hundred and forty-seven (147) odd thousand,
4 divided by ten (10), to come up with the weighted
5 customer count for the purpose of allocating customer
6 related distribution costs.

7 MR. DOUG BUHR: Well --

8 MR. ROBERT MAYER: You have me totally
9 confused now, Mr. Wiens. When we talk about MIPUG, we
10 don't talk about how many transformers they have or
11 anything like that, we talk about how many customers. We
12 talk about general service large and that they don't
13 share too much in distribution costs because they do
14 their own stuff.

15 I think I can see where Mr. Buhr is coming
16 from. I mean, are you counting -- when you talk about
17 customer service, which, as I understand it, includes
18 meter reading and talking to irate customers when they
19 think they've been overcharged, and all those other
20 items, you count street lighting as being -- street
21 lighting in the City of Winnipeg as being more than one
22 (1) customer?

23 MR. ROBIN WIENS: For the purpose of
24 allocating customer related distribution costs, yes, we
25 do. To use -- not -- it's not an identical example, but

1 a similar situation, Mr. Mayer, the -- Domo Gasoline is
2 one (1) customer but they have many locations throughout
3 the Province of Manitoba.

4 So when we send a bill to Domo Gasoline we
5 send it to one (1) customer. But when we look at what
6 costs they impose on our distribution system, we look at
7 all the points of delivery.

8 MR. ROBERT MAYER: And when you talk
9 about points of delivery, is there more -- it seems to me
10 that one (1) street light system is one (1) street light
11 system. How many places do you deliver to that system?

12 MR. ROBIN WIENS: It -- it's a variable
13 number, but a number of ten (10) street lights on one (1)
14 distribution circuit is fairly typical.

15 THE CHAIRPERSON: Mr. Buhr, it's -- it's
16 too bad but this was the day that we were going to shut
17 down early because of other commitments. I'm just
18 wondering if it would be helpful to you if there's some
19 indication you could give to the panel of direction,
20 other than the one that you're pursuing right now, that
21 might help them prepare for tomorrow and make your job
22 easier?

23 In other words, if you wish, you could
24 make a brief statement of your intended direction.

25 MR. DOUG BUHR: Thank you, Mr. Chairman.

1 No, I think my questions -- bluntly, Mr. Chairman, what
2 I'm doing is following the questions that I asked in
3 Interrogatories and I'm using Manitoba Hydro's answers.

4 So I will certainly be moving on to talk
5 about negligible effects, for example, if they treated us
6 as one (1) customer. And the question is going to be:
7 What's negligible? And whether it's up or down? That
8 kind of thing.

9 THE CHAIRPERSON: I think that's helpful
10 to them.

11 MR. DOUG BUHR: In terms of street lights
12 and their -- the one (1) study they did ten (10) years
13 ago, there are going to be questions in regard to what
14 lights were measured at the time? Does it cover all of
15 the conversion that happened, that the City paid for at
16 sixty-five bucks (\$65) a light, back in '94?

17 Those kinds of things. So it's -- it's --
18 bluntly, it's based on their answers.

19 THE CHAIRPERSON: Okay. Thank you, Mr.
20 Buhr. I think that might help the panel a bit.

21 Turning to you, for a moment, Professor
22 Miller. Our court counsel may have spoken to you, but
23 some of the cross-examination by CAC/MSOS I think is sort
24 of down your path and you might find it illuminating to
25 consult with Mr. Williams, because I don't think the

1 transcript probably won't be available until tomorrow.

2 Oh, you have it already? Ah, the speed is
3 amazing. Okay. Well, I'm sorry, everyone, we're going
4 to shut down now, so we'll see you all tomorrow at nine
5 o'clock.

6

7 PANEL RETIRES

8

9 --- Upon adjourning at 3:00 p.m.

10

11 Certified Correct

12

13

14

15

16

17 _____
Ryan Pickering

18

19

20

21

22

23

24

25