

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA HYDRO
 COST OF SERVICE STUDY

Before Board Panel:

- Graham Lane - Board Chairman
- Robert Mayer - Board Member
- Kathi Avery Kinew - Board Member
- Len Evans - Board Member

HELD AT:

Public Utilities Board
400, 330 Portage Avenue
Winnipeg, Manitoba
May 10th, 2006
Volume V
Pages 904 to 1110

APPEARANCES

1
2
3 R.F. Peters) Board Counsel
4
5 Patti Ramage) Manitoba Hydro
6 Odette Fernandes)
7
8 Bryon Williams) CAC/MSOS
9 Myfanwy Bowman)
10
11 Doug Buhr) City of Winnipeg
12
13 Peter Miller) TREE
14
15 Tamara McCaffrey) MIPUG
16 Patrick Bowman)
17 Andrew McLaren (np))
18
19 Jurgen Feldschmid (np)) CCEP
20
21 Michael Anderson (np)) MKO
22
23
24
25

1	TABLE OF CONTENTS	
2		Page No.
3	List of Exhibits	907
4	List of Undertaking	908
5		
6	MANITOBA HYDRO PANEL:	
7		
8	VINCE WARDEN, Resumed	
9	ROBIN WIENS, Resumed	
10	CHIC THOMAS, Resumed	
11	HAROLD SURMINSKI, Resumed	
12		
13	Continued Cross-Examination by Mr. Doug Buhr	910
14	Cross-Examination by Dr. Peter Miller	949
15	Re-Cross-Examination by Mr. Byron Williams	1016
16	Cross-Examination by Ms. Tamara McCaffrey	1019
17		
18	Certificate of Transcript	1110
19		
20		
21		
22		
23		
24		
25		

1	LIST OF EXHIBITS		
2	EXHIBIT NO.	DESCRIPTION	PAGE NO.
3	C-3:	Chart from 1994 Prepared by	
4		Manitoba Hydro	911
5	C-4:	Page 2247 of the 1996 transcript	943
6	RCM/TREE-6:	Corrected version of Exhibit JL-6.	946
7	MH-15:	Summary of General Service Large	
8		Customer Class Curtailments between	
9		2001 and 2004/2005.	1010
10	MIPUG-6:	Three (3) page table with the	
11		heading "summary of existing NERA	
12		and proposed cost of service study	
13		methods from PUB/MH/I-45	1065
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1 --- Upon commencing at 9:10 A.M.

2

3 THE CHAIRPERSON: Good morning everyone.
4 We got a little bit of a late start but I'm sure we will
5 make it, we've got a tail wind today. Mr. Buhr, do you
6 want to continue with your cross-examination?

7 MR. DOUG BUHR: Thank you Mr. Chairman.

8 THE CHAIRPERSON: Before we start, I
9 think we may have a few outstanding things. Ms. Ramage?

10 MS. PATTI RAMAGE: The one thing we
11 wanted to bring to the Board's attention is that Mr.
12 Warden has an appointment over the noon hour today and he
13 will -- he intends to slip out of the Hearing at 11:30.

14 We're not asking to adjourn at that time,
15 we can carry on but just to give the Intervenors the
16 heads up that if they have questions they might direct
17 them to him before that, if they need that answer to
18 carry on or he will be back at the regular hour when we
19 begin in the afternoon.

20 THE CHAIRPERSON: Very good. Mr. Peters,
21 do you have anything?

22 MR. BOB PETERS: No we are ready to go.
23 Mr. Lazar has revised and there is a circulation of a
24 revised Exhibit that Dr. Miller has provided to me and
25 I'll provide that to the Board more closely with the

1 commencement of his cross-examination, so we will
2 proceed.

3 THE CHAIRPERSON: Okay. Okay Mr. Buhr.

4 MR. DOUG BUHR: Thank you Mr. Chairman.

5

6 CONTINUED CROSS-EXAMINATION BY MR. DOUG BUHR:

7 MR. DOUG BUHR: Mr. Wiens, I want to go
8 back and I'm going to try, believe me, to do this briefly
9 -- to our discussion about RCC's yesterday and this
10 history, actuals perspectives.

11 And I have -- I found a 1994 chart that
12 Manitoba Hydro prepared. I'd ask -- I want to provide
13 that to you and ask you to confirm that that is, in fact,
14 the case. Mr. Chairman, I have copies, as well, for the
15 Board.

16 THE CHAIRPERSON: Very good, thank you.

17

18 (BRIEF PAUSE)

19

20 CONTINUED BY MR. DOUG BUHR:

21 MR. DOUG BUHR: It's a 1994 chart, I
22 couldn't find the one you guys prepared for me in 1996,
23 to be honest with you. I take it you agree that those
24 numbers are accurate?

25 MR. ROBIN WIENS: Well, we prepared them

1 so I'm not going to question them, Mr. Buhr.

2 THE CHAIRPERSON: Well, we'll give it an
3 Exhibit number then.

4 MR. DOUG BUHR: Yes, Mr. Chairman, I
5 think it's City Exhibit 3.

6 THE CHAIRPERSON: Yes that's correct.

7 MR. DOUG BUHR: I stand to be corrected
8 on that.

9 THE CHAIRPERSON: Very good.

10

11 --- EXHIBIT NO. C-3: Chart from 1994 Prepared by
12 Manitoba Hydro

13

14 CONTINUED BY MR. DOUG BUHR:

15 MR. DOUG BUHR: Sorry, Mr. Wiens that
16 chart again confirms that whenever Manitoba Hydro has
17 done an actual study the RCC for street lighting has been
18 higher than what Manitoba Hydro's perspective cost of
19 service study has shown?

20 MR. ROBIN WIENS: Yes.

21 MR. DOUG BUHR: And in fact the same was
22 true at the 1996 Hearing, you'd agreed with me that if we
23 updated that chart to include the '96, the same would be
24 true then?

25 MR. ROBIN WIENS: I believe that's the

1 case, Mr. Buhr. I'd just point out that it becomes very
2 apparent from Exhibit City-3 that Manitoba Hydro has not
3 or up until 1991, all of the cost of service studies
4 prepared by Manitoba Hydro were actual cost of service
5 studies.

6 So in fairness, you can't compare those
7 with prospective studies that occurred after. You would
8 have to draw the comparison with prospective studies that
9 were prepared at the same time. And, clearly, there were
10 none.

11 So I just -- I just draw that to your
12 attention.

13 MR. DOUG BUHR: Well, except -- except,
14 Mr. Wiens, that for 1992 you did have a prospective and
15 it was one nineteen (119), and when you did an actual
16 study it was one twenty-three (123).

17 MR. ROBIN WIENS: I -- I'm not going to --
18 - I'm not going to question that.

19 MR. VINCE WARDEN: Mr. Buhr, results are
20 not surprising in those years in which water conditions
21 are better than -- than the median, on which the
22 prospective cost of service study is prepared. So these
23 results are not surprising at all.

24 And, as I pointed out yesterday, you'll
25 see the opposite when water conditions are below median.

1 MR. DOUG BUHR: So, Mr. Warden, I'm --
2 I'm having trouble understanding that answer.

3 Are you suggesting to me that every time
4 Manitoba Hydro has done an actual study, water flows have
5 been high, whereas when you've done a prospective you
6 just used median?

7 MR. VINCE WARDEN: In the years that --
8 that we've reference here that is the case, yes.

9 MR. DOUG BUHR: Is Manitoba Hydro
10 prepared to do another actual study today on street
11 lighting, in 2006?

12 MR. VINCE WARDEN: Mr. Buhr, we're going
13 to get the same result anytime water conditions are
14 higher than median. We can do -- we can go through that
15 process and we'll get a -- an RCC that's higher in this -
16 - certainly this 2005/06 fiscal year because of water
17 conditions.

18 We -- it might even be appropriate for us
19 to normalise water conditions when we're doing our -- our
20 actual cost of service study, for that very reason,
21 because water conditions do in fact distort the results
22 we get.

23 MR. DOUG BUHR: Correct me, sir, if I'm
24 wrong. My understanding is when you do a prospective
25 cost of service study you assume median flow?

1 MR. VINCE WARDEN: That's correct.

2 MR. DOUG BUHR: Are you prepared to do an
3 actual study assuming median flow for the year 2006 for
4 street lighting?

5

6 (BRIEF PAUSE)

7

8 MR. VINCE WARDEN: I think, as Mr. Thomas
9 has testified previously, to do a -- a cost of service
10 study takes a couple of months of time. We could not do
11 a -- a street lighting study in isolation, it would have
12 to include all -- all the classes in that -- in that
13 study.

14 And for -- for all things we do at
15 Manitoba Hydro we have to look at the benefit of the time
16 we expend because if we're going to spend that amount of
17 time, we -- something else would have to be sacrificed.

18 There would just not be, unless so ordered
19 by this Board, there would not be -- that would not be a
20 productive use of Manitoba Hydro's time, to go through an
21 actual cost of service study for 2006.

22 MR. DOUG BUHR: In fact --

23 MR. ROBERT MAYER: Mr. Warden --

24 MR. DOUG BUHR: I'm sorry.

25 MR. ROBERT MAYER: -- Mr. Warden, I don't

1 understand why -- could you explain to me how this high
2 water or low water affects the cost of providing
3 streetlights to the city of Winnipeg?

4 MR. VINCE WARDEN: Yes. Well, it all
5 gets -- it all gets back to the share of the export
6 revenue credit. So in a year of high water our net
7 income is higher --

8 MR. ROBERT MAYER: I understand. Thank
9 you.

10

11 CONTINUED BY MR. DOUG BUHR:

12 MR. DOUG BUHR: In fact, Mr. Warden, if I
13 understand Hydro's evidence correctly, you're -- Manitoba
14 Hydro is not proposing to do another actual study until
15 about 2009 or 2010?

16

17 (BRIEF PAUSE)

18

19 MR. VINCE WARDEN: We do go through the
20 process of a -- of an actual cost of service study about
21 every five (5) years. It's mainly just to verify some of
22 the assumptions we use in our prospective.

23 But, as I pointed out, the actual cost of
24 service study does have that qualification around it that
25 we have to always look at water conditions in that year

1 in which the study is performed.

2 MR. DOUG BUHR: Sorry, sir. So is the
3 answer to my question yes?

4 You're not prepared -- you're not going to
5 do another actual cost of service study until 2009, 2010?

6 MR. VINCE WARDEN: Well, we, as I
7 mentioned, it's every five (5) years but it's not on a
8 rigorous schedule. We would have to look at what's --
9 what else is going on in that particular timeframe and if
10 we consider it to be appropriate we would -- we would
11 conduct it during that -- that period.

12 But I -- I cannot commit to that at this
13 stage.

14 MR. DOUG BUHR: Would you agree with me,
15 sir, that the results of your proposed method show that
16 the results in the RCC for street lighting are going the
17 wrong way; up?

18

19 (BRIEF PAUSE)

20

21 MR. DOUG BUHR: It goes from 105 to 107
22 as I understand it?

23 MR. VINCE WARDEN: Well, the -- actually
24 as Mr. Wiens testified earlier there was a temporary
25 increase because of the acquisition of Winnipeg Hydro in

1 2002. There has been some stabilization. The -- the RCC
2 has come down. Again, I -- I like to look at the RCC
3 before the export credit and as you can see it's -- it's
4 below 100.

5 MR. ROBIN WIENS: Mr. Buhr, if I could
6 just add to that, the change in methodology does appear
7 to result in a slight increase in the revenue cost
8 coverage in the street light class. But we would expect
9 that the change in methodology is going to affect all the
10 classes.

11 It -- so happens that it affects the
12 street light class in that way. It -- it's, if anything,
13 it's -- if the -- if the recommended method is approved
14 what it's saying is that the cost causation of the street
15 light class is slightly less than -- than the current
16 method and that should be something that --

17 MR. DOUG BUHR: Excuse me, how is it --
18 how is it less than the current method when your current
19 number is 105 and your study shows it going to 107?

20 MR. ROBIN WIENS: Mr. Buhr, I'm saying
21 the cost causation with the recommended method. The
22 revenues don't change but the costs do change and they're
23 slightly less with the recommended method than they are
24 with the current method.

25 And if anything that would be something

1 that your client would be able to come back at a rate
2 hearing and say this new method is showing that our costs
3 are less than they were previously and we would like that
4 recognized.

5 MR. DOUG BUHR: So, just so I understand,
6 is it Manitoba Hydro's position that this doesn't get
7 corrected until there is a rate hearing? It's nothing to
8 do with the cost of service methodology?

9 MR. ROBIN WIENS: Well, this hearing has
10 everything to do with the cost of service methodology and
11 a rate hearing will have to do with rates.

12 MR. DOUG BUHR: And -- and to reduce the
13 RCC from 107 or whatever it is to 100, is it Manitoba
14 Hydro's position that that has to be done at a rate
15 hearing?

16 MR. ROBIN WIENS: Yes, it is.

17 MR. DOUG BUHR: And so until Manitoba
18 Hydro applies for a rate hearing we're stuck paying too
19 much?

20 MR. VINCE WARDEN: Again, I would
21 emphasize, Mr. Buhr, you're not paying too much. The
22 question relates to the sharing of export revenues. So
23 you're -- you're paying your way before that sharing of
24 export revenues, virtually equal to your costs. So
25 you're in a good position in that regard.

1 MR. DOUG BUHR: You'll understand, sir,
2 if I disagree with that conclusion?

3 MR. VINCE WARDEN: Certainly.

4 MR. DOUG BUHR: Mr. Wiens, I want to go
5 back to I -- a comment I think you made yesterday that
6 the 1996 RCC was 103?

7 MR. ROBIN WIENS: Pre-export it was 103.
8 Post-export it was -- it was 112.5.

9 MR. DOUG BUHR: And in fact in the 1996
10 general rate application hearing I think you agreed with
11 me that it was about 115 as being shown in your
12 prospective study then?

13 The reference -- Mr. Wiens, let me give
14 you the reference. It's page 2247 of the 1996 hearing.

15 MR. ROBIN WIENS: I'm sorry, Mr. Buhr, I
16 don't have that with me today.

17 MR. DOUG BUHR: I can provide it to you,
18 Mr. Wiens if you wish.

19

20 (BRIEF PAUSE)

21

22 MS. PATTI RAMAGE: Mr. Chairman, I think
23 it might be a good idea. Because if Mr. Wiens is to
24 answer the question I think he needs to have the
25 transcript reference put to him because I'm fairly

1 confident he doesn't remember what was said at the 1994
2 Hearings and --

3 MR. DOUG BUHR: And I'm not --

4 MS. PATTI RAMAGE: -- Mr. Buhr if you
5 have it here that would be great.

6 MR. DOUG BUHR: -- I'm not suggesting
7 that he should, I have one copy here I'm quite willing to
8 provide it to him.

9 THE CHAIRPERSON: Mr. Barron, could you
10 help Mr. Buhr? We will make more copies. It will only
11 take a second.

12

13 (BRIEF PAUSE)

14

15 MR. DOUG BUHR: Perhaps I'll move on Mr.
16 Chairman.

17

18 CONTINUED BY MR. DOUG BUHR:

19 MR. DOUG BUHR: I want to now go back to
20 the discussion we were having yesterday about the number
21 of customers. And at one point, Mr. Wiens, you used what
22 I would call the gas station analogy, Domo, do you recall
23 that?

24 MR. ROBIN WIENS: I do recall that, that
25 was just yesterday.

1 MR. DOUG BUHR: And do I understand, sir,
2 that your point was that for each Domo station, while
3 there may be one bill to Domo, there would be different
4 bills for each station?

5 MR. ROBIN WIENS: There's a different
6 service provided to each station.

7 MR. DOUG BUHR: And there's a different
8 usage of electricity in each station, different amount?

9 MR. ROBIN WIENS: That's correct.

10 MR. DOUG BUHR: Right. And I suggest to
11 you, sir, that a street light in the north end uses the
12 same amount of electricity as one in the south end of a
13 similar size?

14 MR. ROBIN WIENS: That would be correct.

15 MR. DOUG BUHR: There's also different
16 franchisees at each Domo station, correct, or there may
17 be?

18 MR. ROBIN WIENS: There may be.

19 MR. DOUG BUHR: Whereas here you have one
20 (1) customer the City of Winnipeg, correct?

21 MR. ROBIN WIENS: That's correct, yes.

22 MR. DOUG BUHR: And you send us one (1)
23 bill, correct?

24 MR. ROBIN WIENS: I believe that's the
25 case, yes.

1 MR. DOUG BUHR: And I think it's fair to
2 say, Mr. Wiens, you haven't had any problem with
3 collection or payment of the amount?

4 MR. ROBIN WIENS: I'm not aware of any.

5 MR. DOUG BUHR: In response to
6 City/Manitoba Hydro 1-5(b) there is a reference to the
7 fact that the PUB approved this method of counting, if I
8 can put it that way, in 1992. You'll agree with me on
9 that?

10 MS. PATTI RAMAGE: Mr. Buhr could you
11 give me the reference again, I'm sorry?

12 MR. DOUG BUHR: Yes, City/Manitoba Hydro
13 1-5(b), very last line.

14

15 (BRIEF PAUSE)

16

17 MR. ROBIN WIENS: We have it.

18 MR. DOUG BUHR: My understanding, sir, is
19 that Manitoba Hydro wants a change from what this Board
20 approved in 1991/92?

21 MR. ROBIN WIENS: We're not asking for
22 any change to that.

23 MR. DOUG BUHR: No, no not to that, sir,
24 but in -- in its orders in '92 the Board approved a
25 certain cost of methodology, you want that now changed,

1 correct?

2 MR. ROBIN WIENS: No.

3 MR. DOUG BUHR: Not at all?

4 MR. ROBIN WIENS: Not that particular
5 aspect of the --

6 MR. DOUG BUHR: My point, Mr. Wiens, is
7 that simply because the Board approved it in 1992, is no
8 reason not to look at it again now?

9 MR. ROBIN WIENS: I'm not suggesting
10 that.

11 MR. DOUG BUHR: Thank you.

12

13 (BRIEF PAUSE)

14

15 MR. DOUG BUHR: And moving to
16 City/Manitoba Hydro 1-5(c), just for your reference. The
17 answer there says that treating the City as a single
18 customer would have negligible effect.

19 Can you advise me whether that negligible
20 effect -- first of all, what do you mean by negligible?

21 MR. CHIC THOMAS: Negligible being that -
22 - that the effect on the overall RCC, taking into account
23 these negligible effects, is minimal.

24 MR. DOUG BUHR: Sorry. Can you -- can
25 you give me some kind of estimate, sir? I mean, is it

1 one (1) point? Is it half a point?

2 MR. CHIC THOMAS: It's -- I did that
3 calculation this morning as a matter of fact and from my
4 calculation it would go to 107.4 to 107.1, which is, I
5 believe, what we are reporting right now in our '06
6 study.

7 MR. DOUG BUHR: Now I'm confused, sir.
8 You're telling me that if you counted the
9 City as one (1) customer the RCC goes down by three
10 tenths (3/10) of a point and yet, that happens to be
11 exactly where you're at now, when you haven't treated the
12 City as one (1) customer?

13 MR. CHIC THOMAS: Sorry, Mr. Buhr, if I
14 misspoke. The RCC will go up to 107.4 to one -- from the
15 107.1 that it is reported.

16 MR. DOUG BUHR: Thank you.

17 And about the -- you make a note --
18 there's a note in -- in that same answer that customer
19 accounting cost would decrease slightly if we were
20 treated as one (1) customer?

21 MR. CHIC THOMAS: I'm sorry, Mr. Buhr.
22 Repeat that.

23 MR. DOUG BUHR: Under customer
24 accounting:

25 "C-11 billings -- billings and C-12

1 collections, area and roadway lighting,
2 class share of allocated cost would
3 decrease slightly."

4 MR. CHIC THOMAS: Yes.

5 MR. DOUG BUHR: Can you tell me how much,
6 sir, or can you give me an order of magnitude?

7 MR. CHIC THOMAS: Approximately two
8 hundred and fifty thousand dollars (\$250,000).

9 MR. DOUG BUHR: And in terms of RCC
10 points?

11 MR. CHIC THOMAS: Oh, RCC points. Well,
12 that would be the -- the three tenths (3/10) that I had
13 mentioned earlier, from the 107.4 to the -- that had the
14 biggest effect.

15 MR. DOUG BUHR: And the C-13 -- sorry,
16 the C-13 marketing RND, again there's a -- a note that it
17 would decrease; by how much?

18 I -- I need an order of magnitude, sir, I
19 don't need an exact number.

20

21 (BRIEF PAUSE)

22

23 MR. CHIC THOMAS: Approximately, we -- we
24 had answered that in the City MH-16-D, and the bottom
25 there is forty-four thousand (44,000).

1 MR. DOUG BUHR: A -- a general question.

2 I'm correct in assuming that Manitoba
3 Hydro can do this area in -- using the actual number of
4 customers rather than counting poles?

5 MR. ROBIN WIENS: It can be done, Mr.
6 Buhr. We don't believe that it should be done.

7 MR. DOUG BUHR: Can you tell me why,
8 please?

9 MR. ROBIN WIENS: The street lighting in
10 the City and anywhere else is connected at different
11 points to the distribution system.

12 We talk about a customer. We're talking
13 about really -- we're talking about defining a customer
14 or the number of customers for the purpose of determining
15 their impact on the distribution system, and that's the
16 distribution system upstream of where the streetlights
17 connect.

18 In our cost of service functionalization
19 and classification we look at -- there's one (1) group
20 of costs that is significant, that is required to bring
21 the energy to the street lighting service and to all
22 other customers, poles and wires.

23 And in our cost of service study, poles
24 and wires are classified as being 60 percent related to
25 the demand on -- that the different customer classes put

1 on the system and 40 percent related to the number of
2 customers.

3 So we need to have a definition of -- of
4 what is a customer. And we believe it is an appropriate
5 definition that a customer is a connection to the
6 distribution system.

7 And on average, at the time we undertook
8 that study that we filed with the Public Utilities Board
9 in 1991/92, we determined that somewhere between eight
10 (8) and ten (10) street lights were associated with one
11 (1) connection to the distribution system.

12 So we took the higher number and we
13 defined the street light -- and we defined a street light
14 customer as being every ten (10) luminaires.

15 MR. ROBERT MAYER: Mr. Wiens, I'm having
16 trouble with this calling ten (10) street lights a
17 customer. You don't read a meter for every ten (10)
18 street lights. You don't have -- I mean, part of your
19 customer service staff deals with bodies, I understand.
20 You deal with live bodies. You -- somebody runs around
21 and reads a meter at some point in time; that doesn't
22 happen with every ten (10) street light.

23 MR. ROBIN WIENS: And the street light
24 class of customers is not allocated any cost related to
25 metering in this study. These costs are related to the

1 distribution system upstream of street lights.

2 MR. ROBERT MAYER: So all those other
3 customer service costs that you would ordinarily rate --
4 or ordinarily assign to a residential user are not costed
5 in to street light?

6

7 (BRIEF PAUSE)

8

9 MR. CHIC THOMAS: Mr. Buhr, if you go to
10 the PCOSS 06, Section E, page 97, you'll notice that it's
11 our classified costs by allocation table and between the
12 two (2) methods it doesn't make a difference. This is
13 showing the current method but as we've stated earlier
14 the -- the distribution side and the customer service
15 side does not change with our recommended method.

16 So the following tables are not allocated
17 to street lighting and that would be tables C-25 through
18 C-41. So it's distribution plant zone 1 services,
19 distribution plant zone 2 services, and zone 3 services
20 and then C-40 is meter investment and C-41 is meter
21 maintenance.

22 Now, on the customer service side, on the
23 next section below that, table C-14 inspections, table C-
24 15 meter reading, and C-30 hot water tank program. None
25 of that is allocated to street lighting.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CONTINUED BY MR. DOUG BUHR:

MR. DOUG BUHR: Mr. Thomas, you've agreed with me that there is some change, albeit minor, in the RCC if you treat the city as one (1) customer; correct?

MR. CHIC THOMAS: I did.

MR. DOUG BUHR: Then why -- and Manitoba Hydro can do it; correct?

MR. CHIC THOMAS: Can do what, Mr. Buhr?

MR. DOUG BUHR: Can -- can count customers, actual customers. So instead of a hundred and forty-seven thousand (147,000) you've got seven hundred (700); you can make the allocations based on a customer basis; correct?

MR. CHIC THOMAS: Yes, we could do it but now, again, as we've mentioned in the IRs though, it isn't -- not all tables are allocated based on just that customer count.

MR. DOUG BUHR: Mr. Thomas, I'm sorry. Why doesn't Manitoba Hydro simply want to do it right. Why don't you simply count the number of customers you've got, which is seven hundred (700), and do your calculations on that basis and stop, you'll excuse my words, screwing around counting ten (10) poles as one (1) customer?

1 MR. ROBIN WIENS: Because Manitoba Hydro
2 believes that counting ten (10) poles as one (1)
3 customer.

4 MR. ROBIN WIENS: Because Manitoba Hydro
5 believes that counting ten (10) poles as one (1) customer
6 is the right way to do it for the purposes of allocating
7 customer related costs associated with poles and wires on
8 the distribution system.

9 This is not like a residential customer
10 which we count as one (1) customer in the cost of service
11 study. A residential customer is at one (1) point and
12 gets one (1) service from the distribution system. The
13 street light system is connected at many, many points in
14 the distribution system.

15 And so we believe that that is the correct
16 approach to determining customer related costs of the
17 distribution system.

18 THE CHAIRPERSON: Mr. Buhr, in the end
19 you're going to be making your own closing arguments and
20 statements. And you're going to be able to use your
21 cross-examination to make your point and then Hydro is
22 going to produce their closing remark and may presumably
23 address some of these points.

24 As well, we're going to have a look at
25 this 1991/92 statement of the methodology that's applied

1 to arriving at this particular approach. So I'm just
2 wondering -- there's clear difference of opinion between
3 the position that you're staking out and the position
4 that Hydro is seemingly fixated on.

5 MR. DOUG BUHR: I was preparing to move
6 on, Mr. Chairman, if that's where -- if that's your
7 suggestion.

8 THE CHAIRPERSON: Well, I'm just
9 wondering how far we're going to get with the statement
10 of one (1) position, a statement as to --

11 MR. DOUG BUHR: I'm prepared to move on,
12 Mr. Chairman.

13 THE CHAIRPERSON: I do have one (1)
14 comment though I'm wondering, the City is a very large
15 customer of Manitoba Hydro. This item appears to have
16 been unresolved, by the appearance of it, for a long
17 period of time.

18 Have there been no discussions between the
19 Hydro and the City with respect to this issue, to try and
20 develop some sort of consensus view on these items?

21 MR. DOUG BUHR: Not that I'm aware of,
22 Mr. Chairman.

23 THE CHAIRPERSON: Okay. Thank you Mr.
24 Buhr.

25 MR. LEN EVANS: Mr. Chairman, I wonder if

1 I could ask for information? How does Manitoba Hydro and
2 the City of Winnipeg situation, the counting, et cetera,
3 compare with other cities and other utilities? Is your
4 method similar or are you unusual, is there any
5 comparison that you could give us?

6 MR. ROBIN WIENS: I can't give you a
7 comparison today at this moment, Mr. Evans. We based the
8 approach that we took to the treatment of distribution
9 customer related costs from some work that was done for a
10 consultant to Manitoba Hydro and filed with the Board,
11 not this current membership obviously, but with the Board
12 in and around 1991/92, in support of the position of the
13 Manitoba Hydro took at that time.

14 I have had -- Manitoba Hydro has had no
15 indication at all in the intervening period that this was
16 even an issue. So it -- it has taken this long for us to
17 recognize that with respect to the City, that they even
18 find this to be an issue.

19 So, if -- as it appears to be it is an
20 issue, we may need to engage in some discussions. But, I
21 can say that we believe with some confidence, on the
22 basis of the work that we did back then, that this is a
23 reasonable approach.

24 Now, it may be appropriate to reconsider
25 it, to reconsider from the perspective maybe we have a

1 different number of lights in a single connection. Or
2 maybe we should revisit the question of whether a single
3 connection is the appropriate definition of the customer.

4 But we've had no indication to date that
5 it's not appropriate.

6 THE CHAIRPERSON: Mr. Wiens, would you
7 mind finding that study from 91/92? You might have an
8 easier access to it that we would and you can provide it
9 as an Exhibit, it would just help us.

10 MR. ROBIN WIENS: Mr. Chairman, I'm not
11 saying this with certainty, but I believe we did file
12 that study as part of the current proceedings. And we
13 can in fairly short order, I think, identify the response
14 in which it was filed.

15 THE CHAIRPERSON: Yes, it would be
16 helpful and we can set it up as an Exhibit then we'll
17 have it on this record.

18 MR. ROBERT MAYER: Mr. Wiens, before we
19 leave this area, how many customers is INCO Limited
20 Manitoba Division?

21 MR. ROBIN WIENS: One customer.

22 MR. ROBERT MAYER: Mr. Wiens, in addition
23 to the service you provide to the INCO plant you also
24 provide service to INCO in the City of Thompson and at
25 least one (1) location and it used to be several more.

1 Why would they only be one (1) customer?

2

3 (BRIEF PAUSE)

4

5 MR. ROBIN WIENS: Mr. Mayer, I believe
6 that INCO is billed for more than one (1) location. They
7 may be one (1) customer, they do receive one (1) bill,
8 but they're billed for the different locations.

9 THE CHAIRPERSON: You're not billing the
10 City of Winnipeg for, you know, seventy thousand (70,000)
11 separate bills for each streetlight, are you?

12 MR. ROBIN WIENS: No. We -- we send a
13 single bill to the City of Winnipeg and --

14 MR. ROBERT MAYER: But doesn't -- okay, I
15 heard what you said, but there seems to be an issue that
16 the City of Winnipeg is treated not as one (1) customer
17 but as a whole bunch of customers because it has service
18 delivery to how many streetlights.

19 It seems to me that if INCO Limited
20 Manitoba Division, and I recognized that the stuff that
21 is delivered to the plant, they do their own
22 distribution, but that service which is outside of the
23 plant and in fact actually located in the City of
24 Thompson, that has to come off your regular system.

25 If the same rationale applies, they would

1 be treated as at least two (2) customers, wouldn't they?

2 MR. ROBIN WIENS: And I believe they are,
3 Mr. Mayer.

4 MR. ROBERT MAYER: You said they were
5 billed for separate locations but you told me that they
6 were treated as a customer --

7 MR. ROBIN WIENS: They receive --

8 MR. ROBERT MAYER: --- one (1) customer.

9 MR. ROBIN WIENS: -- they receive one (1)
10 bill, as does the City of Winnipeg.

11 MR. ROBERT MAYER: Okay. I suppose then
12 we're going to have to discuss what amount of customer
13 service class is allocated to INCO Limited Manitoba
14 Division. And I suspect very little of it, if any.

15 MR. ROBIN WIENS: Actually, that -- if
16 you -- well, in -- in the cost of service study it -- it
17 is not very little, it is actually quite a lot.

18 THE CHAIRPERSON: I think --

19 MR. ROBIN WIENS: There's --

20 THE CHAIRPERSON: I think one (1)
21 significant point has to be made in all this. I mean,
22 the whole idea of this process is that we're supposed to
23 work in a cooperative fashion to arrive at, sort of,
24 agreed upon criteria, fair and reasonable approach.

25 I don't have any indication to understand

1 Hydro has any other purpose than to arrive at a fair
2 allocation. You brought forward your recommended method
3 on the basis that you felt, in fact you said, represented
4 a fair and reasonable way to go across the board.

5 Comments are made at this hearing and
6 suggestions are made. I mean, you're fully able to go
7 back and review the situation if you so choose and
8 reconfirm your general view of things or not. And out of
9 this process re-evaluations of many things may or may not
10 occur.

11 But all I'm trying to say is that
12 differences of view can arise. Through this process some
13 of them can be sorted out and allow for either a
14 reconfirmation of a particular approach that's followed
15 to date or a change. But we're all involved in that same
16 process, as well as, Mr. Buhr, yourself.

17 My understanding is -- and correct me if
18 I'm wrong -- what you seek in the COSS is a reasonable
19 method of allocating costs against the customer classes.
20 You're not seeking to either unjustly benefit or unjustly
21 cost any single customer. Are you?

22 MR. ROBIN WIENS: No, we're not, Mr.
23 Chairman.

24 THE CHAIRPERSON: It is not in your best
25 interest with your large customers. You have customer

1 service reps and things like that to work with customers
2 to arrive at a general understanding as to the fairness
3 of the approach.

4 And if you came to the conclusion that the
5 fairness approach does not exist, presumably and at a
6 consensus, you'd represent that consensus in the
7 applications that you make to the Board, would you not?

8 MR. ROBIN WIENS: Certainly, Mr.
9 Chairman, if we had a consensus, that's what we would do.

10 THE CHAIRPERSON: I don't know if that
11 helps, Mr. Buhr, but I just wanted to reconfirm the
12 purpose of the entire exercise here.

13 MR. LEN EVANS: Mr. Chairman, just one
14 (1) very brief question. Excuse me.

15 How does this approach compare with the
16 City of Brandon, our other large -- the only other large,
17 more or less, regional centre we have -- is this the same
18 approach in the City of Brandon as you use in the City of
19 Winnipeg?

20 MR. ROBIN WIENS: All the street light
21 customers are treated in the same way, Mr. Evans. There
22 are approximately a hundred and twenty thousand (120,000)
23 street lights in the Province of Manitoba. The
24 difference between that and the hundred and forty-seven
25 thousand (147,000) number we talked about yesterday

1 represents sentinel lights that are somewhat different
2 from street lights.

3 Of the hundred and twenty-one thousand
4 (121,000) street lights, there are approximately seventy-
5 eight thousand (78,000) in the -- inside the boundaries
6 of the City of Winnipeg. Some of those will belong to
7 the Department of Highways, but virtually all are --
8 belong to -- are used to serve the City of Winnipeg.

9 So the seventy-eight thousand (78,000) we
10 divide that by ten (10) and the number of customers that
11 goes into the cost of service study for the purpose of
12 apportioning the customer related portion of the
13 distribution cost is seven thousand eight hundred
14 (7,800).

15 And I don't have the numbers for the City
16 of Brandon, presumably much smaller than that, but
17 they're treated in exactly the same way.

18 MR. LEN EVANS: Thank you very much.

19 MR. ROBERT MAYER: You said, Mr. Wiens,
20 used for -- it is my understanding Hydro owns all the
21 street lights, is that correct?

22 MR. ROBIN WIENS: Pretty much, Mr. Mayer,
23 there's probably some exceptions but I can't think of
24 where they are right now.

25 MR. ROBERT MAYER: With respect to

1 municipalities I wouldn't expect you to be able to
2 account for every government department that might have a
3 street light stuck somewhere, but with respect to
4 municipalities, the street lights themselves, the actual
5 structure, is owned by Manitoba Hydro?

6 MR. ROBIN WIENS: Yes.

7 THE CHAIRPERSON: Okay, Mr. Buhr do you
8 want to --

9 MR. DOUG BUHR: Thank you, Mr. Chairman.
10

11 CONTINUED BY MR. DOUG BUHR:

12 MR. DOUG BUHR: Mr. Wiens I want to move
13 on to 1996/1997 study that you did in Brandon and
14 Winnipeg of street lights. The reference is
15 City/Manitoba Hydro 1-7.
16

17 (BRIEF PAUSE)

18

19 MR. DOUG BUHR: Do you have that, sir?

20 MR. ROBIN WIENS: I have the response
21 here, yes.

22 MR. DOUG BUHR: Thank you. A couple of
23 questions. Does the study reflect that all of the bulbs
24 are now HPS and therefore use less energy?

25 MR. ROBIN WIENS: The study does not --

1 not all of the bulbs that were included in the study were
2 HPS. But the study was not aimed at identifying the
3 amount of energy a bulb took. The study was aimed at
4 identifying the number of hours the bulbs were active.

5 We know pretty well for the different
6 technologies and bulb sizes what their power draw is.
7 What we needed to know was the number of hours.

8 MR. DOUG BUHR: So the purpose of the
9 study was not to determine the amount of energy being
10 used, the purpose was to study the number of hours that
11 they were on?

12 MR. ROBIN WIENS: That's correct.

13

(BRIEF PAUSE)

14

15
16 MR. DOUG BUHR: And in terms of the type
17 of lights it's said to be seventy (70) to four hundred
18 (400), is that -- does that cover the range of street
19 lights within the City?

20 MR. ROBIN WIENS: It would cover the vast
21 majority of the lighting sizes that are in the City of
22 Winnipeg.

23 MR. DOUG BUHR: And those that it doesn't
24 cover are up or down from that?

25 MR. ROBIN WIENS: Mostly up I would say.

1 MR. DOUG BUHR: And therefore they would
2 use more energy, is that the supposition?

3 MR. ROBIN WIENS: They would -- yes a
4 four hundred (400) watt bulb uses four hundred (400)
5 watts plus whatever is required to power the ballast. A
6 thousand (1000) watt bulb would use a thousand (1000)
7 watts plus whatever is required to power its ballast.

8 MR. DOUG BUHR: And if I understand your
9 answer correctly then, that fact makes no difference
10 because the only purpose of the study was to determine
11 the hours of use?

12 MR. ROBIN WIENS: That's correct. We
13 know the -- we know the power draw of the different
14 technologies and the different sizes of bulb. So once we
15 know the number of hours of use, we know the amount of
16 energy that each of those bulbs will use in a year.

17 MR. DOUG BUHR: And just to conclude, Mr.
18 Wiens, I take it those energy amounts are what have been
19 used in your cost of service study in order to assign
20 energy costs to the City?

21 MR. ROBIN WIENS: That would be correct.

22 MR. DOUG BUHR: Thank you. Mr. Chairman,
23 those are my questions.

24 MR. ROBERT MAYER: Mr. Buhr, you -- we
25 have been distributed with a piece of a transcript which

1 I believe you were going to refer to and ask Mr. Wiens
2 about?

3 MR. DOUG BUHR: Well, all right.

4

5 CONTINUED BY MR. DOUG BUHR:

6 MR. DOUG BUHR: Sorry, Mr. Wiens, you
7 have in front of you page 2247 of the 1996 transcript and
8 I take it you would agree with me, sir, that the
9 prospective RCC for 96/97 was shown to be 115.5 for
10 street lighting?

11 MR. ROBIN WIENS: Well, that's not
12 typically the way we depict them. In that -- that was a
13 rate hearing. We brought a rate application before the
14 Board and we had a proposal for a rate change to the
15 street light class.

16 And the -- and the ratio that we would
17 have shown in that proposal would have been based on that
18 rate decrease. The 115 that is cited in here is if we
19 had ignored the rate decrease and just gone ahead with
20 the existing rate in that particular year; that's the
21 derivation of the 115 percent.

22 MR. DOUG BUHR: And if -- but is not --
23 but you said it was 103 percent yesterday; is that
24 correct?

25 MR. ROBIN WIENS: Well, first of all, the

1 quote on page 2247 of the transcript that you provided me
2 with refers to the cost of -- prospective cost of service
3 study for 1996/97. So if you're going to do the
4 comparison you would go to our 2006 PCOSS document on
5 page 34 and you would look at the number for 1997 rather
6 than 1996.

7 MR. DOUG BUHR: I'm sorry and that number
8 is, sir?

9 MR. ROBIN WIENS: Before export, 99.8,
10 after export allocation, 108.8.

11 MR. DOUG BUHR: Thank you. Those are my
12 questions, Mr. Chairman.

13 THE CHAIRPERSON: Thank you, Mr. Buhr.
14 We'll call that one Exhibit Number C-4 since we're making
15 a reference to it.

16
17 --- EXHIBIT NO. C-4: Page 2247 of the 1996 transcript

18

19 THE CHAIRPERSON: We appreciate your
20 cross-examination. A testy issue, no doubt.

21 I think, Mr. Williams, at one point we
22 were going to come back to you. With your forbearance I
23 think we'll move to Professor Miller and then come back
24 to you later.

25 MR. BYRON WILLIAMS: Yes, Mr. Chairman.

1 I believe there's an exhibit that Mr. Wiens is going to
2 present later on in the day in response to some of our
3 questions so that would be a more appropriate time, in my
4 view.

5 THE CHAIRPERSON: Professor Miller,
6 rather than -- we have two (2) possible approaches. If
7 you have some preamble that you want to enter into in the
8 beginning we could hear that and then have the break.

9 Or we could take our mid-morning break
10 right now and then you have -- totally free.

11 DR. PETER MILLER: As Mr. Peters
12 mentioned, I have an exhibit which is an updated
13 corrected version of the infamous JL-6 and I will be
14 referring to that in some questions and so either now
15 or --

16 THE CHAIRPERSON: Let's get the exhibit
17 because that's -- that's probably a proper way to do it
18 then we'll have our break and then when people come back
19 they will have had the opportunity to have a look at it.
20 Thank you.

21

22 (BRIEF PAUSE)

23

24 THE CHAIRPERSON: Mr. Peters, to help
25 Professor Miller, do we have an exhibit number for this?

1 both of those -- those matters I had outstanding.

2 I've -- I've checked the exhibit list, Mr.
3 Chairman, and I was wrong. I'm proposing that what has
4 been circulated as a corrected version of Exhibit JL-6 be
5 marked as RCM/TREE Exhibit number 6.

6 THE CHAIRPERSON: Very good.

7

8 --- EXHIBIT NO. RCM/TREE-6: Corrected version of
9 Exhibit JL-6.

10

11 MR. BOB PETERS: And in terms of the
12 transcript, with the good services of Ryan Pickering, who
13 is quietly sitting around the pillar from the Board, with
14 Digi-Tran Services, parties should be aware that a
15 special request can be made, as they have been, of Digi-
16 Tran to provide extracts from the transcript if it is
17 something that will assist them, in short order.

18 And, for example, yesterday some of the
19 cross-examination by CAC/MSOS was transcribed and made
20 available to parties who wanted it within an hour of it
21 being asked of the witnesses. So that exceptional
22 service is appreciated. And I know it's -- in some
23 circumstances it may be helpful. And we will continue to
24 work with Mr. Pickering to use it when needed.

25 Thank you.

1 THE CHAIRPERSON: Thank you, Mr. Peters.

2 Okay. We'll take a break now. We'll come
3 for 10:15. Thank you.

4

5 --- Upon recessing at 10:00 a.m.

6 --- Upon resuming at 10:20 A.M.

7

8 THE CHAIRPERSON: Okay. Mr. Peters?

9 MR. BOB PETERS: Thank you Mr. Chairman.
10 I can indicate at the break I think both Manitoba Hydro
11 and ourselves were trying to locate the context of the
12 1991/92 report that Mr. Buhr and Mr. Wiens were talking
13 about. We might need just a bit more time to nail that
14 down so to speak.

15 We do know that as part of the attachment
16 to PUB/MH-I-29, there were extracts of what I take would
17 be a very lengthy report and I'm just not sure -- the
18 balance of the report I also think was included in the
19 electronic filing which we are experimenting with in this
20 Hearing.

21 And so the extracts to which Mr. Wiens
22 referred, I'm going to ask My Friend, Ms. Ramage, to
23 maybe take that as -- continue that as part of her
24 undertaking on this issue, to find the extracts that Mr.
25 Wiens and Mr. Buhr were referring to.

1 And then we'll take the liberty of
2 producing some hard copies for the Board and other
3 interested parties once we've sorted that out.

4
5 --- UNDERTAKING NO. 15: File 1990 report prepared by
6 Manitoba Hydro regarding their review
7 of cost of service issues

8
9 THE CHAIRPERSON: Very good. Professor
10 Miller...?

11 DR. PETER MILLER: Thank you very much.
12 Let me just say something that's not entirely relevant to
13 the questions -- my questions, but, to the last set of
14 questions maybe. There are philosophers that think that
15 all problems can be solved by clarifying the meaning of
16 words. I'm not one (1) of them, but sometimes it's a
17 useful tool.

18 And I'm wondering if you just change the
19 term, customer, for street lights to customer connection.
20 Just a different word than customer which suggests a
21 billing customer, if that wouldn't solve some of your
22 problem. No doubt there are other issues, but I just
23 leave that on the table.

24 MR. ROBIN WIENS: Dr. Miller, I
25 appreciate your suggestion and I'm trying to restrain

1 myself from saying anything more. Thank you.

2

3 CROSS-EXAMINATION BY DR. PETER MILLER:

4 DR. PETER MILLER: I do want to thank Ms.
5 Bowman for her cross-examination yesterday and to the
6 other participants, the Panel and the Board for a very
7 interesting discussion. And I'll try to pick up on some
8 of those points.

9 Bill Hamlin mentioned the voluntarily and
10 Chicago Exchange commitments. I wonder if you could just
11 briefly describe what those commitments are?

12 MR. WILLIAM HAMLIN: Our corporate
13 voluntarily commitment made originally under the national
14 voluntary challenge and registry program is to maintain
15 our net emissions to 6 percent below our 1990 baseline.
16 We originally made that commitment, I believe -- I
17 believe that was in 1997.

18 And we have successfully managed our
19 emissions within -- within that limit over the ensuing
20 period. We have another binding -- binding voluntary
21 commitment that we signed onto with our agreement with
22 the Chicago climate exchange and in that case we take a
23 historic baseline for our -- what was then the Selkirk
24 coal units and the Brandon coal unit and commit to
25 reducing the emissions from that baseline by an

1 additional 1 percent for each year of the Chicago climate
2 exchange pilot program.

3 DR. PETER MILLER: Okay. Thanks for
4 that. And how do you manage to achieve those
5 commitments?

6

7 (BRIEF PAUSE)

8

9 MR. WILLIAM HAMLIN: We have done a
10 number -- take a number of actions that contribute to our
11 success.

12 Since 1990, bringing on Limestone
13 generating station in terms of significantly adding new
14 renewable generation, adding our additional DSM
15 resources, shutting down Brandon coal units one (1)
16 through four (4), connecting several diesel communities
17 onto our electrical grid, and converting Selkirk
18 generation -- the Selkirk coal units to natural gas all
19 significantly contributed to our -- our management of our
20 emissions.

21 DR. PETER MILLER: Thanks for that.
22 Would you say that closing the coal stations is perhaps
23 the biggest component of that; the four (4) in Brandon
24 and Selkirk?

25 MR. WILLIAM HAMLIN: Well, the -- those,

1 in conjunction with bringing on the -- the non-emitting
2 resources, I would say the combination of bringing on the
3 non-emitting resources and the shutting down of our
4 emitting resources are some of the most significant steps
5 in managing our emissions.

6 DR. PETER MILLER: And suppose -- you've
7 been successful so far but suppose you actually generate
8 more emissions than that baseline; do you have any
9 options?

10 MR. WILLIAM HAMLIN: Yes, and that's
11 where the word "net" comes into play. We have the
12 flexibility to go to the marketplace and purchase --
13 well, under -- under the Chicago climate exchange we have
14 the ability to either purchase additional tonnes from
15 other emitters that have been successful in reducing
16 their emissions below their baseline or purchasing from
17 credit producing activities such as agricultural soil
18 sequestration, landfill gas emission reduction projects
19 and activities of that nature.

20 Under our voluntary commitment we have the
21 flexibility to purchase offset credits from other
22 entities and we also, in making that commitment,
23 recognize that if we were successful in contractually
24 obtaining from our export customers the right to claim
25 the emission reductions coming from those purchases we

1 could utilize those towards meeting our commitment.

2 DR. PETER MILLER: Thanks for that. Now,
3 you spoke about 6 percent below, I think, 1990 baseline;
4 that means that you still are producing or are permitted
5 to produce 94 percent of what you were producing in 1990,
6 is that correct? CO2 emissions?

7 MR. WILLIAM HAMLIN: Yes, and in fact to
8 exceed that if we obtain additional offsets.

9 DR. PETER MILLER: Thank you. And when
10 you count your emissions you're -- you're just talking
11 about burning coal and gas and diesel oil and the exhaust
12 from your vehicles and that kind of thing in Manitoba and
13 you don't take into account the upstream emissions from
14 getting those petroleum products or coal here?

15 MR. WILLIAM HAMLIN: In -- in various
16 exercises we account for those things. But for the
17 purposes of our commitment we are trying to track those
18 activities for which we have direct control over and
19 those are our own emissions not -- not upstream emissions
20 associated with natural gas extraction or coal
21 production, for example.

22 DR. PETER MILLER: Now, it is regularly
23 argued that exports displace fossil fuel generation in
24 the -- in the States. And that's -- I think Mr. Evans
25 mentioned that yesterday as one of the very significant

1 benefits in terms of climate change of Manitoba Hydro.

2 Is that correct?

3 MR. WILLIAM HAMLIN: Yes.

4 DR. PETER MILLER: And -- so whether it's
5 from new generation or conservation, there are definite
6 environmental benefits in -- to the - the exporting of
7 electricity.

8 MR. WILLIAM HAMLIN: Yes.

9 DR. PETER MILLER: But you're not
10 credited with all those benefits, is that correct, in
11 terms of -- of making your baseline?

12 MR. WILLIAM HAMLIN: No. We have been
13 successful in getting some flexibility to declare the
14 environmental benefits for a portion that we've -- have
15 contractual agreements with, and that's sufficient to
16 meet our own voluntary commitment but, for instance,
17 that's not a benefit that we -- we would likely be able
18 to define as credits and sell on the open market.

19 DR. PETER MILLER: Although you can't
20 sell them, they are benefits that you create, real world
21 benefits?

22 MR. WILLIAM HAMLIN: Correct.

23 DR. PETER MILLER: In planning -- you're
24 with Planning Resources? Or what is your department,
25 maybe clarify Resource Planning?

1 MR. WILLIAM HAMLIN: I came out of
2 Resource Planning and Market Analysis a - a few years
3 ago, in which I worked with Harold Surminski. I now head
4 a section called Emission -- Energy Policy and Emission
5 Trading.

6 DR. PETER MILLER: Okay. Thanks. I -- I
7 might be going back to your earlier job or a combination
8 of your two(2) jobs then.

9 When you were planning new generation, for
10 example, you would look at potential negative physical
11 impacts of new reservoirs and - and that kind of thing.
12 And -- is that correct?

13 MR. WILLIAM HAMLIN: Correct. We try to
14 look at all the implications of the different options
15 available to us.

16 DR. PETER MILLER: And that's your
17 understanding of full cost accounting, to look at all of
18 those implications?

19 MR. WILLIAM HAMLIN: Of the sustainable
20 development principles including full cost accounting,
21 yes.

22 DR. PETER MILLER: Okay. When you assess
23 a thermal resource you do the -- the same kind of thing,
24 looking at all the impacts?

25 MR. WILLIAM HAMLIN: Yes.

1 DR. PETER MILLER: Do you look, for
2 instance, at potential negative physical impacts of
3 contributions to greenhouse gases such as the next
4 hurricane to hit the gulf coast, or inundation of coastal
5 regions, or burning up the boreal forest, or the sinking
6 of island nations, or the extinction of the polar bear?

7 MR. WILLIAM HAMLIN: We -- there are two
8 -- two (2) possible approaches to -- to valuing the
9 implications of greenhouse gas emissions looking at the -
10 - and estimating the economic damage resulting from
11 those. And I think that's more along the lines of -- of
12 what you were describing in your list.

13 And an alternative method is to assess the
14 potential constraint on those emissions and the emission
15 trading values that might be applied to those.

16 The latter is what Manitoba Hydro relies
17 on to -- to factor in the value of the -- the greenhouse
18 gas implications.

19 DR. PETER MILLER: So you're essentially
20 projecting market prices and a component of that
21 projection is estimating the actual price impacts of
22 mitigation procedures or fuel switching or whatever it is
23 that might be driving those prices?

24 MR. WILLIAM HAMLIN: Yes the -- it would
25 factor in several considerations. The level of

1 constraint that governments might put on emissions. The
2 mitigation technologies that you could apply to reducing
3 those emissions. And the -- and such factors as the
4 competing economics of alternative resources that don't
5 have the implications.

6 DR. PETER MILLER: Would you agree that
7 for the -- probably the foreseeable future and this may
8 be optimistic given current regimes in Canada and the US,
9 that those market implications would not reflect all the
10 damage in my first list. That they would, say,
11 optimistically reflect the 6 percent reduction rather
12 than the other 94 percent?

13 MR. WILLIAM HAMLIN: I don't have any
14 references for the -- for the estimates of the damage
15 costs related to greenhouse gasses at my fingertip. But
16 my recollection is that those range from something like
17 five dollars (\$5) a ton to twenty-five (25) thirty
18 dollars (\$30) a ton. And there's a considerable band of
19 uncertainty about what the damage -- damages are.

20 We would assume that the initial
21 constraints on greenhouse gas emissions would be --
22 result in greenhouse gas valuations that are lower
23 probably than the damage costs. But, at some point they
24 would probably become equal or even grow to be in excess
25 of the damage costs.

1 Certainly when we were looking at the
2 costs of the US meeting back in the days when it was
3 planning to meet the Kyoto targets, we were looking at
4 valuations in excess of fifty dollars (\$50) a ton and
5 higher to meet that obligation.

6 DR. PETER MILLER: Thank you. And I
7 believe you said yesterday that you're -- although you
8 don't know for sure, you think you're trading
9 counterparts in the US may be making similar calculations
10 and market forecasts based on similar factors?

11 MR. WILLIAM HAMLIN: Particularly in the
12 last few years we have seen some American companies,
13 particularly the very large emitting thermal companies in
14 the US like AEP develop greenhouse gas strategic plans to
15 manage the risks associated with that.

16 We haven't seen that kind of document come
17 out of our immediate counter parties in the -- for
18 instance in the Minnesota region. But we assume that
19 they are also factoring in the risks that those types of
20 policies will be there in the near future.

21 DR. PETER MILLER: Thank you. I'm going
22 to move a little bit and I want to refer to the --

23 DR. KATHI AVERY-KINEW: Excuse me,
24 Professor Miller, could I interrupt you for a minutes?

25 DR. PETER MILLER: Sure.

1 DR. KATHI AVERY-KINEW: I just wanted to
2 clarify from Mr. Hamlin, when did Manitoba Hydro join the
3 Chicago exchange? I got the date of the voluntarily
4 national one but ...

5

6 (BRIEF PAUSE)

7

8 DR. KATHI AVERY-KINEW: You said 1997 for
9 the national, the Canadian voluntarily commitment.

10 MR. WILLIAM HAMLIN: I believe the first
11 year we -- we participated in the Chicago Climate
12 Exchange in its -- in its design phase, before this, but
13 I believe the first year of the Chicago Climate Exchange
14 was 2003.

15 DR. KATHI AVERY-KINEW: And I took from
16 your testimony yesterday that you didn't have to use
17 that, you were managing the emissions without this net
18 exchange.

19 Was I wrong in understanding that or you
20 have had to use this?

21 MR. WILLIAM HAMLIN: We initially made
22 purchases under the Chicago Climate Exchange, first to --
23 to demonstrate our -- our support for the market. We
24 participated in the first -- the first auction of permits
25 and we were the second largest purchaser, although the

1 total amount was -- was quite modest.

2 And then we made one (1) purchase after
3 that that was fairly modest as well, anticipating that in
4 that year we might exceed our -- our baseline emissions.
5 As it turned out, we -- we didn't exceed and in fact had
6 a surplus in all of the years.

7 So those initial purchases plus the
8 surplus we've accumulated over that period has
9 accumulated in our CCX account and we're currently in the
10 process of selling off a portion of -- of that surplus.

11

12 CONTINUED BY DR. PETER MILLER:

13 Okay. I'd like to turn to page 24 of the
14 rebuttal. That's the place where you quote the
15 definition of full cost accounting in the sustainable --
16 you have that?

17 MR. WILLIAM HAMLIN: Yes, I do.

18 DR. PETER MILLER: Okay. And I'm not
19 sure whether -- whether you're the one who will be
20 answering it or not, since it is --

21 MR. WILLIAM HAMLIN: I'm not sure either.

22 DR. PETER MILLER: I'll ask it and
23 whoever thinks it's appropriate to answer, can.

24 In your quotation of the full cost
25 accounting you bold the words

1 "decision or action, the -- the
2 economic environmental land use, human
3 health, social and heritage costs, and
4 benefits of a particular decision or
5 action."

6 What is the reason for bolding those terms
7 or that phrase?

8 MR. WILLIAM HAMLIN: To emphasize that
9 that is what we do in our application of -- we consider
10 to the extent practical into all of our decisions and
11 actions those considerations.

12 DR. PETER MILLER: And the decisions and
13 actions you have in mind are -- are the ones we were
14 discussing earlier, resource acquisition, where you weigh
15 the pros and cons of various resource options and
16 consider all the implications of them, and -- and use
17 that as a basis for decision-making within the
18 Corporation as to which options to go ahead with.

19 Is that what you mean?

20 MR. WILLIAM HAMLIN: Those -- those are
21 actions where we would do that, yes.

22 DR. PETER MILLER: Okay. Are there
23 others?

24

25

(BRIEF PAUSE)

1 MR. WILLIAM HAMLIN: They are
2 considerations that are built into -- beyond the -- the
3 power resource decisions but they are also factors in
4 decisions associated with other capital expenditures
5 within the Corporation. They -- and they are
6 considerations for our purchasing policy.

7 DR. PETER MILLER: Thank you. I think it
8 was yesterday that Mr. Warden referred to wind as a
9 marginal enterprise, but one (1), as I recall, you said
10 you -- you engaged in for the benefit of the rural
11 economy or that at least you weren't losing money on it.

12 And so although it might not, you know,
13 in terms of the Corporation's bottom line be your first
14 resource acquisition priority you nevertheless justified
15 it in terms of provincial benefits; is that a fair
16 paraphrase of what you said or, if not, please clarify?

17 MR. VINCE WARDEN: Well, no. At least I
18 did not intend to imply that we justified it on the basis
19 of provincial benefits. We looked at it as an economic
20 decision within Manitoba Hydro and made our decision on
21 that basis.

22 DR. PETER MILLER: Did you use, say, the
23 same internal threshold that you would use for a dam?

24 MR. VINCE WARDEN: No. No. It would not
25 pass the same hurdle rates that we use for the assessment

1 of other -- other capital investments. This was not a
2 capital investment but it, in terms of the price that we
3 were prepared to pay for that purchase power, as I
4 mentioned, I think, in my cross-examination previously
5 that it was the price that we were to pay in accordance
6 with the contract was somewhat marginal in terms of
7 benefits to be derived therefrom.

8 DR. PETER MILLER: And by "marginal" you
9 mean...?

10 MR. VINCE WARDEN: Well, strictly on a --
11 on a business case scenario whereby we're paying so much
12 per megawatt hour for wind the return that we can expect
13 to receive on that cost, you know, that we pay for power
14 purchased was marginal. But we would expect to break
15 even or slightly better than break even.

16 DR. PETER MILLER: Why would you do it if
17 -- if you couldn't make money on it?

18 MR. VINCE WARDEN: Well, we're not losing
19 money. So on the basis of the evaluation that we
20 conducted internally it -- the Corporation was somewhat
21 neutral in terms of the costs and benefits. On that
22 basis we decided to proceed.

23 DR. PETER MILLER: Thank you.

24 MR. HAROLD SURMINSKI: I can add a
25 little. Also we -- Manitoba Hydro wanted to gain

1 experience with the new resource of wind energy, so that
2 was one of the other justifications for starting out at a
3 small level and gaining experience with the resource, the
4 costs, the operation, the benefits and the integration of
5 the resource into our system.

6 The integration of the resource into our
7 system is -- is a big question. Being able to bring it
8 into the system and have it operate jointly with our
9 hydro resources; that is a big factor in wind energy.

10 DR. PETER MILLER: Thank you. We've been
11 discussing examples of resource acquisition and the
12 application of full cost accounting to that. The last
13 answer stressed benefits to the Corporation, even if
14 they're marginal.

15 What about rate setting? Is that a
16 decision of the Corporation, what rates to propose, and
17 is full cost accounting applied to those decisions?

18 MR. VINCE WARDEN: Professor Miller, the
19 definition of full cost accounting that we just reviewed,
20 I'm sure you're very familiar, includes costs that are
21 not considered in our cost of service studies and
22 therefore do not form part of the rate setting process.

23 DR. PETER MILLER: Can't we make a
24 distinction between an accounting procedure which takes
25 into account the costs and putting all those costs into

1 the rates or into the price?

2 Let me give you an example. You do a full
3 cost accounting, a la Jim Lazar or some refinement of it,
4 and then determine your revenue requirement from the
5 totality of your costs. And then determine what
6 percentage that is of the full cost accounting, one way
7 of which I think you mentioned was equal in marginal
8 costs, or something like that. Equal percentage of
9 marginal costs.

10 MR. VINCE WARDEN: Well, we've
11 acknowledged that there are many, many approaches to cost
12 of service. That is -- the one (1) you've -- the one
13 you've referenced is one(1), that's not the one (1) that
14 we employ at Manitoba Hydro.

15 DR. PETER MILLER: I guess maybe I lost
16 the focus of my question in giving the example. The
17 focus of the question was, do you recognize the
18 distinction between full cost accounting in determining
19 what rates should be and mechanically churning out a
20 price that equals the full cost that you've accounted
21 for?

22

23

(BRIEF PAUSE)

24

25

THE CHAIRPERSON: As usual, Professor

1 Miller, you're provoking thought.

2 MR. VINCE WARDEN: The debate we're
3 having and we've had this internally before now and I'm
4 not sure we have total agreement, is the definition of
5 externalities and the Act doesn't help us in that regard,
6 in terms of defining exactly what is included in
7 externalities. You could and some may regard the
8 mitigation payments we make as a result of our operations
9 as being to compensate others for -- for the effects, the
10 impacts, the environmental impacts or other impacts of
11 our projects.

12 That could be -- come within the
13 definition and I think it does come within some
14 definition of externalities. There are other costs
15 outside of the Corporation that will never been incurred
16 as a direct cost which would also fall within that
17 definition.

18 So that's a bit of the debate we're having
19 and I'm not sure whether that's responsive at all to your
20 question, Professor Miller, but perhaps if you'd like to
21 pursue that then we can be more direct in our response.

22

23 CONTINUED BY DR. PETER MILLER:

24 DR. PETER MILLER: Great. Thanks. Let
25 me try a characterization of what you do and you tell me

1 if it's an appropriate one (1)?

2 Other departments than the rates
3 department do full cost accounting in evaluating various
4 resource possibilities and whittling them down and then
5 ultimately making a decision when you need to acquire
6 them. And then -- and then your legal department or
7 whoever negotiates compensation agreements if that's part
8 of the mitigation, and your engineering and the clean
9 environment commission will indicate what physical
10 alternations are need to mitigate the impacts further.

11 And then basically accounting and rates
12 deal with the fallout of the decisions and actions that
13 occur elsewhere in the Corporation; is that a fair
14 characterization?

15 MR. VINCE WARDEN: Yes, I agree with
16 that.

17 DR. PETER MILLER: Okay. That's what I
18 thought. Now, what do you think we're doing here? Are
19 there any -- or maybe more -- more particularly in a --
20 in a rates submission, and before that there would have
21 been internal discussion in the Corporation as to what
22 rates to propose and then that's presented in this
23 process.

24 Does your Manitoba Hydro board make a
25 decision as to what rate proposals to go forward with?

1 MR. VINCE WARDEN: Yes. The process at
2 Manitoba Hydro is a recommendation is made to the
3 Manitoba Hydro board as to rates that we should include
4 in our application to the Public Utilities Board and the
5 board certainly has their input into that -- that
6 process.

7 DR. PETER MILLER: It's the Hydro board
8 that you're speaking of?

9 MR. VINCE WARDEN: Yes, I'm sorry. The
10 Hydro board, yes.

11 DR. PETER MILLER: Yeah, okay. And then
12 you present it here and -- and the Public Utilities Board
13 hears various evidence and do they not make a decision on
14 what those rates should be?

15 MR. VINCE WARDEN: They do.

16 DR. PETER MILLER: And do not actions
17 follow from that in terms of, you know, sending out bills
18 and so on?

19 MR. VINCE WARDEN: Yes.

20 DR. PETER MILLER: So, it seems to me
21 that in addition to receiving the fallout of decisions
22 made in the legal and resource planning departments,
23 channelled up to the board, that there is another area of
24 decision and action which takes place in accounting and
25 rates and before the PUB?

1 I think you've acknowledged all that. If
2 you haven't, tell me where I missed out?

3 MR. VINCE WARDEN: I will acknowledge
4 that's all part of the process of rate setting approval,
5 yes.

6 DR. PETER MILLER: And then your further
7 claim is that the Sustainable Development Act applies to
8 resource acquisition but it does not apply to the rate
9 setting process; is that correct?

10 MS. PATTI RAMAGE: With all due respect
11 to Mr. Miller, now I think we've crossed the line into
12 argument what each of the parties views the -- their
13 views on the Sustainable Development Act might be better
14 discussed in argument as opposed to cross-exam.

15 DR. KATHI AVERY-KINEW: I thought it was
16 just clarifying, Mr. Miller?

17 DR. PETER MILLER: Yes, I was trying --

18 MS. PATTI RAMAGE: Maybe I misunderstood
19 the question.

20

21 CONTINUED BY DR. PETER MILLER:

22 DR. PETER MILLER: Well, the -- well, the
23 original -- the original rebuttal just talked about one
24 (1) way of reflecting full cost accounting namely full
25 cost pricing and hanging its argument on that and saying

1 the Act doesn't require us to do full cost pricing.

2 So let's grant that. Now, the question
3 is, I mean, an interpretation is offered here in which
4 the words "decision" and "action" are bolded and -- and I
5 guess what you're saying is that the decisions and
6 actions of the rate department and presumably of the PUB
7 do not need to reflect the Sustainable Development Act
8 and if that's what you're saying then I'll drop it?

9 MR. VINCE WARDEN: No, Professor Miller,
10 I don't think we said that at all really. I think in the
11 operations of Manitoba Hydro we abide by the spirit and
12 intent of the Sustainable Development Act.

13 I think we did draw a distinction between
14 the costing methodology that was being used and our cost
15 of service study that it is based on costs that are
16 directly incurred by the Corporation or expected to be
17 incurred by the Corporation.

18 DR. PETER MILLER: Thank you for
19 clarifying your position.

20 Okay. Now I'd like to turn to the exhibit
21 distributed today, earlier versions of which you said,
22 and to Interrogatory RCM/TREE Manitoba Hydro 26-B. So
23 get those out.

24 MS. PATTI RAMAGE: Was -- was that first
25 round or second round, Mr. Miller?

1 DR. PETER MILLER: Second, 2-26-B. It's
2 the -- the one pertaining to price elasticity, in -- in
3 which you attached an earlier response from the 2004
4 hearing, to MIPUG.

5 MR. ROBIN WIENS: I have that in front of
6 me, Dr. Miller.

7

8 CONTINUED BY DR. PETER MILLER:

9 DR. PETER MILLER: Okay. You'll probably
10 be the one responding to this, so if we're ready.

11 Jumping right to the attachment, MIPUG/MH-
12 2-9, this was from 2004. At the bottom of the page you
13 cite ranges of short-term elasticities minus point one
14 three (-.13) to minus point four five (-.45) for
15 residential and so on. And then over on the last page
16 you have long run elasticities ranging from minus point
17 three five (-.35) to minus two point two three (-2.23)
18 for residential and so on.

19 Can you explain, please, what do these
20 numbers mean?

21 What is a price elasticity and what does
22 that number signify?

23 MR. ROBIN WIENS: Fundamentally, the
24 price elasticity refers to the relationship between a
25 percentage change in price of a good or service and the

1 percentage change in the quantity demanded of that good
2 or service.

3 And because most goods and services, an
4 increase in price can be expected to lead to a reduction
5 in the quantity demanded, therefore these elasticities
6 are expressed with a negative sign in front of them.

7 If you look to the bottom of the first
8 page of the MIPUG response that you cited, Dr. Miller, we
9 stated here:

10 "Historic estimates of short run price
11 elasticity show a range of minus point
12 one three (-.13) to minus point four
13 five (-.45) for residential."

14 And you can take that to mean that those
15 particular studies would have identified broadly that
16 for, say, a 10 percent increase in price of the good, in
17 this case it's electricity, a reduction of 1.3 percent to
18 4.5 percent in demand by residential customers was
19 identified in those studies.

20 DR. PETER MILLER: Okay. Thank you. And
21 generally the long run elasticities all seem to be higher
22 than the short run.

23 So could you give your example, say, for
24 the industrial -- long run industrial, just to repeat the
25 example so we understand it?

1 MR. ROBIN WIENS: Are you asking that I
2 provide you some distinction between the long run and the
3 short run or --

4 DR. PETER MILLER: Well, you can -- you
5 can add that into the explanation.

6 What's -- what is -- first of all, what
7 does it mean to say that the industrial is minus oh point
8 seven six (-0.76) to minus two point eight seven (-2.87)
9 in the long run, and how does that differ from the short
10 run values?

11 MR. ROBIN WIENS: The short run is
12 usually taken to mean a relatively short period of time
13 between the introduction of the change in price and the
14 measurement of the demand response.

15 I can't put any absolute time frame on it
16 but I think it would be reasonable to infer that a short
17 run response would occur within a period of --
18 immediately following the price change, say up to a year.
19 And that a long run response would play itself out over
20 periods of longer than a year, perhaps three (3), four
21 (4), five (5) years, and even longer.

22 And the reason there is a distinction and
23 the reason that typically the long run responses are
24 greater than the short run responses, is in the long run
25 there are more options to customers to respond to a

1 change in price.

2 For a residential customer, for example, a
3 change in price may initially be accomplished or the
4 reaction may initially be that the customer will use less
5 hot water, for example, if electric hot water heating is
6 part of their stable of appliances.

7 In the long run, they may get rid of some
8 appliances or get rid of some appliances or switch to
9 different appliances or adopt some more energy efficient
10 appliances if there's been a changeover in the stock of
11 what's available in the marketplace.

12 So the ability to react is greater in the
13 long run. Similarly an industrial customer can make
14 choices in the short run that relate to reducing
15 production, in the long run they can make choices that
16 involve substituting goods that they may be able to
17 substitute for electricity.

18 For example, it may be that they can
19 replace electricity using equipment with gas using
20 equipment for some of their processes. And of course,
21 they have the option to cease production, as well, which,
22 if they perceive that the price increase is going to
23 persist into the long run that may be among the other
24 options that they would take a look at.

25 DR. PETER MILLER: Thanks --

1 THE CHAIRPERSON: Or move production to a
2 lower cost environment.

3 MR. ROBIN WIENS: Of course, that's
4 another option that they have.

5

6 CONTINUED BY DR. PETER MILLER:

7 DR. PETER MILLER: Thanks that's very
8 instructive. Now, Mr. Lazar used the rows aren't
9 numbered, but I'm now going to the handout, the middle
10 row there assumed arc elasticity of minus point two five
11 (-.25).

12 Could you indicate, if you're familiar
13 with it, the concept of arc elasticity and then also
14 comment on whether that's reasonable. I realize you have
15 an undertaking to do a more thorough evaluation, but what
16 can you help us with here.

17 MR. ROBIN WIENS: Well, Mr. Miller if we
18 -- if we play this right I may be able to -- I may be
19 able to honour my obligation in our discussion. So let's
20 carry on.

21 Arc elasticity is distinct from the other
22 concept of elasticity which is point elasticity. Point
23 elasticity refers to -- those of you who are familiar
24 with some of the very basic tools that are used in
25 economics will recognize a demand curve, which is

1 generally a curve that slopes downward to the right in a
2 system of coordinates and its in the positive coordinate
3 for both prices on the 'Y' axis and quantities demand on
4 the 'X' axis.

5 So your typical demand curve will show low
6 quantities at high prices and greater quantities at low
7 prices. And the curve will slope downward to the right
8 in that space. The curve can have different shapes for
9 the sake of simplicity we tend to view these as a -- as a
10 straight line, but they can be curvilinear as well, they
11 can even have kinks in them in some cases.

12 But let's just think of it as a straight
13 line. The concept of elasticity at the point says that
14 for an infinitely small change in price, what is the
15 response and demand, whereas a concept of ARC elasticity
16 which I think is intuitively more easily understood is
17 that over a relatively wide range of changes in prices or
18 at least some defined range, rather than an infinite
19 point on the view, that that elasticity is expected to
20 hold.

21 So what Mr. Lazar is saying here is that
22 basically he's assuming, not unreasonably an elasticity
23 of minus point two five ($-.25$), in other words 2.5
24 percent quantity response to a 10 percent price change.

25 And he's saying that in this example that

1 that .25 percent would apply over the whole range of the
2 curve which he was describing. He's describing in some
3 cases, a price change as high as 127 percent. And his
4 assumption is that the elasticity is .25 over the entire
5 arc covered by that price change. Is that helpful?

6 DR. PETER MILLER: Very much so. Thank
7 you. Now, the implications that are drawn here of that
8 and let me just say why I'm pursuing this, that your
9 rebuttal spoke to a number of other sections of Mr.
10 Lazar's testimony but didn't really tackle the elasticity
11 and the outcomes of that elasticity so that's why I'm --
12 I'm focussing on this to try to evoke a little more
13 comment in an area that wasn't really dealt with in the
14 rebuttal.

15 So, if basically he is saying -- could you
16 -- could you explain what the -- let's take the bottom
17 right box there, cell, on this revision it's 388,474,000,
18 how is that derived and is that a reasonable figure?

19 MR. ROBIN WIENS: Well, Dr. Miller, you
20 suggested that we didn't treat this in our rebuttal
21 evidence and there were a number of reasons for not doing
22 so. One of them is that this exhibit gave me a lot of
23 grief until today.

24 But I'm pleased to say that I can at least
25 duplicate all of the numbers Mr. Lazar has created here

1 so I am in a position to be able to lead you through the
2 exhibit. It might, I guess, Mr. Lazar would probably
3 have his own way of explaining this but this -- I will
4 give you my take on what he's saying in the -- in the
5 final row of this exhibit.

6 DR. PETER MILLER: That would be helpful.

7 MR. ROBIN WIENS: First of all --

8 THE CHAIRPERSON: We're hanging on your
9 every word, Mr. Wiens.

10 MR. ROBIN WIENS: First of all, Mr. Lazar
11 has correctly identified the current Manitoba Hydro
12 retail revenues, excluding those from the surplus energy
13 program which are a relatively small proportion, at about
14 \$1 billion; that's in the first row of the last column.
15 And that doesn't change in any of the columns.

16 Then he's, in the second row, I'll maybe
17 address some of the other columns here just to discuss
18 how we got to the one in the fourth column. In the first
19 row this is the cost that we have identified to serve
20 retail customers in our recommended method in the cost of
21 service study.

22 To which Mr. Lazar has progressively added
23 adaptations to our recommended method to incorporate a
24 cost adder for CO2 emissions and just to be very clear,
25 these are not CO2 emissions, for the most part, that

1 Manitoba Hydro is responsible for.

2 Mr. Lazar wants us to consider the fact
3 that every kilowatt hour that a Manitoba customer uses is
4 a kilowatt hour that is not available to reduce emissions
5 in Minnesota or North Dakota or Wisconsin, which is a
6 concept that we have some difficulty with but,
7 nevertheless, is included here.

8 In the next -- in the next column Mr.
9 Lazar has layered upon that concept of cost a switch from
10 the embedded cost of supply as included in Manitoba
11 Hydro's recommended cost of service method to a marginal
12 cost and he's used our indication in one of the IRs of
13 the long run marginal cost of five point three five
14 (5.35) cents per kilowatt hour.

15 So what he's done here is he's taken out
16 the embedded cost and he's replaced it with the marginal
17 cost. So now we have arrived at -- at approximately 2
18 billion. And then when you account in the last column
19 for both the carbon dioxide adders and the marginal cost
20 substitution Mr. Lazar, I believe, is suggesting that our
21 real costs are in the order of \$2.3 billion rather than
22 the \$1.3 billion that shows in the first column -- or
23 billion. Thank you.

24 Next in the next row, and this is very
25 simple, he has taken the difference between the costs

1 that he's identified in row 2 and the revenues that the
2 current rates provide as in row 1 and said, in order to
3 make your revenues equal to your costs we have to
4 increase the revenue collected from all Manitoba
5 customers by that 1.29 billion, which was equivalent to -
6 - in the fourth row -- an increase of 127 percent.

7 And this is the figure that Ms. Bowman
8 referred to in the cross-examination of Manitoba Hydro
9 yesterday. And she asked -- which I think is a very
10 legitimate question -- When you're looking at an arc as
11 wide as 127 percent, is it legitimate to assume that
12 point two five (.25) elasticity will be maintained
13 throughout that arc.

14 DR. PETER MILLER: And that's why you're
15 taking -- your undertaking was to look at that.

16 MR. ROBIN WIENS: That -- that was my
17 undertaking. And I -- I'll come back and -- and discuss
18 that a little bit after I've moved through some of the
19 other numbers in the fourth column.

20 When we go to the next row, that is simply
21 the retail sales. That's identified the retail sales.
22 So that is the quantity demanded in the elasticity
23 equation.

24 So we've got the increase in the price and
25 we've got the current quantity demanded. And then we've

1 got the assumption here that quantity demanded will
2 decline by 2.5 percent for every 10 percent increase in
3 the price.

4 So I'll just take out my calculator for a
5 minute so I can refer to that.

6 He's simply taking the point two five
7 (.25) times 127 percent and he's saying, The quantity
8 demanded will decline by 25 percent of 127 percent, which
9 is 32 percent.

10 And if you apply 32 percent to the retail
11 sales of 22.85 billion kilowatt hours, he is arriving at
12 an estimate of the extent to which that will reduce. And
13 that estimate is 7.26 billion kilowatt hours, or about
14 one third (1/3) of the total amount.

15 Then he goes on to assume, in the
16 following row, that that additional energy can be sold
17 into the export markets at Manitoba Hydro's estimated
18 long run marginal cost for supply of five point three
19 five (5.35) cents.

20 And the product of that multiplication is
21 the \$388 million in additional revenue that he is
22 suggesting is an approximation of what would be derived
23 if Manitoba Hydro were indeed to follow his advice and
24 increase the rates to domestic customers in the order of
25 127 percent.

1 DR. PETER MILLER: Excellent. Thank you.
2 We may add you to our team next time.

3 THE CHAIRPERSON: Now, the 388 million
4 that would get added -- additional revenue to Manitoba
5 with the 127 percent increase in price and the 32 percent
6 decrease in volume to domestic sales, does the \$388
7 million additional revenue to Manitoba take into account
8 the lost revenue on domestic sales?

9 Is there any reference to the effect --

10 MR. ROBIN WIENS: Well, that -- that is a
11 step that properly should have been done in this
12 analysis, that -- and normally the way this is done is
13 that you would iterate the changes so that the -- the --

14 THE CHAIRPERSON: Mr. Wiens, I'm just
15 suggesting, to cut through it, the key here, what he's
16 aiming at, is the additional revenue to Manitoba, not to
17 Manitoba Hydro.

18 MR. ROBIN WIENS: The additional export
19 revenue that Manitoba Hydro could obtain of --

20 THE CHAIRPERSON: But calculating out the
21 net effect to Manitoba Hydro's bottom line.

22 MR. ROBIN WIENS: No, he's not. And that
23 would require some additional steps to follow through.
24 Because the reduction in revenue to Manitoba Hydro from
25 the reduction in usage is not going to be the full amount

1 of the -- the 31 percent, because there's another
2 iteration, prices would have to go up yet some more and
3 we would find that we would settle at some equilibrium
4 point here.

5 But the point that I think Mr. Lazar is
6 trying to make is that by pricing your power the way you
7 do, you're giving up the opportunity to earn considerably
8 more on -- on the export market. And that -- that's a
9 fair observation, but it's an observation that's subject,
10 Mr. Chairman, to a number of caveats, not only the one
11 that you've introduced here but to the whole question
12 that we had the discussion with Ms. Bowman yesterday.

13 And in addition, of course there is --
14 there is a -- a price effect in the export markets
15 related to the ability of those markets to absorb those
16 additional quantities which is not taken into account
17 here.

18 And first of all, although it's probably
19 not significant there's likely going to be some price
20 effect. But, more significantly from a very practical
21 perspective Manitoba Hydro doesn't have the capability
22 today to export those additional volumes.

23 THE CHAIRPERSON: You don't have the
24 transmission connections.

25 MR. ROBIN WIENS: That's correct.

1 THE CHAIRPERSON: And this doesn't speak
2 to the impact on the industrial participation in
3 Manitoba?

4 MR. ROBIN WIENS: Well it does, but --

5 THE CHAIRPERSON: Elasticity is supposed
6 to take that into account, I presume.

7 MR. ROBIN WIENS: The elasticity is
8 supposed to be a large measure that may covered a
9 multitude of different types of adaptation. And I was
10 going to get into that by way, hopefully of addressing
11 the concern that was raised yesterday by Ms. Bowman.

12 .25 percent is, I think, not an
13 unreasonable estimate for short run, perhaps even some
14 longer run adaptation by customers over a reasonable arc,
15 if you will, in the demand curve. If you're talking 10
16 percent or 20 percent, or perhaps even up to 30 percent I
17 wouldn't see that as being unreasonable.

18 Beyond that I -- you know I cannot -- I
19 can't -- on the basis of what I have to analyze the
20 information, give a whole lot more direction on this.
21 But my suspicion is that you would be looking at more
22 dramatic impacts on the reduction in consumption in
23 Manitoba.

24 Certainly, if you move from just thinking
25 of the full 22.85 billion kilowatt hours of usage of

1 Manitoba customers as some sort of an organic hole and
2 you start looking at individual customer groups, some
3 will react much more strongly than others.

4 And I suspect that the industrial customer
5 base would react pretty much more strongly and probably
6 more strongly than the 25 percent elasticity that you see
7 here. Maybe not in the short run but within a matter of
8 a few years, you would see some considerable reaction to
9 that type of an increase.

10 And as suggested in here it's -- the
11 intent here is that it would apply to all of the kilowatt
12 hours. So some would be able to absorb it with little
13 impact. Some would have -- there would be a great deal
14 of impact on their operations within the Province.

15 Residential customers would be very likely
16 seriously impacted, but they may have less options to
17 address that type of a rate increase. So they may be
18 required to absorb more of it in their budgets and they
19 may display less elasticity of demand, 127 percent that
20 might well be enough to motivate a lot of our rural
21 electric heat customer to move off electric heat.

22 So they may be able to adjust that way.
23 It's less likely that they would be able to adjust in
24 terms of, you know, changing the way in which they light
25 their houses or run their farms.

1 So it -- I mean directionally all of this
2 is correct, but there's a lot that's left unsaid.

3 MR. ROBERT MAYER: Mr. Wiens, I'm
4 somebody who doesn't have a lot of choice in how I heat
5 my house, at least not right now. So, if I were to
6 calculate my budget amount, let's call it my budget
7 figure because I do use a budget, at two hundred and
8 fifty dollars (\$250) a month.

9 Would I have to multiply that by 227
10 percent or just 127 percent to arrive at this number?

11 MR. ROBIN WIENS: You would have add to
12 127 percent or multiply by 2.27 to arrive at what your
13 cost would be to continue consuming at the same level.

14 MR. ROBERT MAYER: I'm well over five
15 hundred dollars (\$500) a month then.

16 MR. ROBIN WIENS: That sounds right.

17 MR. ROBERT MAYER: And under those
18 circumstances maybe I could go back Stitco because at
19 that point in time, Stitco would in fact probably be at
20 least an option. But, I'm probably in a reasonable
21 position to actually pay that. But --

22 THE CHAIRPERSON: Let's cut Mr. Mayer's
23 per diems.

24 MR. ROBERT MAYER: Yeah. But, I can see
25 significant problems for people who are just making it by

1 and carrying significant mortgages.

2 MR. ROBIN WIENS: Well, of course that's
3 true and this also provides a perfect illustration of the
4 distinction we talked about earlier between short run and
5 long run, Mr. Mayer.

6 If you decided to go to Stitco you may not
7 have that option in the short run. You may have to --
8 you may have to invest in the capability to take propane
9 in order to heat your house and that may take you a
10 longer period than a year.

11 MR. ROBERT MAYER: As a matter of fact,
12 that's exactly what I did in order to get to electricity.
13 The first thing that happened is I blew my hot water tank
14 and out went the gas-fired one and in went an electric
15 one.

16 Sooner or later I ran into a problem with
17 flex connectors and was told that that wasn't a really
18 good plan and I could blow myself up and I decided that's
19 enough of that and I got rid of the gas furnace and put
20 in an electric one.

21 But that all happened over a number of
22 years.

23 THE CHAIRPERSON: If I'm not mistaken
24 we're into all sorts of forms of conjectures. But I
25 don't imagine Professor Miller would mind one bit because

1 what you want, presumably, is to stimulate discussion.

2 You get the point in Mr. Mayer's example
3 if he did convert to Stitco, of course, then Stitco would
4 have to have higher supplies of propane. And propane is
5 a derivative of natural gas so there would have to be
6 increased production of natural gas to be able to supply
7 it.

8 So it's an extremely complex picture to --
9 to model it all the way out I would imagine.

10 DR. PETER MILLER: I would certainly
11 agree with that conclusion.

12

13 CONTINUED BY DR. PETER MILLER:

14 DR. PETER MILLER: Just one question to
15 you as our expert in this matter at present, wouldn't the
16 impact on total rates be to take the one-third (1/3) --
17 basically take the -- the increased rate to 227 percent
18 of the current one, times two-thirds (2/3) of the
19 consumption because you've reduced the consumption by
20 one-third (1/3) and wouldn't that give you the increase,
21 not decreased, income from domestic customers?

22 MR. ROBIN WIENS: Well, I think that's
23 just the point that the Chairman was -- was trying to
24 make a few minutes ago that, yes, indeed, that -- that
25 would be the case. And as I've tried to explain, perhaps

1 we've got further than I intended, you -- you would have
2 to deal with, in terms of your revenue requirement model,
3 there are ways of doing this and you would, but certainly
4 the first step would be, yeah, the revenue is -- the
5 price may have gone up by 127 percent but the -- the
6 revenue has gone -- has not gone up by that much because
7 of the reduction in usage.

8 DR. PETER MILLER: Yes, but it's gone up?

9 MR. ROBIN WIENS: Yes, it will go up.

10 DR. PETER MILLER: And -- and that's on
11 top of the export revenue?

12 MR. ROBIN WIENS: Yes, that's on top of
13 the export revenue.

14 THE CHAIRPERSON: A quick off the top of
15 the head, and believe me, that's exactly the way it is,
16 just running these numbers through my head, your --
17 Manitoba Hydro's net income would rise by \$1.4 billion a
18 year and then you'd have the question that goes back to
19 Mr. Lazar's, what use you'd make of it.

20 DR. PETER MILLER: I think that fits what
21 I recall.

22

23 CONTINUED BY DR. PETER MILLER:

24 DR. PETER MILLER: There's one other
25 aspect of -- of his testimony that I'd like to turn to.

1 It was, I think, page 2 of this exhibit but only page 1
2 had the mistakes, I hope.

3 And that was the example of an aluminum
4 smelter and I think you agreed with Mr. Lazar that, you
5 know, whether it's an aluminum smelter or some other
6 electro-process, that searches out the globe for the
7 lowest available rates; that this would negatively impact
8 the other customers of Manitoba Hydro.

9 Is -- -- do you agree with that kind of a
10 comment? I think in your rebuttal you -- you do.

11 MR. ROBIN WIENS: Well, there's no
12 question, increases in load will certainly, in the short
13 run, they will divert sales away from -- from the export
14 market where Manitoba Hydro is receiving a higher price
15 than the domestic rates. It will reduce -- it will
16 reduce revenue.

17 And to the extent that that loss and
18 revenue can't be absorbed, it will require Manitoba Hydro
19 to come back to this Board and say, We need rate
20 increases for domestic customers.

21 MR. ROBERT MAYER: And that whole issue
22 that was taken by Mr. Lazar was challenged rather
23 significantly by MIPUG's presentation yesterday. If I
24 recall the discussion from Mr. Lazar, was that we really
25 don't want these high energy use low employment

1 industries in Manitoba because they're detrimental.

2 I think particularly Mr. Turner pointed
3 out that they provided us with a study that shows what a
4 great advantage to our gross domestic product the
5 production of finished and exporting finished product out
6 of the province in order to apparently argue or make the
7 point significantly different than Mr. Lazar did.

8 At least that's how I understand basically
9 most of MIPUG's production yesterday, is, Don't hit us,
10 We provide a lot to the province, A lot more than just
11 taking hydro away from export.

12 THE CHAIRPERSON: By the way, I'd just
13 add to that, I don't recall Mr. Lazar's testimony at that
14 time exactly the same. I think what he said basically
15 was that you had to consider the implications of
16 increased use with low employment resulting from it.
17 Like, the risk in the end basically is building another
18 dam and the effect that that could have on domestic
19 customer rates.

20 I think it was a little more complex than
21 just assuming that you didn't want to have the industrial
22 base, it was the implications that might arise out of it,
23 depending what the nature of it was.

24 In other words, it was a discussion, which
25 is exactly what we're having right now.

1

2 CONTINUED BY DR. PETER MILLER:

3 DR. PETER MILLER: Wasn't -- wasn't the
4 initial letter in the sequence that was filed this week
5 saying that a surcharge is under discussion because other
6 customers need to be protected from being prematurely
7 subject to the cost of a new dam or losing that export
8 revenue?

9 Obviously, I'm -- it's a very rough
10 paraphrase but wasn't that the gist of the -- the whole
11 debate that's reflected in those letters?

12 MS. PATTI RAMAGE: Mr. Warden is not here
13 right now, so I'm a little loathe to -- to attempt to
14 discuss those letters.

15 We might -- my own -- or from a legal
16 standpoint they're not -- the subject matter isn't part
17 of this hearing. And from a policy matter, because Mr.
18 Warden isn't here, I -- I'm not really comfortable with
19 the Panel getting -- going down that road.

20 Maybe we could put that over until after
21 the lunch hour.

22 THE CHAIRPERSON: Professor Miller, maybe
23 you want to hold that until Mr. Warden comes back. My
24 recollection of what Mr. Warden said -- and I think I
25 have a pretty good one -- was that the concern was, was

1 that if the sales value was less than the value that
2 could come from the export market, increased sales in
3 domestic market would actually reduce the overall net
4 income to Hydro and that could have rate implications.

5 That if you could sell the power elsewhere
6 for a higher price, if you didn't, you actually sold it
7 at a lower price, there was a loss, an opportunity loss,
8 if you would, that would arise that could be a concern.

9 DR. PETER MILLER: Thanks. I'll accept
10 that as a proxy for Mr. Warden.

11 MS. PATTI RAMAGE: I'm glad you did it,
12 Mr. Lane, and not me.

13

14 CONTINUED BY DR. PETER MILLER:

15 DR. PETER MILLER: And just to spell that
16 out, that means that the -- the steel company and the
17 northern smelters and the pulp companies too would be hit
18 by higher rates from that kind of incremental load.

19 Is that correct?

20 MR. ROBIN WIENS: Yes, that's correct. I
21 mean, if -- if incremental load and the diversion of
22 export revenues or the advancement of the construction of
23 a new dam causes rates to go up, which is reasonable to
24 believe, those rate increases would affect all customers
25 of Manitoba Hydro, including other industrial customers.

1 DR. PETER MILLER: So as a matter of rate
2 protection for other industrial customers, there is good
3 reason to either deter further load or to charge it to
4 something that would compensate for that?

5 MS. PATTI RAMAGE: Mr. Chair, now I think
6 we're crossing over the line from cost of service to
7 rates and I would suggest this might be a matter for
8 another Hearing to ask Mr. Wiens the rate impacts.

9 THE CHAIRPERSON: Have another try at it,
10 Professor Miller.

11

12 CONTINUED BY DR. PETER MILLER:

13 DR. PETER MILLER: All right.
14 Alternatively, the cost of service traditionally has
15 dealt, not just with costs but revenues, as well. And
16 there might be a good reason within the cost concept of
17 attributing somewhat higher costs to customer classes
18 that might otherwise undermine the whole system.

19 MR. ROBIN WIENS: Dr. Miller, the
20 proposal that Manitoba Hydro has put before this Board
21 for this cost of service proceeding, is an attempt to
22 find a little bit more balance in that respect. We
23 recognize that for many of our sales, there is gap
24 between marginal costs or opportunity value of power in
25 the export market and the rate.

1 We believe that the proposal that we
2 brought to the Board goes partway to addressing that gap.
3 It doesn't go all the way and we're acknowledging that.
4 We're also acknowledging that we may need to take other
5 measures in order to deal with that, but we haven't
6 brought those other measures before this particular
7 proceeding.

8 So we're prepared to acknowledge that
9 there's an issue. It's just -- I don't -- I don't know
10 how far we want to talk about how we address that issue,
11 at this proceeding.

12 DR. PETER MILLER: Thank you. I'd like
13 to turn to page 4 of the rebuttal evidence, the last
14 paragraph above regulated reserve fund proposal.

15 And I take it that at least one (1)
16 implication of that is that, is that the PUB has as wide
17 latitude in its determination of just and reasonable
18 rates and the construction of a cost, that there's not
19 just one (1) way to do that?

20

21 (BRIEF PAUSE)

22

23 MR. ROBIN WIENS: Yes, Dr. Miller, we
24 believe that this Board is empowered to look beyond and
25 Manitoba Hydro is empowered to propose beyond the simple

1 strict historic cost considerations. I think, you know,
2 when we're looking at the question of how we design rates
3 and what role the cost of service study has in designing
4 rates there are issues beyond simple historic costs that
5 have to be considered.

6 Particularly, in this type of environment
7 where we have a problem that -- while not absolutely
8 unique in North America is probably close to being unique
9 in its -- in its magnitude and that is the existence of
10 another market with a different basis of pricing than the
11 domestic market. So, yeah, that's why we made that
12 statement.

13 DR. PETER MILLER: Thank you. And in
14 fact you presented four (4) alternatives for
15 consideration here, correct? Four (4) alternative ways
16 of doing the costs?

17 MR. ROBIN WIENS: Yes we have presented
18 four (4) alternatives and some of those alternatives do
19 consider marginal cost relationships. But all four (4)
20 of those alternatives are based on historic cost
21 considerations. They're based on embedded costs derived
22 from our history and from our accounts.

23 So they don't look at other cost concepts
24 as a basis for the costs that are allocated in the cost
25 of service study.

1 They look at other cost concepts as a way
2 of assisting us to understand how we might shape those
3 embedded cost concepts.

4 DR. PETER MILLER: Could we say that Mr.
5 Lazar has presented three (3) more that you went over in
6 JL-6 that -- so we have seven (7), I mean, obviously some
7 more sketchy than others, but we have seven (7) ways of
8 doing a cost before us?

9 MR. ROBIN WIENS: You know, I think I
10 would prefer, in a way, that Mr. Lazar characterize what
11 he is suggesting for this Board rather than trying --
12 you're trying to do it through me.

13 But I will say that the examples that Mr.
14 Lazar has provided do invoke different cost concepts.

15 DR. PETER MILLER: And you quote our
16 friend Mr. Bonbright as saying, at page 3, I think it is,
17 at the bottom:

18 "A cost-based standard is subject to
19 many different interpretations and the
20 interpretation which would best comport
21 with any single objective of rate
22 making is almost sure to be ill-adapted
23 to the attainment of other objectives."

24 And I think that was partly the grounds
25 for recognizing that we can't be fixated on a single

1 concept that we've used in the past.

2 MR. ROBIN WIENS: That quote's taken from
3 what Mr. Williams has characterized as my favourite
4 bedtime reading. And trying to interpret that statement,
5 I guess I'll fall back on the three (3) key rate criteria
6 that Mr. Williams incorporated into his cross-examination
7 of our panel yesterday and perhaps the day before.

8 Just to give examples of objectives and
9 one of those three (3) objectives is -- is recovery of
10 the revenue requirement. So the historic cost concept
11 comports quite well with that objective.

12 Another concept is the -- is providing an
13 efficient price signal. The historic cost concept
14 unmodified does not deal very well with that one. A
15 marginal cost concept is more effective. It's the best
16 cost concept to deal with that particular criteria.

17 And so, you see again in the -- in the
18 discussion I had with Mr. Williams we talked about how
19 you balance among different objectives. So you can see
20 that a pure marginal cost concept addresses one or
21 perhaps other objectives very well, but does not address
22 the revenue requirement objectives so well.

23 So we -- we try to look at balance and
24 this is the point we're trying to make here is that we
25 don't feel we should be restricted. Even though

1 ultimately we -- we're not trying to recover more than
2 our revenue requirement, we don't feel that we should be
3 restricted in order to deal with some of the other key
4 criteria.

5 We don't feel that we should be restricted
6 from looking at some of these other concepts and seeing
7 how they may fit in and assist us in -- in carrying out
8 our analyses based on historic cost.

9 THE CHAIRPERSON: Professor Miller, just
10 to follow up on that, just one thing and we'll turn to
11 another topic, we shouldn't forget that Manitoba Hydro,
12 in all fairness, responded to the Board's directives. We
13 asked them to provide us with the four (4) models and the
14 fourth one being their recommended one.

15 In other words, it was the Board's
16 directive that came out of the last time we were looking
17 at this and we asked for those specific three models plus
18 the one that they recommended. We didn't forbid them
19 from speculating. We asked for four (4) specific models.

20 DR. PETER MILLER: Thanks. That was my
21 understanding too.

22

23 CONTINUED BY DR. PETER MILLER:

24 DR. PETER MILLER: Let me just -- and, in
25 fact, you have employed other models. You've used Mr.

1 Lazar's thing over against MIPUG, for example, and in
2 other places.

3 You have played around with some of these
4 other concepts to shed a different light on -- on some of
5 the issues, that's part of your -- your response; is it
6 not?

7 MR. ROBIN WIENS: If you're referring to
8 Manitoba Hydro's rebuttal evidence?

9 DR. PETER MILLER: Yes.

10 MR. ROBIN WIENS: Yes, certainly we've --
11 we've taken some latitude. We're not -- we're not -- I
12 don't think it was in the spirit of proposing a different
13 cost of service methodology, but it was in the spirit of
14 trying to understand where some of these concepts might
15 lead us and how they might be dealt with.

16 DR. PETER MILLER: I think that was a
17 very useful thing to do. Let me try out this idea.

18 Since you find a need to employ various
19 concepts to clarify the issues, might not the -- the
20 Board in future rate hearings similarly require that, and
21 wouldn't logic -- the logic of that be not have a single
22 form of costs but two (2) or more?

23 MR. ROBIN WIENS: When we get into some
24 of these higher policy matters I miss my colleague to my
25 left, but I will -- I will say that that presumably is

1 for the Board to decide. That -- that's within the
2 Board's purview.

3 And if the Board so directs Manitoba
4 Hydro, of course we -- we would have to -- we would have
5 to comply with that.

6 DR. PETER MILLER: In fact, they recently
7 have directed you to do that in the case of the Centra
8 Gas hearing, have they not, provide two (2) COSS's?

9 MR. ROBIN WIENS: They've asked us to
10 look at a different pricing concept. They haven't
11 necessarily asked us to look at a different cost of
12 service study or to employ other -- other cost concepts
13 in the cost of service study.

14 They've asked us to investigate the
15 possibility of inverting rates in the natural gas -- if
16 that's what you're referring to now.

17 DR. PETER MILLER: Not exactly. What I
18 was thinking of was the -- I wish I knew the terminology
19 -- but there's the one where you calculate in a dividend
20 amount or -- or a rate base, rate of return I think it's
21 called. And -- and then there is the financial target
22 one that -- that you preferred. And -- and I believe the
23 -- the Board asked you to continue to do both.

24 MR. ROBIN WIENS: Dr. Miller, I -- I
25 guess I -- I don't see that in the same light as -- as a

1 different cost concept. I see that as taking basically
2 the same cost considerations and the same definition of
3 costs and treating them in -- in different ways for the
4 purpose of determining the appropriate net income for the
5 Corporation.

6 DR. PETER MILLER: Okay. Thank you.

7 THE CHAIRPERSON: In fairness, Professor
8 Miller, there was other considerations at play when it
9 came to Centra, about the cost of service model as
10 opposed to the rate of return, rate of base, other than
11 issues such as environmental matters.

12 DR. PETER MILLER: No. I appreciate
13 that. I'm just now talking about whether or not a rate
14 setting exercise and hearing needs to be conducted on the
15 basis of a single COSS or whether the perspective of more
16 than one (1) can illuminate some issues, whether they are
17 environmental or -- or any other issue. That was my
18 point.

19 THE CHAIRPERSON: Thank you.

20

21 CONTINUED BY DR. PETER MILLER:

22 DR. PETER MILLER: In the RCM/TREE
23 Manitoba Hydro 1-11 you -- I'm not going to refer to
24 anything specific there, but you present a history of
25 discussions and decisions regarding allocation of net

1 export revenues, 100 percent of that to domestic
2 customers.

3 Well, actually there are a few points that
4 I -- I'd like confirmed. In that history I think you
5 said there was no direction from government as to how to
6 do it. I suppose it is more specific that I had thought
7 originally.

8 MR. ROBIN WIENS: Thanks. I -- I
9 normally prefer to have the reference document in front
10 of me, and I have it now. Thank you.

11 DR. PETER MILLER: You have it. Okay.
12 Thank you. I apologize for not having a -- a book of
13 references. My secretary is on strike.

14 And another part of that was that the only
15 public discussion or forums or technical analyses that
16 pertain to that issue have produced technical analyses
17 within Manitoba Hydro and public discussions in the PUB
18 context, and there hasn't been any other forum or type of
19 analysis for -- for discussion of this basic aspect of
20 how export revenues are treated?

21 MR. ROBIN WIENS: Yes, we said that and I
22 still believe that's correct.

23 DR. PETER MILLER: Okay. And I want to
24 ask if issues of full cost accounting and elasticity were
25 at all a part of -- of those discussions or whether this

1 is essentially the first hearing in which those issues
2 have been raised or discussed, at least to any extent,
3 for which technical analyses have been provided?

4

5

(BRIEF PAUSE)

6

7 MR. ROBIN WIENS: Dr. Miller, this -- the
8 response that Manitoba Hydro provided to this information
9 request I think is probably -- we could spend a lot of
10 time on detail but in broad outline and in terms of the
11 concept considered I think this response is complete.

12

DR. PETER MILLER: What is that?

13

14 MR. ROBIN WIENS: Is complete. That --
15 that it deals with the -- with the gist of the
16 discussions that have occurred on this subject.

17

18 DR. PETER MILLER: Thank you. I think
19 I'll close with a few questions on embedded versus
20 marginal cost. And I want to link that -- the notion of
21 embedded costs to the notion of inter-generational
22 equity.

23

24 Would you agree that inter-generational
25 equity is one of the principles considering when -- when
26 you consider fairness you also consider fairness to
27 current customers and the next generation?

28

1 (BRIEF PAUSE)

2

3 MR. ROBIN WIENS: Yes, we do, Dr. Miller.

4 But I think normally the way we do this is when we look
5 at how we incur costs to pay for a plant and then how we
6 take those costs into our financial statements over a
7 period of time.

8 Our depreciation policy has a lot to do
9 with dealing with inter-generational equity and that
10 would explain why, for example, a plant that we know is
11 going to be providing service for a hundred (100) years
12 is not expensed over one (1) or two (2) or five (5) or
13 even ten (10) years but that we depreciate that plant
14 over the period over which it's going to provide service.

15 So treatment of costs in accounting policy
16 is a large part of how we deal with inter-generational
17 equity.

18 DR. PETER MILLER: Would the size of the
19 debt in your -- or the proportion of debt be another
20 factor in that? In other words, current customers could
21 benefit from lower rates if they were slow in paying off
22 their debt but someone will have to pay eventually?

23 MR. ROBIN WIENS: Yes, that would be fair
24 to say as well. Yes.

25 DR. PETER MILLER: In connection with

1 that and -- and what about the notion of embedded costs;
2 that's historically based and you've acknowledged that
3 the next plant's going to cost more, so if you are only
4 collecting costs related to your historic plant will you
5 recover enough to pay down the -- the next investment
6 that's needed or are you going to put too much of the
7 load on the next generation of customers.

8 I'm wondering if you see an inter-
9 generational equity issue there?

10 MR. ROBIN WIENS: Well, Dr. Miller, that
11 speaks partly to why we -- why we have an objective
12 related to debt equity ratio, is that we would like to be
13 able to -- be able to, without incurring financial
14 difficulty, be in a position to be able to finance
15 additions to our plant, including major additions to our
16 plant.

17 DR. PETER MILLER: So you view the
18 accumulated equity as a basis for that next investment,
19 kind of, a reserve fund contribution towards the more
20 expensive plant that's coming up?

21 MR. ROBIN WIENS: It makes it possible --
22 among other factors, of course, the issue of drought is
23 very much in our mind, as well. But among other factors
24 it makes it possible for Manitoba Hydro to incur debt at
25 reasonable costs to expand its system.

1 And that as that is included, as that is
2 required that Manitoba Hydro would look to increasing its
3 equity -- or maintaining the 25 percent equity ratio by
4 increasing the quantity of equity.

5 DR. PETER MILLER: Why is it that your
6 way of reporting on embedded costs only differ from, say,
7 what's typically presented, well, by MIPUG's customers or
8 others, a replacement cost value? At least in their
9 accounting they talk about -- they revalue, if you will,
10 the plant in terms what you'd have to pay to build it.

11 MR. ROBIN WIENS: Well, I'm not sure that
12 they do that in their accounts, Dr. Miller. I don't
13 believe they do. I think they're simply expressing for
14 the benefit of making something public knowledge that
15 this is the -- this is the value that they would have to
16 invest today in order to continue operations.

17 And you know, the may look at questions
18 such as replacement costs when evaluating future
19 decisions which is exactly the same thing that Manitoba
20 Hydro does.

21

22 (BRIEF PAUSE)

23

24 DR. PETER MILLER: Finally, you've made
25 use of marginal cost concepts which -- as much as were

1 available to you in some of your rebuttals and so on.
2 And you indicated that you have some of them but not
3 others, could you briefly describe, you know, if you were
4 to go a marginal cost route in presenting a COSS, what
5 you're lacking? What you have and what you're lacking?

6 MR. ROBIN WIENS: In order to assist us
7 with our ongoing evaluations of supply options including
8 demand side management, Mr. Surminski and his people
9 regularly undertake to estimate the long run or long term
10 marginal costs of expanding generation supply.

11 We do also from time to time, without the
12 same frequency, examine the costs related to --
13 particularly the capital costs related to the expansion
14 of the transmission and the distribution systems.

15 Although those studies are not undertaken
16 with the same degree of regularity, they're fairly
17 lengthy studies to carry out, they consume resources of
18 the Corporation and they're not required with the same
19 regularity as the studies that Mr. Surminski carries out.

20 So they may not, at any particular time be
21 as current as we might like. So that's one (1) issue.

22 Another issue is that we -- some of the
23 costs of the distribution system are not included, those
24 would be operating and maintenance costs and those would
25 also, I believe it involves some of the -- the cost of

1 the secondary distribution system and connections of
2 customers. So we don't have -- we don't have any data,
3 dated or otherwise, on those materials.

4 And, finally, there are marginal operating
5 and -- and maintenance expenses involved in the
6 distribution system and in the customer service systems
7 which is probably not as serious a deficiency since we
8 do, on an annual basis, forecast those costs, operating
9 and maintenance are current costs. So that's probably
10 not that much of an deficiency.

11 So that -- that describes, I think, where
12 we're at in terms of our ability to estimate marginal
13 costs and where we think we would need to be to have a
14 comprehensive marginal cost of service study.

15 DR. PETER MILLER: Do you have any
16 directional sense of -- of where those further studies
17 would -- would go? In other words, are there any areas
18 in which the marginal costs are likely to be less than
19 the embedded costs?

20 MR. ROBIN WIENS: It's -- it's certainly
21 possible. If you're looking at, for example, a
22 distribution system that's relatively new and that
23 doesn't have to be upgraded or replaced until the very
24 distant future you may be looking at a situation where
25 the time value of money makes those costs less than --

1 than the embedded costs.

2 Generally speaking though you are -- if
3 you're investing in distribution today you're doing so at
4 a cost that's higher than your historically carried
5 costs.

6 DR. PETER MILLER: Okay. Thank you. I
7 think with that I'm -- I'm through and I certainly want
8 to thank the panel, and Mr. Wiens and Mr. Hamlin in
9 particular, for the forthright and informative answers.
10 Thank you all.

11 THE CHAIRPERSON: Thank you, Professor
12 Miller.

13 We'll have our lunch break now and we'll
14 come back at 1:30 and we'll be with Ms. McCaffrey and
15 MIPUG. Thank you.

16
17 --- Upon recessing at 12:04 p.m.

18 --- Upon resuming at 1:38 p.m.

19

20 THE CHAIRPERSON: Welcome back everyone.
21 Particularly welcome back to Mr. Warden.

22 Mr. Peters, am I correct, the first thing,
23 we have undertakings from Ms. Ramage?

24 MR. BOB PETERS: Yes, we do. I think we
25 have two (2), and she can speak to both. And it may also

1 be something that her witnesses may want to comment on as
2 well, just so that we can make sure the Board and the
3 other parties are aware of what's being filed and what's
4 indicated on the filings.

5 THE CHAIRPERSON: Thank you.

6 Ms. Ramage, particularly with respect to
7 Undertaking number 10, it would be helpful if someone in
8 the Panel just quickly ran through it so we'd all have a
9 common understanding.

10

11 (BRIEF PAUSE)

12

13 MS. PATTI RAMAGE: Well, first -- for --
14 begin by introducing them on the record. And Manitoba
15 Hydro is filing answers to two (2) undertakings. The
16 first, number 10, which I would suggest be entered as
17 Exhibit MH-15, and that was the Summary of General
18 Service Large Customer Class Curtailments Between 2001
19 and 04/05.

20

21 --- EXHIBIT NO. MH-15: Summary of General Service
22 Large Customer Class
23 Curtailments between 2001 and
24 2004/2005.

25

1 MS. PATTI RAMAGE: The second matter is a
2 document, it's titled "Customer Weighting for Street
3 Lighting." This is actually the -- an excerpt from the
4 '91 report that was being discussed during Mr. Buhr's
5 cross-examination this morning.

6 It has -- has been filed electronically
7 already, and that's referenced in PUB/MH-II-30, and an --
8 an excerpt from the same -- same report was filed in
9 PUB/MH-I-29, but the actual link you'll find in II-30,
10 but so that the parties have a hard copy here, this is
11 the excerpt dealing with street lighting.

12 THE CHAIRPERSON: Thank you, Ms. Ramage.
13 So you've selected Mr. Wiens to give us a quick run
14 through on this?

15 MS. PATTI RAMAGE: That's right. But
16 before I turn it over to Mr. Wiens to run through Exhibit
17 15, Mr. Hamlin also had a response that he wanted to
18 enter into the record in response to a -- a question Mr.
19 Evans had posed yesterday.

20 THE CHAIRPERSON: Mr. Hamlin...?

21 MR. WILLIAM HAMLIN: Yes, with regard to
22 how big Manitoba Hydro's emissions are relative to -- to
23 provincial emissions, according to Canada's most recent
24 National Greenhouse Gas Inventory in the year 2003, total
25 emissions for the Province of Manitoba were 21.3 million

1 tonnes of carbon dioxide equivalent emissions.

2 Manitoba Hydro's emissions from Brandon
3 and Selkirk generating stations were less than 0.8
4 million tonnes. As such Manitoba Hydro's emissions made
5 up about 3.7 percent of the total provincial emissions in
6 2003. This percentage would vary from year to year.

7 And to add a little further context,
8 Manitoba Hydro's emissions are less than 1 percent of the
9 total national greenhouse gas emissions from the
10 electricity sector.

11 THE CHAIRPERSON: Thank you, Mr. Hamlin.
12 Mr. Wiens...?

13 MR. ROBIN WIENS: Yes, this is Exhibit
14 MH-15, response to our undertaking -- fulfilment of our
15 Undertaking Number 10 which was to file a summary of
16 general service large customer class curtailments
17 covering the period 2001 to 2004/05. I believe this was
18 in response to Mr. Williams. And basically for the most
19 part the exhibit appears to speak for itself.

20 It's telling you that during the fiscal
21 year 2001/2002, we had only three point eight, eight
22 (3.88) hours of curtailment during the course of the year
23 and these affected only one (1) customer of the two (2)
24 that were subscribed or enrolled in the program in that
25 year.

1 That customer was enrolled under the
2 option A as well as E so that the -- there were a number
3 of possibilities for curtailment of that customer. These
4 were clearly option A type curtailments which are limited
5 to four and a quarter (4 1/4) hours in duration and it
6 appears that there was one (1) curtailment only that
7 covered close to four (4) hours in duration and the
8 customer reduced 66 megawatts of their load that year.

9 There were no curtailments of any
10 customers under the program during the fiscal year of
11 April 2002 ending March 31st, 2003. In the following
12 fiscal year there were a number of curtailments. This is
13 fiscal 2003/2004. The infamous drought year. We see
14 here that there are fourteen (14) curtailments for the
15 option A customer.

16 And a somewhat lesser number of
17 curtailments for some of the other customers.
18 Significant curtailments totalled about a hundred and
19 twenty (120) megawatts and they lasted, for the most
20 part, up to the maximum of four and a quarter (4 1/4)
21 hours.

22 All of these curtailments took place
23 during the months of July and August. In fact, all but
24 one (1) took place during the month of August and some
25 people will recall that this was an -- this was an

1 extremely hot month. It was one of the hottest months in
2 recent record and that would have constrained the
3 capacity resources of Manitoba Hydro due to air
4 conditioning load.

5 And so consequently that would explain the
6 large -- relatively large number of curtailments and
7 their concentration in the month of August.

8 The following year, which is the last year
9 for which this information was requested, shows that
10 Manitoba Hydro carried out four (4) curtailments in
11 total. Largely affecting one (1) customer. The total
12 hours curtailed was about nine and a half (9 1/2) and the
13 typical megawatt reduction was in the range of ninety
14 (90) to a hundred and thirty (130).

15 All of these curtailments occurred at the
16 opposite end of the year when it was very cold and
17 Manitoba Hydro would have had perhaps capacity concerns
18 with respect to high heating loads.

19 THE CHAIRPERSON: Thank you, Mr. Wiens.

20 MR. ROBERT MAYER: Mr. Wiens, am I
21 reading this correctly, the August curtailments look like
22 they were two (2) a day in the dates they happened,
23 August 11th, two (2), August 14th, 15th, 18th, 19th and
24 20th, two (2) curtailments a day.

25 You say four point two five (4.25) hours

1 is the top end and then, I take it, at any given time,
2 because obviously they went to four point two five (4.25)
3 on August 20th and then another two point six two (2.62)
4 I'm assuming later that day.

5 MR. ROBIN WIENS: That's correct. The --
6 the terms and conditions allow for curtailments, more
7 than one (1) curtailment on a single day, in fact, it I
8 believe expressly contemplates that situation.

9 In a -- in a situation like this, a hot
10 summer day, you're looking at the peak being fairly
11 sustained from the period of about noon until getting
12 past the supper hour, 7:00 or 8:00 p.m. So this would
13 have been required probably in the earlier and then again
14 in the later afternoon.

15 MR. ROBERT MAYER: I'm looking now at
16 August 11th and curtailment is point zero three (.03)
17 hours, which strikes me, if my calculations are correct,
18 as one point eight (1.8) minutes. That strikes me as --
19 why would you do that?

20 MR. ROBIN WIENS: One moment, please.

21

22 (BRIEF PAUSE)

23

24 MR. ROBIN WIENS: Well, it was only
25 supposed to be one (1) curtailment but it exceeded the --

1 it exceeded the maximum, so Manitoba Hydro had to treat
2 it as a second curtailment.

3 MR. ROBERT MAYER: Thank you.

4 THE CHAIRPERSON: Thank you again, Mr.
5 Wiens, Mr. Mayer.

6 Just before turning matters over to Ms.
7 McCaffrey --

8 MR. BYRON WILLIAMS: Mr. Chairman, if --

9 THE CHAIRPERSON: Please.

10 MR. BYRON WILLIAMS: -- if I might. This
11 was in response to a CAC/MSOS undertaking. So I just
12 have two (2) or three (3) very simple questions that flow
13 from -- from this response.

14 THE CHAIRPERSON: That's fine.

15

16 RE-CROSS-EXAMINATION BY MR. BYRON WILLIAMS:

17 MR. BYRON WILLIAMS: Just, Mr. Wiens,
18 just so I understand it. In terms of the Option A
19 Program, in the -- the summer months, the -- there's a
20 maximum duration per curtailment of four point two five
21 (4.25) hours and the maximum number of hours in a day in
22 a summer month would be ten (10) hours in one (1)
23 particular day?

24 MR. ROBIN WIENS: That sounds right.

25 MR. BYRON WILLIAMS: And, again, just so

1 I understand, for this Option A type customer, the
2 maximum annual hours of curtailment would be sixty-three
3 point seven five (63.75) hours; correct?

4 MR. ROBIN WIENS: That's correct.

5 MR. BYRON WILLIAMS: So even in this
6 year, the drought year, they were at -- they were at
7 forty-eight point three three (48.33) hours, so that
8 would below the maximum hours of curtailment?

9 MR. ROBIN WIENS: That is correct. But
10 there are a number of constraints on the curtailments,
11 not only the total hours.

12 MR. BYRON WILLIAMS: Fair enough. Good
13 point.

14 And just finally, I guess when -- when you
15 look at this undertaking response in its entirety it
16 points to the -- the fact that there's capacity
17 constraints faced by Hydro sometimes in the summer,
18 sometimes in the winter; would that be fair?

19 MR. ROBIN WIENS: Those are the times
20 that they would most typically be faced, yes.

21 MR. BYRON WILLIAMS: Thank you, Mr.
22 Chair.

23 THE CHAIRPERSON: Thank you, Mr.
24 Williams.

25 Just for the benefit of Ms. McCaffrey and

1 Mr. Warden in particular, who weren't here, just before
2 lunch, when Professor Miller was doing his cross-
3 examination. Led by Professor Miller, we ended up in a
4 fairly wide ranging discussion related to environmental
5 matters.

6 And, Mr. Wiens, this caused us some
7 thought over the lunch break. Mr. Wiens, reflecting on
8 your discussion with Professor Miller before the break,
9 you explained how different definitions of cost have
10 different advantages and perhaps can be for different
11 purposes.

12 Would you comment on the merit of
13 considering conceptually, say, two (2) cost of service
14 studies, perhaps one being your recommended model or, in
15 any case, one based on historic cost, the other
16 reflecting as well, if you like, deemed environmental
17 costs, then weighing the two (2) studies to arrive at one
18 (1) set of RCC, conceptually.

19

20 (BRIEF PAUSE)

21

22 THE CHAIRPERSON: Just conceptually, Mr.
23 Wiens, and also in that of course the weightings wouldn't
24 have to be the same.

25 MS. PATTI RAMAGE: Mr. Chairman, I'm

1 wondering if we could get back to you on that, just so
2 that the Panel could have an opportunity to discuss it
3 amongst themselves, maybe after this afternoon's break or
4 later on.

5 THE CHAIRPERSON: Sounds more than fair
6 since we mused on it for some time. Thank you.

7 Ms. McCaffrey?

8

9 CROSS-EXAMINATION BY MS. TAMARA MCCAFFREY:

10 MS. TAMARA MCCAFFREY: Thank you, good
11 afternoon Mr. Chair and Members and of the Board. Just
12 to start things off, I wondered if I might request two
13 (2) undertakings from My Friends at Hydro.

14 One (1) of which Ms. Ramage and I chatted
15 about earlier, we -- and I understand there wouldn't be
16 any objection to providing but we haven't received it
17 yet. And the other one (1) is just in relation to some
18 of the things we're going to be talking about, it would
19 just make it easier to have it on the record, it's
20 nothing new.

21 But, the first was in the Manitoba Hydro
22 rebuttal evidence at around page 41 there's that table,
23 Ms. Ramage, that you and I looked at. And it talks about
24 the impact of moving from a four (4) marginal cost period
25 to a twelve (12) period.

1 (BRIEF PAUSE)

2

3 MS. PATTI RAMAGE: Yes, we have it.

4 MS. TAMARA MCCAFFREY: Okay. And
5 underlying those costs or those calculations are the
6 marginal cost by period, I take it, is that --

7 MR. ROBIN WIENS: Yes the marginal cost
8 averaged over the twelve (12) periods and not just over
9 the four (4) periods, yes.

10 MS. TAMARA MCCAFFREY: Right. Okay. And
11 then the MIPUG witnesses have calculated for twelve (12)
12 periods. Also underlying those calculations is the
13 amount of energy used in each period by each class, is
14 that right, sir?

15 MR. ROBIN WIENS: That's right.

16 MS. TAMARA MCCAFFREY: So in other words,
17 in order to get these results you have to know how much
18 energy each class uses in each of the periods?

19 MR. ROBIN WIENS: Yes.

20 MS. TAMARA MCCAFFREY: Can you provide
21 that breakdown of customer class energy, including export
22 class by firm and opportunity for each of the twelve (12)
23 periods?

24 MIPUG witnesses had calculated it -- you
25 used -- have calculated it before and then you've looked

1 at -- or MIPUG witnesses used the twelve (12) period,
2 you've compared them, the recommended method four (4)
3 period classification comparing the twelve (12) periods,
4 could we get it for each of the twelve (12) periods?

5 And while we're at it the -- a comparable
6 thirty-six (36) period version, that would be for each of
7 the twelve (12) months in each of three (3) periods?

8

9 --- UNDERTAKING NO. 16: Provide breakdown of customer
10 class energy, including export class by
11 firm and opportunity for each of the
12 twelve (12) periods

13

14 MS. PATTI RAMAGE: While our witnesses
15 are discussing this amongst themselves, I can indicate
16 that we have been working on that. And I think there's a
17 component of your -- of your request that either caused
18 concern or they were having a little more difficulty
19 getting that data.

20 So I think in a moment we'll --

21 MS. TAMARA MCCAFFREY: I wonder if -- is
22 it a problem with the way I've asked the question, I can
23 try it again.

24 MS. PATTI RAMAGE: No, I don't think it's
25 a problem with the question, if you just give us one (1)

1 moment I think Mr. Wiens will be able to give you the
2 status of where that's at.

3 MR. ROBIN WIENS: We should be able to
4 very shortly provide you with the information requested
5 for the twelve (12) periods. I don't believe that within
6 the timeframe of this proceeding, between now and final
7 argument, we can do the thirty-six (36) periods.

8 We simply don't have a database that's set
9 up to do that.

10 MS. TAMARA MCCAFFREY: Thank you, Mr.
11 Wiens. Thank you. The second undertaking then that I'll
12 be seeking from you deals with, again, MIPUG's evidence
13 at page 15, you don't need to turn to it, but it sets out
14 export revenues by total dollar value for each of the
15 PCOSS '95, '97, '02, '04 and '06.

16 Since we've been talking about the unit
17 price of exports in this proceeding, can you please
18 provide the quantity of each of the firm and opportunity
19 exports that was assumed for each of those PCOSS and that
20 was '95, '97, '02, '04 and '06 and the reference is page
21 15 of the MIPUG evidence.

22 And here we're talking about the average
23 unit price for firm and export opportunity -- firm
24 exports and opportunity exports on a kilowatt hour basis
25 if that -- could you get that for us?

1 MR. ROBIN WIENS: We will attempt to do
2 this. You are aware, of course, that we have not
3 proposed an export class in most of those cost of service
4 studies so we have not made any assumptions in those
5 studies about the distinction between firm and
6 opportunity exports.

7 So it's a matter of going back into
8 historical records that other people in the Corporation
9 are responsible for to -- to try to be responsive to that
10 part of your question.

11 MS. TAMARA MCCAFFREY: Would you be able
12 to look at sales at the meter the -- basically what you
13 sold. What the exports were; is that something that you
14 can use. I understand from -- from the consultants that
15 are assisting me that that would be useful.

16 MR. ROBIN WIENS: We can certainly obtain
17 kilowatt hour data on exports during those periods.
18 Whether we can effectively put them into the two (2)
19 classes that we have in 2005/2006 cost of service study
20 that's something we'll have to determine.

21 MS. TAMARA MCCAFFREY: Okay. So if we
22 get the total dollar revenue and the kilowatt hours we
23 can probably work with that, I think. If you could try
24 and get us that we would really appreciate that, Mr.
25 Wiens.

1 --- UNDERTAKING NO. 17: Provide the total dollar
2 revenue and the kilowatt hours for
3 '95, '97, '02, '04 and '06
4

5 CONTINUED BY MS. TAMARA MCCAFFREY:

6 MS. TAMARA MCCAFFREY: All right. Let's
7 now move on to our conversation here. We're obviously
8 looking at changes to the established cost of service
9 study in this hearing and we're doing that, Mr. Wiens,
10 because export revenues have grown significantly and by
11 that I'm talking about the unit value, price per kilowatt
12 hour has grown, not the magnitude of the exports; am I
13 understanding your earlier evidence correctly, sir?

14 MR. ROBIN WIENS: Well, I think we said
15 both but there is a -- there is a considerable degree of
16 concern about the unit value as well.

17 MS. TAMARA MCCAFFREY: Well, I'd better -
18 - I want to make sure I understand your evidence.
19 Because what I understood you to say is that the
20 magnitude you didn't think had actually grown that much.
21 I believe that was in response to Mr. Peters' question,
22 that the value -- the unit value is something that has --
23 that's the real driver?

24 MR. ROBIN WIENS: Yes, it is.

25 MS. TAMARA MCCAFFREY: And, of course,

1 what falls out of that is some of which Dr. Miller was
2 talking to you about this morning and that is that you
3 could sell a kilowatt hour for more money in the United
4 States than you can in Manitoba?

5 MR. ROBIN WIENS: Sell a kilowatt hour
6 for more outside Manitoba than in Manitoba.

7 MS. TAMARA MCCAFFREY: Not all your
8 exports are to the United States. A big proportion of
9 them are though, as I understand?

10 MR. ROBIN WIENS: That's my understanding
11 as well.

12 MS. TAMARA MCCAFFREY: And you've said
13 that this creates a problem for Manitoba Hydro from your
14 perspective and that problem is a gap -- there's a gap
15 between the market price and the domestic prices for
16 power?

17 MR. ROBIN WIENS: Yes. It means that
18 we're dealing with a situation where domestic load growth
19 is -- has an implication for rate increases.

20 MS. TAMARA MCCAFFREY: Not as profitable?

21 MR. ROBIN WIENS: Well, definitely not as
22 profitable, but it has an implication for rate increases
23 for all customers. Domestic load growth results in a
24 requirement to increase rates.

25 MS. TAMARA MCCAFFREY: So you -- so you

1 have a gap that's causing you this concern. The only way
2 to actually close the gap though, sir, in reality, would
3 be to charge market prices in Manitoba and Manitoba Hydro
4 doesn't want to do that; correct?

5 MR. ROBIN WIENS: That's correct.

6 MS. TAMARA MCCAFFREY: And as an example
7 in market jurisdictions like Alberta smaller customers
8 are charged market prices to both power and to the
9 distribution functions.

10 Are you aware of that?

11 MR. ROBIN WIENS: I'm aware that the
12 supply is priced at market. I was not aware that the
13 distribution function was priced at market. My
14 understanding is that the transmission and distribution
15 functions are regulated.

16 MS. TAMARA MCCAFFREY: They're -- they're
17 also driven by -- by market cost, we're -- and we're not
18 doing that in Manitoba; that's not on the map at all
19 today.

20 Am -- am I right?

21 MR. ROBIN WIENS: Transmission and
22 distribution costs are driven by market prices?

23 MS. TAMARA MCCAFFREY: You're -- you're
24 not going to start charging market prices here, in this
25 province, assigned to any...

1 (BRIEF PAUSE)

2

3 MS. TAMARA MCCAFFREY: I think you've
4 answered the question actually already. I don't want to
5 be muddling it further. My point simply is that in order
6 to close the gap between market and domestic, you'd have
7 to charge market prices here in Manitoba and -- and
8 you're not going to do that. It's a fairly simple
9 proposition, I think.

10 MR. VINCE WARDEN: There -- there's no
11 application before the Public Utilities Board at this
12 time to charge market prices.

13 MS. TAMARA MCCAFFREY: And so what I'm
14 suggesting then is -- is Manitoba Hydro can live with
15 that gap and it allows in fact Manitoba Hydro to boast
16 about having the lowest cost hydro power in North
17 America.

18 Would you agree with that, Mr. Warden?

19 MR. VINCE WARDEN: Well, I don't think
20 we've ever said it's a gap we can live with indefinitely,
21 no.

22 Can we boast about lowest prices in North
23 America? We certainly can today.

24 MS. TAMARA MCCAFFREY: But you couldn't
25 if you went to market.

1 MR. VINCE WARDEN: If we went to market,
2 you're right, we wouldn't be able to do that.

3 MS. TAMARA MCCAFFREY: And having the
4 lowest cost, of course, in North America is something to
5 boast about because it's a good thing, it can attract
6 industry to Manitoba and -- and new residents to
7 Manitoba.

8 Would you agree with that? Are those good
9 things?

10 MR. VINCE WARDEN: Well, we've always
11 regarded it as a good thing in the past and we, to use
12 your words, do tend to boast about it sometimes.

13 MS. TAMARA MCCAFFREY: So these are good
14 things for Manitoba but not quite so simple for Manitoba
15 Hydro because, of course, the more domestic sales you
16 have, the more domestic load, the less for exports, which
17 is what I think Mr. Wiens was talking about earlier.

18 MR. VINCE WARDEN: We like to think that
19 what's good for Manitoba Hydro is good for Manitoba.

20 MS. TAMARA MCCAFFREY: Well, you know,
21 and I'd like to think that too, Mr. Warden. And maybe I
22 can -- you -- you would like to think that but the
23 reality is -- the reality is, and I think everybody in
24 this room knows it -- that new load means more sales on
25 this side of the border, less for exports, and it does

1 have an impact on Manitoba Hydro's bottom line.

2 Mr. Wiens said as much when he was talking
3 about rate increases; right?

4 MR. VINCE WARDEN: It does have an impact
5 on Manitoba Hydro's bottom line, yes.

6

7 (BRIEF PAUSE)

8

9 MS. TAMARA MCCAFFREY: Rate setting is
10 not cost of service and we're looking at the -- the
11 proposed change to cost of service. So I'd like to talk
12 about that now.

13 And -- and just to start off, have you
14 made efforts outside this hearing to -- to get input from
15 customer classes with respect to the proposed change to
16 cost of service?

17 MR. ROBIN WIENS: I would say that we
18 have relied principally and almost entirely on this
19 process to review the changes in cost of service.

20 MS. TAMARA MCCAFFREY: Thank you.

21 Now, Mr. Wiens or -- or Mr. Thomas, can we
22 agree that at least some portion of export revenues
23 should continue to be assigned to the bulk power
24 functions?

25 Is that still reasonable?

1 MR. ROBIN WIENS: We're doing that in two
2 (2) ways in our recommended method.

3 First of all, we are attempting to isolate
4 and -- and we've had considerable discussion about the
5 degree of success we had in isolating those costs
6 associated with the bulk power system that can be
7 attributable to exports.

8 And we have assigned those costs to the
9 two (2) export classes. So, yes, there is a certain
10 portion of export revenues that tracks back to the
11 generation and transmission functions by virtue of the
12 fact that we've created an export class.

13 Then there is a very, very significant
14 portion of the remainder of the export revenue that is
15 the net export revenue after allocation of costs to the
16 export class, that is also credited back to domestic
17 customers on the basis of generation and transmission
18 costs.

19 Our proposal which says, let's do it on
20 the basis of total costs, well generation and
21 transmission costs are 70 percent of total costs, plus we
22 have already isolated a significant portion of the export
23 revenues and said, those have to come in the cost we
24 apply to those classes.

25 So what we are recommending is probably

1 close to 85 or perhaps more percent of the export
2 revenues received by the Corporation being allocated or
3 benefiting Manitoba customers on the basis of their use
4 of the generation and transmission system.

5 So, yes, we do agree that some of the
6 costs should be credited back to generation and
7 transmission and we believe we've gone very, very far in
8 that regard.

9 MS. TAMARA MCCAFFREY: Thank you Mr.
10 Wiens. You've just shortened a few of my questions with
11 your answer, so I'm sure you'll be happy about that.

12 Cost of service helps achieve fairness, in
13 the system right, would you agree with that?

14 MR. ROBIN WIENS: That's an objective
15 that we try to attain, yes.

16 MS. TAMARA MCCAFFREY: It's kind of a
17 road map for fairness that you look at when you get to
18 the rate design portion, correct?

19 MR. ROBIN WIENS: That's correct.

20 MS. TAMARA MCCAFFREY: And of course, the
21 reason why it serves that purpose is because it tracks
22 costs to the customer classes based on the extent to
23 which those classes use the different parts of the
24 system. So there's a logical and objective connection,
25 is that fair?

1 MR. ROBIN WIENS: That is the objective.

2 MS. TAMARA MCCAFFREY: In talking about
3 different parts of the system I want to talk about the
4 functions. And the big three (3) are generation,
5 transmission and distribution.

6 We can agree on that, we know there's some
7 ancillary ones, but those are the big -- the main
8 functions of the system, correct Mr. Wiens?

9 MR. ROBIN WIENS: Those are the largest
10 three (3).

11 MS. TAMARA MCCAFFREY: And obviously
12 you're not going to disagree with me because you just
13 said this is what you do, generally it's important to
14 keep costs linked to the functions in order to maintain
15 the integrity of the cost of service, would you agree
16 with that, as well?

17 MR. ROBIN WIENS: It's important to
18 understand how different classes incur costs in the
19 different functions, yes.

20 MS. TAMARA MCCAFFREY: And just to really
21 highlight this distinction between function and
22 allocation let's take an example where there's three (3)
23 utilities.

24 Utility A, is just responsible for
25 generation, that's all it does. Utility B, transmission

1 utility. Utility C, we've got distribution.

2 Now, I know Manitoba Hydro has all three
3 (3) of those functions within it, but let's pretend
4 there's three (3) separate utilities here. Are you with
5 me so far?

6 MR. ROBIN WIENS: I'm with you.

7 MS. TAMARA MCCAFFREY: So we've got each
8 separate utility performing a separate function. And
9 we've got surplus power which is being sold in the export
10 market at a handsome profit, just like we do in Manitoba.
11 Which company is going to get that profit?

12

13 (BRIEF PAUSE)

14

15 MR. ROBIN WIENS: It really depends who
16 owns the companies, doesn't it?

17 MS. TAMARA MCCAFFREY: Okay. Well, why
18 don't we say, who do you think? There's generation -- is
19 it going to be a generation utility? Does it makes sense
20 that they're going to get profits on the export? They're
21 the ones that are making the power that's being sold in
22 the export market, does that make sense?

23 MR. ROBIN WIENS: Well, I yes -- it makes
24 sense that the revenues and therefore the profits flowed
25 back through the generation utility. But, you know, that

1 only says which utility they reside in that doesn't say
2 about how they're going to be used.

3 If we were talking, for example, about a
4 private utility those benefits would accrue to the
5 shareholders of that utility.

6 MS. TAMARA MCCAFFREY: I'm talking to you
7 at a simple level because it's important, I think. When
8 we talk about integrity of the cost of service, we talk
9 about functions, I think it's important that we have a
10 clear idea. Everybody in this room has a clear idea in
11 its mind of how this works.

12 Okay, so if we did have three (3) separate
13 utilities the export profits would go to the generation
14 utility. Maybe some -- some percentage to the
15 transmission utility. Those are the utilities that can
16 provide the exports.

17 A distribution utility doesn't have
18 exports. It isn't selling anything to exports and so I
19 can't conceive of a situation in that scenario where the
20 distribution -- distribution utility would get a cheque
21 from the exports.

22 Can you, sir, in that example?

23

24

(BRIEF PAUSE)

25

1 MR. ROBIN WIENS: If -- if the
2 distribution utility was part owner of the generation
3 utility it would be entitled to receive some of the
4 profit.

5 MS. TAMARA MCCAFFREY: But you're talking
6 about the share -- a shareholder?

7 MR. ROBIN WIENS: Yes. Or a notional
8 shareholder.

9 MS. TAMARA MCCAFFREY: That -- that's --
10 that's fine Mr. -- Mr. Wiens. I -- I just wanted to make
11 the distinction between the functions clear as to which
12 functions are making the exports happen. I think
13 everybody knows that I asked you to look at it as three
14 (3) separate utilities for the purposes of this
15 discussion.

16 Because in Manitoba all those three (3)
17 functions are, of course, within your Utility it makes
18 the cost of service an essential tool, as you've already
19 indicated, for tracking the costs of each component of
20 the system; correct, sir?

21 MR. ROBIN WIENS: It makes the
22 functionalization important.

23 MS. TAMARA MCCAFFREY: And, again, if
24 someone were to ask you why does Manitoba Hydro bother
25 with the cost of service, you or Mr. Thomas or Mr. Warden

1 would say because it keeps the rates fair between
2 customer classes; that's what it's designed to do, would
3 you agree with that?

4 MR. ROBIN WIENS: It does that and I
5 think more fundamentally we want to understand where we
6 are incurring these costs.

7 MS. TAMARA MCCAFFREY: Which is important
8 because, again, you have to have that link; right? That
9 functional link between costs?

10 MR. ROBIN WIENS: We want to understand
11 where the costs are being incurred.

12 MS. TAMARA MCCAFFREY: And similarly, and
13 I'm not going to get into revenue cost coverage ratios in
14 any great detail because it's been covered already but
15 similarly the fallout from that, the revenue cost
16 coverage ratios and a zone of reasonableness, these are
17 all things, again, aimed at ensuring that rates are fair,
18 taking into account the costs that the customers impose
19 on the system as they're allocated to the functions of
20 the system itself?

21 MR. ROBIN WIENS: Varying that,
22 expressing in a simple way where we believe the costs
23 reside on the system and how they relate to the revenues
24 that the system is obtaining.

25 MS. TAMARA MCCAFFREY: If we didn't have

1 a cost of service study to do this then -- then what?
2 How would we achieve that? Imagine with me what -- what
3 that would look like; or can you?

4 MR. ROBIN WIENS: Well, I have never
5 known a situation at Manitoba Hydro in which we did not
6 have a cost of service study. But I understand that
7 prior to about nineteen (19) -- the mid 1970's that we
8 may not have had the level of sophistication that we have
9 in the cost of service study today.

10 But the people that were responsible for
11 the system and responsible for setting rates would have
12 had other tools and they would have resembled the cost of
13 service study. They would have been a rudimentary cost
14 of service study.

15 They would have come from the accounting
16 records of the Utility and from the revenue requirement
17 of the Utility.

18 MS. TAMARA MCCAFFREY: Which illustrates
19 how important it is for fairness?

20 MR. ROBIN WIENS: It's important for
21 every business to understand its costs and how they're
22 incurred.

23 MS. TAMARA MCCAFFREY: And I'm talking to
24 you about your electric utility business and it's
25 important, it's essential for fairness. If you didn't

1 have that as a marker you could have rates going willy
2 nilly all over the place; right?

3 You could have preferential treatment for
4 some classes of customers over others. You would
5 basically -- you wouldn't have anything to guide you. It
6 could be subject to policy -- changing policies. There
7 wouldn't be any -- any solid foundation?

8 MR. ROBIN WIENS: Or it would be more
9 rudimentary. You can -- and I think anybody here could
10 conceive and perhaps this is how the general public can
11 best conceive of it is that we have a revenue requirement
12 and we distribute a number of kilowatt hours and we -- we
13 could simply price cost per kilowatt hour.

14 Now, we recognize that kilowatt hours
15 aren't the only driver in the system. So with time we do
16 become more sophisticated and with time we evolve the
17 tools to match the level of sophistication that we're
18 trying to employ in understanding our costs and in
19 recovering them.

20 MS. TAMARA MCCAFFREY: And it reduces the
21 subjectivity and the judgment, to a certain extent,
22 having a cost of service tool as opposed to not having
23 one at all?

24 MR. ROBIN WIENS: Yes.

25

1 (BRIEF PAUSE)

2

3 MS. TAMARA MCCAFFREY: Now, I know you
4 probably won't like this, Mr. Wiens, but your new
5 allocation of export revenue to a different function,
6 that is not the bulk power function giving rise to the
7 export, but the distribution function, it can't be
8 justified on the basis of cost -- on the basis of
9 functions, giving rise to the cost of exports, giving
10 rise to the export revenues, though you are trying to
11 justify it on -- on the basis of a different way, so I
12 know you're going to jump into that.

13 Go ahead.

14 MR. ROBIN WIENS: If you make the
15 assumption that the revenues themselves must be tied to
16 the actual resources or functions that cause them to be
17 achieved, to that very narrow extent you're correct.

18 But to go back to your example of the
19 generating company, the generating company receiving all
20 the profit. The generating company may or, depending on
21 its circumstances, it may opt to do a cost of service
22 study. It may opt to do a cost of service study and
23 allocate costs to the different markets that it serves.

24 And if one market should happen to provide
25 significantly greater profit than another market, the

1 generating company, if it were a private company, would
2 simply appropriate that profit and it would go to
3 increase the value of the shares. It would not
4 necessarily be returned to customers in the other market.

5 MS. TAMARA MCCAFFREY: Oh, no, it
6 wouldn't in that example. And that -- that bears
7 something thinking about. Maybe we'll talk a little bit
8 more about that later, Mr. Wiens.

9 Your -- you indicate this is your
10 preferred approach though that you're putting forward,
11 this change in allocation, that's the big change.
12 There's other things we're going to talk about but the
13 change in allocation to the distribution function, is
14 your preferred approach given the constraints of a cost
15 of service model. Did you use the term "constraints?"

16 MR. ROBIN WIENS: It's our preferred
17 approach looking around at the options that are available
18 to us to threat these revenues in a cost of service
19 study. There are many other approaches we could -- even
20 within that particular limitation -- that we could have
21 proposed, and we did not.

22 We proposed this approach as being
23 straightforward, as benefiting all of the Utility's
24 customers, maintaining some continuity, and improving a
25 little bit in terms of the relative gap between marginal

1 costs and embedded costs for the different classes.

2 So this approach is not chosen on the
3 basis that one might analogously say to the generation
4 company that appropriates the large profit from one
5 market to its shareholders. There's any number of other
6 basis on which it could return those. Those are -- those
7 are not necessarily tied to the costs of the generation
8 and transmission resources.

9 MS. TAMARA MCCAFFREY: Exactly. And
10 that's why I'm wondering about this notion of being
11 constrained within that cost of service box. There may
12 be other ways of dealing with it, outside of cost of
13 service. And -- and that's the point I'm really getting
14 at, Mr. Wiens.

15 Would you agree?

16 MR. ROBIN WIENS: There are other ways of
17 doing it and -- and those would involve other actors
18 participating in the discussion.

19 MS. TAMARA MCCAFFREY: Well, I'm glad --
20 I'm glad to hear -- hear you say that, Mr. Wiens.

21 I just want to talk -- I don't think you
22 necessarily need to turn to it, but the IFF that's been
23 filed, Mr. Warden, the current PCOSS-06, it's based on an
24 underlying IFF which is the IFF-04.

25 Is that right, sir?

1 MR. VINCE WARDEN: That's correct.

2 MS. TAMARA MCCAFFREY: Now, IFF, of
3 course the financial forecast, it sets out the
4 Corporation's various costs and forecast revenues.

5 Yes, sir?

6 MR. VINCE WARDEN: It does.

7 MS. TAMARA MCCAFFREY: Now, in the case
8 of IFF/04, there's about \$1.5 million in revenue -- this
9 won't get too involved into this, but, there's about \$1.5
10 million in revenues from exports and domestics?

11 MR. VINCE WARDEN: 1.5 billion? Yes it's
12 billion.

13 MS. TAMARA MCCAFFREY: Just let me get
14 out my red pen and just change that right now. In fact,
15 let's get that IFF and have it in front -- it might help.

16 It's in the Public Utility Board book of
17 documents and it's at Tab 3.

18

19 (BRIEF PAUSE)

20

21 MS. TAMARA MCCAFFREY: Who typed that
22 question anyway -- okay it's 1.5 billion in revenues from
23 exports and domestics. We've got it.

24 MR. VINCE WARDEN: I do have it, 1.5
25 billion and I think we're referring to the fiscal year

1 05/06, is that correct --

2 MS. TAMARA MCCAFFREY: Yes --

3 MR. VINCE WARDEN: So 1.5, 1.6 billion.

4 MS. TAMARA MCCAFFREY: That's absolutely
5 correct. And about \$1.3 billion in costs.

6 MR. VINCE WARDEN: 1.3 billion in
7 expenses before net income which is also treated as a
8 cost in the cost of service study.

9 MS. TAMARA MCCAFFREY: Right, of course
10 I'm just using round numbers for the purpose of the
11 discussion. So the forecast net income is about \$200
12 million, correct sir?

13 MR. VINCE WARDEN: About right, yes.

14 MS. TAMARA MCCAFFREY: Now, from an IFF
15 perspective, costs are intended to be the total
16 accounting costs of the electricity operation, is that
17 right, Mr. Warden?

18 MR. VINCE WARDEN: From an IFF
19 perspective costs are -- yes -- I'll agree with that
20 statement, yes.

21 MS. TAMARA MCCAFFREY: So if those costs
22 increase for some reason the IFF would reflect the
23 increases in the sum of costs. For example, if fuel
24 costs go up the next version of the IFF will incorporate
25 high fuel costs, is that correct?

1 MR. VINCE WARDEN: Yes.

2 MS. TAMARA MCCAFFREY: The same is true
3 for other accounting costs such as depreciation. If it
4 goes up, it gets reflected in the next IFF, is that right
5 sir?

6 MR. VINCE WARDEN: Correct.

7 MS. TAMARA MCCAFFREY: And water rentals,
8 they're reflected as a cost?

9 MR. VINCE WARDEN: Yes.

10 MS. TAMARA MCCAFFREY: And if there was a
11 new tax or a duty on export sales it would be reflected
12 there also?

13 MR. VINCE WARDEN: If there was a new
14 tax, it would be reflected there, as well, yes.

15 MS. TAMARA MCCAFFREY: And if enough
16 costs go up, the IFF starts to show lower and lower net
17 income and longer and longer times to reach your debt
18 equity target, correct sir?

19 MR. VINCE WARDEN: If it's not offset by
20 higher revenues, yes, that's correct.

21 MS. TAMARA MCCAFFREY: If the costs are
22 increasing in this way, Hydro will say that the
23 achievement of sufficient reserves via the debt equity
24 calculation may not be sufficient, in which case you'd
25 come back and seek a rate increase from this Board, is

1 that right sir?

2 MR. VINCE WARDEN: Debt equity is one (1)
3 of the measures, yes.

4 MS. TAMARA MCCAFFREY: And of course,
5 Hydro would expect this Board to assess the overall
6 reasonableness of a rate increase largely based on that
7 IFF, and that is whether the net income and the build up
8 reserves and equity is proceeding at a sufficient pace?
9 You're proceeding at a sufficient pace to achieve those
10 debt equity targets.

11 MR. VINCE WARDEN: Yes, I think the Board
12 takes that into consideration.

13 MS. TAMARA MCCAFFREY: Now, when you come
14 to that rate increases then Hydro typically would provide
15 a cost of service study which defines costs a little
16 differently than the IFF. By that I mean the net income
17 in the cost of service becomes a cost to be allocated to
18 all customers, is that right sir?

19 MR. VINCE WARDEN: It is.

20 MS. TAMARA MCCAFFREY: And the cost of
21 service study then is balanced since it takes net income
22 as a cost and includes all revenues, it balances. Costs
23 equal the revenues in this way. Do I have that? Mr.
24 Thomas is nodding, so that's a good sign.

25 MR. VINCE WARDEN: Well, I would agree

1 with that, yes, we do balance revenues and expenses for
2 the purpose of the cost of service study, yes.

3 MS. TAMARA MCCAFFREY: And based on the
4 comments earlier, the cost of service study does serve to
5 inform which customer classes ought to bear the overall
6 dollar value of rate increases to be determined in the
7 IFF step, is that right?

8 MR. VINCE WARDEN: Yes.

9 MS. TAMARA MCCAFFREY: And going back to
10 the IFF, the concept of a cost in the IFF to record
11 provisions for special purposes is not a new thing to
12 Manitoba Hydro; is it?

13 Do you want me to be more specific?

14 MR. VINCE WARDEN: If you could please.

15 MS. TAMARA MCCAFFREY: I can. For
16 example, you have thermal decommissioning reserves or
17 thermal decommissioning provisions; right?

18 MR. VINCE WARDEN: We do, but that's
19 reflected in the IFF as well.

20 MS. TAMARA MCCAFFREY: And that thermal
21 decommissioning provision will be drawn down to pay for
22 future costs associated with the end of life for thermal
23 generating station as I understand it. Am I correct in
24 that?

25 MR. VINCE WARDEN: Yes.

1 MS. TAMARA MCCAFFREY: Now, and you --
2 you tell me that it's reflected in the IFF; can you tell
3 me the types of costs that get charged there?

4 MR. VINCE WARDEN: Yes. It's reflected
5 in the depreciation line of the IFF.

6 MS. TAMARA MCCAFFREY: I didn't hear you.
7 I'm sorry?

8 MR. VINCE WARDEN: Depreciation. The
9 depreciation line captures that expense.

10 MS. TAMARA MCCAFFREY: And the types of
11 costs that would go in there would be?

12 MR. VINCE WARDEN: Well, the -- into the
13 depreciation line of the IFF go the normal amortization
14 costs associated with plant assets as well as the item
15 you referred to and that is provision for removal at some
16 point.

17 MS. TAMARA MCCAFFREY: And when these
18 types of costs are charged against the thermal
19 decommissioning provision it means that in the year that
20 they are incurred they aren't a cost to the income
21 statement because they're charged to the provision, not
22 the income; am I correct in that understanding, sir?

23 MR. VINCE WARDEN: Yes. The -- the
24 objective is to match the benefits of any asset, not just
25 thermal, but any asset over its useful life and to make

1 sure we charge the appropriate ratepayers for those costs
2 during that useful life.

3 MS. TAMARA MCCAFFREY: As opposed to when
4 the time comes to take down a plant, hitting the existing
5 ratepayers at that time with a really big bill?

6 MR. VINCE WARDEN: Exactly.

7 MS. TAMARA MCCAFFREY: Now, you also have
8 a net salvage reserve provision for the future removal
9 costs of major properties as well; is that right, sir?

10 MR. VINCE WARDEN: Yes. Similar to the
11 item we were just discussing in terms of removal costs.

12 MS. TAMARA MCCAFFREY: And -- and in a
13 similar way it's built up from a charge against
14 operations in each year?

15 MR. VINCE WARDEN: A charge or a credit.
16 In some cases there may be value -- residual value to the
17 asset that's being removed in which case it would be a
18 credit. But it's all factored in to the amount we would
19 charge off as depreciation each year to -- to customers
20 as a depreciation expense.

21 MR. VINCE WARDEN: Each of those charges
22 against operations for the thermal decommissioning
23 provision and the net salvage provision go to lower the
24 net income otherwise available in the year that they're
25 being built up and therefore they drive higher rates that

1 would be the case without those provisions; is that fair?

2 MR. VINCE WARDEN: Yes. Yes, it is.

3 MS. TAMARA MCCAFFREY: So we know that
4 the cost of the appropriation to these provisions or
5 reserves is a cost that does show up in the IFF and the
6 cost of service as well; correct?

7 MR. VINCE WARDEN: Correct.

8 MS. TAMARA MCCAFFREY: And as a ratepayer
9 I feel better about that because the cost to build up the
10 provision -- since the money spent to take down the
11 plants in the future won't be a cost, we're just setting
12 aside the funds for when they will be needed in the
13 future. It's, sort of, a better way of handling it.

14 Sort of ameliorates the impact over time;
15 is that right?

16 MR. VINCE WARDEN: Yes. Setting aside
17 the funds isn't exactly done but, in effect, it's making
18 sure that we're not going to charge the ratepayer in the
19 future for a benefit that is derived today.

20 MS. TAMARA MCCAFFREY: Now, those two (2)
21 provisions -- they're not the same thing as equity
22 reserves though; is that right, sir?

23 MR. VINCE WARDEN: No.

24 MS. TAMARA MCCAFFREY: And they're often
25 referred to as reserves and, for example, some utilities

1 call their future removal item a reserve for future
2 removal. But you can't just draw down those provisions
3 whenever you want; is that right, sir?

4 You have to have some clear rules about
5 how to use them?

6 MR. VINCE WARDEN: Sure. Exactly.

7 MS. TAMARA MCCAFFREY: You can't use
8 those reserve funds, even though you don't do technically
9 a reserve is what you're saying, but you can't -- the
10 reality is they're -- they're protected, they're built
11 in. So you can't just use those funds for whatever
12 purpose you want.

13 Is that right? They've got to be --
14 they're identified for their specific purpose, i.e.,
15 decommissioning.

16 MR. VINCE WARDEN: Well, the funds aren't
17 tagged for that purposes. The funds that are generated
18 through depreciation are used for the purposes of the
19 Utility.

20 MS. TAMARA MCCAFFREY: It's a sub-purpose
21 within -- within that umbrella, though, of depreciation.
22 Like, you -- you can't take money out that you've planned
23 to be used for depreciation and use it for something
24 else.

25 Is that right?

1 MR. VINCE WARDEN: No, it isn't right.
2 We -- we do use funds. As I mentioned, the funds that
3 are generated through depreciation expense are used for
4 the purposes of the Utility, the general purposes of the
5 Utility.

6 So we don't tag those funds for using --
7 using in the future to remove, in your example, thermal
8 facility.

9 MS. TAMARA MCCAFFREY: You have a
10 mechanism to ensure that the funds are there. What do
11 you call it?

12 MR. VINCE WARDEN: Well, the provision is
13 there. The monies are another matter. How we obtain
14 those -- those monies to perform that removal to -- when
15 that day arrives is another matter. But the provision is
16 there. Such that it will not affect ratepayers on the
17 day that those facilities are removed.

18 MS. TAMARA MCCAFFREY: And that's --
19 that's really all I'm getting at, Mr. Warden. Thank you.

20 MR. VINCE WARDEN: Then I guess we agree.

21 MS. TAMARA MCCAFFREY: Mr. Warden, I
22 heard something in your opening statement that I hadn't
23 heard before and I was a little bit surprised.

24 A couple of years ago we were here talking
25 about the drought and Manitoba Hydro was saying that the

1 biggest -- single largest risk it faces was drought. And
2 -- and it estimated that a five (5) year drought might
3 cost somewhere around \$2 billion.

4 In your opening statement, however, you
5 said that it was not the biggest risk that Hydro faces.
6 Correct, sir?

7 MR. VINCE WARDEN: Yes, I did say that.

8 MS. TAMARA MCCAFFREY: I -- I think you
9 talked about a catastrophic risk to infrastructure.

10 MR. VINCE WARDEN: Yes.

11 MS. TAMARA MCCAFFREY: What were you
12 talking about there?

13 Are -- are you talking about dam bursts,
14 dam breaks, or wind bursts; what -- what are you talking
15 about?

16 MR. VINCE WARDEN: Well, we -- we have
17 over something like \$10 billion in -- in assets. Those
18 assets are vulnerable to various risks. If we were to
19 lose one (1) or more of those key assets for -- for
20 whatever reason, the impact on the Corporation could be
21 much more significant than -- than \$2 billion.

22 MR. ROBERT MAYER: Mr. Warden, the way
23 the HBDC lines are presently configured, I would perceive
24 that your probably biggest risk, when you take into
25 account the possibility of it happening, is like what

1 time -- it's not something I've checked on in recent --
2 recent years, but we can certainly get that information
3 if you -- if you like.

4 THE CHAIRPERSON: Thank you, Mr. Warden.

5

6 --- UNDERTAKING NO. 18: Does Hydro Quebec or BC Hydro
7 insure their large assets (eg. Dams,
8 HVDC) or do they self insure their
9 assets in the same manner as MH

10

11 CONTINUED BY MS. TAMARA MCCAFFREY:

12 MS. TAMARA MCCAFFREY: So we know that
13 these risks affect essentially the bulk power functions,
14 right, generation and transmission?

15 MR. VINCE WARDEN: They affect all
16 customers really.

17 MS. TAMARA MCCAFFREY: They would. But
18 they're respect to -- to those -- the assets in those
19 functions, transmission lines, power stations and they
20 would affect all customers but they relate to those
21 functions; would you agree with that?

22 MR. VINCE WARDEN: They -- the major
23 risks that we were discussing with the Vice Chairman are
24 primarily the generation and transmission risks, yes.

25 MS. TAMARA MCCAFFREY: And would you

1 agree then that your risks that the Corporation faces are
2 higher these days?

3 MR. VINCE WARDEN: I would.

4 MS. TAMARA MCCAFFREY: And would you
5 agree that Manitoba Hydro's debt is similarly higher?

6 MR. VINCE WARDEN: Higher than the past?

7 MS. TAMARA MCCAFFREY: Growing, yeah?

8 MR. VINCE WARDEN: It's growing because
9 we're a growing company. There's -- there's reasons for
10 that growth.

11 MS. TAMARA MCCAFFREY: So debt higher?
12 Come on, just say it, yes?

13 MR. VINCE WARDEN: I thought there was
14 more to that question.

15 MS. TAMARA MCCAFFREY: Export revenues
16 also higher?

17 MR. VINCE WARDEN: Export revenues are
18 higher, largely due to the conditions we talked about
19 earlier, the unit price and volumes due to good water
20 conditions.

21 MS. TAMARA MCCAFFREY: Okay. So if we've
22 got risks higher, debt higher and export revenues higher,
23 wouldn't you agree that it would be possible, at least,
24 to consider using or making a provision -- some export
25 revenues being used for a provision to -- to guard

1 against those risks and, at the same time, pay down debt?

2 Wouldn't you agree that it's -- I know
3 you're not advocating that at the moment, but wouldn't
4 you agree that that's something that could be looked at
5 in this circumstances?

6 MR. VINCE WARDEN: Well, I can certainly
7 agree with part of your statement. The -- that is the
8 purpose of the equity. Equity is to provide protection
9 against risks faced by the Corporation. That's why we've
10 been advocating for many years to have a minimum level of
11 equity and we've -- we've determined that to be seventy-
12 five (75) debt and 25 percent equity and that's what
13 we're striving to achieve.

14 To pay down debt is an entirely different
15 question though and it would not make sense, as I
16 indicated in my earlier remarks, to have a special fund
17 for that purpose.

18 MS. TAMARA MCCAFFREY: It's a good idea
19 to have monies available and especially given that you
20 self-insure, to help guard ratepayers against the risks
21 that the Corporation faces? I mean, you want to make
22 sure that money is there if you need it; that's a good
23 idea though, right, Mr. Warden?

24 MR. VINCE WARDEN: That's the purpose of
25 us having an adequate level of equity.

1 MS. TAMARA MCCAFFREY: So I think your
2 answer is yes, that's a good idea, but I think your
3 position is that you've got that covered already with the
4 way that Manitoba Hydro already does things; is that what
5 you're saying?

6 MR. VINCE WARDEN: No, no. We don't have
7 it covered. We have approximately 19 percent of equity
8 at this time, at the end of March '06. We need -- we're
9 striving to get to 25 percent equity to cover off what we
10 determine -- we have deemed to be -- or consider to be
11 the major risks of the Corporation.

12 MS. TAMARA MCCAFFREY: I didn't mean
13 you'd achieved your debt equity ratio, but your position
14 seems to be that you feel you do that but you would agree
15 that it's a good idea, it's important to have provision
16 available to guard against those risks should they arise?

17 MR. VINCE WARDEN: The risks are there.
18 The -- and it's important to have a plan to deal with
19 those risks.

20 MS. TAMARA MCCAFFREY: I take it you
21 didn't look at non-cost of service approaches, treatment
22 of exports? You concentrated on the -- on the cost of
23 service options; is that right, Mr. Wiens?

24 MR. ROBIN WIENS: Yes, we did. We did
25 not look at options outside the cost of service study.

1 MS. TAMARA MCCAFFREY: Mr. Wiens, would
2 you agree with me that the -- that -- that there is some
3 difficulty associated with looking within the confines of
4 cost of service here? And I'll -- I'll tell you where
5 I'm going with it.

6 The heart of the problem here, it seems to
7 me, with dealing with cost of service is on the one (1)
8 hand Manitoba Hydro says that to continue to solely
9 allocate export on the basis of generation and
10 transmission causes a problem, which is your position
11 right?

12 MR. ROBIN WIENS: Yes.

13 MS. TAMARA MCCAFFREY: Yet on the other
14 hand within the cost of service context, if you don't
15 allocate the revenues on the basis of generation and
16 transmission you have to allocate them somewhere else,
17 you put them to the distribution, a proportion of them to
18 the distribution function?

19

20 (BRIEF PAUSE)

21

22 MR. VINCE WARDEN: I guess we might not
23 totally agree with your statement that you have to
24 allocate them somewhere else. You don't have to allocate
25 those export revenues. I think we've indicated you could

1 look at revenues cost ratios prior to the export revenues
2 allocation and make a determination of how future rate
3 increases could be allocated on those pre-export
4 allocation RCCs.

5 MS. TAMARA MCCAFFREY: Well, you could do
6 that, but that's kind of artificial though because you
7 don't do that and you're not doing that. But, Mr. Warden
8 what's I'm talking about though, is in the terms of the
9 cost of service box, okay, if these export revenues are
10 going to stay in this box, they have to go somewhere,
11 that's what I'm saying.

12 MR. VINCE WARDEN: That is the -- I was
13 responding to your point made earlier that they have to
14 go somewhere. They don't have to go somewhere, we could
15 take this alternative approach and it would be logical as
16 well.

17 It's not our recommended method, but you
18 certainly could do that and --

19 MS. TAMARA MCCAFFREY: Now, given the --
20 I'll give you a minute, do you need a minute?

21 MR. VINCE WARDEN: We're fine.

22 MS. TAMARA MCCAFFREY: Now, looking at
23 what you did here though in the cost of service, what you
24 did do was you did allocate a proportion on the basis of
25 distribution and what that does is it does break the

1 integrity, so to speak, of the cost of service.

2 It may be good reasons for that, I know
3 that's not your position but you would agree with that?
4 That's the other option you've got?

5 MR. ROBIN WIENS: Any allocation of
6 export revenues over and above the embedded costs of the
7 exports themselves, risks something with the integrity of
8 the cost of service study, if you want to define it that
9 way.

10 MS. TAMARA MCCAFFREY: Do you want to
11 define the threshold that way?

12 MR. ROBIN WIENS: I guess the point that
13 I'm making here is that if -- and I'm not suggesting that
14 this is the case, this is one (1) of the reasons why
15 we're here.

16 But, if this Board were to be satisfied
17 that the allocation of costs against the export classes
18 were complete and was appropriate, I don't think there's
19 anything that says that there's any way that you could
20 return those export revenues to customers, that is
21 necessarily more principled or more -- or has more
22 integrity than any other way.

23 You could say, Manitoba Hydro has five
24 hundred thousand (500,000) customers, we will return
25 those in the cost of service study on the basis of the

1 number of customers. Because we've got the costs of our
2 exports covered off.

3 This is a windfall. A windfall -- there
4 is nothing that says that returning them on the basis of
5 generation and transmission is more principled than
6 returning them on the basis of customer count.

7 MS. TAMARA MCCAFFREY: I like what you're
8 saying and I don't think I want to get into a fight with
9 you about this because we've talked a lot about the
10 functions giving rise system and we spent a lot of time
11 on that.

12 So I'll thank you for your comments and
13 I'm going to just -- just finish this piece by saying
14 that when I talk about breaking from functional
15 integrity, I'm simply saying that you're getting away
16 from assignment of revenues on the basis of the
17 components that give rise to them.

18 Which is something, Mr. Wiens, you would
19 agree that Manitoba Hydro did resist in 1996, didn't come
20 back to the Board seeking relief for. In fact, the Board
21 brought you back in 2002, and is it something that this
22 Board has defended against and resisted for over a
23 decade.

24 That's all I'm saying and is anything that
25 I've said inaccurate?

1 MR. VINCE WARDEN: We've talking earlier
2 though throughout these proceedings about the increasing
3 distortion caused by the growth in export revenues over
4 that period of time.

5 So where -- whereas the allocation
6 methodology has served us well in the past, the time has
7 come to review and change as necessary.

8 MS. TAMARA MCCAFFREY: And -- and that's
9 why we're so pleased to have the opportunity to
10 participate in this review at this time in this hearing,
11 and hopefully we'll -- we'll come to something that --
12 that makes sense.

13 I'm going to move on to a different area
14 now. If I may just have a moment. I'm wondering whether
15 it might be a good time for a break or if -- if you just
16 give me a moment, Mr. Chairman, to --

17 THE CHAIRPERSON: There's seems some
18 enthusiasm up here for having a break, so. Just before
19 we leave, Ms. McCaffrey took us to Tab 3 in our book of
20 documents, if you like, and just to confirm the
21 understanding, this is the Integrated financial forecast
22 MH-04-1.

23 When you go down to the line "Non-
24 controlling interest," this goes right back to our
25 earlier discussions in the proceedings. Is this not the

1 minority share of the Wuskwatim partnership?

2 MR. VINCE WARDEN: This is the Wuskwatim
3 partnership coming back in.

4 THE CHAIRPERSON: Thank you.

5 Okay. We'll shut down now until three
6 o'clock.

7

8 --- Upon recessing at 2:45 p.m.

9 --- Upon resuming at 3:05 p.m.

10

11 THE CHAIRPERSON: Okay, Ms. McCaffrey

12

13 CONTINUED BY MS. TAMARA MCCAFFREY:

14 MS. TAMARA MCCAFFREY: Thank very much.

15 Now that we're back from the break, I
16 wanted to take you through a -- a MIPUG exhibit. It
17 looks like Mr. Warden may have -- may need a moment to --

18 MR. VINCE WARDEN: Well -- sorry, I
19 didn't mean to interrupt your line of thought there at
20 all -- I -- I just thought that I would respond more
21 fully to the question that was raised by the Chairman
22 just before the break with respect to --

23 MS. TAMARA MCCAFFREY: Sure.

24 MR. VINCE WARDEN: -- NCN. I don't think
25 my answer was entirely clear, it was pointed out to me.

1 And I do think it is important to be clear on that
2 question.

3 We were looking at Tab 3 of the book of
4 documents and the line that's labelled "non-controlling
5 interest" I think we did agree was NCN; that was the NCN
6 partnership reference.

7 To be clear though, with respect to
8 Wuskwatim all the 100 percent of the revenues and
9 expenses associated with Wuskwatim have been included in
10 the IFF. The amount that's shown on the projected
11 operating statement as a non-controlling interest is the
12 share of Wuskwatim profits that's going back to NCN.

13 THE CHAIRPERSON: That was our
14 understanding. That's just a projection at this early
15 date?

16 MR. VINCE WARDEN: It is. Okay, I just
17 wanted to make sure that was clear.

18 THE CHAIRPERSON: Yes. Thank you.
19 Ms. McCaffrey...?

20 MS. TAMARA MCCAFFREY: Thank you very
21 much, Mr. Chairman. We're ready to move on. We've had
22 an exhibit distributed and does everyone have a copy of a
23 three (3) page table with the heading "summary of
24 existing NERA and proposed cost of service study methods
25 from PUB/MH/I-45?

1 Does everyone have a copy of that table
2 now?

3 MR. ROBIN WIENS: I can't speak to
4 everyone, but I do.

5 THE CHAIRPERSON: The Board does.

6 MS. TAMARA MCCAFFREY: Good because as
7 long as you have one, Mr. Wiens, that's great. I'm going
8 to proceed. I'd like to have that marked as an exhibit.
9 I'm not sure what number we would be at now.

10 THE CHAIRPERSON: Number Six.

11 MS. TAMARA MCCAFFREY: MIPUG Exhibit 6?

12 THE CHAIRPERSON: MIPUG-6.

13 MS. TAMARA MCCAFFREY: Thank you.

14

15 --- EXHIBIT NO. MIPUG-6: Three (3) page table with the
16 heading "summary of existing NERA and
17 proposed cost of service study methods
18 from PUB/MH/I-45

19

20 CONTINUED BY MS. TAMARA MCCAFFREY:

21 MS. TAMARA MCCAFFREY: All right, just to
22 summarize what's on this table, it's extracted from the
23 PUB/MH/I-45 and in that response it dealt with bulk
24 power, generation and transmission and ancillary services
25 in Part A, dealt with the distribution and customer

1 service functions in Part B of that IR and offsetting
2 export credits in Part C of the IR.

3 It didn't deal with sub-transmission in
4 that IR. It did not and therefore the consultants have
5 endeavoured to assist me by calculating that in this
6 table. So if there's an error you can let us know.

7 Just so that we're on the same page as to
8 what we're looking at on this table.

9 MR. ROBIN WIENS: Yes, with respect to
10 sub-transmission I would say that your consultants appear
11 to have done a pretty good job. I think Mr. Thomas had
12 one (1) small correction to offer but I'm not sure that
13 it's material.

14 MS. TAMARA MCCAFFREY: Go ahead, Mr.
15 Thomas.

16 MR. CHIC THOMAS: On the general service
17 small, non-demand on the -- on the -- we're showing zero
18 point four seven (0.47).

19 MS. TAMARA MCCAFFREY: Page 1.

20 MR. CHIC THOMAS: And all the other pages
21 are also the same for the sub-transmission cost.

22 MS. TAMARA MCCAFFREY: Line 4.

23 MR. CHIC THOMAS: Line 4. Thank you. I
24 had calculated zero point five one (0.51). But, again, I
25 don't think it'll materially make a difference.

1 MS. TAMARA MCCAFFREY: Thank you. We'll
2 make a -- we'll make a note of that. For the purpose of
3 this discussion I don't -- I don't think it will.

4 THE CHAIRPERSON: So the additions just
5 go up by four (4) cents; is that correct?

6 MR. CHIC THOMAS: Point zero four (.04).

7 MS. TAMARA MCCAFFREY: Point -- point
8 zero four (.04), yes.

9

10 CONTINUED BY MS. TAMARA MCCAFFREY:

11 MS. TAMARA MCCAFFREY: This table is in
12 cents per kilowatt hour and that's because as I
13 understand it that is the unit value; is that right?
14 When we talk about unit value we're talking about cents
15 per kilowatt hour; is that right?

16 MR. ROBIN WIENS: Yes.

17 MS. TAMARA MCCAFFREY: Now, the table --
18 we're going to just walk through this table now, Mr.
19 Chairman. It shows four (4) sample customer classes
20 across the top and it has the costs set out at the top of
21 the table in rows one (1) to six (6). And more rate
22 information at the bottom of the table rows seven (7) to
23 twelve (12).

24 The first page is the current cost of
25 service method and the following sheets deal with the

1 other methods.

2 All right, now I don't know who's going to
3 be the best person to go through this with me but
4 perhaps, Mr. Thomas, row one (1) shows the bulk power
5 costs from PUB/MH/I-45(A); correct?

6 MR. CHIC THOMAS: Yes.

7 MS. TAMARA MCCAFFREY: And the
8 generation, transmission and ancillary services; these
9 are the bulk power costs, is that right, sir?

10 MR. CHIC THOMAS: Yes.

11 MS. TAMARA MCCAFFREY: So the calculation
12 starts with the total costs for these functions allocated
13 to each class.

14 Is that right?

15 MR. CHIC THOMAS: Yes.

16 MS. TAMARA MCCAFFREY: Then you see there
17 that they've divided by the total metered energy.

18 You follow me?

19 MR. CHIC THOMAS: I do.

20 MS. TAMARA MCCAFFREY: Which represents
21 the average cost of delivered energy for the bulk power
22 function.

23 Is that reasonable?

24 MR. CHIC THOMAS: So far so good.

25 MS. TAMARA MCCAFFREY: Now, sir, when we

1 look at this table it shows that there's a higher cost to
2 residential than to industrial.

3 Can you confirm that?

4 MR. CHIC THOMAS: Yes.

5 MS. TAMARA MCCAFFREY: Can you explain
6 why that is?

7 And I'm thinking about them having more
8 losses to serve here -- but I think it sounds better
9 coming from you.

10

11 (BRIEF PAUSE)

12

13 MR. ROBIN WIENS: The reasons for the
14 difference, there's a couple at least and, you're quite
15 correct, losses is indeed one -- one of those. The
16 general service large over 100 kV is served at
17 transmission voltage, so there are no distribution or
18 sub-transmission losses associated with it.

19 But subject to check, the largest reason
20 for the difference is -- has to do with the fact that the
21 capacity costs related to transmission and to generation
22 are spread over a larger number of kilowatt hours for the
23 general service large over 100 kV class than for the
24 other classes.

25 MS. TAMARA MCCAFFREY: And the

1 residential customers, they -- they don't have a demand
2 charge.

3 Is that right?

4 MR. ROBIN WIENS: No, they do not.

5 MS. TAMARA MCCAFFREY: The industrial
6 class, however, does.

7 Do you know what that demand charge is,
8 roughly?

9 MR. ROBIN WIENS: It varies depending on
10 the voltage at which the customer is served. But for
11 over 100 kV it is five dollars and forty point one cents
12 (\$5.401) per kVA.

13 MS. TAMARA MCCAFFREY: Thank you.

14 Now, this is the existing methodology. So
15 there's no export class reflected here. And this means
16 that almost all bulk power costs are assigned to domestic
17 ratepayers, other than water rentals, fuel costs, et
18 cetera, that are totally variable with the export sales.

19 Is that right?

20 MR. ROBIN WIENS: That's right.

21 MS. TAMARA MCCAFFREY: Now, let's look at
22 row 2, that's the export credit. And under the existing
23 methodology, which, as we all know, allocates on the
24 basis of the generation and transmission costs, it shows
25 residentials are getting two point three (2.3) cents per

1 kilowatt hour of exports for each kilowatt hour delivered
2 to their metre.

3 You confirm that's correct?

4 MR. CHIC THOMAS: Yes.

5 MS. TAMARA MCCAFFREY: General service
6 small similarly gets two point two eight (2.28) cents per
7 kilowatt hour. General service medium gets two point one
8 eight (2.18) cents per kilowatt hour.

9 Correct?

10 MR. CHIC THOMAS: Yes.

11 MS. TAMARA MCCAFFREY: And general
12 service large greater than 100 kilovolts gets one dollar
13 -- or one point eight eight (1.88) cents per kilowatt
14 hour.

15 You see that in the last column?

16 MR. CHIC THOMAS: I do.

17 MS. TAMARA MCCAFFREY: Now, the important
18 point here is that we seem to have been left with an
19 impression that the GSL greater than 100 kilovolts gets
20 more exports than the other classes. But when you look
21 at this table this class gets the least export credits on
22 a per kilowatt hour basis.

23 Isn't that correct, Mr. Thomas?

24 Go ahead, Mr. Wiens.

25 MR. ROBIN WIENS: Well, that simply

1 reflects the basis on which the export credit is
2 allocated in this methodology.

3 MS. TAMARA MCCAFFREY: Right.

4 MR. ROBIN WIENS: If you go through and -
5 - and do what I've just done, which is take the
6 percentage that the second line is, first, you will find
7 that they're all pretty close to 43 percent.

8 So, yes, the unit credit is less for
9 general service large over 100 kV and it reflects the
10 lower cost that's allocated to that class per kilowatt
11 hour.

12 MS. TAMARA MCCAFFREY: Thank you, Mr.
13 Wiens.

14 Moving on to line 3 we have the net volt
15 power costs of the export revenues, that's what reflected
16 in that line, is that -- would you agree with that?

17 MR. ROBIN WIENS: Well, the bulk power
18 costs net of the export revenue credit that's assigned by
19 that method.

20

21 (BRIEF PAUSE)

22

23 MS. TAMARA MCCAFFREY: And if you were a
24 generation utility row 3 would be what you'd have to
25 recover in rates, to cover those costs?

1 MR. ROBIN WIENS: All other things being
2 equal, Ms. McCaffrey.

3 MS. TAMARA MCCAFFREY: Well, I know, but
4 if we took everything into account, we had to have a
5 conversation Mr. Wiens, I'm not trying to distort -- this
6 is supposed to be useful. Walk with me.

7 MR. ROBIN WIENS: I know but some of the
8 -- some of those other things are more important than
9 some of the other, other things.

10 MS. TAMARA MCCAFFREY: Thank you Mr.
11 Wiens.

12 MR. ROBIN WIENS: We would have to
13 recover the top line, if we didn't have any export
14 revenues, for example.

15 MS. TAMARA MCCAFFREY: Right. But we do
16 have export revenues so that was the purpose of the third
17 line.

18 MR. ROBIN WIENS: Or if the generation
19 utility appropriated those profits we would have to
20 recover the top line.

21 MS. TAMARA MCCAFFREY: Okay. Thank you
22 Mr. Wiens. Let's look at line 4, it shows the costs
23 related to sub-transmission on a per kilowatt hour basis.
24 Now, again we've heard from you there was a slight
25 variation with respect to the general service small non-

1 demand.

2 But these costs are allocated only to some
3 customers and not others and I think you've explained why
4 other customers they don't use that sub-transmission
5 component, is that right?

6 MR. ROBIN WIENS: That's right.

7 MS. TAMARA MCCAFFREY: Line 5 shows the
8 distribution and customer service functions on the same
9 basis. Can you explain why there's the major difference
10 in the different customer classes allocations here?

11 MR. ROBIN WIENS: In line 5?

12 MS. TAMARA MCCAFFREY: Yes, for the same
13 reason I take it? Go ahead --

14 MR. ROBIN WIENS: Probably a little more
15 complicated than the others beginning with these
16 distribution and customer service related costs are
17 allocated on the basis -- typically a portion of them
18 allocated on the basis of the non-coincident demands of
19 the customer classes. We've got a significant portion of
20 them actually.

21 And another rather significant portion are
22 allocated on the basis of the number of customers. So
23 clearly the more customers you have, the higher those
24 costs are likely to be.

25 Almost 90 percent of our customer are

1 residential customers so that would account for the
2 higher number for residential than for the other classes,
3 general service small non-demand, about sixty thousand
4 (60,000) of our customers are in the group. So they
5 would -- they're similarly fairly high. There's more
6 complexities than that, but that's a big part of the
7 reason.

8 MS. TAMARA MCCAFFREY: So when we focus
9 on the residential or the general service small rates, we
10 have to keep that in mind, that more than half of their
11 costs are paying for that low voltage system, is that
12 right Mr. Wiens?

13 MR. ROBIN WIENS: Well, they're paying
14 for sub-transmission, distribution and customer service.

15

16 (BRIEF PAUSE)

17

18 MS. TAMARA MCCAFFREY: And again, just
19 for the purpose of our discussion, if we were dealing
20 with the utility that had a functional cost of service
21 solely dealing with distribution, the cost shown in row 5
22 would recover that function's distribution revenue
23 requirement, all things being equal, correct Mr. Wiens?

24 MR. ROBIN WIENS: That's correct.

25 MS. TAMARA MCCAFFREY: Let's move down to

1 the rates portion, the lower portion of the page. And
2 let's think about rates now as opposed to cost. Lines 7,
3 8 and 9 show the current average rates paid by each
4 customer class and line 10 shows the current RCC ratio
5 under the current cost of service study approach.

6 You've had a chance to look at that, you
7 agree that's reasonably reflected there, on that table?

8 MR. ROBIN WIENS: Well, line 10 looks
9 right.

10 MS. TAMARA MCCAFFREY: You agree that
11 residentials under that approach are about 92 percent
12 revenues cost coverage, that's row 10 I'm looking at now?

13 MR. ROBIN WIENS: Certainly looks close.

14 MS. TAMARA MCCAFFREY: And general
15 service small about 103 percent moving across that line
16 10?

17 MR. ROBIN WIENS: Yes.

18 MS. TAMARA MCCAFFREY: As is general
19 service medium?

20 MR. ROBIN WIENS: Yes.

21 MS. TAMARA MCCAFFREY: General service
22 large greater than 100 KV is at 114 percent respectively;
23 you've got that?

24 MR. ROBIN WIENS: That's correct using
25 the current cost of service method.

1 MS. TAMARA MCCAFFREY: That's what this
2 page deals with. We'll deal with the other ones in a
3 moment. So the average rate paid by residentials for a
4 kilowatt hour is about six point five eight (6.58) cents
5 and I'm looking at line 9; would you agree with that?

6 MR. ROBIN WIENS: I think we can agree
7 with that.

8 MS. TAMARA MCCAFFREY: Similarly for
9 industrials it's three point one zero (3.10) cents for
10 the average rate paid?

11 MR. ROBIN WIENS: Yes.

12 MS. TAMARA MCCAFFREY: Now, calculating
13 the revenue cost coverage ratio is not as simple as just
14 simply taking row 9 divided by row 6; can you explain how
15 you would do it, Mr. Thomas?

16

17 (BRIEF PAUSE)

18

19 MR. CHIC THOMAS: The way we do it is we
20 -- we add it to revenue as opposed to subtracting it from
21 cost. So that would be the primary difference.

22 MS. TAMARA MCCAFFREY: And would you
23 agree that the revenue cost coverage ratio reflected in
24 line 10 does arrive at the correct result?

25 MR. CHIC THOMAS: More or less. Yes.

1 MS. TAMARA MCCAFFREY: Now, let's have a
2 look at row 11; that's the difference between row 9 and
3 row 6; that is that's the difference between the rates
4 and the cost under the current cost of service method;
5 correct, sir?

6 MR. CHIC THOMAS: Yes.

7 MS. TAMARA MCCAFFREY: So, compared to
8 the current cost of service method residentials are
9 paying point seven five (.75) cents per kilowatt hour
10 less than their cost; would you agree with that?

11 MR. CHIC THOMAS: Yes.

12 MS. TAMARA MCCAFFREY: General service
13 small are paying point three one (.31) cents more than
14 their cost; correct?

15 MR. CHIC THOMAS: Yes.

16 MS. TAMARA MCCAFFREY: And general
17 service medium and general service large greater than 100
18 KV are over by point one nine (.19) cents for the general
19 service medium and point six three (.63) cents
20 respectively for the general service large greater than
21 100 KV; correct?

22 MR. CHIC THOMAS: That's what this sheet
23 is showing, yes.

24 MS. TAMARA MCCAFFREY: And as far as you
25 can tell the numbers are accurate. The RCCs coming out

1 of that are accurate?

2 MR. CHIC THOMAS: Yes.

3 MS. TAMARA MCCAFFREY: And that just
4 falls out of the fact that our rates today do not reflect
5 the costs based on the current cost of service study,
6 that takes into account --

7 MR. ROBIN WIENS: Yes, it reflects the
8 fact that they're not at 100 percent of costs.

9 MS. TAMARA MCCAFFREY: In row 12 for the
10 industrial customers can you understand how someone
11 looking at this table would say that it isn't correct
12 that they are receiving one point eight eight (1.88)
13 cents from the exports which is the -- I'm getting that
14 from line 2, because they never actually see decimal six
15 three (.63) cents of this on line 11?

16 They don't -- they don't actually see that
17 because the rates don't reflect that. They don't
18 actually see that benefit. Can you -- do you understand
19 where I'm coming from there, Mr. Wiens?

20 MR. ROBIN WIENS: Well, if -- if you
21 accept the current method as absolutely correct and
22 infallible that would be what you would draw on, yes.

23 MS. TAMARA MCCAFFREY: Well, I -- I'm
24 just talking about the current -- current method. I'm
25 not debating it at the moment with you. Looking --

1 looking at this objectively you could see that they don't
2 actually -- they don't actually see that benefit; that's
3 all I'm saying?

4 MR. ROBIN WIENS: Sure.

5 MS. TAMARA MCCAFFREY: And if that
6 customer really received that much benefit they would
7 expect -- they would have expected to be seeing rates at
8 about two point forty-seven (2.47) cents on average as
9 opposed to what they do have, three point one (3.1); you
10 agree with that?

11 MR. ROBIN WIENS: Yeah. If we accept
12 this method as being definitive and we accept that we're
13 going to be at 100 percent of costs for all customer
14 classes. Your conclusion invariably follows.

15

16 (BRIEF PAUSE)

17

18 MS. TAMARA MCCAFFREY: I have a few more
19 questions but I'm not sure I need to ask them, if you
20 just bear with me for a few seconds.

21

22 (BRIEF PAUSE)

23

24 MS. TAMARA MCCAFFREY: We're going to --
25 we're going to put this table aside for a moment and

1 we're going to talk about income effect.

2 Mr. Thomas or Mr. Wiens, we know that
3 three point one (3.1) cents, which is shown on line 9 of
4 that table, is the average price paid by industrial
5 customers today, or at least pretty close, depending on
6 the load factor.

7 Correct?

8 MR. ROBIN WIENS: Yes.

9 MS. TAMARA MCCAFFREY: And for customers
10 here today, if they increase their load in general they
11 will pay about three point one (3.1) cents per kilowatt
12 hour, for every extra kilowatt hour that they use?

13 MR. ROBIN WIENS: Yeah. This appears to
14 be -- I'm not absolutely precise on this but this appears
15 to be looking at something in the eighty (80) to 85
16 percent load factor range. So that when you pro-rate the
17 demand charges over the number of kilowatt hours that are
18 associated with that load factor, you arrive at about
19 three (3), three point one (3.1) cents a kilowatt hour.

20 If the -- if a load expansion is -- is of
21 a similar load factor, that is the price that they're
22 going to pay. If they increase their demand without
23 increasing their energy, well, that's -- that's another
24 story.

25 MS. TAMARA MCCAFFREY: Sure. If they

1 participate in DSM or choose to generate some of their
2 own power themselves, they will save about, on average,
3 three point one (3.1) cents for each kilowatt hour that
4 they reduce their consumption of.

5 MR. ROBIN WIENS: Assuming that the self-
6 generation and the DSM programming is at a similar load
7 factor to the load itself, yes.

8 MS. TAMARA MCCAFFREY: And that's a
9 function of the single -- single block rate design.
10 Is that correct?

11 MR. ROBIN WIENS: Well, there's one (1)
12 single block of demand and one (1) single block of
13 energy.

14 MS. TAMARA MCCAFFREY: That's the type of
15 rate design the industrial class has, though?

16 MR. ROBIN WIENS: Yes, it is.

17 MS. TAMARA MCCAFFREY: In some of the
18 evidence put forward by Mr. Lazar on behalf of RCM/TREE,
19 Mr. Lazar commented on aluminum smelters, and I just
20 wanted to give you an opportunity to comment on them for
21 a moment.

22 First of all, there's no aluminum smelters
23 in Manitoba today; correct?

24 MR. ROBIN WIENS: No.

25 MS. TAMARA MCCAFFREY: And for the

1 aluminum industry, the cost of power is a key factor in
2 their production costs.

3 Would you agree with that?

4 MR. ROBIN WIENS: I understand that to be
5 true.

6 MS. TAMARA MCCAFFREY: And I assume that
7 you're aware aluminum smelters are present in Quebec and
8 BC.

9 MR. ROBIN WIENS: Yes. Those are the
10 locations of the Canadian aluminum industry.

11 MS. TAMARA MCCAFFREY: I'm wondering if
12 you're also aware that there is currently some
13 competition now in BC and Quebec over who will get the
14 next Alcan expansion.

15 Are you -- are you familiar with that at
16 all, or is that something you can comment on?

17 MR. ROBIN WIENS: No, I can't comment on
18 that.

19 MS. TAMARA MCCAFFREY: Mr. Wiens, do you
20 recall some time ago, it may have been in the 1980's,
21 there was a fair bit of discussion about bringing an
22 aluminum smelter to Manitoba?

23 MR. ROBIN WIENS: That's -- that's
24 happened on more than one (1) occasion and at least one
25 (1) of those was in the early 1980's, yes.

1 MS. TAMARA MCCAFFREY: So despite some
2 significant efforts, that ultimately wasn't successful
3 though. There -- there's not an aluminum smelter here.

4 Correct?

5 MR. ROBIN WIENS: No, there's not.

6 MR. LEN EVANS: Excuse me. I wonder if I
7 could ask a supplementary question to that, because it's
8 a very interesting point. I just want to see if my
9 historical recollection is correct or not.

10 But the aluminum plants in Quebec and BC,
11 were they not built, the hydro facilities not built by
12 the industry itself and for its own purposes, rather than
13 a Utility building the generating facility for the
14 production of aluminum? It wasn't an industry investment
15 100 percent.

16 MR. ROBIN WIENS: Well, I don't know
17 about 100 percent. It's my understanding that in both BC
18 and Quebec, that the aluminum industry does own at least
19 some of its own -- some of the power that it uses.

20 I -- I wouldn't -- I'm not able to comment
21 on what percentage of the industry's power is self-
22 generated.

23 MR. LEN EVANS: Because as I recollect,
24 again from reading some many years ago, that the aluminum
25 industry really depended on very cheap, cheap, cheap

1 power and you had to find yourself a really good hydro
2 site where you could produce electricity at a very low
3 cost.

4 And those locations were found in BC and
5 Quebec. I'm not saying there aren't elsewhere in the
6 country but those two historically were built there for
7 those -- for that purpose.

8 MR. ROBIN WIENS: That's certainly true,
9 Mr. Evans. I think there's probably other -- other
10 qualities that they look for in a site as well but that's
11 certainly one of them.

12

13 (BRIEF PAUSE)

14

15 MS. TAMARA MCCAFFREY: Thank you. If I
16 might just have a moment. You short circuited some of my
17 questions as well. I have a little more time left and I
18 thought I might so if you'll just give me a moment.

19

20 (BRIEF PAUSE)

21

22 CONTINUED BY MS. TAMARA MCCAFFREY:

23 MS. TAMARA MCCAFFREY: All right, let's
24 go back to the table. I think we're going to be able to
25 finish -- finish up with this today so let's turn now if

1 we could to page 2?

2 MR. ROBIN WIENS: Yes.

3 MS. TAMARA MCCAFFREY: Now, this is the
4 table under the NERA cost of service study method. It
5 keeps the same basic structure as the page 1, the first
6 table, but it's now moved the export credit from the bulk
7 power function at line 2 in the last table to being
8 credited off the bottom line which is found at line 5 of
9 this table.

10 Does that fairly represent the type of
11 approach that -- that NERA took?

12 MR. ROBIN WIENS: Yes, I think that does.

13 MS. TAMARA MCCAFFREY: Let's just walk
14 through the table then. At line 1 we have the bulk power
15 costs of those four (4) classes, again, residential,
16 general service small, general service medium, general
17 service large greater than 100 KV; you see that?

18 MR. ROBIN WIENS: Yes.

19 MS. TAMARA MCCAFFREY: And, again, we
20 have the same basic relationship between customer
21 classes. Smaller -- smaller customers -- sorry, I have a
22 -- I have a wayward note here.

23 Again, the smaller customers have a
24 slightly higher charge with respect to bulk power costs
25 and their -- their rates -- or I should say the costs

1 that they have in the sub-total at line 4 are higher and
2 that's, again, I take it due to this same reason as we
3 talked about on the first page, that is the losses
4 associated with the -- the distribution sub-transmission
5 and so on?

6 MR. ROBIN WIENS: It reflects the same
7 factors as on the first page. Their relative
8 significance may change with the change in methodology.
9 But -- but those are the reasons, yes.

10 MS. TAMARA MCCAFFREY: Also line 1
11 incorporates the other NERA suggestions like generation
12 classification 100 percent to marginal weighted energy.

13 Would you agree with that?

14 MR. ROBIN WIENS: I'm taking from this
15 that all of the -- all of the methods that were
16 incorporated into the NERA type report are -- are
17 included in here. You're drawing it from our -- our data
18 provided in response to PUB-I-45 and there's no reason
19 why it would be otherwise.

20 MS. TAMARA MCCAFFREY: Line 2 and 3
21 haven't changed and the export credit under NERA
22 effectively comes off now at line 5 from the total costs
23 and that's what the NERA approach was; correct?

24 MR. ROBIN WIENS: Yes.

25 MS. TAMARA MCCAFFREY: So if we look at

1 that then, we see the effective cents per kilowatt hour
2 that NERA's approach proposes in line 5 as being one
3 point four two (1.42) cents per kilowatt hour for
4 residential, down to point six (.6) cents per kilowatt
5 hour for industrial --

6 MR. ROBIN WIENS: Yes.

7 MS. TAMARA MCCAFFREY: -- would you agree
8 with that?

9 MR. ROBIN WIENS: Yes.

10 MS. TAMARA MCCAFFREY: And now, compared
11 to the first page we have a new line 7 which just
12 reflects the change between the NERA approach and the
13 existing approach.

14 And would you agree with me, sir, just to
15 sum up that the winners in this approach would be the
16 residential class who have less costs, point four (.4)
17 cents less cost and the losers if I could frame it that
18 way with respect to this approach would be the general
19 service large, greater than a hundred (100) kilovolts
20 with point four two (.42) cents cost per kilowatt hour
21 more?

22 Would you agree with that?

23 MR. ROBIN WIENS: Well, you're
24 characterizing a relative change. The relative change is
25 objective. The cost that's allocated to the residential

1 class is less by 40 percent than it is in the current
2 method. And similarly the cost allocated to the GSL over
3 100 kV is forty-two (42) cents higher than in the current
4 methods. So that is objective, yes.

5 MS. TAMARA MCCAFFREY: Now, let's move
6 down to the rates section, line 8 to 12 of this table, we
7 again see the current average rates paid by Manitoba
8 customers and again those are the same as in the first
9 page, they haven't changed, you see that?

10 MR. ROBIN WIENS: Yes.

11 MS. TAMARA MCCAFFREY: At row 11, we see
12 the resulting revenue cost coverage ratios under the NERA
13 approach and at row 12 the variance between rates and
14 costs measured using this NERA cost of service study
15 approach. Would you agree with that?

16 MR. ROBIN WIENS: It looks -- yeah -- it
17 looks right to me.

18 MS. TAMARA MCCAFFREY: Would you agree
19 with me that the NERA approach continues to indicate that
20 industrials are paying rates that exceed costs measured
21 in this NERA -- in the way that they've done it. Is that
22 correct?

23 They continue to pay rates that exceed
24 their costs, even under this approach?

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

(BRIEF PAUSE)

MR. ROBIN WIENS: They continue to pay rates that exceed their allocated costs under this approach minus the credit that is given to them which, as we've discussed before, is probably not as objectively related to costs as some of the other components. So total -- total bulk power costs minus net export credit is less than the rate that the general service large over 100 kV is paying.

MS. TAMARA MCCAFFREY: Right and we're looking here at the difference between the two point eight nine (2.89) cents per kilowatt hour average allocated costs and the average three point one (3.1) cents per kilowatt hour rate that they're paying today. That's what we're talking about here, right?

MR. ROBIN WIENS: Well, I could just as well look at the allocated cost of three point four nine (3.49) cents and the rate of three point one (3.1) and say that they're paying less than their costs.

The export credit is -- especially when now we're looking at the NERA method, which, the NERA method allocates a full share of embedded cost to every kilowatt hour sold on the export market.

So our position is and which is why we

1 came to the recommended method, our position is that in
2 fact, the NERA method without modification probably over-
3 allocates a share of embedded costs to the export market.

4 So if -- if you assume that we at least we
5 recover all our embedded costs from the export market
6 then the position that you describe as a shortfall is
7 only such because the method that we've chosen to
8 allocate back the remaining net export revenues.

9 It's not a cost. It's a revenue. It's a
10 revenue that, in our system and in this cost of service
11 study, we have chosen to credit our customers. If we had
12 chosen another method of crediting that cost, you would
13 have had a different result.

14 If the order had appropriated that revenue
15 over and above the cost to serve the export revenue, we
16 would have had a different result. So I'm not objecting
17 to the fact that the net costs -- your statement that the
18 net costs arrived at by the NERA method are less than the
19 rate that's charged to the general service large.

20 But I would just want to caution everybody
21 here that that is not necessarily a pure cost. That's
22 what I'm saying.

23 MS. TAMARA MCCAFFREY: Thank you. And I
24 think I have your point there. Let's move on now to page
25 3. Now, we're looking at Manitoba Hydro's recommended

1 approach.

2 Again the same table structure used with
3 NERA, we kept export credits off the bottom line, rather
4 solely to the bulk power class.

5 Having a look at it, would you agree that
6 it's a fair representation of your proposal, Mr. Wiens?

7 MR. ROBIN WIENS: Yes, it is.

8 MS. TAMARA MCCAFFREY: All right. Now,
9 let's walk through this table again. Line 1, the bulk
10 power class now are higher than NERA's but they retained
11 the same relationship between the customer classes, that
12 is residential still higher and general service large is
13 still lower.

14 Correct?

15 MR. ROBIN WIENS: That's correct.

16 MS. TAMARA MCCAFFREY: At lines 2 and 3,
17 we keep the same sub-transmission distribution class.
18 And, again, moving to line 7, the Manitoba Hydro proposed
19 approach creates an even more -- well, you don't like the
20 way I've characterised it but you'll -- you'll agree the
21 difference is even more extreme than under the NERA
22 method.

23 MR. ROBIN WIENS: No. I say it's
24 characterised as a difference between two (2) methods.
25 It's entirely appropriate.

1 MS. TAMARA MCCAFFREY: I just -- you seem
2 to have taken issue with my winners and losers discretion
3 before.

4 MR. ROBIN WIENS: That's a different --

5 MS. TAMARA MCCAFFREY: And I don't want
6 to fight with you.

7 MR. ROBIN WIENS: -- that's a value
8 judgment passed on the difference. That's a different --

9 MS. TAMARA MCCAFFREY: I'll let the
10 members of the -- the Board draw their own conclusions
11 from that.

12 And just for the record then, line 7, just
13 showing the change from the existing approach, we see the
14 residentials getting point four nine (.49) cents per
15 kilowatt hour less in their costs, whereas general
16 service large greater than a hundred (100) kilovolts, the
17 industrials, are getting point five one (.51) cents per
18 kilowatt hour more, for the record.

19 MR. ROBIN WIENS: Than the existing --
20 yes.

21 MS. TAMARA MCCAFFREY: In the Manitoba
22 Hydro recommended approach; correct?

23 MR. ROBIN WIENS: Yes.

24 MS. TAMARA MCCAFFREY: And as we look --
25 look now at line 11, the approach still indicates the

1 residential customers are below unity and general service
2 large greater than one hundred (100) kilovolts above.

3 Is that correct?

4 MR. ROBIN WIENS: That's correct.

5 MS. TAMARA MCCAFFREY: So even in your
6 proposal we're not talking about driving rates for bulk
7 power to the market levels referenced at other times in
8 this hearing.

9 Is that right, sir?

10 MR. ROBIN WIENS: No, that's -- yeah,
11 we're -- we're -- I mean, within the zone of
12 reasonableness, we're talking about effectively at or
13 close to 100 percent.

14 MS. TAMARA MCCAFFREY: Thank you. I --
15 I've completed this table now and I -- I have a couple
16 more areas. I'm not going to be able to finish them in
17 fifteen (15) minutes at all.

18 So if -- if I might have about thirty (30)
19 seconds, I'd like to just sort out what area -- I -- I
20 think I can deal with one (1) more area in my cross
21 before the end of the day.

22 THE CHAIRPERSON: Of course.

23 MS. TAMARA MCCAFFREY: Okay.

24

25 (BRIEF PAUSE)

1 CONTINUED BY MS. TAMARA MCCAFFREY:

2 MS. TAMARA MCCAFFREY: I think we tackle
3 generation classification and allocation in the time
4 remaining. So I'd like to turn to -- to that topic now
5 when you're ready.

6 MR. ROBIN WIENS: Sure.

7 MS. TAMARA MCCAFFREY: In regard to
8 generation classification you can confirm then that
9 Hydro's current proposal is to classify 100 percent of
10 generation to energy and none to demand or coincident
11 peak.

12 Is that right, Mr. Wiens?

13 MR. CHIC THOMAS: Not quite. As we have
14 mentioned, there is that small curtailable credit that we
15 do allocate on -- on demand, but essentially it's --

16 MS. TAMARA MCCAFFREY: And the energy is
17 proposed to be allocated based on weighted marginal
18 costs?

19 MR. CHIC THOMAS: Yes.

20 MS. TAMARA MCCAFFREY: Now, as I
21 understand it, this approach in effect is intended to
22 catch some degree of peak responsibility by putting more
23 weight on the on-peak periods, is that right, attaching
24 more value to them?

25 MR. ROBIN WIENS: Yes, it does.

1 MS. TAMARA MCCAFFREY: Now, can you
2 confirm that Hydro was original recommending using four
3 (4) time periods for weighting the marginal costs? Is
4 that right?

5 MR. CHIC THOMAS: That's what we've used
6 in our study, yes, four (4) periods.

7 MS. TAMARA MCCAFFREY: Okay. So since
8 there are eight thousand seven hundred and sixty (8760)
9 hours in a year, there would be just over two thousand
10 (2000) hours in each of the time periods, roughly?

11 MR. CHIC THOMAS: Sure.

12 MR. ROBIN WIENS: That's an average.
13 Some of the periods are longer than others, so that's not
14 precise, but --

15 MS. TAMARA MCCAFFREY: Right --

16 MR. ROBIN WIENS: -- we can work with
17 that.

18 MS. TAMARA MCCAFFREY: Okay. We
19 recognize that too. It's on average, it's for the
20 purposes of the discussion. And those time periods would
21 be, winter on peak, winter off peak, summer on peak and
22 summer off peak, correct?

23 MR. CHIC THOMAS: Yes.

24 MS. TAMARA MCCAFFREY: Now, I think I
25 understand that you're amenable to expanding the number

1 of time periods to twelve (12)?

2 MR. ROBIN WIENS: We want this method to
3 work and for the Board and the stakeholders to be
4 comfortable with it. This is a modification that can be
5 made without a great deal of difficulty.

6 I don't think that we would want to try to
7 increase the periods without limit to eight thousand
8 seventy hundred and sixty (8760), we start to run across
9 quite a bit of trouble there and I believe I gave some
10 evidence to that effect early on in these proceedings.

11 But certainly we would be prepared to look
12 as far as twelve (12) periods, yes.

13 MS. TAMARA MCCAFFREY: And if we took the
14 eight thousand seven hundred and sixty (8760) hours and
15 took twelve (12) time periods that would be more like
16 about seven hundred (700) hours each. It would be a
17 refinement to the approach that you've taken, would you
18 agree with that? Seven hundred (700) hours versus two
19 thousand (2000) hours?

20 MR. ROBIN WIENS: Again, you know you're
21 taking eighty seven sixty (8760) divided by twelve (12)
22 is approximately seven hundred (700). I think here we
23 probably foreshortened the peak period more than we
24 foreshortened the other periods.

25 So we're probably looking at less than

1 five hundred (500) hours in each of the four (4) peak
2 periods depending on the season. And more time into the
3 shoulder periods. But, you know, we're in the -- you
4 know the four hundred (400) to seven hundred (700), eight
5 hundred (800) hour type of frame, yes.

6 MS. TAMARA MCCAFFREY: And I have your
7 point that again you are amenable to using a twelve (12)
8 coincident peak period?

9 MR. ROBIN WIENS: Yes.

10 MS. TAMARA MCCAFFREY: Mr. Surminski, Mr.
11 Williams went over with you the system planning criteria
12 used by Hydro and he talked -- I'm referring to Tab 12 of
13 his exhibit books. Do you recall that discussion?

14 MR. HAROLD SURMINSKI: Yes, I recall
15 that.

16 MS. TAMARA MCCAFFREY: As I understand it
17 he discussed with you there are two (2) criteria used
18 with system planning. One (1) that ensures you must meet
19 peak loads plus capacity reserves and one (1) that
20 ensures you must meet your energy commitments for
21 dependable energy, is that correct sir?

22 MR. HAROLD SURMINSKI: Yes it is.

23 MS. TAMARA MCCAFFREY: So if the system
24 is failing in either of these two (2) criteria, capacity
25 or energy, it means new plant is required, is that right?

1 MR. HAROLD SURMINSKI: Yes that's
2 correct.

3 MS. TAMARA MCCAFFREY: And when we talk
4 about capacity related criteria, it's presumably based on
5 the highest peak Manitoba Hydro expects to achieve, is
6 that what you mean by that?

7 MR. HAROLD SURMINSKI: Yes, that's
8 correct.

9 MS. TAMARA MCCAFFREY: And the term used
10 in the capacity planning criteria is firm annual peak
11 demand, can you tell us if this is instantaneous peak or
12 average hourly peak over the highest hour of the year?

13

14 (BRIEF PAUSE)

15

16 MR. HAROLD SURMINSKI: Can you -- what
17 were the two (2) options again?

18 MS. TAMARA MCCAFFREY: The term used in
19 the capacity planning criteria is firm annual peak
20 demand. Can you indicate if this is an instantaneous
21 peak or average hourly peak over the highest hour of the
22 year?

23 MR. HAROLD SURMINSKI: I'm not sure if
24 it makes too much of a difference here, but the --
25 because we would have to -- we'd have to check our

1 generation capability relative to that -- you know, to --
2 to be able to either supply it instantaneously or -- or
3 in the average. So I don't think it really makes a
4 difference.

5 MS. TAMARA MCCAFFREY: Okay. Maybe --
6 maybe -- maybe not. But in any event, sir, your
7 recommended system planning methodology isn't enough to
8 ensure the system can meet the peak on average over the
9 winter? By that I mean it must meet that peak day or
10 peak hour or peak instant; would you agree with that?

11 MR. HAROLD SURMINSKI: Our system must
12 meet the peak as it actually occurs.

13 MS. TAMARA MCCAFFREY: Because the system
14 can't simply be designed to meet the average peak over
15 seven hundred (700) varying hours? You couldn't -- yeah,
16 it wouldn't work.

17 MR. HAROLD SURMINSKI: In the extreme, it
18 surely would not work.

19 MS. TAMARA MCCAFFREY: You would agree
20 that in the cost of service language this is what we
21 would call a coincident peak; that is the highest sum
22 total of the system peak when all class loads plus losses
23 are considered?

24 MR. HAROLD SURMINSKI: Yes, I would agree
25 with that.

1 MS. TAMARA MCCAFFREY: Now, with respect
2 to the NERA study on generation and transmission you may
3 need to -- to refer to that and you may not, but it's in
4 the Manitoba Hydro -- do you have the NERA study handy?
5 Page 21.

6

7 (BRIEF PAUSE)

8

9 MS. TAMARA MCCAFFREY: Page 21 of the
10 NERA study?

11

12 (BRIEF PAUSE)

13

14 MS. TAMARA MCCAFFREY: You know what, you
15 might not even need to turn to this when you hear this
16 question so I -- I'm going to put it to you.

17 I'm just trying to spin away a couple of
18 extra minutes. No, I'm just kidding.

19 Can you confirm that NERA did do a survey
20 of ten (10) utilities that it considered to be similar to
21 Manitoba Hydro?

22 MR. ROBIN WIENS: Well, we attempted to
23 find a number of utilities across North America that had
24 some -- that most closely could be taken to resemble
25 Manitoba Hydro. As I think everyone here can appreciate,

1 we didn't find an exact match.

2 MS. TAMARA MCCAFFREY: No, but looking
3 essentially at regularly utilities, non-market based?

4 MR. ROBIN WIENS: No, we weren't
5 necessarily looking for regulated utilities; that wasn't
6 one of the criteria for the comparison. As it turns out
7 most of the --

8 MS. TAMARA MCCAFFREY: What criteria did
9 you use then? What criteria would you use that would be
10 key -- key characteristics of Hydro's Utility versus
11 other utilities.

12 MR. ROBIN WIENS: As it turns out most of
13 the utilities that were selected and included in the
14 comparison are regulated utilities, but what we
15 considered to be more important were that they had
16 significant hydraulic capability and if you look at the
17 ten (10) not all of them do. Not all of them are even
18 close to Manitoba Hydro but they may have been a better
19 match than some of the other criteria.

20 But they -- so that they -- significant
21 hydraulic capability was one (1) of the considerations.
22 Another consideration was we were looking for utilities
23 that had significant off-system sales. You know, outside
24 of their what they call native load.

25 And what was the third? You know, I'll

1 have to get back to you on that. There was -- there was
2 a third one and it just eludes me momentarily.

3

4 --- UNDERTAKING NO. 19: Provide criteria looked at in
5 NERA Report to determine whether a
6 utility was considered to be similar to
7 MH

8

9 CONTINUED BY MS. TAMARA MCCAFFREY:

10 MS. TAMARA MCCAFFREY: Of the ten (10)
11 utilities was there any regulated utility in that survey
12 that classified 100 percent of generation costs to
13 energy?

14 MR. ROBIN WIENS: I don't believe that
15 there was. I should probably go back and look at them
16 again. But my recollection is that there -- there were
17 not regulated utilities.

18 We did identify a least one (1) and
19 possibly more where the -- the implicit effect was to
20 look at -- in terms of the rate that the customer saw at
21 the end of the -- at the end of the chain that -- that
22 was based on an energy -- 100 percent energy
23 consideration. A per kilowatt hour rate in every hour of
24 the year.

25 And certainly Ontario Hydro, if -- if

1 that's not what they're doing now, that's what they're
2 trying to do. That's the endpoint they're trying to
3 achieve, and Alberta is another one.

4 MS. TAMARA MCCAFFREY: Both of them are
5 market jurisdictions, right, Mr. Weins?

6 MR. ROBIN WIENS: They're both market
7 jurisdictions but the point is that the supply -- the
8 flowthrough to those customers is priced on an energy
9 basis.

10 MS. TAMARA MCCAFFREY: But of the
11 regulated utilities that are not market jurisdictions,
12 nobody else did that; right?

13 MR. ROBIN WIENS: Again, not -- not that
14 I'm aware of.

15 MS. TAMARA MCCAFFREY: If you -- you want
16 to go through this sometime you're certainly welcome to.
17 They're -- they're listed at pages 21 through 23, the
18 different companies that they looked at.

19 But, quickly, Hydro Quebec, Idaho Power,
20 Newfoundland Hydro, Salt River Project, they're all using
21 the system load factor.

22 Are you aware of that?

23 MR. ROBIN WIENS: I'm not conscious of it
24 but I would accept that that's the case.

25 MS. TAMARA MCCAFFREY: You can accept it

1 subject to check. And BC Hydro and Northern States Power
2 are using what they call a cap-sub method.

3 Do you know what that is?

4 MR. ROBIN WIENS: It may mean different
5 things to different analysts but I suspect what it means
6 is that they price out the domestic load in -- it would
7 be something similar to what, in fact, we're doing,
8 except that they would have included some sort of proxy
9 for capacity. Perhaps the -- perhaps the cost of a
10 combustion turbine in that. They may have taken that
11 approach. That's what it sounds like.

12

13 (BRIEF PAUSE)

14

15 MS. TAMARA MCCAFFREY: Mr. Chair, I do
16 have a couple of more areas to cover but I -- it's four
17 o'clock and it looks like we're going to have to come
18 back after -- after the break.

19 THE CHAIRPERSON: How long will it take?

20 MS. TAMARA MCCAFFREY: I may have an
21 hour, an hour and a half.

22 THE CHAIRPERSON: Okay. We'll hold it
23 over then for the next time we come together.

24 Mr. Peters, do you have any closing
25 remarks? Do you want to bring us up together on the

1 schedule and MKO's intentions with respect to the
2 presenters and things of that nature?

3 MR. BOB PETERS: I can indicate, Mr.
4 Chairman, that in light of the schedules of the parties
5 and the Board, the next time that has been set aside for
6 our hearing is to come together Tuesday morning, the 23rd
7 of May, at nine o'clock, in this room. And at that time
8 My Friend Ms. McCaffrey will continue and conclude her
9 cross-examination in the morning.

10 Then we have matters to be tidied up by My
11 Friend Mr. Williams. He has a couple of undertakings and
12 some matters that he's in discussion with the Company on,
13 and I suspect he'll be able to tidy those up as well on
14 the 23rd.

15 And then at that time we will also be
16 expecting MKO's representative and any questions they may
17 have to come on that date.

18 I -- in response to your question of me
19 with respect to MKO's presenters, I have sent
20 communication to Mr. Anderson and I am awaiting reply,
21 and on receiving that I'll -- I'll determine and bring to
22 the Board some options to include in the schedule, if
23 necessary, in terms of when the presenters would be
24 heard.

25 MR. ROBERT MAYER: Mr. Peters, we are

1 running slightly behind. And if Mr. Anderson does in
2 fact arrive or does in fact have three (3) or four (4)
3 presenters, I suspect we're going to have a problem.

4 MR. BOB PETERS: That may be possible.
5 And until I hear, I won't know, of course. And when I do
6 know we'll come back to the Board to see if there are
7 some available dates.

8 I can remind the Board that -- I know
9 there's been some discussion about adding an extra day or
10 two (2) to the schedule in lieu of the 30th and 31st of
11 May. And I will discuss that with -- with the Board and
12 communicate with the parties probably early next week to
13 find out what is available.

14 And if we have to delay things or push
15 things back, Mr. Mayer, and I'm sensitive to that, My
16 Friend Mr. Williams has been gracious enough to indicate
17 that his expert witness could be stood over from the date
18 that's shown on the schedule and it may bump things back,
19 although we would leave the TREE witness, Mr. Lazar, to
20 come in on the 25th.

21 But Mr. Williams has indicated his witness
22 does have some flexibility and we may end up taking
23 advantage of that. I think that would be called a
24 variable cost that will be incurred because it's not
25 fixed yet.

1 THE CHAIRPERSON: You got the lingo down.

2 MR. BOB PETERS: So that's all my
3 comments at this point in time, Mr. Chairman, in response
4 to those points you raised and barring any questions from
5 anybody else we will reconvene on Tuesday, the 23rd of
6 May at 9:00.

7 THE CHAIRPERSON: Mr. Williams?

8 MR. BYRON WILLIAMS: Mr. Chairman, just
9 so -- to give the Board some sense of how much time we
10 may be occupying after Ms. McCaffrey finishes. To my
11 knowledge there is a three (3) matters outstanding.

12 One (1) is an undertaking to Ms. Bowman
13 and I don't expect there will be much, if any, follow up
14 to that. There -- I was pursuing a line of inquiry
15 regarding purchase power and there was some questions of
16 clarification which we needed to get from Manitoba Hydro
17 on that area. And I had some follow up cross on that
18 theme that I anticipate certainly will take thirty (30)
19 to forty-five (45) minutes.

20 The third item is some of the -- what I
21 call the Harperism questions, the Bill Harper questions
22 which Hydro's agreed kindly enough to look at and provide
23 some written responses next week.

24 There may be a few questions of follow up
25 on that, I don't anticipate a lot. What I thought I

1 might do in terms of those questions, just for
2 transparency purposes I kind of handed over my notes to
3 Ms. Ramage yesterday, she kindly returned them today.
4 But I might transfer those questions that I posed kind of
5 off line just in the form a letter to Manitoba Hydro so
6 that everyone is aware of the questions that I've posed.
7 Just so the Board has that for its records.

8 THE CHAIRPERSON: Thank you, Mr.
9 Williams. I'm just going to pause for one (1) second. I
10 want to consult with my colleague.

11

12 (BRIEF PAUSE)

13

14 THE CHAIRPERSON: Mr. Peters, just so
15 that you're aware when you're in discussions with Mr.
16 Anderson, the Panel is prepared, if it makes it easier
17 for Mr. Anderson and his clients, to hear the presenters
18 on Wednesday night, if it makes it easier for him.

19 MR. BOB PETERS: I'll relay that message,
20 Mr. Chairman and thank you and I will also indicate
21 because I'm sure Mr. Feldschmidt is monitoring the
22 transcript, I did neglect to mention that he did want to
23 have the opportunity on -- starting the week of the 23rd
24 for any questions he may have.

25 And at this point in time, it's premature

1 to indicate how long or how many he would have but I'll
2 try to nail that down between now and then, as well.

3 THE CHAIRPERSON: Thank you. Thank you
4 everyone. We will see you in approximately ten (10)
5 days.

6

7 --- Upon concluding at 4:06 P.M.

8

9

10 Certified Correct

11

12

13

14

15

16

17 Ryan Pickering

18

19

20

21

22

23

24

25