

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MANITOBA PUBLIC UTILITIES BOARD

Re:                               MANITOBA HYDRO  
                                      COST OF SERVICE STUDY

Before Board Panel:

- Graham Lane                   - Board Chairman
- Robert Mayer                 - Board Member
- Kathi Avery Kinew           - Board Member
- Len Evans                     - Board Member

HELD AT:

Public Utilities Board  
400, 330 Portage Avenue  
Winnipeg, Manitoba  
May 24th, 2006  
Volume VII  
Pages 1305 to 1542

APPEARANCES

1  
2  
3 R.F. Peters )Board Counsel  
4  
5 Patti Ramage )Manitoba Hydro  
6 Odette Fernandes )  
7  
8 Bryon Williams )CAC/MSOS  
9 Myfanwy Bowman (np) )  
10  
11 Doug Buhr )City of Winnipeg  
12  
13 Peter Miller )TREE  
14  
15 Tamara McCaffrey ) MIPUG  
16 Patrick Bowman (np) )  
17 Andrew McLaren (np) )  
18  
19 Jurgen Feldschmid ) CCEP  
20  
21 Michael Anderson ) MKO  
22  
23  
24  
25

	TABLE OF CONTENTS	
		Page No.
1		
2		
3	List of Undertaking	1308
4		
5	MANITOBA HYDRO PANEL:	
6		
7	VINCE WARDEN, Resumed	
8	ROBIN WIENS, Resumed	
9	CHIC THOMAS, Resumed	
10	HAROLD SURMINSKI, Resumed	
11	DAVID CORMIE, Resumed	
12		
13	Cross-Examination by Mr. Jurgen Feldschmid	1310
14	Re-Direct-Examination by Ms. Patti Ramage	1352
15		
16	WILLIAM HARPER, Sworn	
17		
18	Examination-in-Chief by Mr. Byron Williams	1359
19	Cross-Examination by Ms. Tamara McCaffrey	1437
20	Cross-Examination by Dr. Peter Miller	1496
21	Cross-Examination by Ms. Patti Ramage	1515
22		
23	Certificate of Transcript	1542
24		
25		

	LIST OF UNDERTAKINGS		
	Number	Description	Page No.
1			
2			
3	22	Provide analysis of Revenue	1323
4		Cost Coverage to Mr. Feldschmid	
5			
6			
7			
8			
9			
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1 --- Upon commencing at 9:07 a.m.

2

3 THE CHAIRPERSON: Good morning, everyone.  
4 As we continue the Hearing, next up as Intervenors is  
5 CCEP, Mr. Feldschmid, I believe you have an associate  
6 with you?

7 MR. JURGEN FELDSCHMID: Yes, Mr. Chair, I  
8 do. First of all, good morning to you and to your fellow  
9 Board Members.

10 My name is Jurgen Feldschmid, I'm a  
11 partner with Duboff Edwards Haight and Schachter LLP. I  
12 am counsel for CCEP. With me here today is Mr. Will  
13 Gartner, who has just started articling with our firm and  
14 for those people who have a much longer involvement with  
15 this Board than I do, there may be some recollection that  
16 his grandfather had some involvement with the Board for  
17 an extended period of time.

18 THE CHAIRPERSON: I wondered if that  
19 was --

20 MR. JURGEN FELDSCHMID: Yes.

21

22 MANITOBA HYDRO PANEL:

23

24 VINCE WARDEN, Resumed

25 ROBIN WIENS, Resumed

1 CHIC THOMAS, Resumed

2 HAROLD SURMINSKI, Resumed

3 DAVID CORMIE, Resumed

4

5 CROSS-EXAMINATION BY MR. JURGEN FELDSCHMID:

6 MR. JURGEN FELDSCHMID: Let me turn  
7 immediately to the few questions that I have and I don't  
8 expect to be terribly long. And unlike some counsel in  
9 this room I really mean it when I say that. I've opened  
10 fire immediately, Bob.

11 And I expect most of my questions will be  
12 directed to Mr. Wiens as usual when we deal with all  
13 matters cost of service oriented. Let me just lay a  
14 certain amount of groundwork down, just to make sure that  
15 you and I -- particularly I, understand what it is that  
16 we're talking about in the area of the application -- the  
17 marginal cost weighting of the generation costs.

18 As I understand it, you are allocating  
19 generation costs to the various classes based on their  
20 use of energy at generation, correct?

21 MR. ROBIN WIENS: Correct.

22 MR. JURGEN FELDSCHMID: And then  
23 multiplying that by these marginal cost factors or  
24 multiples which have been derived by the use of  
25 historical price data from the surplus energy program,

1 correct?

2 MR. ROBIN WIENS: Yes.

3 MR. JURGEN FELDSCHMID: And this data  
4 reflects some market price for electricity and is  
5 therefore a proxy for marginal cost?

6 MR. ROBIN WIENS: Yes.

7 MR. JURGEN FELDSCHMID: And -- but at the  
8 end of the day you're using those -- those multiples  
9 essentially to multiply what are -- embedded generation  
10 costs, correct?

11 MR. ROBIN WIENS: No, the embedded costs  
12 are not multiplied. The energy usage in the four time  
13 periods described in the cost of service study, that  
14 being summer period, peak and off peak, winter period,  
15 peak and off peak are weighted by the average prices over  
16 that period.

17 And then the weighted energies are summed  
18 for each of the classes across the four (4) time periods.

19 MR. JURGEN FELDSCHMID: What is -- but  
20 what is the mathematical operation to -- to achieve the  
21 weighting? Is it not simply a multiplication of the  
22 energy -- the energy amounts for the -- for the four (4)  
23 times period for the factor that applies at that time  
24 period?

25 MR. ROBIN WIENS: That's correct.

1 MR. JURGEN FELDSCHMID: Okay.

2 MR. ROBIN WIENS: That is correct. But  
3 your earlier question seemed to be suggesting that we  
4 then multiplied the embedded costs, which is not correct.

5 MR. JURGEN FELDSCHMID: Right. Okay. I  
6 apologize. And the four (4) time periods are winter off-  
7 peak, winter on-peak, summer off-peak and summer on-peak;  
8 correct?

9 MR. ROBIN WIENS: That's right.

10 MR. JURGEN FELDSCHMID: Now, I read  
11 somewhere -- and I was trying this morning to figure out  
12 exactly where that was but, among several hundred or even  
13 thousand pages, I wasn't able to find it before I came  
14 here this morning but I -- I seem to recall reading, and  
15 I believe it is the case, that this treatment of  
16 generation costs at these four (4) peak periods has a  
17 greater effect on residential and general service small  
18 because those classes tend to contribute more to -- to  
19 the high peaks.

20 Is that correct?

21 MR. ROBIN WIENS: Well, first of all, the  
22 four (4) periods, two (2) of them are peak and two (2) of  
23 them are off-peak.

24 MR. JURGEN FELDSCHMID: Correct.  
25 Focussing then just on the two (2) on-peak then. My --

1 my understanding is that because the -- the on-peak loads  
2 are -- are driven primarily by additional use from  
3 residential and from general service small, the smaller  
4 users, that therefore this particular model, the using of  
5 the on-peak, will tend to have more of an impact on the  
6 analysis for those residential users and small general  
7 service users.

8 Am I correct in saying that?

9 MR. ROBIN WIENS: More of -- of an impact  
10 than what? If you're referring to a system whereby we  
11 would classify generation costs entirely as energy-  
12 related and then not weight them at all, then going to an  
13 on-peak weening would in fact -- yeah, it would have a  
14 greater effect on the residential and general service  
15 small.

16 On the other hand, if you're talking about  
17 relative to the current approach to classifying  
18 generation, there's very little effect on the residential  
19 and general service small.

20 MR. JURGEN FELDSCHMID: When you say  
21 current you're talking about the -- the method of  
22 allocating energy -- or, sorry, the method of allocating  
23 generation costs based on energy use prior to the  
24 introduction of the -- the marginal cost factors;  
25 correct?

1                   MR. ROBIN WIENS:    Could you repeat that,  
2 please.

3                   MR. JURGEN FELDSCHMID:   When you say the  
4 current method, that is the method that has been used  
5 prior to the introduction of the marginal cost weighting  
6 factors that we see in the current recommended proposal;  
7 correct?

8                   MR. ROBIN WIENS:    The current method --  
9 the current method utilizes -- first classifies the  
10 generation costs into a capacity component and an energy  
11 component.  It's not a pure energy -- it's not a pure  
12 energy allocation.

13                   MR. JURGEN FELDSCHMID:   That -- yes,  
14 that's correct.

15                   MR. ROBIN WIENS:    So what the recommended  
16 method does is it -- it eliminates the capacity portion  
17 but it weights the on-peak periods.  So there is an  
18 element of capacity in the -- in the allocation procedure  
19 by virtue of the fact that the weightings during the peak  
20 periods are higher.

21                                So we capture a capacity component that  
22 way.  And it's related to prices that we can observe and  
23 see.  So we don't have an arbitrary classification  
24 anymore.  We have a classification that's related to what  
25 the market is telling us about the value of energy during

1 those different periods.

2 But, in fact, it -- it does not have a  
3 huge impact by moving from the current method, which is a  
4 capacity-energy split, to what we are recommending for  
5 generation classification and allocation, does not have a  
6 huge impact on the allocation of costs to any class.

7 MR. JURGEN FELDSCHMID: Is there an  
8 analysis that's already been done or can you provide an  
9 analysis indicating, even though it may be a very small  
10 effect, what that effect is?

11 MR. ROBIN WIENS: Certainly. That was  
12 provided by Manitoba Hydro with its rebuttal evidence,  
13 and I refer you to page 40 of 43 of that rebuttal  
14 evidence.

15

16 (BRIEF PAUSE)

17

18 MR. JURGEN FELDSCHMID: Thank you for  
19 that.

20 What I'm -- in the same area but from a  
21 different approach I noted that in the transcript for May  
22 10, I believe it was Ms. McCaffrey's questioning of the  
23 Panel, around page 1096 there was a discussion of a  
24 movement from the current four (4) period system to a  
25 twelve (12) period system.

1 Do you recall that discussion?

2 MR. ROBIN WIENS: I do.

3 MR. JURGEN FELDSCHMID: And my  
4 understanding is that Hydro is at least open to the  
5 possibility of moving to a twelve (12) period  
6 classification system as opposed to the current four (4)  
7 period one (1), correct?

8 MR. ROBIN WIENS: Yes.

9 MR. JURGEN FELDSCHMID: And what I'm then  
10 wondering is whether, even though you say the effect may  
11 be small on, say, residential and general service small  
12 of moving from the capacity energy split system to the  
13 full energy marginal factor system, if I can call it  
14 that, what would the effect be of moving from four (4) --  
15 a four (4) period system to a twelve (12) period system?

16 I would suspect that whatever -- whatever  
17 effect there would be on residential and general service  
18 small under the four (4) system, going to a four (4)  
19 system it would be alleviated by going to a twelve (12) -  
20 - a twelve (12) period system, correct?

21 MR. ROBIN WIENS: Well I'm -- I'm going  
22 to give you some numbers from the rebuttal evidence that  
23 I referred to.

24 On page 40 of 43 and I will use the  
25 residential class as a comparator. With the current

1 system that is a capacity energy split we see that the  
2 residential class would attract 33.3 percent of the  
3 generation costs that's assigned to domestic customers.

4           Moving to Manitoba Hydro's recommended  
5 method with four (4) periods that is reduced from 33.3 to  
6 32.6 percent. And when you go to the twelve (12) period  
7 it increases again -- back again slightly from 32.6 to  
8 32.9.

9           So you see, all three (3) of the methods  
10 are showing variation within about .7 percentage points.  
11 For general service small, non-demand there is no change  
12 among any of the methods.

13           MR. JURGEN FELDSCHMID: I see that and,  
14 well, there goes that idea.

15

16                                   (BRIEF PAUSE)

17

18           MR. JURGEN FELDSCHMID: Let me then  
19 return to just a more of a -- more common theme for CCEP  
20 which is -- I would entitle this certainty that GSS is in  
21 fact overpaying.

22           And you and I have visited this ground  
23 before, Mr. Wiens, in that I have suggested to you that  
24 when you have a number of methodological approaches to  
25 test a particular proposition and they all tend to

1 suggest the same thing over and over again, depending on  
2 -- not -- independent of what changes you might make,  
3 that when you look at the totality of that that tends to  
4 suggest or increase the robustness of the suggestion that  
5 what is being suggested by the results is, in fact, the  
6 case.

7                   Would you agree with that?

8                   MR. ROBIN WIENS: I don't have a problem  
9 with that.

10                  MR. JURGEN FELDSCHMID: And so --

11                  MR. VINCE WARDEN: Mr. Feldschmid, if I  
12 might. I do, as I've stated before in these proceedings,  
13 I do have a problem with the term overpaying. I don't  
14 think any customer is overpaying.

15                         It's because of the allocation of the  
16 export revenues that the RCC's do end up coming up over  
17 one hundred (100), but it's not appropriate to say that  
18 customers are overpaying. They're receiving a share of  
19 export revenues that result in an RCC greater than one  
20 hundred (100).

21                  MR. JURGEN FELDSCHMID: Thank you for  
22 that.

23                         And -- and I -- just for clarification --  
24 I -- I'm happy for the purposes of -- of this discussion  
25 now to say it's an RCC in excess of unity and it may be a

1 certain number of percentage points over unity.

2 The particular argument spin we might want  
3 to put on it we'll leave to when we argue.

4

5 (BRIEF PAUSE)

6

7 MR. JURGEN FELDSCHMID: I just -- in --  
8 in this -- continuing in this vein, I was wondering if in  
9 Volume 1, at Tab 11, page 40, I believe, there's a  
10 customer demand and energy cost analysis based on the  
11 recommended method.

12

13 (BRIEF PAUSE)

14

15 MR. JURGEN FELDSCHMID: Do you have that  
16 open to you or...?

17 MR. ROBIN WIENS: I think so.

18 MR. JURGEN FELDSCHMID: Okay. And one of  
19 the -- one of the features that I've noticed over, now,  
20 the third hearing that I've been involved in, is that  
21 there -- always at least superficially if you will --  
22 there seems to be more of a deviation between the  
23 revenue-to-cost ratios for general service small, non-  
24 demand and demand, prior to export allocation than to --  
25 in comparison to the other customer classes, than when

1 you go to the right-most column and look at those same  
2 results with the export allocation being put in there.

3 Would you agree with that?

4 MR. ROBIN WIENS: Could you repeat that  
5 again. I'm -- I'm not sure that I'm understanding.

6 MR. JURGEN FELDSCHMID: Well, I just --  
7 as I was preparing for this -- just a little calculation  
8 as follows. I calculated what percentage the seven --  
9 74.9 percent is of the 85.6 percent of, for instance,  
10 general service small non-demand, and came up with point  
11 -- point eight seven five (.875) or 87.5 percent.

12 When you move over -- that's under pre-  
13 export allocation. If you move over and do a similar  
14 analysis for the RCC after allocation of export and --  
15 and see what percentage the 97 percent is of the 107  
16 percent, it comes to point nine zero three (.903)  
17 according to my mathematics, or ninety point three  
18 (90.3).

19 And this suggests to me that residential  
20 is taking up a -- they've got a larger percentage or  
21 they're closer to general service in their RCC at the  
22 post-export allocation stage than they are at the pre-  
23 export allocation stage.

24 Would you agree with that?

25 MR. ROBIN WIENS: Well, that's what the

1 mathematic says, and subject to check, yes.

2 MR. JURGEN FELDSCHMID: And what I'm  
3 suggesting is that there seems to be some sort of an  
4 ongoing or -- or structural phenomenon happening where  
5 the allocation of export revenue to the classes tends to  
6 de-emphasise the -- what I would call over-contribution  
7 of revenue by general service small, although I -- I  
8 note, Mr. -- Mr. Warden's objections in -- in that  
9 regard.

10 Do you -- would you agree with that?

11 MR. ROBIN WIENS: Well, no, I would not  
12 agree with that. We've taken a number of different  
13 methods in this particular cost of service study for  
14 looking at how we allocate costs and also how we allocate  
15 net export revenues back to the customer classes. The  
16 numbers are -- they are what they are.

17 If the export revenue appears to have a  
18 bigger impact on the residential revenue cost coverage,  
19 then it's probably because the residential class has been  
20 picking up a larger share of the costs on a proportionate  
21 basis than the general service class to begin with so  
22 that the export revenue which is allocated back to the  
23 classes on the basis of, in the recommended case, on the  
24 basis of total cost incurred the residential class is  
25 going to get a larger share of -- of export revenue

1 relative to the revenue that's provided to through the  
2 rates charged to the class itself, if you follow me.

3 MR. JURGEN FELDSCHMID: Is there any  
4 specific analysis that's been done to demonstrate that  
5 that's the case?

6 MR. ROBIN WIENS: I don't have specific  
7 analysis with me but it would not be difficult to do.

8 MR. JURGEN FELDSCHMID: Well, if I could  
9 seek then an undertaking to provide that but just so I'm  
10 -- to make a more general statement just to -- just to  
11 communicate to you fully or satisfy -- that I may be  
12 satisfied that I'm communicating to you as fully as I can  
13 the concern.

14 Every time I look at one of these revenue  
15 cost coverage analyses it always seems to be the case  
16 that general service small is, as we see here, 85.6  
17 percent and 83.6 percent for RCC prior to export  
18 allocation.

19 And then that -- and that deviation looks  
20 quite significant in relation to the other classes and  
21 then you move over to the RCC post-export allocation and  
22 that gap seems to narrow.

23 That's -- that's the perception that I  
24 see. You're saying that there is a -- an explanation  
25 that does not depend on what I would call over

1 contribution of revenue by general service small and  
2 that's what I would be seeking for you to demonstrate in  
3 the undertaking.

4

5 --- UNDERTAKING NO. 22: Provide analysis of Revenue  
6 Cost Coverage to Mr. Feldschmid

7

8 MR. ROBIN WIENS: Absolutely. It -- it  
9 is related to them. It's related to the -- to the  
10 arithmetic of how these things are calculated.  
11 Residential picks up costs, particularly of generation  
12 and transmission, but also of distribution, related to  
13 its usage and the costs are probably per unit or per --  
14 or certainly per unit of revenue are higher than for the  
15 general service small class.

16 So when you do an allocation of export  
17 revenues based on something that is related to cost,  
18 mathematically the phenomenon that you are observing is  
19 bound to happen.

20

21 CONTINUED BY MR. JURGEN FELDSCHMID:

22 MR. JURGEN FELDSCHMID: Okay, thank you  
23 for that.

24

25

(BRIEF PAUSE)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. JURGEN FELDSCHMID: Looking at Volume 1, Tab 11, page 6 which is essentially a summary chart setting out the revenue to cost ratios under the current method, the NERA method, generation vintaging and the method that Manitoba Hydro recommends for the purposes of this hearing.

And you'll agree with me that looking across those methodological changes that residential is contributing more revenue in relation to its costs but still remains less than unity; is that correct?

MR. ROBIN WIENS: Yes.

MR. JURGEN FELDSCHMID: And the larger general service large 30 to 100 kV and above 100 kV are contributing less and moving toward unity; correct?

MR. ROBIN WIENS: Yes.

MR. JURGEN FELDSCHMID: And whereas GSS non-demand and demand continue to be above unity across all of these methods and, in fact, if you look at the recommended method, appear to be going -- well, certainly for non-demand, in an upward direction away from unity; correct?

MR. ROBIN WIENS: Yes.

MR. JURGEN FELDSCHMID: And referring to page 28 of the Hydro rebuttal evidence where Hydro

1 undertook an application of Mr. Lazar's approach using  
2 pure marginal cost but without his environmental  
3 externalities, GSS is the highest, is that correct?

4 MR. ROBIN WIENS: Yes.

5 MR. JURGEN FELDSCHMID: A further  
6 analysis at page 28 using Mr. Lazar's approach of pure  
7 marginal cost of supply and adding, as well, marginal  
8 cost of, I believe, it's additions or expansions to the  
9 transmission and distribution systems, GSS in that  
10 analysis again is the highest, correct?

11 MR. ROBIN WIENS: Yes.

12 MR. JURGEN FELDSCHMID: I note, as well,  
13 that in the Hydro's response to PUB/IR I-1 -- just a  
14 moment.

15

16 (BRIEF PAUSE)

17

18 MR. JURGEN FELDSCHMID: Yes, thank you  
19 it's PUB I-1(d), there's an analysis done in that IR  
20 based on an analysis done in the NERA time of use and  
21 inverted rate study. Again that shows general service  
22 small is over contributing and it's in fact -- general  
23 service small non-demand is the highest over contributor  
24 of the classes shown there, correct?

25 MR. ROBIN WIENS: Well, Mr. Feldschmid --

1 MS. PATTI RAMAGE: I was just going to  
2 ask for the reference again?

3 MR. JURGEN FELDSCHMID: Sorry, it's  
4 PUB/MH- IR-I-1(d).

5 MR. ROBIN WIENS: Mr. Feldschmid, first  
6 of all, this is done in a relative sense, this analysis.  
7 It is not an absolute measure of over-contribution or  
8 under- contribution.

9 That -- that particular table is reference  
10 to a measure of, for each class, revenue to marginal  
11 cost. No class is above 100 percent on an absolute  
12 basis. The classes collectively are somewhere around 60  
13 percent if my memory serves me correctly.

14 So the -- the measure of, whatever it  
15 happens to be, and I suspect it's somewhere in the order  
16 of 120 percent is relative to that 60 percent. So first  
17 -- that should be first of all understood.

18 So all the classes are below 100 percent.  
19 The general service small non-demand class is the least  
20 far away from 100 percent.

21 Secondly, the marginal cost information in  
22 that table and I believe it's stated there, is not  
23 complete. There needs to be some additional work done to  
24 recognize marginal operating costs and marginal customer  
25 service costs.

1                   These are concentrated at the customer end  
2 of the distribution system. So that when those marginal  
3 costs are added into the equation, if they were to be  
4 added into the equation, they would affect residential  
5 and general service small non-demand to the greatest  
6 extent.

7                   So those are the caveats that are on those  
8 numbers. But, subject to those caveats, yes, you're  
9 correct.

10

11 CONTINUED BY MR. JURGEN FELDSCHMID:

12                   MR. JURGEN FELDSCHMID: On that last  
13 point, they would have the greatest influence on  
14 residential and general service small in what direction?  
15 Tending to show a lower revenue to cost ratio or a higher  
16 one?

17                   MR. ROBIN WIENS: Lower.

18

19                   (BRIEF PAUSE)

20

21                   MR. JURGEN FELDSCHMID: Just so I'm clear  
22 on the -- clearer at least -- on the -- on the meaning of  
23 the information in this particular IR, it is not the case  
24 I take it then that the revenue -- or, sorry, the -- the  
25 ratios that are shown are significantly below unity

1 simply because export revenue has not been allocated back  
2 in.

3 Is that correct?

4 MR. ROBIN WIENS: There's no  
5 consideration of export revenue in those numbers.

6 MR. JURGEN FELDSCHMID: Is --

7 MR. ROBIN WIENS: Those are -- those are  
8 domestic revenues divided by estimated marginal costs.

9 MR. JURGEN FELDSCHMID: Could it be said  
10 then that the -- the ratios that are shown in this IR are  
11 in any way analogous to the pre-export ratios that we see  
12 in -- what is it -- the customer demand and energy cost  
13 analysis tables?

14 MR. ROBIN WIENS: No. No, Mr.  
15 Feldschmid. They simply reflect the fact that rates to  
16 Manitoba's domestic customer classes, which are based on  
17 embedded costs less export revenue, are significantly  
18 below marginal costs. That's what they reflect.

19 MR. JURGEN FELDSCHMID: Okay. Thank you.

20

21 (BRIEF PAUSE)

22

23 MR. JURGEN FELDSCHMID: I want to turn  
24 now to the issue of class consolidation and just confirm  
25 at this point the -- there has been some discussion in

1 this application and in its material about class  
2 consolidation and, shall we say, a certain amount of  
3 musing out loud perhaps by Manitoba Hydro about potential  
4 class consolidation.

5 But I take it at this point, for the  
6 purposes of this hearing, Manitoba Hydro is not seeking  
7 to consolidate any of the classes that currently exist.

8 Is that correct?

9 MR. ROBIN WIENS: We have no specific  
10 proposal at this time.

11

12 (BRIEF PAUSE)

13

14 MR. JURGEN FELDSCHMID: And this is going  
15 to be my final question.

16 Let us say -- and I'm directing this  
17 primarily to Mr. Warden but someone else may answer --  
18 let us say that, Mr. Warden, Mr. Brennan calls you from  
19 his office down to your office and says, Look we've got  
20 to give these small business and non-residential  
21 ratepayers a break, They've been consistently -- well,  
22 what would he say?

23 I guess he would say, They've been  
24 consistently above unity, well above unity on the RCC's,  
25 and would leave it at that, These people are the salt of

1 the earth, the backbone of the Manitoba economy and so I  
2 want you to knock off their rates so they come down to  
3 unity.

4 Does -- if Manitoba Hydro were to come to  
5 that -- that epiphany, are they at this time in a  
6 position to -- have they done the necessary analysis, do  
7 they have available to them the necessary information to  
8 reduce general service small rates down to -- to unity,  
9 to reduce the -- the -- reduce the rates so that the  
10 RCC's are equal to unity?

11 MR. VINCE WARDEN: Mr. Feldschmid, I can  
12 never foresee a situation where Mr. Brennan or anybody  
13 else would -- would suggest that the small general  
14 service have a rate decrease. As I indicated before, I  
15 firmly believe -- Manitoba Hydro firmly believes that the  
16 small general class -- no class is overpaying.

17 Does it have an impact on what rate  
18 increase we would recommend to this Board in the future?  
19 Absolutely. Absolutely, we look at those ratios. And  
20 the fact that general service small is the highest RCC  
21 relative to the other classes would have an influence on  
22 what the rate increase would be recommended to this  
23 Board.

24 But a rate decrease, no, I cannot foresee  
25 that happening.

1                   MR. JURGEN FELDSCHMID:    Never --  
2   nevertheless, whether it's within the realm of  
3   possibility or not, if -- if such a decision were to be  
4   taken, the -- the Corporation as of the moment, as I  
5   understand it, is -- is in a financial position whereby  
6   bringing the general service classes to unity would have  
7   a revenue impact that is manageable.  It certainly  
8   wouldn't push the Corporation into any sort of a deficit;  
9   would it?

10                  MR. VINCE WARDEN:    Well, you know, one  
11   (1) good year doesn't really put us in a position we'd  
12   like to be in or should be in where as long as we're  
13   below that recommended or proposed or target that we're  
14   trying to achieve of the 75/25 that we keep talking  
15   about, then we are vulnerable to being in a deficit  
16   position in retained earnings which would be very bad for  
17   Manitoba Hydro and very bad for the Province of Manitoba.

18                  MR. JURGEN FELDSCHMID:    Let me leave off  
19   then if I could seek an undertaking or what the revenue  
20   impact or cost essentially would be to bring the GSS  
21   small demand and GSS small non-demand to unity; is --  
22   that calculation I expect wouldn't be too difficult to  
23   provide?  I think Mr. Wiens is doing it as I'm asking for  
24   it.

25                                At least he has to use a calculator which

1 gives me some hope. If he could do it in his head I'd  
2 really be worried.

3 THE CHAIRPERSON: Am I correct to  
4 interpret your question as one in which doesn't require  
5 an adjustment to any other class?

6 MR. JURGEN FELDSCHMID: Well, if there --  
7 if there are going to be -- and I understand that rolling  
8 back GS -- general service small will have effects on the  
9 other classes. My primary interest is what the cost of  
10 just rolling back the class would be. The --

11 THE CHAIRPERSON: You mean the effect for  
12 that particular class?

13 MR. JURGEN FELDSCHMID: Well, the effect  
14 for that particular class but also to the extent that  
15 that rollback would have an effect beyond just the  
16 foregone revenue from that class to the Corporation  
17 across the system would be important as well, because my  
18 intent, Mr. Chair, is at least to explore and give some  
19 consideration to the possibility of making the argument,  
20 even though it may not be something that the Corporation  
21 is -- is -- is intending to go with, it may not be in the  
22 forefront of the mind of the Board, but to be able to  
23 make the argument that given the current financial  
24 situation of the Company that it would be no difficulty  
25 in providing that rollback to general service small from

1 the point of view of the cost related just to that class  
2 but also the cost to the Company systemwide.

3 MR. ROBERT MAYER: Mr. Feldschmid, how  
4 does your question impact upon the methodology that is  
5 being recommended to this Board? I mean, you're talking  
6 about rates, we're talking about a cost methodology. I  
7 want to know which part of the methodology you think  
8 ought to be changed in order to solve the problem which  
9 you perceive?

10 MR. JURGEN FELDSCHMID: Well, let me  
11 address that in two (2) ways. Firstly, I'm just  
12 attempting to ensure that I have evidence available to me  
13 that I may use in final argument to make a particular  
14 submission to this Board. The Board may accept that  
15 submission, it may reject that submission.

16 In terms of methodological changes, I have  
17 explored earlier in my questioning one particular concern  
18 I've had. It doesn't seem that the concern that I had  
19 bore out in terms of the information I received from Mr.  
20 Wiens and I'm going to receive an undertaking from Mr.  
21 Wiens on that as well.

22 And so we may not have a particularly  
23 methodological change position to take. Nevertheless in  
24 -- in the world of paying electricity rates, less is  
25 always more.

1 THE CHAIRPERSON: Ms. Ramage...?

2 MS. PATTI RAMAGE: Oh, if I could just  
3 respond to that is ultimately this hearing is about cost  
4 of service and the questions being posed right now relate  
5 to rate changes and -- and that's not what this Panel  
6 came to discuss and I don't believe it's what the Board  
7 intends to deliberate on.

8 So I don't think the question is  
9 appropriate. And -- nor would any argument with respect  
10 to rate changes be the argument that I think addresses  
11 the issues that we've assembled to deal with.

12 THE CHAIRPERSON: I'm thinking -- I'm  
13 mindful of the comments of the Vice-Chair and yourself  
14 and also Mr. Feldschmid. I'm imagining that this doesn't  
15 take a lot of effort, to give a back-of-an-envelope  
16 estimate of what the impact would be on that particular  
17 class, to move it.

18 I suppose the argument to support Mr.  
19 Feldschmid's comment is that part of the COSS, of course,  
20 is the application of the ZOR, the zone of  
21 reasonableness, issues in methodology could potentially  
22 extend to the length of time it would take one to move to  
23 unity.

24 So I guess my basic question is, is it  
25 that complicated to give a back-of-the-envelope estimate

1 of what the effect would be to affect one class and move  
2 it to unity?

3                   It seems to me it's a fairly simple  
4 matter.

5                   MR. VINCE WARDEN:   The calculation itself  
6 is very simple.  And we can certainly do that.  Mr. Weins  
7 has done it, come up with a number of \$15 million.

8                   The real question is whether it's  
9 appropriate.  And I guess I've been arguing all along or  
10 maintaining all along that -- is that -- as long as we're  
11 in the position of -- of having a debt-equity ratio that  
12 is below target, then it's just a question of what  
13 contributions we take from the relative customer classes  
14 in order to achieve that.

15                   So the general service small categories  
16 and along with street-lighting is -- is in the happy  
17 circumstance of, over that period of time, likely  
18 contributing less.  But refunding would, in the  
19 circumstance that we're in, would be -- would just not be  
20 something we would recommend.

21                   We have done the calculation but it's  
22 certainly, as Ms. Ramage has pointed out, not relevant to  
23 these proceedings.

24                   THE CHAIRPERSON:   Yes.  If you reduce it  
25 down to the simple question without getting into the

1 general context as to its worthiness, I mean, you're  
2 saying it's \$15 million?

3 MR. VINCE WARDEN: Yes.

4 THE CHAIRPERSON: Does that do it for  
5 you, Mr. Feldschmid?

6 MR. JURGEN FELDSCHMID: It does suit for  
7 my purposes of this hearing. And those are my questions.  
8 And I thank you very much to the Panel and to the Chair  
9 and the Board. Thank you.

10 THE CHAIRPERSON: Thank you, Mr.  
11 Feldschmid.

12 Before we discharge this Panel and ask Ms.  
13 Ramage if she has any re-direct, Mr. Peters, I'm  
14 wondering, are we keeping up a list of the various  
15 undertakings? I'm wondering if there's any supplementary  
16 questions we should be asking related to them?

17 MR. BOB PETERS: There is a list that is  
18 being maintained and I know Ms. Ramage is circulating  
19 them as soon as they are prepared. I'm not certain if  
20 any other parties have questions of this Panel before  
21 they're discharged.

22 I think the questions on the undertakings  
23 that -- that I have seen, we've asked our questions and  
24 that included questions of Mr. Cormie yesterday to finish  
25 it up. But it's probably a good question to ask others

1 if they have any on the -- on the undertakings that have  
2 been circulated to date.

3 THE CHAIRPERSON: For the Panel, we'll  
4 reserve that right until we review, looking at what  
5 undertakings are still outstanding, but nothing  
6 immediately comes to mind.

7 Do any other parties here have any  
8 questions with respect to the undertakings that haven't  
9 been delivered on yet?

10 MR. BYRON WILLIAMS: I guess I don't know  
11 whether we have any questions until I see the responses.  
12 But I -- I think in terms of CAC/MSOS, I don't anticipate  
13 any. But there is one (1) undertaking from Mr. Cormie  
14 yesterday that -- that we're interested in looking at,  
15 but I -- I'm not expecting that we'll need the Panel  
16 recalled for that.

17 THE CHAIRPERSON: Professor Miller...?

18 DR. PETER MILLER: I believe Ms. Bowman  
19 asked for an undertaking on the elasticity, and I  
20 subsequently cross-examined in neighbouring areas.

21 Do you consider your verbal responses to  
22 my cross-examination to be the response to the  
23 undertaking to Ms. Bowman?

24 MR. ROBIN WIENS: Unless I'm otherwise  
25 advised by -- by Mr. Williams, yes.

1 MR. BYRON WILLIAMS: And I think I  
2 discussed this with Ms. Bowman, who's just in the other  
3 room, so she'll come in and club me if I'm misstating --

4 THE CHAIRPERSON: Obviously --

5 MR. BYRON WILLIAMS: It's fine.

6 THE CHAIRPERSON: -- the intercom works.

7 MR. BYRON WILLIAMS: We -- the  
8 undertaking was satisfied in terms of the oral response.

9

10 (BRIEF PAUSE)

11

12 THE CHAIRPERSON: Given the significance  
13 of having the array of talent that we have in front of us  
14 -- and I mean that in a most sincere fashion -- I think  
15 what we're going to do is we're going to take our break  
16 right now for ten (10) minutes, our morning break, and  
17 we'll just confer ourselves with Mr. Peters.

18 Then we'll come back, ask Ms. Ramage if  
19 she wants to do any re-direct. And then we'll move on to  
20 Mr. Williams and his witness, it will give him a chance  
21 to get ready too.

22 So let's say we're back at ten o'clock.  
23 Thank you. That will give the Panel a little bit more  
24 certainty.

25

1 --- Upon recessing at 9:50 a.m.

2 --- Upon resuming at 10:08 a.m.

3

4 THE CHAIRPERSON: Okay. Welcome back  
5 everyone.

6

7 (BRIEF PAUSE)

8

9 THE CHAIRPERSON: We do have a few of the  
10 undertakings we'd like to review with the Panel, just to  
11 reduce the potential for having to ask them to come back.

12 I'll go through them with you, if you  
13 don't mind. If we have forgotten some filing, you can  
14 let us know.

15 The first one was a general question that  
16 I actually asked from here. I simply asked that a lot of  
17 methodologies are floating around that have been proposed  
18 and could be imagined, and I was wondering what the  
19 Corporation's review was as to the potential of selecting  
20 two (2) or more methodologies and providing weights and  
21 averaging them to get closer to, if you like, an answer  
22 that would be seen by all to be equitable and fair.

23 MS. PATTI RAMAGE: Mr. Chair, I was going  
24 to address that question on re-direct but if you'd like,  
25 Mr. Warden could answer it right now.

1 THE CHAIRPERSON: Sure.

2 MR. VINCE WARDEN: Yes, Mr. Chairman.

3 This question I believe you posed on May the 10th. And  
4 we've been debating about the merits of -- or whether  
5 there is a methodology that could somehow incorporate  
6 deemed environmental costs or -- or externalities and, as  
7 you suggested, come up with some kind of a weighting.

8 We definitely would like to be as  
9 responsive as we can to that request. However, we are  
10 not -- not convinced there would be real value in -- in  
11 this methodology -- or attempting to do this.

12 First of all, it would be quite subjective  
13 in terms of what we would determine those or deem those  
14 externalities to be. We could take a stab at that of  
15 course and -- I believe there -- there are some things we  
16 could do in that regard.

17 There is a time commitment that would be  
18 required, we are concerned about that. And if there are  
19 -- if we are going to devote that time, we'd like to do  
20 it on something that would be of value.

21 I think throughout these proceedings we've  
22 talked a lot about marginal costs. And there may be some  
23 value in putting together a cost of service methodology  
24 based on marginal costs.

25 That would take, though, to do it properly

1 we think could take six (6) to eight (8) months, not an  
2 insignificant commitment of time.

3           And one (1) of the priorities for us, as  
4 soon as we get out of these proceedings as far as the  
5 cost of service people are concerned is the diesel issue  
6 and we do have to immediately address the growing problem  
7 we're having with diesel and the escalating costs in  
8 diesel communities. So we wouldn't like to divert  
9 attention away from that.

10           In summary, we again would like to be  
11 responsive and if so directed by this Board, we will  
12 devote the time necessary to put together another  
13 methodology as directed.

14           THE CHAIRPERSON: I'm pleased by the fact  
15 that you took the question in the general sense that it  
16 was intended. The example I used was externalities in  
17 environment and you talked about marginal costs.

18           And the point that you're concerned about,  
19 one (1) of the concerns was is that you are disinclined  
20 to develop a COSS that could be viewed as being  
21 subjective, is that a fair statement?

22           MR. VINCE WARDEN: Yes, I agree with  
23 that.

24           THE CHAIRPERSON: Okay. Thank you, Mr.  
25 Warden, I appreciate that.

1                   The other questions that we just want to  
2 run over with you is Undertaking 4, the question was to  
3 advise as to whether Manitoba Hydro's prepared to  
4 disclose a list of summer month sales, excepting the name  
5 of counter-parties, without breaching confidentiality.

6                   This is outstanding and I'm sure you have  
7 to give due consideration to this. Just add to this --  
8 we're prepared to receive this material in confidence, if  
9 that would assist the Corporation.

10                   I don't know if you're prepared to answer  
11 this one right now, or not.

12

13                   (BRIEF PAUSE)

14

15                   THE CHAIRPERSON: Even in confidence,  
16 excepting the name of the counter-parties, by the way.

17                   MR. HAROLD SURMINSKI: I didn't hear all  
18 of it, sorry, but we are working on -- it is a  
19 significant tasks to compile all of these because there's  
20 hundreds and maybe a thousand transactions.

21                   But, they're -- we do have -- you know we  
22 will selectively eliminate information that we consider  
23 to be confidential. But, so you would get more  
24 information if you asked for it in confidence, so it's  
25 your choice.

1 THE CHAIRPERSON: I think we'll take that  
2 one (1) under advisement and we'll get back to Ms.  
3 Ramage. We'll think on that. Thank you very much.

4 MR. BYRON WILLIAMS: Mr. Chairman ---

5 THE CHAIRPERSON: We weren't imagining  
6 that we were going to require the Corporation to spend  
7 numerable hours in developing this. So that's one part  
8 the thing we're interested in.

9 The second one (1) is we're always trying  
10 to assure ourselves that we're asking relevant questions  
11 that go to the objective of the exercise. And we'll  
12 ponder this a bit more too.

13 MR. ROBERT MAYER: Can we clarify? I  
14 think we're -- are we talking about Undertaking number --

15 THE CHAIRPERSON: Four (4) --

16 MR. ROBERT MAYER: -- or at least not  
17 undertaking number -- the fourth -- undertaking number  
18 four (4) on the May 5th transcript?

19 THE CHAIRPERSON: I don't have the date I  
20 just have the undertaking here. Mr. Peters will check.

21

22 (BRIEF PAUSE)

23

24 THE CHAIRPERSON: Mr. Peters, page 465,  
25 check it, is this the -- is this number 4 being extracted

1 from that comment?

2

3

(BRIEF PAUSE)

4

5

THE CHAIRPERSON: That's not it.  
6 Disregard that. In any case we'll take it under  
7 advisement and we'll get back to Ms. Ramage.

8

MR. BYRON WILLIAMS: Mr. Chairman, if I  
9 might, Bryon Williams here. Just in terms of the  
10 reception of certain material in confidence.

11

You know, we're not sure -- there are  
12 rules under the Rules of Procedure and we're not sure  
13 exactly -- I'll have to review the undertaking as well  
14 and we may have some comments on behalf of our clients  
15 about maximizing public disclosure to the degree  
16 possible.

17

THE CHAIRPERSON: That's fine, Mr.  
18 Williams. We're going to ponder it.

19

Now, I wanted to return to something  
20 Professor Miller was just talking about. The Undertaking  
21 Number 12 and we understanding that CAC/MSOS was involved  
22 in this, and if memory serves us right there was an oral  
23 response to this.

24

We didn't just look -- find it in the  
25 transcript but the question was, review the evidence

1 provided by Jim Lazar on behalf of RCM/TREE and comment  
2 on whether the principles of elasticity hold when  
3 speaking of a rate increase in the magnitude of 127  
4 percent.

5                   Perhaps to help us out you could just,  
6 sort of, provide us again the oral response you gave at  
7 that time? Mr. Williams is suggesting you'll find it at  
8 page 983.

9                   MR. ROBIN WIENS: I'm not sure that I can  
10 add anything more to what was said on page -- on page  
11 983.

12                   THE CHAIRPERSON: Could you just read it  
13 again?

14  
15   (BRIEF PAUSE)

16  
17                   THE CHAIRPERSON: Some of us occasionally  
18 claim to have very good memories but there's a limit.

19                   MR. ROBIN WIENS: I think we have it  
20 starting on page 983 and well, we begin on line 7 where I  
21 stated that:

22   "The elasticity is supposed to be a  
23 large measure that may cover a  
24 multitude of different types of  
25 adaptation. And I was trying to get

1                   into that by way hopefully of  
2                   addressing the concern raised yesterday  
3                   by Ms. Bowman. .25 percent is, I  
4                   think, not an unreasonable estimate for  
5                   short run -- perhaps even some longer  
6                   run adaptation by customers over a  
7                   reasonable arc, if you will, in the  
8                   demand curve. If you're talking 10  
9                   percent or 20 percent or even up to 30  
10                  percent..."

11                 And I'm referring to price changes there--

12                 THE CHAIRPERSON:    Yes, I recall now.

13                 MR. ROBIN WIENS:    "I wouldn't see that as  
14                   being unreasonable. Beyond that I  
15                   can't, on the basis of what I have to  
16                   analyse, give a whole lot more  
17                   direction on this but my suspicion is  
18                   that you would be looking at more  
19                   dramatic impacts on the reduction in  
20                   consumption in Manitoba."

21                 THE CHAIRPERSON:    Thank you, Mr. Wiens.

22                 Undertaking Number 13, we have Mr. Cormie here and we  
23                 were wondering whether this one too we're not certain  
24                 it's been filed completely.

25                 13 was: confirm whether for the purposes

1 of effecting diversity sale contracts membership in  
2 either MISO or MAPP are necessary. If so, in which, if  
3 any, of those two (2) organizations is membership  
4 necessary.

5 We think it might have covered off in the  
6 thirty (30) page submission of the other day.

7 MS. PATTI RAMAGE: My notes, just before  
8 Mr. Cormie jumps in is it's contained in Manitoba Hydro  
9 number 20 which I believe --

10 THE CHAIRPERSON: Was that thirty (30)  
11 page document?

12 MS. PATTI RAMAGE: Yes.

13 THE CHAIRPERSON: Okay. So we have that  
14 one.

15 MS. PATTI RAMAGE: But it wouldn't hurt  
16 if you'd like --

17 THE CHAIRPERSON: Presumably, yes or no?

18 MR. DAVID CORMIE: The answer is  
19 membership is not necessary.

20 THE CHAIRPERSON: Thank you. Sometimes  
21 the verbal response is easier.

22 MR. DAVID CORMIE: Yes.

23 THE CHAIRPERSON: Undertaking Number 14,  
24 it's a very similar question. In fact, I should have  
25 tied them in because it will be the same, yes or no. In

1 terms of allowing for emergency purchases to compensate  
2 for failure of Manitoba Hydro's northern transmission  
3 connecting northern generation, and let's hope that does  
4 not occur, is membership required for either MISO or  
5 MAPP?

6 MR. DAVID CORMIE: Membership is required  
7 in MAPP. We are a member of the MAPP generation reserve  
8 sharing pool and as a member we are entitled to purchase  
9 emergency power under those circumstances.

10 THE CHAIRPERSON: Is there a penalty to  
11 purchase at that -- in such circumstances?

12 MR. DAVID CORMIE: We're entitled to  
13 purchase at the cost of generating electricity plus 10  
14 percent. So we pay -- we pay a cost-based rate for that  
15 purchased power. There's no penalty.

16 THE CHAIRPERSON: Thank you.

17

18 (BRIEF PAUSE)

19

20 THE CHAIRPERSON: Is the membership fees  
21 for MISO and MAPP significant? Material for a  
22 Corporation the size of Manitoba Hydro just for  
23 simplicity sake --

24 MR. DAVID CORMIE: The MISO membership  
25 fees are in the order of \$5 million.

1 THE CHAIRPERSON: So they're material.  
2 And MAPP? That's an annual fee you're talking about, Mr.  
3 Cormie?

4 MR. DAVID CORMIE: Yes, those are annual  
5 fees. And the MAPP membership fee is significantly less  
6 than that.

7 THE CHAIRPERSON: MISO provides a range  
8 of services, obviously for that level of funds?

9 MR. DAVID CORMIE: In exchange for the  
10 membership fee we are allowed to take network service at  
11 no costs. So we can use -- we can buy energy out of the  
12 market without having to take transmission service.

13 So the membership fee is designed to  
14 allocate the cost of running the MISO to native load and  
15 then every member of MISO picks up their fair share of  
16 those costs through the -- through the membership fee.

17 THE CHAIRPERSON: And just reminding  
18 myself and the others, this particular arrangement has  
19 facilitated this new undertaking that you've been  
20 involved in since May of 2005, has it not? The one in  
21 which you're displacing your own generation deliveries  
22 with purchases in the States so that you can sell across  
23 to Ontario?

24 MR. DAVID CORMIE: Yes, the MISO is not  
25 operating an energy market allows us to buy and sell

1 electricity and from the market, rather than having to do  
2 it from suppliers directly.

3 THE CHAIRPERSON: Then we did understand  
4 that. Okay. Number 18 was a fairly simple question, we  
5 thought. We're wondering whether or not, Does Hydro  
6 Quebec or BC Hydro ensure their large assets or do they  
7 self-insure in the same manner as Manitoba Hydro?

8 MR. VINCE WARDEN: Mr. Chairman, the  
9 answer isn't quite as simple as I had originally --

10 THE CHAIRPERSON: Nothing is simple in  
11 this.

12 MR. VINCE WARDEN: No -- both Hydro  
13 Quebec and BC Hydro do have limits on their insurance and  
14 different deductibilities than does Manitoba Hydro.  
15 We're attempting to put together a schedule comparing  
16 ourselves to Hydro Quebec and BC Hydro. They haven't  
17 agreed to divulge that information yet.

18 So we're still in contact with those  
19 utilities but hopefully -- well --

20 THE CHAIRPERSON: The background -- the  
21 background context of all this just goes basically to  
22 management judgments with respect to when you start  
23 comparing -- you compared in some of your earlier remarks  
24 your debt equity ratio with that of Hydro Quebec and BC  
25 Hydro.

1 Presumably insurance or lack thereof, or  
2 self- insurance is a potential risk factor I imagine,  
3 goes into the equation somewhere?

4 MR. VINCE WARDEN: Yes, yes, it does.

5 And --

6 THE CHAIRPERSON: If you had less  
7 insurance, for example, than them, it would argue for you  
8 having a higher equity component would it not?

9 MR. VINCE WARDEN: Yes it would appear  
10 the opposite is true though. We don't have less  
11 insurance than they do for certain perils.

12 THE CHAIRPERSON: That's our  
13 understanding, the other side of it is, normally when you  
14 looked at it, if you had less insurance you'd assume  
15 you'd require more equity, is that not true?

16 MR. VINCE WARDEN: Agreed, yes.

17 THE CHAIRPERSON: Thank you very much  
18 Panel. I think these are -- this runs through out list.  
19 Ms. Ramage?

20 MR. DAVID CORMIE: Mr. Chairman -- Mr.  
21 Chairman, I can tell you that our membership fees in  
22 those two (2) organizations last year were \$5 million,  
23 4.6 million were for MISO and 500,000 for MAPP  
24 membership.

25 THE CHAIRPERSON: US or Canadian dollars?

1                   MR. DAVID CORMIE:    Those are in -- those  
2 are in Canadian dollars.

3                   THE CHAIRPERSON:    Thank you.    Ms. Ramage  
4 do you have any redirect for the Panel?

5                   MS. PATTI RAMAGE:    Yes, just a brief  
6 redirect.

7

8 RE-DIRECT-EXAMINATION BY MS. PATTI RAMAGE:

9                   MS. PATTI RAMAGE:    Mr. Cormie, yesterday  
10 counsel for MIPUG walked you through an Exhibit and I  
11 believe it was MIPUG Exhibit 7 and there's no need to  
12 refer to it, but it dealt with the cost of Conawapa, in  
13 particular, the comparison of five (5) units versus ten  
14 (10) units. Do you recall that discussion?

15                   MR. DAVID CORMIE:    Yes.

16                   MS. PATTI RAMAGE:    And there seemed to be  
17 a suggestion that expansion from five (5) units to ten  
18 (10) units is being considered only because of the  
19 possibility that it will facilitate opportunity sales, do  
20 you agree with that contention?

21                   MR. DAVID CORMIE:    No I don't. A new  
22 plant like Conawapa has a life expectancy well in excess  
23 of a hundred (100) years. And for most of that life its  
24 output will be entirely used to serve Manitoba load.

25                   Therefore, it is designed in size to

1 optimize the site, given that long term need to serve the  
2 domestic customer.

3 MS. PATTI RAMAGE: What reasons support  
4 incurring costs for the ten (10) units in -- at any time?

5 MR. DAVID CORMIE: The factors that we  
6 consider in sizing the plant are our need for capacity,  
7 our need for dependable energy, the economics of the  
8 development including avoided costs from alternative  
9 supply such as imports and natural gas generation.

10 We want to maximize the value of energy  
11 generated. A smaller plant produces more off peak  
12 energy. A larger plant produces on peak energy. There's  
13 a differential value between on and off peak and we want  
14 to capture that to the extent that it's economic. And,  
15 in addition, there are environmental benefits from  
16 building a hydro plant that aren't available from thermal  
17 based generation.

18 MS. PATTI RAMAGE: One of the benefits  
19 you mentioned was capacity; can you expand on that?

20 MR. DAVID CORMIE: We have to ensure that  
21 at the time of peak load that there is sufficient  
22 capacity available in the system, including our need for  
23 reserves, and so that is one of the -- one of the design  
24 considerations when we expand the system.

25 Additional units are the lowest cost

1 alternative to providing capacity and are certainly lower  
2 than entering into firm power purchases or building more  
3 thermal plants.

4 MS. PATTI RAMAGE: So, to put it in terms  
5 that maybe I can understand, rather than spilling water  
6 in non-peak times your recommendation would be to add  
7 units, store water, and then run it through the turbines  
8 during peak periods?

9 MR. DAVID CORMIE: Yes.

10 MS. PATTI RAMAGE: And that would be as  
11 opposed to buying firm power at peak times or building  
12 peaking generation such as gas turbines?

13 MR. DAVID CORMIE: Correct.

14 MR. ROBERT MAYER: Arising out of that,  
15 if I recall reading somewhere that you're -- with  
16 construction of Conawapa the total flood area would be in  
17 the area of five (5) square kilometres and that would all  
18 be within the river bank. I'm wondering how much reserve  
19 capacity, how much ability you have to use what appears  
20 to be a relatively small reservoir for a relatively large  
21 generating station?

22 This just doesn't sound like -- I mean,  
23 I've seen the Nelson River. It's a pretty good size  
24 river but if alls you're doing is backing it up within  
25 the banks I'm wondering about your reserve capacity in

1 that reservoir?

2 MR. DAVID CORMIE: The regulation for the  
3 river, Mr. Mayer, is provided at the upstream station at  
4 -- at Kettle. And so we can have a small forby  
5 (phonetic) but we really have a big forby immediately  
6 upstream and those stations run as a single unit although  
7 they are -- they are -- you know, they're in series.  
8 They all go up and down in - in -- in synchronous.

9 MR. ROBERT MAYER: But you have -- you  
10 have limits on that reservoir which I think is called  
11 Stephenson Lake?

12 MR. DAVID CORMIE: Yes.

13 MR. ROBERT MAYER: The forby in front of  
14 Kettle and that can only go back up to, if I recall your  
15 plants correctly, to the base of Kiask, if and when Kiask  
16 gets developed.

17 But you're not going to start backing that  
18 up to the point that it's going to get into Split Lakes I  
19 suspect?

20 MR. DAVID CORMIE: No, we won't be  
21 backing it up. And further that, we have Lake Winnipeg  
22 upstream that provides even greater regulation. And so  
23 the combination of Lake Winnipeg and Stephenson Lake  
24 provides effective regulation for the water that reaches  
25 Conawapa.

1 MR. ROBERT MAYER: Thank you.

2

3 CONTINUED BY MS. PATTI RAMAGE:

4 MS. PATTI RAMAGE: Mr. Cormie, what is  
5 the effect on the economics of new hydro generation when  
6 you have access to an opportunity export market?

7 MR. DAVID CORMIE: Market access allows  
8 Hydro to sell the surplus power when not needed to serve  
9 firm loads and generate additional revenues there --  
10 thereby reducing the overall cost of the new generation.

11 MS. PATTI RAMAGE: Now, at page 396 of  
12 the transcripts Mr. Peters asked Mr. Surminski, and I'm  
13 quoting here:

14 "If you were just going to have that  
15 facility serve nothing but domestic  
16 load it might influence you to put in a  
17 certain number of turbines. But if you  
18 had an opportunity to export that  
19 energy you might put in a few more?"

20 And Mr. Surminski responded:

21 "No. It is more related to the  
22 incremental cost of adding the  
23 additional turbine and utilizing the  
24 water at the site."

25 He went on to say that it really has

1 nothing to do with the export market it just has to do  
2 with the optimal utilization of water at the site.

3 Now, do you agree with Mr. Surminski's  
4 response?

5 MR. DAVID CORMIE: Yes, I do. Again, Mr.  
6 Surminski is thinking about the long run need for  
7 capacity and energy; that need will be there for hundreds  
8 of years.

9 And because in the long run Manitoba load  
10 will grow and the entire output of the plant, both its  
11 capacity and energy, will be needed to serve Manitoba  
12 load.

13 Surpluses from new hydro occur only in the  
14 early years of the plant as a result of the large  
15 increments of capacity and energy to come along as a  
16 result of building large hydro plants.

17 MS. PATTI RAMAGE: Thank you, Mr. Cormie.  
18 That concludes Manitoba Hydro's re-direct.

19 THE CHAIRPERSON: Thank you, Ms. Ramage.  
20 And thanks again to the Panel from the Board and all  
21 present. We greatly appreciate your attendance and your  
22 answers, and we will discharge you. Thank you.

23

24 (PANEL STANDS DOWN)

25

1 THE CHAIRPERSON: Next up is Mr. Harper  
2 and CAC/MSOS, his witness. I'll turn the matter over to  
3 Mr. Williams, maybe, if you wouldn't mind, you could  
4 introduce Mr. Harper again. I think most people here are  
5 quite familiar with him but if you wouldn't mind briefly  
6 reviewing his credentials.

7 MR. BYRON WILLIAMS: Well, I'm going to -  
8 - before I do that, Mr. Chairman, I'm going to ask Mr.  
9 Barron to assist us by having Mr. Harper sworn.

10 And while he's on his way over to -- to do  
11 that task, I did want to introduce -- we've got the  
12 benefit of a summer student this year, he's -- he's  
13 recently finished his first year of law at the University  
14 of Manitoba, by the name of Daniel Penlin (phonetic),  
15 who's back in the -- the audience and who's -- you may  
16 see more frequently on some other matters relating to  
17 disconnections in the -- in the future. So I'm pleased  
18 that he's here, assisting us.

19 And we'll have him -- Mr. Harper sworn at  
20 any time.

21

22 WILLIAM HARPER, Sworn

23

24 MR. ROBERT MAYER: Are you happy with  
25 your location?

1 (BRIEF PAUSE)

2

3 EXAMINATION-IN-CHIEF BY MR. BYRON WILLIAMS:

4 MR. BYRON WILLIAMS: I am reluctant to  
5 have my witness sit too close to Manitoba Hydro but I  
6 thank the Board for their kind suggestion. And Mr.  
7 Surminski, I believe, has also volunteered to serve as  
8 Mr. Harper's back row.

9 Mr. Harper, you've appeared before this  
10 Panel and you've been qualified as an expert before this  
11 Panel on previous occasions on hydro matters, but I'd ask  
12 if you would very briefly outline your qualifications as  
13 you believe they pertain to the issues in this  
14 proceeding.

15 MR. WILLIAM HARPER: Sorry. I apologize.

16 In terms of my background, I've spent over  
17 twenty-five (25) years working in the electricity sector,  
18 primarily with Ontario Hydro and then with its successor  
19 company Hydro One Networks, and more recently as a  
20 consultant with Ecoanalysis Consulting Services, or ECS  
21 for short.

22 During my first five (5) years with  
23 Ontario Hydro I worked specifically on cost of service  
24 studies. I subsequently moved to -- to the rates  
25 department where I was eventually manager for seven (7)

1 years, responsible for regulating Ontario's municipal  
2 electric utilities and also designing the rates that  
3 Ontario Hydro itself charged.

4                   During my last five (5) years with Ontario  
5 Hydro and Hydro One Networks I worked in the regulatory  
6 affairs area where I was responsible for coordinating the  
7 company's participation in various regulatory  
8 proceedings.

9                   During the course of my time with Ontario  
10 Hydro and Hydro One I've testified a number of times  
11 before the Ontario Energy Board on rates and cost  
12 allocation and regulatory matters.

13                   Since leaving Hydro and joining and  
14 joining ECS in 2000, I've assisted and advised clients  
15 participating in regulatory proceedings dealing with  
16 electricity in BC, here in Manitoba, Ontario and Quebec.  
17 In this regard, I've served as an expert witness before  
18 the Ontario Energy Board, before the Regie de l'energie  
19 in Quebec, and -- and here before the Public Utilities  
20 Board in Manitoba on rates and cost allocation.

21                   In addition to these proceedings, I am  
22 currently a member of a technical panel that the OEB has  
23 established to try and set up and develop a cost of  
24 service study that would be applicable to the eighty-five  
25 (85) plus distributors in Ontario. They don't have a

1 common methodology right now and they're trying to work  
2 towards establishing one (1).

3                   And I'm also involved with a technical  
4 working group that's been established by Hydro Quebec at  
5 the direction of the Regie to try and come up with a cost  
6 of service allocation methodology for their post-heritage  
7 supply, which -- which they're now starting to purchase  
8 in increasing quantities.

9                   MR. BYRON WILLIAMS:   Mr. Chairman, based  
10 upon the qualifications presented by Mr. Harper as set  
11 out in his oral testimony as well as his Curriculum  
12 Vitae, I'd ask that he be qualified as an expert witness  
13 regarding rate setting for electrical utilities with  
14 particular reference to cost of service methodology and  
15 rate design.

16                   THE CHAIRPERSON:   Ms. Ramage or any other  
17 intervenors, does anyone have a problem with this?

18                   MS. PATTI RAMAGE:   Manitoba Hydro has no  
19 objection.

20                   MS. TAMARA MCCAFFREY:   MIPUG has no  
21 objection.

22                   MR. DOUG BUHR:   The City has no  
23 objection.

24                   MR. JURGEN FELDSCHMID:   CCEP has no  
25 objection.

1 THE CHAIRPERSON: Well, Mr. Harper, we're  
2 being -- Sorry, Professor Miller...?

3 DR. PETER MILLER: I don't object either.  
4

5 THE CHAIRPERSON: We have unanimity.  
6 Welcome again, Mr. Harper.

7 MR. WILLIAM HARPER: Thank you very much.

8 MR. BYRON WILLIAMS: Thank you.  
9

10 CONTINUED BY MR. BYRON WILLIAMS:

11 MR. BYRON WILLIAMS: Mr. Harper, I wonder  
12 if you can confirm that the evidence filed with the Board  
13 as Exhibit CAC/MSOS 1 and cost of service methodology  
14 review was prepared by you?

15 MR. WILLIAM HARPER: Yes, it was.

16 MR. BYRON WILLIAMS: Similarly, can you  
17 confirm that the Interrogatory responses filed on June  
18 7th in response to questions, I think June 7th is the  
19 wrong date, but in response to questions from PUB staff,  
20 Manitoba Hydro and MIPUG regarding the evidence was  
21 prepared by you?

22 MR. WILLIAM HARPER: Yes, they were.

23 MR. BYRON WILLIAMS: Mr. Harper, are  
24 there any changes or corrections you would have liked to  
25 make either to -- to the evidence or the Interrogatory

1 responses at this time?

2 MR. WILLIAM HARPER: Well, there are a  
3 few typographical errors that are self-evident. But  
4 there are just a couple I'd like to bring up for the  
5 Board's attention and those are with respect to the  
6 footnotes that are found on -- footnote 5 and footnote 6  
7 which are found on pages 3 and 4 respectively.

8 Each of those footnotes refer to a  
9 Interrogatory and I should have noted that the  
10 Interrogatory was from the 2004 GRA as opposed to this  
11 proceeding. If you try and find that Interrogatory in  
12 this proceeding it won't make any sense. So both of  
13 those Interrogatory responses are with respect to the  
14 2004 GRA.

15 Also there are a few places where my  
16 thinking has evolved since -- since I wrote the evidence.  
17 Particularly in listening to the various, you know,  
18 testimony that's been taking place here and I'll be  
19 speaking to those shortly. But other than that the  
20 evidence and responses are accurate to the best of my  
21 knowledge.

22 MR. BYRON WILLIAMS: Thank you, Mr.  
23 Harper.

24 I wonder if you can outline for the Board  
25 the purpose of your evidence as filed with the Board in

1 this proceeding?

2 MR. WILLIAM HARPER: Okay. ECS, and  
3 specifically myself, was asked by CAC/MSOS to review  
4 Manitoba Hydro's proposals with respect to its cost of  
5 service methodology and prepare evidence that would  
6 assist both CAC/MSOS and other stakeholders in the  
7 proceeding an understanding the reasons for and the  
8 appropriateness of Manitoba Hydro's proposals with  
9 respect to it's new -- it's proposed new cost of service  
10 methodology.

11 MR. BYRON WILLIAMS: In your view, Mr.  
12 Harper, what do you see as the key issues in this  
13 proceeding?

14 MR. WILLIAM HARPER: In simple terms,  
15 Manitoba Hydro has put forward a new cost of service  
16 methodology and is seeking approval from the PUB to use  
17 either it or some revised form of the methodology as a --  
18 as eventually approved by the PUB in developing future  
19 rate proposals it will bring forward before the Board.

20 In terms of the actual changes put forward  
21 they really focus on two (2) areas. The first, and  
22 probably the most significant one, is the treatment of  
23 export revenues which has led to the creation of two (2)  
24 export classes, the splitting of transmission between  
25 domestic and export lines, a change in the cost of -- or

1 how costs are attributed to exports and, finally, a  
2 change in the allocation of the net export revenues  
3 themselves.

4                   This -- the second change is with respect  
5 to the allocation of generation costs where a new  
6 methodology which uses marginal cost weighted energy use  
7 by time period to allocate the cost of customers classes  
8 is being proposed.

9                   And these are the matters that my evidence  
10 dealt with specifically.

11                   MR. BYRON WILLIAMS: Now, Mr. Harper,  
12 you've outlined what you consider to be the two (2) key  
13 issues, one, being the treatment of export revenues and,  
14 secondly, the allocation of generation costs.

15                   Before moving to those areas specifically  
16 I wonder if you can indicate in your view if there are  
17 any other issues that have surfaced over the course of  
18 the proceeding that you may wish to comment on?

19                   MR. WILLIAM HARPER: Yes. In terms of  
20 the COS methodology additional questions -- I think  
21 eventually you get into a hearing like this and obviously  
22 other questions arise and with respect to the methodology  
23 itself I think questions have arisen as to what's the  
24 purpose of a COSS methodology; what costs should be  
25 included in the cost of service methodology.

1                   There were some discussions about that  
2 just before I started here. Should it be embedded costs;  
3 avoided costs? Should externalities be included? How  
4 should the results of the COS be used with reference to  
5 the zones of reasonableness?

6                   And then beyond the COS issues themselves,  
7 the proceeding has also touched on issues of rate design  
8 and on revenue requirement determination. And I don't  
9 find that particularly surprising given that, sort of,  
10 revenue requirement determination, cost of service, and  
11 rate design are really the three (3) building blocks you  
12 use eventually to come up with a rate.

13                   So it's hard to talk about one (1) piece  
14 of the puzzle without dealing with the other two (2).

15                   And finally interesting and it's always a  
16 pleasure to come to Manitoba because things get beyond  
17 the technical sometimes. The proceeding has also touched  
18 on broader issues, such as Manitoba Hydro's role and  
19 objectives with respect to environmental leadership, its  
20 potential as a source of revenue for the shareholder and  
21 its impact on industrial development.

22                   All of these issues are relevant and  
23 indeed highlight the fact that ratemaking in Manitoba or  
24 indeed anywhere else doesn't take place in a vacuum but,  
25 rather has fundamental implications which must be

1 understood before critical decisions in the ratemaking  
2 process are made.

3                   However, in my view some of these issues  
4 are perhaps best left to another PUB proceeding, while  
5 others I think the debate's probably going to have to  
6 take place without other stakeholders and other people  
7 even in a forum beyond the PUB itself.

8                   MR. BYRON WILLIAMS: Mr. Harper, in  
9 outlining some of the issues that have come up in the  
10 course of this proceeding, you talked about one (1)  
11 question which is, what is the purpose of a cost of  
12 service study?

13                   And I wonder if you could provide your  
14 views on the purposes or objectives that we should keep  
15 in mind in performing such a study.

16                   MR. WILLIAM HARPER: Well, it's important  
17 to note and I think I just mentioned that the cost of  
18 service study or COSS is one (1) of the three (3) steps  
19 in utilities overall ratemaking process.

20                   And as you, Mr. Williams, discussion with  
21 Mr. Wiens a couple of weeks ago, it's generally accepted  
22 that there are three (3) primary objectives we're trying  
23 to achieve in setting rates.

24                   Namely, recover the revenue requirement  
25 established for the utility. Distribute that revenue

1 requirement fairly amongst the various customers. And  
2 promote the efficient use of electricity with  
3 consideration to the costs and benefits.

4 In my view, the primary purpose of a cost  
5 of service study is to provide guidance with respect to  
6 the fairness objective or the second one that I just  
7 mentioned. It is generally accepted that fairness in  
8 rate setting is achieved when there's an equal treatment  
9 of equals based on cost causation, that is consumers  
10 rates are based on the costs incurred to serve them.

11 So effectively what a cost of service  
12 study does it is analyzes the components of a utility's  
13 revenue requirement, attempts to identify the key cost  
14 drivers as associated with each component and then  
15 allocates or directly assigns the costs amongst the  
16 various customer classes.

17 The results of this analysis can provide  
18 guidance to the utility and to the regulator regarding  
19 the fair apportionment of total costs amongst the various  
20 customer classes.

21 The other thing it can do and you'll  
22 notice from Manitoba Hydro's cost of service study, is  
23 not only total costs or RCC's, it also comes up with unit  
24 costs. Unit costs per kilowatt hour, unit cost per  
25 customer.

1                   And those unit costs can provide guidance  
2 at the rate design stage, in terms of how we design the  
3 rates and therefore how we apportion costs between  
4 customer within a class.

5                   MR. BYRON WILLIAMS:   That all sounds  
6 pretty straightfoward Mr. Harper.  Why does cost of  
7 service methodology turn out to be so controversial?

8                   MR. WILLIAM HARPER:   It's complicated for  
9 a couple of key factors.  First, I think it's been a  
10 discussion around the room here for the last few weeks, a  
11 large portion of utilities assets are joint or shared  
12 assets that support the provision of more than one (1)  
13 service and support the provision of service to more than  
14 one (1) customer class.

15                   As a result, determining how to share  
16 these joint costs frequently requires judgment and since  
17 the decisions in terms of how those costs have been  
18 incurred typically can go back, as Mr. Cormie said, if  
19 the stations can last a hundred (100) years, some of the  
20 decisions were made a long time ago and trying to  
21 understand cost causality can sometimes be difficult.

22                   Second, the determination of cost  
23 causality is not a simple matter of who uses the asset,  
24 but who causes the need for the asset and therefore who  
25 caused the need for those costs to be incurred?

1                   Not all customers using an asset are  
2 equally responsible for the costs that have been  
3 incurred. Differences in time of use, reliability,  
4 impact on the utilities planning processes, all have  
5 implications in terms of cost causation.

6                   I think the simple conclusion to this is  
7 all kilowatts and kilowatt hours are not created equal.

8                   MR. BYRON WILLIAMS: Thank you Mr.  
9 Harper. There's been a lot of discussion in this  
10 proceeding and prompted to a large extent by Mr. Lazar's  
11 evidence regarding the costs that should be used in a  
12 COSS study.

13                   Could you give us your views on whether  
14 marginal costs and or the cost of externalities should be  
15 included in a cost study?

16                   MR. WILLIAM HARPER: Yes, as I mentioned  
17 earlier the key objective in performing the cost of  
18 service study is to indicate what would be a fair  
19 apportionment of the utility's revenue requirement  
20 amongst its various customer classes.

21                   Given this objective, it is my view that  
22 the appropriate costs to be allocating are the costs that  
23 make up that revenue requirement. In Manitoba Hydro's  
24 case these are the embedded or accounting costs for the  
25 test year in question.

1                   It is these costs that the utility should  
2 be analyzing in terms of cost causation and allocating to  
3 customers. As a result, I don't consider it appropriate  
4 to include either marginal costs or externality costs in  
5 a cost of service study.

6                   MR. BYRON WILLIAMS: Are you saying that  
7 a utility's marginal cost and externalities do not have a  
8 role in ratemaking?

9                   MR. WILLIAM HARPER: No. Sometimes  
10 marginal costs can provide useful insight into how  
11 embedded costs should be allocated to customer classes.  
12 An example of this being the proposal Manitoba Hydro has  
13 to use marginal cost weighted energy to help allocate  
14 generation costs to -- to -- to the customer classes.

15                   Indeed, the capital substitution method  
16 that the NERA -- the NERA study identified is being used  
17 by a lot of utilities for classifying costs between  
18 demand and energy, effectively uses the marginal cost of  
19 capacity in order to help determine what are capacity  
20 costs. So I think it has a role in helping to, as I say,  
21 get into how we are going to split some of those joint  
22 costs.

23                   However, beyond this, marginal costs are a  
24 key and important consideration in the rate design phase  
25 which is really the last phase in the rate setting

1 process. You'll recall that besides fairness one of the  
2 other key objectives in setting rates was -- was  
3 efficiency.

4 Comparing rates, and in particular rates  
5 for incremental use to marginal costs, provides a measure  
6 of the extent to which rates will encourage efficient use  
7 and meet -- and meet this efficiency objective.

8 It's interesting to note that sometimes  
9 tensions can arise at the rate design phase when the unit  
10 costs from the cost of service study differ dramatically  
11 from what would be the marginal costs that you calculate  
12 and that makes one of the aspects of rate design  
13 particularly interesting and challenging.

14 MR. BYRON WILLIAMS: I've rarely heard  
15 rate design described as interesting and challenging, Mr.  
16 Harper, but we're all entitled to our opinions.

17 Apart from this tension when there's a  
18 conflict between -- or a significant difference between  
19 marginal costs and unit costs based on embedded costs;  
20 are there other issues associated with the use of  
21 marginal costs in the COSS or cost of service study?

22 MR. WILLIAM HARPER: Yes. Applying  
23 marginal costs in the cost of service study does  
24 introduce some -- does introduce some practical problems.  
25 First, there's debate over whether short run or long run

1 marginal costs should be used.

2                   If we recall from the earlier testimony,  
3 and I won't take you through garage analogies any more,  
4 by the Hydro panel short run marginal costs can be viewed  
5 as the cost or savings resulting from responding to a  
6 temporary change in demand given your existing  
7 facilities.

8                   In contrast, long run marginal costs  
9 really look at a longer term perspective and consider  
10 what are the cost or savings in meeting, say, a permanent  
11 change over a period of time when you can actually adjust  
12 your capital investment.

13                   From a purely theoretical point of view,  
14 economists would argue that short run marginal costs send  
15 the appropriate price signal and they're the ones you  
16 should be using in doing cost of service studies or,  
17 indeed, setting rates.

18                   However, short run marginal costs can  
19 prove to be highly unstable such that the results would  
20 vary widely from year to year. As a result, others would  
21 argue that long run marginal costs be used for stability  
22 reasons and to encourage appropriate long run  
23 investments.

24                   Indeed, this was one of the contested  
25 issues before the BCUC in the design of the industrial

1 step rates referenced in the Intergroup evidence. BC  
2 Hydro initially proposed using a price based on short  
3 term opportunity cost to set the price for its second  
4 incremental block but the BCUC decided in the end that  
5 the stepped rates should be based on the cost of long-  
6 term supply in the interests of sending the right long-  
7 term price signal and maintaining some stability in the  
8 rates.

9                   Apart from definition, there are  
10 frequently debates about the method -- what methodology  
11 should be used to determine these costs and I can see a  
12 similar problem arising here.

13                   As I understand it the methodology  
14 Manitoba Hydro uses to determine the five point three  
15 five (5.35) cents per kilowatt hour marginal cost for  
16 generation is based on export price forecasts that  
17 Manitoba Hydro still continues to be commercially  
18 sensitive.

19                   And as a result disclosure of the current  
20 methodology could prove to be problematic if one wanted  
21 to, sort of -- we'd be back almost in the same position  
22 we were at the 2002 status update in terms of trying to  
23 use the methodology and then having to come up with  
24 another proxy because of problems about confidentiality  
25 of the -- of the information underlying the starting

1 methodology.

2                   For purposes of allocating generation  
3 costs Manitoba Hydro proposes to use its SEP rates as a  
4 proxy. However, the results are being employed simply to  
5 derive the relative values by time of use period whether  
6 their SEP prices are also a good proxy for short run or  
7 long run marginal costs, whichever of the two (2) one was  
8 to decide to use, is something that would have to be  
9 considered if you were going to go forward and do a  
10 marginal cost based cost of service study.

11                   Finally, as I said before, marginal costs  
12 and embedded costs, and it's only by luck that the two  
13 (2) of them would actually end up giving you the same  
14 amount of revenues overall. So there are various  
15 approaches that can be used to reconcile a marginal cost  
16 based cost of service study with the actual revenue  
17 requirement that's been approved by the regulator.

18                   A proportional adjustment is often seen as  
19 one of the easiest way to do. However, economists will  
20 argue that more complicated adjustments that consider the  
21 relative price elasticities of each customer class will  
22 produce more efficient results.

23                   And, again, debates can arise in terms of  
24 which methodology for adjusting and closing on a revenue  
25 requirement is -- is the -- is the appropriate one to

1 use.

2                   Now, all of those -- all of those  
3 practical problems are ones that can be addressed but --  
4 but they require time and consideration. So I guess I'm  
5 just saying that the adoption of marginal costs is not --  
6 is not an easy thing, just like cost of service itself is  
7 -- is not an easy thing to do sometimes.

8                   MR. BYRON WILLIAMS: Well, you've  
9 persuaded me now, Mr. Harper, that -- that it is an  
10 interesting subject. Perhaps you can move on to the cost  
11 of externalities.

12                   MR. WILLIAM HARPER: First, it's  
13 important to note that through its application of full  
14 cost accounting, in decisions with respect to operations,  
15 procurement and resource planning, and through the  
16 expensing of mitigation payments, the cost of  
17 externalities have -- have already been reflected to some  
18 extent in Manitoba Hydro's revenue requirement.

19                   Beyond this, one could consider including  
20 the cost of externalities along with the Utility's  
21 marginal costs when calculating the benchmark to use,  
22 whether or not -- in assessing whether or not a utility's  
23 proposed rate design satisfies the efficiency objective I  
24 talked about before.

25                   More or less, as well as comparing

1 incremental rates with marginal costs, you can -- you can  
2 compare the -- rates for incremental consumption with  
3 marginal costs plus externalities if you wanted to.  
4 However, I have some reservations about this.

5           First, we have not captured nor are we  
6 likely to capture the costs and benefits of all  
7 externalities associated with electricity supply. And  
8 second, the purpose of efficient pricing is to signal to  
9 customers the cost consequences of the consumption  
10 choices they make.

11           To the extent that other products do not  
12 similarly include the cost of externalities, reflecting  
13 such costs in Ontario -- excuse me, in Manitoba Hydro's  
14 rates -- too many years with Ontario Hydro, I guess -- in  
15 Manitoba Hydro's rates could well lead to inefficient  
16 decisions since there would be externalities in the  
17 prices they see for Manitoba Hydro but not externalities  
18 in the prices they're seeing for the other choices that  
19 they may have to make, whether it be gas heating, gas  
20 water heating versus electric water heating, or a host of  
21 other choices they'll have to make with -- with respect  
22 to use of electricity.

23           Overall, it is my view that externality  
24 costs should not be combined with marginal costs of a  
25 Utility for purposes of determining whether the

1 incremental prices produced for a particular rate design  
2 will -- will contribute to efficient use.

3           However, saying this, regulators are  
4 frequently charged with taking into account broader  
5 issues than just those associated with rate design,  
6 including the overall public interest.

7           In this regard, regulators may consider  
8 information regarding externalities and the impacts of  
9 customer consumption decisions to be useful in their  
10 overall deliberations. Places where this could be used  
11 would be to determine whether or not there -- there was  
12 merit in -- there was additional merit in going ahead and  
13 adding to this whether or not we should introduce, say,  
14 stepped rates or incremental or inverted rates in  
15 Manitoba, and also decisions about how -- perhaps how  
16 fast we -- we should implement those rate changes.

17           MR. BYRON WILLIAMS: Just to finish up on  
18 some of these general topics, perhaps we can finish up  
19 our discussion regarding the general role and purpose of  
20 cost of service studies by asking for your views as to  
21 the role for establishing a zone of reasonableness, ZOR,  
22 Z-O-R, when considering the revenue to cost ratios  
23 calculated by a cost of service study.

24           MR. WILLIAM HARPER: There are a couple  
25 of reasons for adopting a zone of reasonableness when

1 assessing the revenue to cost ratios and deciding  
2 whether, in the context of a particular GRA, different  
3 rate increases should be implemented for different  
4 customer classes.

5           The first point is the one that Mr. Peters  
6 and Mr. Thomas discussed a couple of weeks ago about the  
7 results of the cost of service study being approximate.  
8 However, even if one was to accept the results of the  
9 cost of service study as being 100 percent accurate,  
10 there are still reasons why one might not necessarily  
11 want to set rates in order to achieve 100 percent revenue  
12 to cost ratio every year.

13           As well as the three (3) primary rate  
14 setting objectives we discussed earlier, one of the other  
15 generally accepted objectives with respect to electricity  
16 rates is the criteria of rate stability.

17           As demonstrated by information that  
18 Manitoba Hydro prepared in its filing, even if you're  
19 using the same methodology, different data sets each year  
20 can actually change the revenue to cost ratios and they  
21 can vary from one year to the next.

22           So there's a concern that you would be  
23 having increases in one class for one year that were,  
24 say, slightly higher than average one year only to turn  
25 around the next year and have -- have decrease --

1 increases that were slightly less than average the next  
2 year because the revenue to cost ratios move around from  
3 year to year simply because you're using different data  
4 sets every year.

5                   Now, these variations are probably in the  
6 order of maybe one (1) or two (2) or three (3) percentage  
7 points. So that -- so I guess what I'm saying is when  
8 you get within the zone of reasonableness that's  
9 established here, ninety-five one-o-five (95-105) and  
10 start to approach 100 percent, I think one -- one doesn't  
11 want to necessarily be married slavishly to having to  
12 follow that 100 percent every year if it's going to end  
13 up introducing rate stability overall -- excuse me, rate  
14 instability overall.

15                   MR. BYRON WILLIAMS: Thank you for the  
16 overview of the general purpose of a cost of service  
17 study, Mr. Harper.

18                   The two (2) key issues you identified, one  
19 (1) of them dealt with export revenues and let's start  
20 with why this is an issue in this proceeding.

21                   MR. WILLIAM HARPER: First it's important  
22 to note that export revenues are not a cost that has been  
23 incurred with a view to providing service to domestic  
24 customers.

25                   Rather they are a cost offset that arises

1 as a result of Manitoba Hydro's participation in  
2 neighbouring electricity markets and sales contracts with  
3 neighbouring utilities.

4                   However, they do form part of the revenue  
5 requirement and must be considered in the cost of service  
6 study if the allocated costs are to equal the approved  
7 revenue requirement used to set the rates.

8                   Indeed, if they aren't included as an  
9 offset then the revenue requirement and any required rate  
10 increase will correspondingly be higher.

11                   MR. BYRON WILLIAMS: As a cost offset,  
12 how are these export revenues treated in the cost of  
13 service study?

14                   MR. WILLIAM HARPER: In the past and I  
15 guess that's if we go back and look at the late 1980's  
16 early 1990's, export revenues were making a small  
17 contribution to overall costs and were priced at less  
18 than domestic rates.

19                   As a result, it was reasonable and to some  
20 extent expedient that they be allocated based on customer  
21 use of generation and transmission, the rationale being  
22 that these were the facilities and these functions that  
23 were used to create the exports and the revenue should go  
24 to offsetting their costs.

25                   However, export prices have increased and

1 export revenues have grown in magnitude to the point  
2 where there are a number of problems with this approach.

3           First, given that increased customer use  
4 can actually impair the ability to make more lucrative  
5 export sales it is now counter-intuitive to the principle  
6 of cost causation to continue to allocate net export  
7 revenues on the basis of generation and transmission  
8 usage.

9           It isn't the use of generation and  
10 transmission that allows net export revenues to be  
11 created, but rather the fact that customers aren't using  
12 it and there's surplus generation and transmission  
13 available.

14           This would suggest that the current  
15 allocation is inconsistent with the principle of fairness  
16 with respect to cost causality.

17           Second, allocating export revenues to just  
18 generation and transmission results in a significant  
19 difference between the actual cost of generation and  
20 transmission and the net cost eventually allocated to  
21 customers.

22           This leads to a significant distortion  
23 when it comes to using the results of the cost of service  
24 studies to generate rates that inform customers as to the  
25 cost their actions may cause the system to incur in the

1 future, but also leaves, as evidence by Manitoba Hydro's  
2 earlier testimony, to rates for some customer classes  
3 being significantly less than marginal costs.

4 MR. BYRON WILLIAMS: So why is the gap  
5 between certain customer classes rates and marginal costs  
6 important?

7 MR. WILLIAM HARPER: These gaps really  
8 aren't, I'd say, a primary considerations for purpose of  
9 -- for purposes of establishing cost of service  
10 methodology, but they are relevant from a couple of  
11 perspectives.

12 First, they highlight the fact that,  
13 unlike in the early 1990's, decisions regarding the  
14 treatment of export revenues may have a much more  
15 significant impact on the cost of service results and  
16 therefore the treatment of export revenues warrants  
17 careful consideration, whereas in the past -- and  
18 typically what happens is, the smaller a cost is in the  
19 cost of service study the less attention it tends to get  
20 because there are bigger fish to fry, if I can put it  
21 that way, but I think this now ends at being one of the  
22 bigger fish in our frying plan.

23 Second, it highlights the problem that  
24 will subsequently arise in the rate design phase when  
25 considerations of fairness, efficiency and rate stability

1 have to be combined in the determination of the actual  
2 rates that were charged customers.

3 MR. BYRON WILLIAMS: Mr. Harper, you'll  
4 recall from your review of the transcript that earlier in  
5 this proceeding, there was some discussion as to whether  
6 the critical driver behind the issues of export revenues  
7 is the increased level of revenues or the increase in  
8 export prices. What's your take on this issue?

9 MR. WILLIAM HARPER: In my view, the  
10 critical factor is the change in price. Indeed if you  
11 look at the export volumes the volume of sales in 2005  
12 isn't much higher than it was ten (10) years ago. What's  
13 changed is the fact that the export price is doubled.

14 Price as opposed to volume is also the  
15 critical factor in terms of the overall paradigm Manitoba  
16 Hydro now faces where domestic sales increases at the  
17 expense of export sales, lead to -- used to lead to  
18 increased revenues, where not the opposite is true.

19 Increases in domestic sales actually lead  
20 to lower overall revenues.

21 MR. BYRON WILLIAMS: I'm going to forgive  
22 you the use of the word "paradigm," Mr. Harper. In terms  
23 of export revenues, though, I understand that you're  
24 generally supportive of Manitoba Hydro's proposals in  
25 this area.

1                   We'll get into the details later, but at a  
2 high level could you explain why?

3                   MR. WILLIAM HARPER:   Yes.  At a high  
4 level, Manitoba Hydro's proposals involve establishing  
5 two (2) export classes to distinguish between firm and  
6 opportunity sales and then assigning and allocating costs  
7 to these classes.

8                   Any remaining excess net export revenue  
9 are then distributed back to the domestic classes based  
10 on total allocated costs, rather than just generation and  
11 transmission.

12                  As I stated on page 51 of my evidence,  
13 Manitoba Hydro's proposal is a reasonable attempt to  
14 balance a couple of key considerations.  First, by  
15 allocating a share of both variable and fixed costs  
16 exports the method provides explicit recognition of the  
17 fact that costs were incurred by Manitoba Hydro to secure  
18 export revenues and seeks to allocate them a reasonable  
19 share of such costs.

20                  To this extent it recognizes directly the  
21 principle of cost causation associated with exports.  
22 However, at the same time, by allocating the excess  
23 revenue on a more neutral basis it attempts to ameliorate  
24 what I've terms to be perverse signal being sent by the  
25 current method that uses just generation and transmission

1 assets to allocate net export revenues.

2 MR. BYRON WILLIAMS: Before we go any  
3 further and before the Vice-Chair points this out to you.  
4 As I recall from 2002, when the issue first arose, you  
5 expressed some concerns with the creation of a export  
6 class.

7 Could you explain what your concerns were  
8 at that point in time?

9 MR. WILLIAM HARPER: During the status  
10 update the concept of an export class was introduced and  
11 discussed and it's been discussed numerous times since  
12 then. At that time, I expressed concerns about the  
13 introduction of an export class.

14 In particular, if the purpose was at all  
15 related to determining the appropriate price for exports  
16 since export prices are determined by the market and not  
17 by cost of service studies.

18 Or my other concern was, if the purpose  
19 was in any way going to be related to determining, after  
20 the fact, that exports were making money, that is if past  
21 export related decisions had been appropriate in that the  
22 revenues exceeded costs.

23 The reason for this is that such  
24 assessments involve a different type of economic  
25 analysis, similar to what was done and used for an

1 alternative to -- phase of the Wuskwatim hearing, where  
2 you're looking at the business case and the incremental  
3 costs and the incremental revenues as opposed to looking  
4 at revenues and allocated average costs.

5                   So I had a significant concern about  
6 creating some results that might actually -- would end up  
7 being misused or misinterpreted.

8                   With respect to the use in the cost of  
9 service study, I also indicated some concerns about the  
10 principle cost causality and whether it was reasonable to  
11 attribute that the same degree of cost causality to a  
12 kilowatt of exports, even firm exports, as it was to a  
13 kilowatt hour of domestic load.

14                   Finally, in response to a question from  
15 the former Chair, I indicated that while the creation of  
16 an export class might be a middle of the road solution  
17 from a cost of service, sort of, cost allocation  
18 perspective, in terms of trying to find a balance in  
19 terms of how we're going to treat these export revenues,  
20 I was concerned about the sufficient availability of  
21 public information that would allow us to proceed and  
22 implement such a methodology.

23                   MR. BYRON WILLIAMS:    So those were your  
24 views in 2002, what, if anything, has changed since then?

25                   MR. WILLIAM HARPER:    I think since then

1 the Board in its decisions and actually the NERA report,  
2 as well, in terms of making its recommendations to  
3 Manitoba Hydro, has made it clear that the purpose of the  
4 export class was solely for cost allocation purposes, in  
5 terms of determining a fair allocation of cost to  
6 domestic customers.

7                   It wasn't for setting prices and it wasn't  
8 for determining the economics of a particular export  
9 opportunities. And this is a point that I raised in my  
10 evidence, as well.

11                   Next, while it was acknowledged during the  
12 status update that some of Manitoba Hydro's costs had  
13 been incurred in the past for purposes of exports, since  
14 then Manitoba Hydro has indicated that it plans to  
15 advance the construction of Wuskwatim and has introduced  
16 additional wind generation and advanced those need dates,  
17 in order to be able to take advantage of exports.

18                   This change in my mind, gives more  
19 credence to the need to perhaps establish a sort of  
20 export class and try and more explicitly recognize the  
21 costs associated with exports so we can do a fair cost  
22 allocation.

23                   MR. ROBERT MAYER: I'm sorry to  
24 interrupt. You talked about export classes in your  
25 Examination in-Chief. Now, you've said export class.

1 I'm interested in your view because I think your evidence  
2 supports the creation of two (2) export classes?

3 MR. WILLIAM HARPER: Right, I perhaps  
4 wasn't you know -- sometimes in speaking I forget to add  
5 the -- and I appreciate it's critical and thank you. No,  
6 I was talking about export class in a generic sense in  
7 terms of the export class and you're right in my evidence  
8 I specifically support the introduction of two (2) export  
9 classes.

10 I guess I was using it in a generic sense,  
11 but thank you for bringing it to my attention and  
12 clarifying the transcript.

13

14 CONTINUED BY MR. BYRON WILLIAMS:

15 MR. BYRON WILLIAMS: Just Mr. Harper, we  
16 talked about a couple of the reasons in terms of why the  
17 opinions you expressed in 2002 Hearing might have  
18 changed.

19 Are there any more that you wish to  
20 discuss? I think we had finished off --

21 MR. WILLIAM HARPER: Yeah. Yeah. No.  
22 No. Yes. I -- I think the issue we -- we seem to be a  
23 bit of a -- obviously, sort of, the allocation and  
24 treatment of export revenues is -- is a fore-issue and  
25 one of the concerns I think, as the Board itself has

1 acknowledged, is sort of trying to make sure, before we  
2 deal with the excess and define, you know, that we sort  
3 of have a reasonable approximation of what -- what that  
4 excess is.

5                   And if introducing an export class, albeit  
6 perhaps using some approximations, allows us to come to  
7 some middle ground so we can come up with a method that  
8 sort of -- will sort of address, as I said, both issues,  
9 recognizing there are some costs associated with exports  
10 beyond just the variable costs, and at the same time  
11 trying to address some of the issues about the allocation  
12 of the -- of the excess, then I think the export class is  
13 sort of, as I said, is perhaps a middle of the road way  
14 to go that would help resolve this issue.

15                   MR. BYRON WILLIAMS: Let's go to the --  
16 the Vice-Chair's question, that he just posed, adding an  
17 'es'.

18                   Manitoba Hydro's proposal includes the  
19 creation of two (2) export classes as opposed to just one  
20 class, as originally recommended by NERA.

21                   What are your views as to whether there  
22 should be one (1) or two (2) export classes?

23                   MR. WILLIAM HARPER: Well, I think I'd  
24 like to first start off by going back -- back to the  
25 opening sections of my evidence, where I stated that the

1 purpose in creating different customer classes is to  
2 group together individual customers who have similar  
3 characteristics in terms of -- of their service  
4 requirements and, therefore, are expected to impose  
5 similar costs on the Utility.

6                   So what you're doing is you're trying to  
7 group like customers and make sure that if you have two  
8 (2) customers classes there are unique and distinct  
9 differences between them in terms of the -- the way they  
10 impose costs on the Utility.

11                   Apart from making the obvious  
12 distinctions, such as the types of assets they use, i.e.,  
13 do they use distribution assets or not, which is one (1)  
14 reason why we have a general service large customer as  
15 opposed to a residential customer, general service large  
16 customers don't require any distribution assets, there  
17 are a couple of other key ways one can try and  
18 distinguish customers for this purpose.

19                   One is with respect to how their loads  
20 impact on the planning of the Utility and the Utility's  
21 willingness to commit funds to support those loads.

22                   The second and somewhat related, because  
23 now we're looking at it from the customer's perspective,  
24 is what -- what is the reliability of service that the  
25 customer is getting. And if there's a marked difference

1 in the reliability of service that the customer is  
2 getting, then perhaps there is a need for two (2) as  
3 opposed to one (1) customer class.

4 In the case of exports, in my view, there  
5 are some fundamental differences between the firm  
6 exports, that is exports with contract terms of longer  
7 than one (1) year, and opportunity exports in both of  
8 these areas, that would support the creation of two (2)  
9 export classes.

10 MR. BYRON WILLIAMS: You mentioned the  
11 one key issue to look at is how their loads impact on the  
12 plan of the Utility. And I'm wondering if you can speak  
13 to how does the treatment of exports and resource  
14 planning support the creation of two (2) export classes.

15 MR. WILLIAM HARPER: Okay. We've heard a  
16 number of times during this proceeding that firm exports  
17 are backed by dependable energy, generation capacity  
18 commitments and the availability of firm transmission.  
19 For planning purposes they are treated the same as  
20 domestic load and the resources required to serve them  
21 are not considered available to meet domestic requirement  
22 should circumstances change.

23 In contrast, opportunity sales, even  
24 short-term firm commitments, are based on the  
25 availability of surplus energy over and above dependable

1 resource. Also, the shorter time frame of less than one  
2 (1) year means that such commitments are based on  
3 existing capacity and do not impact on Manitoba Hydro's  
4 capacity planning process.

5 MR. BYRON WILLIAMS: You also mentioned  
6 the related issue from the customer perspective of  
7 reliability. And I wonder if you could explain how  
8 differences in reliability for firm and opportunity  
9 sales --

10 MR. WILLIAM HARPER: Right.

11 MR. BYRON WILLIAMS: -- support the  
12 creation of two (2) export classes.

13 MR. WILLIAM HARPER: From a day-to-day  
14 operations perspective, firm exports have a higher degree  
15 of reliability than opportunity exports indeed. Some --  
16 some firm exports have had the equivalent of domestic  
17 load in terms of their overall reliability.

18 The implications are that firm exports are  
19 much closer to domestic load. And when I say "domestic  
20 load" I would exclude the -- the SEP customers and I  
21 exclude the curtailable rate customers because they --  
22 because they are special domestic customer classes.

23 So they're much closer to those -- to  
24 domestic load than opportunity exports in terms of the  
25 obligations the load places on the system from an -- for

1 operating purposes and the level of reliability that the  
2 customers receive.

3 Overall, these two (2) factors suggest  
4 that a different treatment is warranted in the cost of  
5 service study for firm versus opportunity sales.

6 Also, in terms of cost causation, while  
7 Manitoba Hydro has maintained that the incremental costs  
8 incurred to support firm exports are less than those  
9 incurred to support domestic load, it is also clear that  
10 the additional costs incurred to facilitate opportunity  
11 sales are substantially less than the cost of the basic  
12 infrastructure required to support firm sales.

13 MR. BYRON WILLIAMS: Let's turn to the  
14 allocation of costs to the export class. Can you  
15 understand -- or outline your understanding of how that  
16 is done?

17 MR. WILLIAM HARPER: It is probably  
18 easiest to start with the current method and then look at  
19 what has changed with respect to Manitoba Hydro's  
20 recommended approach. Under the current method Manitoba  
21 Hydro only assigns to exports the variable costs that can  
22 be directly linked to export sales.

23 This includes all purchases, 50 percent of  
24 Brandon fuel and related costs, the water rentals based  
25 on a portion of the exports made from hydro generation,

1 external transmission service charges, and the costs the  
2 Chair was talking about earlier with respect to the fees  
3 involved in belonging to the MISO and MAPP organizations.

4 Under the recommended method Manitoba  
5 Hydro has estimated, based on a range of possible water  
6 flows, that roughly 55 percent of total exports will be  
7 firm sales and the remaining 45 will be opportunity  
8 sales.

9 Using this information Manitoba Hydro has  
10 attributed 45 percent of the directly assigned costs that  
11 I talked about under the current method to opportunity  
12 sales and the remaining 55 percent to firm sales.

13 In the case of the opportunity exports  
14 these are the only costs attributed to the class. So  
15 they basically are tracking the same types of costs as  
16 what were done under the current method.

17 However, in the case of firm exports this  
18 55 percent is combined with the remaining generation and  
19 transmission costs and allocated between firm exports and  
20 domestic customers based on a common allocation  
21 methodology that treats both types of customers the same.

22 For generation costs, including this  
23 residual I just talked about, costs are allocated using  
24 the marginal weighted energies by time period. For  
25 transmission costs the initial proposal called for a

1 separation of interconnection facilities and domestic  
2 facilities. For the former, that's the interconnection  
3 facilities, would be allocated to customer classes based  
4 on energy use, and the latter; that is the domestic  
5 facilities, would be allocated based on a two (2) CP or  
6 two (2) coincidence factor method which is the same  
7 method currently used for transmission costs.

8                   However, in its rebuttal evidence Manitoba  
9 Hydro is now recommending that there be no separation and  
10 that all transmission costs be allocated to customer  
11 classes including firm exports based on this two (2) CP  
12 method.

13                   MR. BYRON WILLIAMS: Now, Mr. Harper, I  
14 noticed you didn't use the word "interesting and  
15 challenging" for this subject -- this section of your  
16 evidence but it is important so I'd like to get your  
17 views on each of these components and perhaps we can  
18 start with the directly assigned costs.

19                   And as I reread your evidence this weekend  
20 it appeared to me that you were somehow -- or somewhat  
21 uncertain in terms of how these costs should be treated.  
22 Could you explain why and if -- if it's possible, could  
23 you be a little bit more definitive this time?

24                   MR. WILLIAM HARPER: Yes. And in  
25 rereading my evidence I can appreciate that it sounds

1 somewhat like the stereotype economist, on the one hand  
2 A, and on the other hand B and I apologize for that. It  
3 was due, in some part, to what I saw some inconsistencies  
4 in terms of how Manitoba Hydro was approaching the  
5 question and some uncertainty on my own part as to  
6 exactly how some of the cost components were actually  
7 being treated under the current method.

8           For a number of the cost elements that are  
9 directly assigned, the question of whether they are  
10 incurred to support opportunity exports, firm exports, or  
11 domestic sales depends on system conditions and, in  
12 particular, water flows.

13           The prospective cost of service study  
14 presented in this proceeding and, indeed, the ones that  
15 are typically used in all GRAs are based on median water  
16 conditions. Under these conditions available hydro  
17 generation is sufficient to meet both domestic loads and  
18 firm exports.

19           This would suggest that purchases and  
20 thermal fuel costs, with the exception perhaps of firm  
21 purchases, are associated with opportunity sales.  
22 However, and this is where the problem arises, under  
23 alternate flow conditions, and I think we've heard  
24 testimony to this already, in particular under low water  
25 flow conditions, both purchases and thermal generation

1 can be utilized to support firm exports and can even be  
2 used to support domestic load.

3           So actually, and this is something that's  
4 rather unique to me in terms of my experience in cost of  
5 service in terms of the cost causality of the costs  
6 depending on changing with the system conditions and  
7 water flows. It's something that I haven't seen in other  
8 utilities I have dealt with.

9           Therefore the appropriate cost of service  
10 treatment for these costs depends on whether one is  
11 performing the cost of service study in order to reflect  
12 cost causality under median water flows or under a wider  
13 range of system conditions.

14           The problem I had with it, it wasn't clear  
15 from Manitoba Hydro's filing which of those two  
16 approaches they were using.

17           For example, in the case of purchases,  
18 which are initially allocated 100 percent to exports,  
19 there was no -- there was no explicit recognition of the  
20 key role that purchases play in serving domestic loads  
21 during droughts; and therefore, the treatment appeared to  
22 reflect system conditions during median water flow  
23 conditions.

24           However, in the case of Brandon initial  
25 assignment of 50 percent of the fuel cost to domestic

1 customers did appear to recognize the role that Brandon  
2 plays during droughts to -- to support domestic load.

3           During the course of the proceeding I -- I  
4 believe Manitoba Hydro has suggested that the cost of  
5 service study should represent the cost drivers for  
6 purchases and thermal costs over a range of system  
7 conditions. I concur with this approach.

8           But somewhat more complicated. Obviously  
9 the easiest thing to do is to pick one set of system  
10 conditions and see how all the costs would fall under  
11 that. Trying to consider a range of system conditions is  
12 probably more complicated but it does actually reflect  
13 all the reasons why these various costs are being  
14 incurred by Manitoba Hydro.

15           MR. BYRON WILLIAMS: So if we look  
16 analytically at this issue, Mr. Harper, it seems that  
17 you're recommending a principle that the cost of service  
18 study should represent the cost drivers for purchases and  
19 thermal fuel costs over a range of system conditions.

20           In your view does Manitoba Hydro's  
21 recommended method represent a consistent application of  
22 this principle?

23           MR. WILLIAM HARPER: Not entirely. In  
24 the case of Brandon and Selkirk, I would say yes. As I  
25 understand it Brandon, and specifically the coal units,

1 are likely to be operated to support opportunity sales  
2 during median and high water flow periods subject to  
3 inter-tie limitations.

4           Whereas during low water flow periods the  
5 units, including even the gas units, could be used to  
6 support domestic sales. Under such conditions the units  
7 might also be used to support firm exports as well.

8           The actual usage, as we've heard, would  
9 depend on the availability and the economics of purchase  
10 power. If it's more economic to purchase power to meet  
11 firm export requirements or domestic requirements then  
12 that's clearly the proper decision to do as opposed to  
13 operate those thermal units.

14           Alternatively, there could be  
15 circumstances where the purchases are more expensive than  
16 operating the thermal units and therefore the thermal  
17 units at Brandon would be used to support domestic load  
18 and firm exports.

19           This dual role is reflected in the fact  
20 that the Brandon fuel costs are initially split 50/50  
21 between domestic loads and exports. In the case of  
22 Selkirk, given that it's gas-fired and it's used to  
23 support opportunity exports, it's much less likely, while  
24 it does support firm load during low water flows, it's  
25 100 percent assignment to domestic loads appears to also

1 be consistent with its use during a range of system  
2 conditions.

3 In contrast to this, in the case of  
4 purchase power from neighbouring jurisdictions, the  
5 initial 100 percent assignment to exports is inconsistent  
6 with the cost of service treatment that would reflect a  
7 range of system conditions as it does not reflect  
8 directly the support purchases provide to domestic load  
9 during low water flow periods.

10 Based on Manitoba Hydro's own analyses as  
11 presented in its rebuttal evidence and recognizing that  
12 imports during drought do not include purchases to  
13 support firm exports, and there was discussion by Mr.  
14 Williams earlier on this, it will be reasonable to  
15 conclude that roughly 50 percent of purchase power  
16 volumes should be initially assigned to domestic load and  
17 for simplicity purposes I would translate those volumes  
18 into costs and say 50 percent of purchase power costs  
19 should initially be assigned to domestic loads.

20 So basically you'd have the same treatment  
21 for purchases as you do for Brandon fuel and related  
22 costs.

23 MR. BYRON WILLIAMS: Now, does this same  
24 reasoning or principle apply to wind power purchases?

25 MR. WILLIAM HARPER: In the case of wind

1 purchases, I've had a chance to review the matter further  
2 and I've also considered them in the context of Manitoba  
3 Hydro's other costs and planning.

4 In my view, it would be reasonable to  
5 treat them just like any other domestic source of  
6 dependable energy and not initially assign any of their  
7 costs to exports. A portion of wind power costs will  
8 eventually be allocated to firm exports through the  
9 allocation of generation costs.

10 In my mind, whether you've contracted to  
11 buy DSM for a customer or you've contracted to buy wind  
12 power or you've spent dollars and made commitments to get  
13 SSE improvements at particular sites or advance or to  
14 develop domestic generation, they're all commitments.  
15 You've spent the money and you're going to have the  
16 resources available and they should be probably all  
17 treated on a similar basis.

18 It should be noted that my proposed change  
19 in the treatment of purchases, including wind purchases,  
20 will impact on the calculation of the kilowatt hours of  
21 export attracting water rentals.

22 However, once the water rentals attributed  
23 to exports have been determined the recommended method  
24 would apply with 45 percent of the water rentals being  
25 assigned to opportunity exports and the remaining 55

1 percent being assigned to firm exports to eventually be  
2 included in the allocation of the overall generation  
3 costs.

4 MR. BYRON WILLIAMS: Thank you Mr.  
5 Harper. Let's turn for a couple of seconds to the  
6 various --

7 THE CHAIRPERSON: Mr. Williams, if you  
8 don't mind we're just going to take a five minute break.  
9 We will be right back.

10

11 --- Upon recessing at 11:20 a.m.

12 --- Upon resuming at 11:29 a.m.

13

14 THE CHAIRPERSON: Okay, folks, if we  
15 could return to our task.

16 MR. BYRON WILLIAMS: Thank you, Mr.  
17 Chairman, and Members of the Panel. I did -- I was  
18 somewhat remiss or perhaps they snuck in while I had my  
19 back turned, but both Ms. Hunter from the Manitoba  
20 Society of Seniors and Ms. Desorcy from the Consumers  
21 Association are here and I welcome them.

22 THE CHAIRPERSON: Well, Mr. Williams, I  
23 also want to ask Mr. Peters if he could provide some  
24 housekeeping notes.

25 MR. BOB PETERS: It was a point, Mr.

1 Chairman, that I had mentioned yesterday that we have set  
2 ourselves as having to complete the evidence this week to  
3 allow us to have the closing submissions next week, as I  
4 indicated yesterday on the transcript.

5 To that end, parties are aware that the  
6 Board will be standing down at 3:30 today due to a prior  
7 commitment, but the Board is available to resume tonight  
8 at six o'clock if necessary, to continue with the  
9 evidence of Mr. Harper in an effort to hopefully conclude  
10 his cross-examination questions.

11 So I'll throw that out there. We'll see  
12 how the timing goes and see how long the parties are. It  
13 will also be helpful for parties to let me know at the  
14 lunch break what their commitments might be in terms of  
15 Mr. Lazar tomorrow because that's the other -- the next  
16 matter that we would be addressing.

17 So we are available to sit and plan to sit  
18 tonight at six o'clock to conclude unless I get back to  
19 the Board otherwise.

20 THE CHAIRPERSON: Very good, you can  
21 consult then Mr. Peters with other parties as necessary.

22 Mr. Williams ...?

23

24 CONTINUED BY MR. BYRON WILLIAMS:

25 MR. BYRON WILLIAMS: I think when we took

1 our brief break, Mr. Harper, we were turning to the  
2 various transmission related charges that Manitoba Hydro  
3 has directly assigned to exports. And I wonder if you  
4 could briefly review the treatment of these and your  
5 recommendations?

6 MR. WILLIAM HARPER: The first of these  
7 are the transmission service charges and these are the  
8 payments Manitoba Hydro makes for transmission services  
9 outside of the province.

10 Manitoba Hydro has confirmed that these  
11 charges are all related to exports and, therefore,  
12 assigning them directly to exports based on the fifty-  
13 five forty-five (55/45) split that they proposed is  
14 reasonable.

15 Furthermore, since such services are only  
16 required to support exports, it would seem reasonable to  
17 retain the 55 percent directly assigned to firm exports  
18 as an export cost and not include it in the allocation of  
19 generation costs.

20 In the case of the membership and legal  
21 fees associated with the MISO and MAPP, Manitoba Hydro  
22 has the knowledge that participation in these  
23 organizations has benefits over and above the creation of  
24 -- of export revenues.

25 Unfortunately, this perspective is not

1 adequately captured in the recommended method, where the  
2 costs are initially all assigned to exports and domestic  
3 loads only attract a portion by virtue of the fact of the  
4 55 percent that's assigned to firm exports and then  
5 subsequently allocated through the subsequent allocation  
6 process.

7                   However, the dollars involved here are  
8 relatively small, roughly \$5 million as we heard this  
9 morning, and attempts to develop a more refined treatment  
10 are unlikely to have a material impact on the cost of  
11 service results.

12                   In contrast, Manitoba Hydro has chosen not  
13 to assign any of the costs associated with its external  
14 electricity trade function to -- to the export class.  
15 Arguably, this function supports both exports and  
16 purchase activities and, therefore, a portion should be  
17 attributed to exports. Again, the value is small,  
18 roughly \$7 million.

19                   Manitoba Hydro has acknowledged that it  
20 would be appropriate to review the current treatment of -  
21 - of these costs. At the same time perhaps they could  
22 also review the treatment of the MISO and MAPP fees and  
23 related expenses.

24                   In the meantime, the treatment proposed by  
25 Manitoba Hydro for these two (2) small cost items is

1 acceptable as an interim solution.

2 MR. BYRON WILLIAMS: Finally in this  
3 area, Mr. Harper, perhaps I can persuade you to offer  
4 some thoughts on Wuskwatim in terms of, in the event it  
5 comes online, how it should be treated in the cost of  
6 service study.

7 MR. WILLIAM HARPER: As Mr. Warden has  
8 indicated, the Wuskwatim partnership arrangement with NCN  
9 means Wuskwatim will be accounted for in Manitoba Hydro's  
10 books slightly differently than other generating stations  
11 and power purchases. This will require some sorting out.

12 However, putting this issue aside, at this  
13 time I would see treating Wuskwatim similar to DSM, wind  
14 or SSE, or other resources that have been advanced to  
15 secure exports, that is include the costs in the pool of  
16 generation costs to be allocated to firm exports and  
17 domestic load.

18 However, the in-service date for  
19 Wuskwatim, as you've indicated, is a number of years off.  
20 And I'm sure this question will likely be revisited again  
21 before we get -- get to the in-service date of Wuskwatim.

22 MR. BYRON WILLIAMS: Just in -- in this  
23 area of the direct assignment of costs to exports, I  
24 wonder if you can summarize what you would recommend to  
25 the Public Utilities Board in this general area.

1                   MR. WILLIAM HARPER:   Based on my -- based  
2 on my preceding comments, there are essentially three (3)  
3 areas where I would suggest changes need to be made at  
4 this point in time.

5                   The first is with respect to power  
6 purchases from neighbouring jurisdictions. I believe  
7 they should be treated the same as the Brandon fuel  
8 costs, initially assigned fifty fifty (50/50) to exports  
9 and domestic sales, as opposed to all being initially  
10 assigned to exports.

11                   Second, with respect to wind power  
12 purchases, I believe they should be allocated along with  
13 other generation costs, to firm exports and domestic  
14 load.

15                   And third, with respect to transmission  
16 service costs, they -- they should all be directly  
17 assigned to exports and there should be no secondary  
18 allocation as part of generation costs.

19                   As a consequence of the first two (2)  
20 changes, the initial assignment of water rentals to  
21 exports would have to be adjusted. Remember, water  
22 rentals are determined based on the hydro that is assumed  
23 to support exports after you've identified the purchases  
24 and the fuelling costs associated with exports.

25                   So if you change the assumption on

1 purchases, you're going to have to subsequently adjust --  
2 correspondingly adjust the amount of water rentals you  
3 assume are associated with -- with exports.

4 MR. BYRON WILLIAMS: Let's turn for a  
5 moment to the allocation of transmission costs to  
6 domestic load and firm exports. And I believe in your  
7 written pre-filed evidence you concurred with Hydro's  
8 separation of transmission facilities as between domestic  
9 and interconnections.

10 And I wonder if you have any comments on  
11 their more recent conclusion that the two (2) should not  
12 be separated but rather, that all transmission costs  
13 should be allocated among firm exports and -- and the  
14 domestic classes based on two (2) CP.

15 MR. WILLIAM HARPER: I believe I pointed  
16 out in my evidence that there was no real science  
17 involved in the choice of energy as an allocator for  
18 interconnection costs, particularly as between domestic  
19 load and exports.

20 This was also evident in an IR response I  
21 gave to MIPUG who inquired as to whether the use of  
22 marginal weighted energy by time of use would be  
23 preferable to strictly using an -- an energy based  
24 allocation. And I said that that also warranted some  
25 consideration.

1                   Manitoba Hydro has subsequently confirmed  
2 in its undertakings that the key consideration in the  
3 construction and costs of inter-ties is firm transfer  
4 capability, that is megawatts as opposed to energy, which  
5 would suggest that allocating costs based on capacity  
6 similar to domestic transmission is appropriate.

7                   As a result, I'm not opposed to Manitoba  
8 Hydro's currently suggested approach.

9                   MR. BYRON WILLIAMS:     Just before we leave  
10 transmission cost area, I believe Intergroup in its  
11 evidence suggested that if a separation is maintained as  
12 between inter-connections and domestic lines, then one  
13 (1) CP should be used as the allocator for domestic  
14 lines.

15                   And I wonder if you could comment on that  
16 as well as the reasonableness of allocating transmission  
17 costs to firm but not opportunity exports.

18                   MR. WILLIAM HARPER:     With respect to the  
19 first question, I agree with the position that Manitoba  
20 Hydro took in their rebuttal, which is that domestic  
21 transmission lines are involved in exporting of  
22 electricity and therefore the two (2) CP allocator that  
23 recognizes the significance of summer exports as well as  
24 winter domestic load it is appropriate.

25                   In order to arrive at this decision,

1 effectively what I did is I looked at system map that  
2 Manitoba Hydro had filed in response to CAC/MSOS MH-1-  
3 12(c). And from that map it seemed self-evident to me  
4 that a lot more lines than just the HBDC lines and the  
5 inter-connects would be involved in getting power from  
6 the northern facilities to the inter-connection points.

7           It would involve considerable use of the  
8 domestic transmission lines that sort of join those two  
9 (2) facilities. And so on that basis I concluded that  
10 sort of Manitoba Hydro's position seemed reasonable.

11           With respect to your second question,  
12 Manitoba Hydro has indicated that transmission investment  
13 is primarily related to servicing domestic loads. Having  
14 said this, firm exports represent a commitment of  
15 existing transmission capacity for planning purposes just  
16 like domestic loads do.

17           Also Manitoba Hydro has acknowledged that  
18 some limited investment has been made in inter-  
19 connections primarily to facilitate firm exports. As a  
20 result it seems reasonable to allocate firm exports a  
21 share of transmission costs.

22           In the contrast, opportunity sales do not  
23 place any long term obligation on the transmission system  
24 and in fact are only undertaken when system conditions  
25 permit and capacity is available. Overall not allocating

1 any fixed transmission costs to opportunity exports  
2 likely helps offset and balance the fact that allocating  
3 firm exports a full share, similar to domestic load,  
4 likely overstates the costs actually incurred to  
5 accommodate these -- these export sales.

6 MR. BYRON WILLIAMS: Mr. Harper, you'll  
7 recall that near the onset of your evidence you outlined  
8 the two (2) key issues in this Hearing from your  
9 perspective, one (1) being the treatment of export  
10 revenues, the other one (1) being the allocation of  
11 generation costs.

12 Let's turn to the allocation of generation  
13 costs and outline the major changes that Hydro has  
14 proposed in its recommended method.

15 MR. WILLIAM HARPER: There are two (2)  
16 key changes. The first is a change in methodology and  
17 the second is a change in terms of the customer classes  
18 that are included in the allocation base itself.

19 With respect to the methodology Manitoba  
20 Hydro's proposal is to classify generation costs into  
21 four (4) time periods based on the energy consumed in  
22 each period, weighted by the relative marginal cost of  
23 generation for each of those periods.

24 The generation costs in each period are  
25 then allocated to customer classes based on each class'

1 share of the energy -- of the energy actually produced in  
2 that time period.

3                   The approach is very similar to that  
4 recommended by NERA except that Manitoba Hydro uses  
5 prices from its surplus energy program as a proxy for  
6 marginal costs as opposed to its commercially available  
7 PLATS (phonetic) data that was used by NERA.

8                   MR. BYRON WILLIAMS: Mr. Harper, MIPUG is  
9 or Intergroup has expressed concern that the proposed  
10 methodology does not follow the traditional approach of  
11 classifying generation costs as demand or energy related  
12 and then allocate each separately based on each class'  
13 capacity and energy use respectively.

14                   Do you share that concern?

15                   MR. WILLIAM HARPER: No I don't. In  
16 principle the approach used by Manitoba Hydro will  
17 capture both demand and energy cost considerations.

18                   Demand costs are the costs incurred to  
19 ensure that sufficient capacity is in place to meet  
20 maximum demands that will be placed on the system during  
21 critical periods of the year.

22                   The current method defines the critical  
23 periods of the year as the fifty (50) top winter and the  
24 fifty (50) top summer hours and allocates capacity costs  
25 based on each customer class' contribution to those

1 hundred (100) hours.

2                   This is really equivalent to allocating  
3 capacity costs to customers based on their energy use in  
4 the top hundred (100) hours of the year, if you think  
5 about it. The use of hourly marginal costs to weight the  
6 various hours of the year is really an analogous approach  
7 to that.

8                   The high load and tight supply hours of  
9 the year will attract marginal capacity costs, as well as  
10 marginal energy costs and will be assigned a higher  
11 weight in Manitoba Hydro's allocation process.

12                   As a result, there is no need to  
13 separately classify generation costs as demand or energy  
14 related. The marginal costs weightings themselves  
15 capture the importance of both of these on an hourly  
16 basis.

17                   What is critical is that the hours of the  
18 year be broken down into a sufficient number of periods  
19 so as to isolate those high cost hours, i.e., the hours  
20 where -- the hours which are likely to be the ones where  
21 the marginal cost reflect both capacity and energy cost  
22 considerations.

23                   This is particularly important if usage by  
24 customer classes in those high cost hours is different  
25 than it is in other hours of the year and I think this

1 was something that Mr. Jurgensen (sic) was just pursuing  
2 with the Hydro Panel earlier this morning.

3                   And hence this gives rise to questions  
4 posed by both MIPUG and myself as to whether or not the  
5 four (4) time of use periods proposed by Manitoba Hydro  
6 are appropriate and really are they sufficient or should  
7 we have more time of use periods?

8                   In its rebuttal evidence Manitoba Hydro  
9 has demonstrated that the results from using twelve (12)  
10 periods; that is a peak, a shoulder, and an off-peak  
11 period in each of the four (4) seasons yields virtually  
12 the same results.

13                   On its own this would suggest that there  
14 is little need to make further refinement. However,  
15 given the fact that the marginal costs for the four (4)  
16 periods are actually derived from an interpolation that  
17 starts with those twelve (12) periods, it would actually  
18 be simpler to use the twelve (12) periods to start off  
19 with and avoid all the arithmetic and gyrations that are  
20 necessary in order to come up with the four (4) period  
21 rates that are used in the proposal.

22                   As a result, I would recommend that for  
23 the purposes of accuracy and simplicity Manitoba Hydro  
24 use the twelve (12) time of use periods in its weighting  
25 of generation costs.

1                   MR. BYRON WILLIAMS:    Thank you, Mr.  
2 Harper.  We'll call Mr. Feldschmid, Mr. Jurgensen from  
3 now on.

4                   MR. WILLIAM HARPER:    I apologize.

5                   MR. JURGEN FELDSCHMID:   That's fine with  
6 me.

7                   MR. BYRON WILLIAMS:    I think it's  
8 actually kind of a nice name.

9                   MR. WILLIAM HARPER:    I should never try  
10 to do that.

11

12 CONTINUED BY MR. BYRON WILLIAMS:

13                   MR. BYRON WILLIAMS:    I wonder just on  
14 this issue if you could address the question of whether  
15 the SEP rates, which are based on -- largely on  
16 opportunity export prices, are a reasonable proxy for the  
17 marginal cost of both capacity and energy?

18                   MR. WILLIAM HARPER:    Yes, I covered this  
19 on pages 16 and 17 of my evidence.  Typically, one would  
20 expect opportunity prices to be less than firm export  
21 prices due to the capacity commitments associated with  
22 firm export sales.  However, the opportunity sales prices  
23 that underlie the SEP rates are influenced by market  
24 conditions and when energy is scarce the prices can be  
25 higher than the contracted firm export prices.

1                   For the period over which the SEP rates  
2 were averaged, the average annual revenue from  
3 opportunity exports was only marginally less, roughly 3  
4 percent, than that from firm exports.

5                   In my mind this sort of highlights the  
6 fact that one is a reasonable proxy for the other and  
7 also highlights the need to use a historical average of  
8 SEP rates and to ensure that the years involved capture a  
9 range of system conditions.

10                   MR. BYRON WILLIAMS:   Mr. Harper, the  
11 second major change you noted with respect to the  
12 treatment of generation costs was the change in customer  
13 classes, including the allocation process.  I assume by  
14 that you were referring there to the inclusion of firm  
15 exports; is that correct?

16                   MR. WILLIAM HARPER:   Yes.  You'll recall  
17 my earlier discussion regarding the treatment of export  
18 revenues.  I know that there are really two (2)  
19 objectives.  The first was to recognize in the cost of  
20 service process that generation costs were incurred to  
21 support exports while the second was to ensure that the  
22 allocation of any identified net export revenue was not  
23 allocated in a way that was inconsistent with the  
24 principles of cost causality.

25                   Including firm exports along with domestic

1 loads and the allocation of generation costs seeks to  
2 address the first of these objectives.

3 MR. BYRON WILLIAMS: Well, following that  
4 logic, why not also include opportunity exports in the  
5 allocation of generation costs?

6 MR. WILLIAM HARPER: The rationale is  
7 very similar to what I outlined as to why firm but not  
8 opportunity exports are included in the allocation of  
9 transmission facility costs.

10 While the potential revenue for both firm  
11 and opportunity sales are factored into Manitoba Hydro's  
12 decisions regarding the advancement and design of  
13 facilities, Manitoba Hydro has indicated that the  
14 incremental cost incurred to serve exports is less than  
15 its average embedded costs.

16 This would suggest that exports should not  
17 attract the same level of transmission and generation  
18 costs per unit of service delivered. However, it's  
19 impractical to actually determine the embedded costs on  
20 Manitoba Hydro's books that are associated with -- with  
21 exports.

22 Indeed the view of what our incremental  
23 costs are associated with exports can actually change  
24 over time. Plants that were originally advanced in order  
25 to achieve exports are now being used solely to meet

1 domestic load and, therefore, do you consider them to be  
2 export related or do you consider them now to be all  
3 domestic related?

4                   Given the fact that firm exports represent  
5 a long-term commitment of dependable energy resources and  
6 generating capacity while opportunity exports are made  
7 when conditions permit and the greater service  
8 reliability firm exports have relative to opportunity  
9 sales, it is likely that the incremental costs incurred  
10 to support firm exports are greater than those to support  
11 opportunity sales.

12                   Indeed, in my mind, this is clearly  
13 demonstrated by Manitoba Hydro's willingness to construct  
14 the Brandon gas-fired units primarily on the basis that  
15 the cost of those units would be recovered by allowing  
16 the Utility to firm up existing opportunity sales and  
17 basically make them firm sales.

18                   As a result, the approach taken by  
19 Manitoba Hydro whereby firm exports attract generation  
20 costs on par with domestic loads while opportunity costs  
21 -- opportunity exports are not included in the allocation  
22 represents a reasonable comprise and tries to capture the  
23 differences between these two (2) types of export  
24 classes.

25                   MR. BYRON WILLIAMS: I want to direct

1 your attention to a comment made by the witnesses from  
2 Intergroup in their response to CAC/MSOS Interrogatory  
3 number 7, and where they suggested that the creation of  
4 an export class does not ensure that exports are  
5 allocated the costs incurred to serve them.

6 And they seem to suggest that the approach  
7 does not track the costs incurred for exports since Hydro  
8 is willing to pay up to avoid a cost, i.e., the value of  
9 exports for the additional resources and marginal costs -  
10 - excuse me, for additional resources and, as well, that  
11 marginal costs are higher than the costs allocated to  
12 exports through the cost of service study.

13 What's your view on this issue?

14 MR. WILLIAM HARPER: First, I think I've  
15 said it already and I agree with the point that the  
16 methodology doesn't track the actual investment decisions  
17 and actions Manitoba Hydro has made with respect to  
18 exports. Indeed, I believe Manitoba Hydro itself has  
19 acknowledged this. As I said, it's -- it's likely it  
20 would be impractical to do so.

21 Having said this, I don't believe the  
22 overall approach is unreasonable. Intergroup's  
23 suggestion that since Manitoba Hydro is willing to pay up  
24 to its avoided costs, that five point three five (5.35)  
25 cents for generation, for DSM, supply site enhancement,

1 power purchases and new generation, and then the  
2 allocation of embedded into transmission costs is only  
3 roughly four (4) cents, will not cover these costs.

4                   However, this assumes that Manitoba Hydro  
5 has actually incurred its avoided costs for all the  
6 exports, and this is incorrect.

7                   Actually, there is a couple of ways you  
8 can get -- you can get a handle on this. First is if you  
9 turn to the CAC book of references, Tab 8, and basically  
10 that -- that includes a -- that includes the cumulative  
11 DDSM results that were filed with the 2004 GRA.

12                   MR. BYRON WILLIAMS: Perhaps you could  
13 hold just one second, Mr. Harper, while they turn there.

14

15   (BRIEF PAUSE)

16

17                   MR. WILLIAM HARPER: If you go to the  
18 second page under that tab, you'll note that the -- that  
19 the total resource cost test, that is the ratio of costs  
20 avoided to costs that were actually spent, not only  
21 Manitoba Hydro's costs but actually the costs of  
22 participants, up until that point in time was two point  
23 five (2.5) to one (1), and that over the longer term they  
24 expected it to be one point six (1.6) to one (1).

25                   This -- this would suggest that the actual

1 costs incurred by Manitoba Hydro to achieve DDSM savings  
2 are significantly less than whatever the avoided costs.  
3 If they're equal to avoided costs and there were no  
4 participant costs, the ratio would be one (1). The fact  
5 that it's one point six (1.6) to one (1) means that  
6 Manitoba Hydro's costs are substantially less than their  
7 avoided costs.

8 In the case of the supply site  
9 enhancements, actually if you turn to just the next tab  
10 in the CAC book -- book of references, that's Tab 9, and  
11 I believe this -- this tab has been referred to already,  
12 you note that the internal rates of return for the  
13 various supply site enhancements range anywhere from 10  
14 percent up to 30 percent.

15 Now, Mr. Mayer will probably recall from  
16 the Wuskwatim proceeding that Manitoba Hydro's cost of  
17 capital is in the order of 5 or 6 percent, depending upon  
18 whether you want to give any extra premium to the equity  
19 component.

20 The fact that the internal rates of return  
21 here are between 10 and 30 percent again would suggest  
22 that the costs of actually undertaking these activities  
23 are substantially less than the -- than the avoided  
24 costs.

25 If the cost -- if the cost of the activity

1 was equal to the avoided costs you'd be seeing internal  
2 rates of return in the order of 5 or 6 percent as opposed  
3 to the 10 to 30 percent that we're seeing here.

4           Similarly, and I think I mentioned the  
5 Brandon earlier, and actually during the Wuskwatim  
6 proceeding, the business case for the development of the  
7 Brandon gas-fired units was filed as part of that  
8 proceeding, and the internal rate of return for that  
9 project was -- was 13 percent, which is a little over  
10 double what was Manitoba Hydro's cost of capital.

11           So, again, I would suggest this shows that  
12 there was an investment here where Manitoba Hydro did not  
13 have to spend up to anywhere near its avoided costs in  
14 order to -- to achieve the benefits it was looking for.

15           Similarly, Mr. Mayer, you'll probably  
16 recall that even Wuskwatim itself, I think the internal  
17 rate of return there was in the order of 9 or 10 percent,  
18 depending upon how you did your arithmetic.

19           MR. ROBERT MAYER:   Or who you listened  
20 to.

21           MR. WILLIAM HARPER:   Yes exactly.  And  
22 again so I think the issue is, well yes, Manitoba Hydro  
23 has acknowledged it will spend up to that, there are  
24 clearly lots of cases where they haven't.

25           And indeed even these new sources of

1 supply don't make up all of the surplus energy --  
2 dependable energy that Manitoba Hydro is currently  
3 involved in exporting, which is roughly 4000 gigawatt  
4 hours.

5

6 CONTINUED BY MR. BYRON WILLIAMS:

7 MR. BYRON WILLIAMS: Just following up on  
8 that last point, what's the significance of the fact that  
9 the new sources of supply don't make up all the 4000  
10 gigawatt hours you've referenced?

11 MR. WILLIAM HARPER: Well this would  
12 suggest that some of the surplus is coming from -- say --  
13 let's say I hate to use the word, but older investments  
14 that Manitoba Hydro may have made previously that are  
15 still contributing somewhat to surplus dependable energy  
16 on the system.

17 And clearly those older investments would  
18 have been made in earlier years dollars. And you know,  
19 the fact that they were moved forward means actually that  
20 the cost in this year is less than if it hadn't been.

21 MR. BYRON WILLIAMS: Thank you. And I  
22 believe the -- just moving to a slightly different  
23 subject and I think The Chair referenced this morning.

24 Apart from Hydro's suggested approaches to  
25 dealing with export revenues, there's been -- you'll

1 recall that there are alternatives proposed by MIPUG's  
2 consultants, by Mr. Lazar and even Mr. Warden.

3           And I'd like to get your reading on each  
4 of these so -- let's start with the Intergroup team.  
5 They propose that excess export revenues be determined  
6 using a revenue based threshold and then any excess be  
7 directed towards a special reserve for the stabilization  
8 of rates in the event of a drought.

9           Apparently that's supposed to be more  
10 simple. Could you give me your view on the Intergroup  
11 proposal?

12           MR. WILLIAM HARPER: First, if I wanted  
13 to construct a threshold, I don't believe that export  
14 revenues as a percent of total revenues would be the  
15 correct metric.

16           As I noted earlier, the real problem is  
17 that the unit value of exports exceeds domestic sales.  
18 Higher export volumes may compound the problem but there  
19 is not a problem unless export prices exceed domestic  
20 prices.

21           The approach recommended by Manitoba Hydro  
22 actually captures this relationship since it costs firm  
23 exports on the same basis as it does domestic sales, puts  
24 them on the same basis and then the excess over that is  
25 what's deemed to be excess export revenues.

1                   Second, the only way that excess net  
2 export revenue can be made available for appropriate to a  
3 special drought reserve is if they are not returned to  
4 customers through rates.

5                   Instead the planned appropriation for such  
6 a reserve would become a cost. This would effectively  
7 lead to a higher rate increase than would otherwise  
8 occur. And indeed for each \$10 million set aside in the  
9 rate setting process for such a reserve, the rate  
10 increase will be roughly 1 percent higher for all  
11 domestic customers.

12                   MR. BYRON WILLIAMS: Leaving aside the  
13 issue of whether that's an appropriate recommendation for  
14 a cost of service proceeding, what's wrong with the  
15 concept, if increased debt levels due the most recent  
16 drought and the risk of future drought are a concern?

17                   MR. WILLIAM HARPER: I guess in my view,  
18 the rate decisions that are made by the Manitoba Public  
19 Utilities Board in relation to Manitoba Hydro's GRA's  
20 already involve a careful consideration of Manitoba  
21 Hydro's net income, its financial position, its financial  
22 risk and its financial targets.

23                   I don't see any necessity to make a  
24 separate appropriations for drought reserves. Indeed if  
25 such appropriations were made then the PUB would

1 seriously have to rethink the criteria used in  
2 determining Manitoba Hydro's net income levels since the  
3 issue of risk -- or drought risk mitigation would all be  
4 addressed separately.

5                   And really that's one (1) of the main  
6 things you're thinking about now when you're thinking  
7 about the level of appropriation for net income, just  
8 straight net income, is concerns about reserves and  
9 drought risk mitigation.

10                   If there are separate funds for that that  
11 are being addressed elsewhere then maybe certain holds or  
12 different metrics have to now be developed in terms of  
13 how they can determine what should be the regular  
14 appropriation for net income as opposed to these special  
15 appropriation for the drought reserve.

16                   However and I guess maybe this is where  
17 we're having a bit of a problem. If the need for such  
18 reserves are to be considered in my view it is best  
19 addressed in a GRA proceeding which specifically deals  
20 with questions such as risk management, financial  
21 integrity and the resulting rate increase levels on  
22 customers, as opposed to within a sort of cost of service  
23 methodology, proceeding like we have here.

24                   MR. BYRON WILLIAMS: While we're talking  
25 on drought risk, could you please give me your

1 understanding as to the basis for the \$2 billion estimate  
2 that has been referenced in this proceeding?

3 MR. WILLIAM HARPER: Yes, as I recall the  
4 \$2 billion figure arose during the oral part of the 2004  
5 GRA proceeding. At the time Manitoba Hydro's witnesses  
6 indicated they were developing a methodology that would  
7 consider the variability and the uncertainty in the  
8 factors that could influence the cost of drought.

9 They went on to estimate there was a  
10 reasonable possibility that the cost of a five (5) year  
11 drought could increase to as high as \$2 billion, but did  
12 not have any quantitative analysis.

13 Since then there's been really no further  
14 information such as the results of their methodology or  
15 the reports from consultants that they'd indicated they  
16 were hiring to assist them with this provided by Manitoba  
17 Hydro to support the \$2 billion figure.

18 Furthermore, there's been no discussion or  
19 debate as to how much of this risk should be mitigated  
20 through the build up of retained earnings as opposed to  
21 address it perhaps through other means. There are a  
22 number of issues that I think are worth exploring before  
23 the value of what you think should be the reserve set up  
24 for drought is carved out in stone.

25 For example, the \$400 million drought that

1 we talked about in 2003/2004 was based on the third worst  
2 year on record in terms of water flows. It was  
3 aggravated by high natural gas and power prices.

4           It is reasonable to question whether the  
5 reserves we want to accumulate should be accumulated to  
6 cover what could be considered to be a multi-year repeat  
7 of what's close to a worst case scenario or whether you'd  
8 want to, sort of, do it -- look at a range of  
9 probabilities and establish some band, 90 percent, 95  
10 percent band and try and determine the same thing.

11           A lot more science and rigour can be put  
12 to what's the appropriate size of the reserves that are  
13 needed.

14           Also the \$2 billion presupposed that there  
15 would be no actions taken during the drought to reduce  
16 the impact. For example, starting to introduce higher  
17 rate increases to consumers once we saw that the drought  
18 was starting to go on for a couple of years.

19           There are trade offs involved here.  
20 Really does the consumer want to pay up front and create  
21 a reserve and contribute money to Manitoba Hydro which  
22 maybe involves a lower return or do they want to keep  
23 their money in their pocket, maybe at a higher return but  
24 face the potential of -- of higher rate increases when  
25 there's a drought.

1                   That again is a debate that's important to  
2 have.

3                   MR. BYRON WILLIAMS:    I guess largely  
4 that's a debate for the other proceeding.  Could you  
5 please comment on Mr. Lazar's recommendations in terms of  
6 the cost of service proceeding?

7                   MR. WILLIAM HARPER:    Yes.  As I  
8 understand, Mr. Lazar's recommendations are to gradually  
9 increase Manitoba Hydro's rates so as to not only remove  
10 the cost offset provided by the net export revenues but  
11 to move the rates up to a level commensurate with full  
12 costing that considers both avoided costs and  
13 environmental opportunity costs.

14                   The additional monies would be used by  
15 Hydro and the government to fund programs, both in the  
16 energy sector and elsewhere, as well as to reduce taxes.  
17 At the same time, the higher rates would encourage an  
18 efficient use of electricity.

19                   My first observation is that this  
20 recommendation goes well beyond the scope of the current  
21 proceeding into Manitoba Hydro's cost of service  
22 methodology.  It may even go beyond -- well beyond the  
23 scope of the current statutory framework established for  
24 Manitoba Hydro.  But I'll let the lawyers, like Mr.  
25 Williams, debate that.

1                   The second observation is that unless  
2 implemented at a snail's pace even a gradual introduction  
3 would have significant implications. For example, a ten  
4 (10) year plan could lead to annual increases in every  
5 year of 10 percent. And if you think of implementing  
6 gradually, it is often thought of ten (10) years. Well,  
7 the types of rate increases we're talking about here even  
8 a ten (10) year plan would have significant increases  
9 each year.

10                   My only hope would be that any changes  
11 fundamental as what Mr. Lazar is proposing would be  
12 carefully thought out. To start with, the consumption  
13 changes associated with the price changes he's  
14 contemplating are crude estimates of both as the -- since  
15 the estimates applied are illustrative examples from  
16 other jurisdictions as opposed to representing Manitoba  
17 and they're probably not relevant given the magnitude of  
18 price change that Mr. Lazar is talking about and that's  
19 something that Mr. Wiens spoke to this morning.

20                   Also, Mr. Lazar has suggested that the  
21 implications and the impacts of more than doubling  
22 electricity prices could be offset by cuts in taxes and  
23 other consumer costs. My -- my real concern is that  
24 either, A, all the implications will not be fully  
25 understood before such a plan is initiated or the

1 necessary remedial actions will not be put in place.

2                   And I say this coming from a province  
3 where in recent years public policy with -- with respect  
4 to electricity and energy has seen significant changes  
5 implemented, in my mind, without a sufficient  
6 understanding of what are the implications or are we  
7 ready for those changes.

8                   So I would just sort of, from that  
9 perspective, offer a word of caution because in the end  
10 it's consumers that bear the brunt of those changes.

11                   Finally, if Mr. Lazar's objective is to  
12 influence electricity consumers' consumption decisions as  
13 opposed to generating additional funds for government, I  
14 believe rate design is the first place to start.  
15 Similarly, if Mr. Lazar's objective is to generate more  
16 funds to support DSM this would seem to suggest Manitoba  
17 Hydro currently has a funding limit on DSM which, to my  
18 understanding, is not the case.

19                   MR. BYRON WILLIAMS: Well, we've chatted  
20 about the Intergroup evidence as well as Mr. Lazar's  
21 evidence. In the course of this proceeding there's also  
22 been a discussion of alternative ways of treating export  
23 revenues and there's been some suggestion that Manitoba  
24 Hydro should simply focus on the pre-export allocation of  
25 RCCs; could you please comment on this?

1                   MR. WILLIAM HARPER:    Yes.  I must admit  
2   that I didn't quite follow or understand Mr. Warden's  
3   suggestion that this approach has extra merit as long as  
4   Manitoba Hydro has not achieved its debt equity ratio.  I  
5   don't see how Manitoba Hydro's financial position relates  
6   to the applicability of pre or post export -- pre or post  
7   export allocation RCC's.

8                   Second, I don't agree with the suggestion  
9   that using this approach avoids the debate over the  
10  treatment of export revenues.

11                   First, the results would be different  
12  depending upon one uses the current method for -- for  
13  determining pre-export allocation costs and RCC's, or  
14  uses the recommended method, or in fact uses NERA's  
15  method.  Each of them give you different pre -- pre-  
16  export allocation RCC's.

17                   So it will be necessary to -- to decide on  
18  the question of whether the cost of service should be  
19  included in customer class for exports, and if so, how  
20  many.  Those questions will still have to be resolved.

21                   Third, by using pre-export allocation  
22  RCC's, one is not really avoiding the issue.  Implicit in  
23  the indexing to 100 percent is the allocation of the  
24  difference between domestic revenues and costs, which is  
25  simply the net export revenue.  By using the pre-export

1 allocation RCC's, one has effectively made -- made a  
2 decision, whether one likes it or not, as to how export -  
3 - net export revenues are to be allocated.

4           Indeed, if my -- if my back-of-the-  
5 envelope analysis is -- is correct, the use of pre-export  
6 allocation RCC's is effectively the same as allocating  
7 net export revenue to customer classes based on their  
8 relative revenues.

9           This is not much different than Manitoba  
10 Hydro's current method, which -- which basically  
11 allocates net export revenues on the basis of allocated  
12 costs and -- and will tend to spread the results over a  
13 wider -- over a wider base than just the GMT allocation  
14 used for -- for the current method.

15           Both -- both of these approaches are  
16 reasonable since we're talking about the allocation of  
17 net export revenues after having accounted for the costs  
18 associated with export.

19           Where, if I was asked to decide and make a  
20 choice between the two (2), I'd probably go with the  
21 Hydro approach for two (2) reasons. One is it uses costs  
22 as opposed to revenues. And the second is that the  
23 overall methodology is -- is more transparent in that it  
24 explicitly deals with and shows you how those net export  
25 revenues are being determined and how they're being

1 allocated.

2 MR. BYRON WILLIAMS: Mr. Harper, does  
3 this conclude your opening comments?

4 MR. WILLIAM HARPER: Yes, it does.

5 MR. BYRON WILLIAMS: Are you available  
6 for cross-examination?

7 MR. WILLIAM HARPER: Yes, I am. I was  
8 tempted.

9 MR. BYRON WILLIAMS: Now, once -- once --  
10 just referring to Rule 17-5 of -- of the Draft Rules of  
11 Procedure, once he's made that final fatal admission, I  
12 think the Rules provide that pre-filed written evidence  
13 may be received in evidence at the hearing with the same  
14 force and effect as if it were stated orally.

15 So just given the fact that Mr. Harper has  
16 testified to his qualifications, confirmed that the  
17 material was prepared under his direction and indicated,  
18 however unwillingly, his readiness to submit to cross-  
19 examination, I'd ask that his pre-filed evidence, which  
20 is CAC/MSOS Exhibit number 1, be entered as -- as if it  
21 had been read.

22 THE CHAIRPERSON: That would be fine.  
23 Thank you. So Mr. Harper can prepared himself now for  
24 the cross-examination while we have our lunch break. And  
25 we'll be back at -- we're closing at 3:30, so we'll come

1 back at 1:15.

2

3 --- Upon recessing at 12:05 p.m.

4 --- Upon resuming at 1:18 p.m.

5

6 THE CHAIRPERSON: Whenever you're ready  
7 Mr. Williams?

8 MR. BYRON WILLIAMS: I am done except for  
9 to again get Mr. Harper's confirmation that he's ready  
10 for cross-examination.

11 MR. WILLIAM HARPER: We're ready.

12 THE CHAIRPERSON: Thank you, Mr.  
13 Williams. Okay. Mr. Feldschmid...? I don't see him.

14 MR. BYRON WILLIAMS: Mr. Jurgenson has no  
15 questions.

16 MR. WILLIAM HARPER: He's not going to  
17 let me forget that.

18 THE CHAIRPERSON: He must be very  
19 satisfied with you.

20 Mr. Buhr ...?

21 MR. DOUG BUHR: I have no questions, Mr.  
22 Chairman.

23 THE CHAIRPERSON: Thank you, Mr. Buhr.  
24 Ms. McCaffrey...?

25

1 CROSS-EXAMINATION BY MS. TAMARA MCCAFFREY:

2 MS. TAMARA MCCAFFREY: Good afternoon,  
3 Mr. Harper.

4 MR. WILLIAM HARPER: Good afternoon.

5 MS. TAMARA MCCAFFREY: Nice to have you  
6 with us again.

7 Mr. Harper, in a regulated monopoly such  
8 as Manitoba you would agree with me, sir, that the role  
9 of the regulator is to balance interests of the ratepayer  
10 and the utility, correct?

11 MR. WILLIAM HARPER: That's one of its  
12 roles, yes.

13 MS. TAMARA MCCAFFREY: And also another  
14 one (1) of the roles would be to protect ratepayers in  
15 cases, particularly where their interest may diverge from  
16 the interest of the utility, is that fair?

17 MR. WILLIAM HARPER: Yes, that's fair. I  
18 think that's one of the reasons you have regulation of a  
19 monopoly, yes.

20 MS. TAMARA MCCAFFREY: And you've  
21 stressed the importance of that, that regulation in  
22 monopoly jurisdictions before, before the Public Utility  
23 Board, this is nothing new that we're going through here.

24 In Manitoba, of course, there is no  
25 competitive market, there is no choice for ratepayers

1 which would hold the utility accountable. And therefore,  
2 it's the Public Utility Board that performs that  
3 function?

4 MR. WILLIAM HARPER: I guess in the sense  
5 that there's no alternative place for them to buy  
6 electricity except for Manitoba Hydro, that that's  
7 correct. I mean customers do have choices about whether  
8 they use electricity or gas or something else --

9 MS. TAMARA MCCAFFREY: Right --

10 MR. WILLIAM HARPER: -- but just in terms  
11 of looking at electricity itself, you're right.

12 MS. TAMARA MCCAFFREY: Sure. What I'm --  
13 what I'm talking about is of course they don't have any  
14 choice of where they get the power from in this  
15 jurisdiction, unlike Ontario, where you're from.

16 MR. WILLIAM HARPER: That's correct.

17 MS. TAMARA MCCAFFREY: And again part of  
18 the role that the regulator performs in this type of  
19 monopoly jurisdiction is ensuring that the company is  
20 efficiently managing its business and being as effective  
21 as possible with the dollars that it has and any  
22 additional dollars it would be given, in terms of a rate  
23 increase for example.

24 Would you agree with that?

25 MR. WILLIAM HARPER: Yes in a broad

1 sense, yes, I'm not too sure how far a regulator can go  
2 at ensuring somebody is efficient from a micro-management  
3 perspective, but, in a broad sense in trying to encourage  
4 them and ensure that, you know, they're demonstrating  
5 efficiency before the approval a level of rate increase  
6 for them, yes.

7 MS. TAMARA MCCAFFREY: Well, sure and  
8 that's what rate hearings are all about, right, Mr.  
9 Harper?

10 MR. WILLIAM HARPER: Yes.

11 MS. TAMARA MCCAFFREY: For example,  
12 you've adverted to -- in response to an IR, you don't --  
13 probably don't need to turn to it, I'll get back to it a  
14 little later but MIPUG/CAC/MSOS 5(b), you adverted to --  
15 okay you can turn to it --

16 MR. WILLIAM HARPER: No I don't -- cause  
17 you said you'll get back to it later, I figure I might as  
18 well get there now --

19 MS. TAMARA MCCAFFREY: I'm referring to--

20 MR. WILLIAM HARPER: -- and save myself  
21 the --

22 MS. TAMARA MCCAFFREY: -- sure I just --  
23 it's not a very detailed question. But, you did advert  
24 to a situation where if exports were not credited to  
25 domestic customers but used for some other purpose, the

1 corporate interest in maximizing profit, for example,  
2 could be at the expense of the domestic focus.

3 I'm taking something that you've talked  
4 about, a splitting of the corporate interest --

5 MR. WILLIAM HARPER: Yes -- yes --

6 MS. TAMARA MCCAFFREY: -- at the risk of  
7 interest being at the domestic focus. And I'm sort of  
8 giving you an example.

9 MR. WILLIAM HARPER: Yes, I guess what I  
10 was trying to get at there was the fact that if, you know  
11 -- if any entity in Manitoba Hydro, for a sense has more  
12 than one (1) objective then there's a pressure to meet  
13 one (1) objective, there's a pressure to meet the other.

14 And if you're trying -- if you're trying  
15 to generate funds for a shareholder on the one (1) hand  
16 and on the other hand trying to keep rates down, there's  
17 going to be a tension between those two (2).

18 MS. TAMARA MCCAFFREY: And I'd think  
19 you'd agree with me, sir, that there should be some  
20 caution against that type of scenario developing?

21 MR. WILLIAM HARPER: Yes I would think  
22 so.

23

24

(BRIEF PAUSE)

25

1 MS. TAMARA MCCAFFREY: What would that  
2 look like, Mr. Harper? How would we know if that was  
3 happening?

4 MR. WILLIAM HARPER: Well, I -- I think  
5 first of all you would know it was happening in some  
6 sense because there was more than one (1) objective put  
7 to the Company whether it be a change in statute that  
8 sort of governs Manitoba Hydro, so it was clearer that  
9 there was more than just the current statutory  
10 responsibility, which is really just providing power at  
11 -- you know at -- providing power to consumers on an  
12 efficient basis.

13 If there were other objectives put into  
14 the Act, as well, then that would clearly be one (1)  
15 obvious demonstration that there was some tension  
16 arising.

17 I guess if you had, you know, government  
18 pronouncements, I don't know -- you know --

19 MS. TAMARA MCCAFFREY: What about if you  
20 had decisions of the utility in terms of rate design that  
21 might be aimed at discouraging Manitoba load, for  
22 example, would that be another indication that that might  
23 be happening, that splitting of interest?

24 MR. WILLIAM HARPER: Well, I guess I  
25 would ask them why they were discouraging the -- and I

1 mean discouraging Manitoba load is a broad -- is a broad  
2 example, we're out here trying to implement DSM programs  
3 which somebody could look at as a discouraging Manitoba  
4 load, if you want to put that way, but I'm not too sure  
5 that's really not the -- depends on what you mean by  
6 discouraging sort of thing.

7 MS. TAMARA MCCAFFREY: I'm not thinking  
8 about DSM.

9 MR. WILLIAM HARPER: And you know --

10 MS. TAMARA MCCAFFREY: Go ahead --

11 MR. WILLIAM HARPER: -- I'm sorry -- you,  
12 know all, I guess all I was going to say, so when you say  
13 -- when you say discouraging you'd have to look precisely  
14 at the particular activity that was taking place before  
15 you sort of try to see, whether or not, it was  
16 inconsistent with the current -- with the current mandate  
17 of the Corporation.

18 MR. ROBERT MAYER: Mr. Harper, I'm not  
19 sure you're getting Ms. McCaffrey's point.

20 Manitoba Hydro's statute was specifically  
21 changed a few years ago to allow it to pursue export  
22 opportunity. It has now and we have evidence before us  
23 that -- there is a suggestion that Manitoba Hydro may  
24 come here and -- looking for rates -- for different rates  
25 for expanded industrial use.



1 balancing any -- you know, utilities all have -- I'm  
2 sorry, now that we're more explicit about the issue,  
3 utilities all have capital expansion policies, you know,  
4 in terms of it, you know, when they're going to extend  
5 lines, in terms of what contributions they look to from  
6 customers as opposed to what -- what they're going to pay  
7 for themselves.

8                   And you know what you put into those  
9 capital contribution policies can, as you've said, sort  
10 of be seen as signals as to how much you want to  
11 encourage the additional connections or not, on the same  
12 time as you're trying to balance the interest of existing  
13 customers.

14                   So there is a balance there.

15

16                   (BRIEF PAUSE)

17

18 CONTINUED BY MS. TAMARA MCCAFFREY:

19                   MS. TAMARA MCCAFFREY: Thank you, Mr.  
20 Harper, and thank you to Vice-Chairman Mayer to helping  
21 to focus that question.

22                   The Board has, I think, my point with the  
23 question and I hope so do you.

24                   I want to talk a little bit about the  
25 context of risks now, in terms of the regulatory role, in

1 terms of protecting ratepayers. You've expressed your  
2 view before this Board before and I think again today,  
3 that managing risks means quantifying risks, am I right,  
4 sir?

5 MR. WILLIAM HARPER: Yes, though I think  
6 it's hard to manage something if you don't understand the  
7 size of what you're managing.

8 MS. TAMARA MCCAFFREY: I totally agree  
9 with you. Would you agree, sir, that the greater risks  
10 faced by the Corporation are actually risks to the  
11 generation and transmission components of the system?

12 I'm thinking about drought or catastrophic  
13 infrastructure.

14 MR. WILLIAM HARPER: I guess if I  
15 understand -- you know if I understand -- if I hark back  
16 on sort of the risk management document that Manitoba  
17 Hydro produced a couple of years ago. And if I think of  
18 when they're talking about the risks, identifying risks  
19 they have and what areas of the company those risks are  
20 associated with, I think they're primarily associated  
21 with the generation side in terms of droughts.

22 I think there's been reference to, sort  
23 of, catastrophic loss of facilities, well those would  
24 probably be sort of, something like the HBDC facilities  
25 coming down from the north which would be transmission or

1 generation, depending on how you -- whether you're  
2 talking cost of service or you're talking strictly the  
3 types of facilities you're involved in.

4                   So I think as opposed to, you know, risks  
5 on the -- you know, you may have risks on the  
6 distribution side about ice storms and things like that,  
7 but I think distribution systems are fairly well spread  
8 throughout the Province.

9                   So you're know, they're likely to be more  
10 localized. So I would think you're right, that you know,  
11 most of the larger risks are associated with the  
12 generation and transmission sides of the business.

13                   MS. TAMARA MCCAFFREY: And taking that  
14 into account, it's not only important to quantify the  
15 risks of course to understand them, how can you deal with  
16 them if you don't understand what they are.

17                   But, I think, sir it would be your  
18 position that it's also important to identify what risks  
19 you're specifically going to rely on the reserves in  
20 order to help manage, would that also be your view?

21                   MR. WILLIAM HARPER: Yes, I think that's  
22 right and I think if I understand correctly from the risk  
23 management strategy that Manitoba Hydro was in the  
24 process of developing, it was a matter of you identify  
25 the risks, then you start identifying now that I

1 understand the size of the risks, what are the mechanisms  
2 I'm going to use to mitigate those risks?

3                   How much risk am I willing to open myself  
4 up to and what can I do to mitigate the risks? So one  
5 (1) way of mitigating risks is by establishing reserves.  
6 There are other ways you can mitigate risks.

7                   You know, I mean, you can mitigate risks  
8 of foreign exchange by having, sort of, hedging on  
9 foreign exchange contracts, and this sort of thing. So  
10 there's many ways you can mitigate risk and reserves is  
11 one of them.

12                   MS. TAMARA MCCAFFREY: And restricting  
13 retained earnings in terms of earmarking funds for the  
14 purpose of dealing with risks should they -- if and when  
15 they materialize would be another?

16                   MR. WILLIAM HARPER: Well, I'm not too  
17 sure if, you know, the retained earnings are there right  
18 now to do with -- you know, to use. I'm not too sure if,  
19 sort of, -- sort of drawing a little red circle around  
20 part of them and saying these I'm going to restrict for  
21 certain use or not is going to reduce the risk any more  
22 than it was before.

23                   So maybe you need to clarify a little bit  
24 more what you mean by that.

25                   MS. TAMARA MCCAFFREY: I'm not talking

1 about reducing the risks. The risks may or may not  
2 materialize, in terms of drought they will. At any rate  
3 you have to plan for risks as if they will; that's what  
4 self-insuring means.

5 But what I'm talking about is ensuring  
6 that -- that funds are there for the purpose -- for that  
7 purpose, to deal with the risk --

8 MR. WILLIAM HARPER: Can I --

9 MS. TAMARA MCCAFFREY: -- should -- if  
10 and when they materialize; that's a good idea?

11 MR. WILLIAM HARPER: Yeah. Well, I guess  
12 and whether you call it a special reserve or it's part of  
13 retained earnings, I'm not too sure whether that makes  
14 any difference. It's a matter of how much -- you know,  
15 it's all on the positive side, the equity side of the  
16 balance sheet if you want to put it that way.

17 MS. TAMARA MCCAFFREY: But you'd agree  
18 that there could be some mechanism to ensure though that  
19 the funds are there for the purpose -- that purpose; that  
20 is that self-insurance, guarding against the risk  
21 purpose? Regardless of how you do it?

22 MR. WILLIAM HARPER: Yeah, you know, that  
23 would be one way of -- that would be one way of  
24 addressing that risk if you wanted to, yes.

25 MS. TAMARA MCCAFFREY: Which, of course,

1 is also important for stability of rates which we know is  
2 an important principle; correct?

3 MR. WILLIAM HARPER: Yes. And I think  
4 that's one of the reasons why we're talking about 75/25  
5 as the debt equity ratio so that if you have a drought  
6 you don't have to have a 50 percent increase the next  
7 year in order to restore your retained earnings. You can  
8 take some time to restore your retained earnings and --  
9 and, sort of, you -- while there's rate increase there's  
10 not abnormal rate increases.

11 MS. TAMARA MCCAFFREY: And when you're  
12 talking though about the debt equity ratio, Mr. Harper, I  
13 seem to recollect that your position was, and maybe still  
14 is, that that was a bit coarse in terms of risk  
15 management. Just taking 25 percent of the Utility's  
16 asset base wasn't maybe the -- the best way to go in  
17 terms of determining what you need to manage those risks;  
18 am I right?

19 MR. WILLIAM HARPER: Well, I -- yes, I  
20 think that's correct. I think as I talked about earlier,  
21 you know, there's an issue about quantifying the risks  
22 and understanding how you're going to mitigate those and  
23 that seems to me that in the end would lead you to some  
24 conclusions about what -- what you thought you needed in  
25 terms of reserves as part of your overall mitigation

1 strategy.

2 I haven't seen any connection between the  
3 25 percent and the process Manitoba Hydro has been going  
4 through on its risk management strategy development.

5 MS. TAMARA MCCAFFREY: And, of course,  
6 when we're talking about self-insurance and we're talking  
7 about guarding against the risks we are looking at a  
8 long-term impact; would you agree with that? It's a  
9 long-term consideration?

10 MR. WILLIAM HARPER: Well, I guess you're  
11 talking about self-insuring for some events that maybe  
12 have a small likelihood of occurring and if that means  
13 you're having to take a long-term consideration, yes.  
14 I'm not too sure what you mean by "long-term" precisely,  
15 Ms. McCaffrey.

16 MS. TAMARA MCCAFFREY: Well, maybe I'll -  
17 - just getting right to the point, you -- you are  
18 supporting the Manitoba Hydro proposal and you've already  
19 indicated what your views are of the proposal put forward  
20 on behalf of the -- the Intergroup consultants from  
21 MIPUG.

22 But you would agree that that proposal  
23 with respect to a drought or risk reserve provision would  
24 be something that would be intended to benefit ratepayers  
25 over the long-term? It would have to be built up in the

1 long-term and should the risk materialize sometime down  
2 the road it would be there at that time; do you  
3 understand that?

4 MR. WILLIAM HARPER: No, I understand  
5 that. I guess my issue was I wasn't too sure  
6 conceptually how that differed that much from what  
7 Manitoba Hydro was doing now, sort of, and what the PUB  
8 was doing when it looked at individual applications for  
9 its GRAs in terms of whether or not the retained earnings  
10 there are sufficient, are being built up sufficiently  
11 quickly depending upon the current circumstance the  
12 Utility find itself in.

13 And that's why I said, whether you call it  
14 retained earnings in total or draw a little red box  
15 around part of it and call it, sort of, reserve for a  
16 drought, if -- if you were developing a drought reserve  
17 and you hadn't built it up enough and you had a  
18 significant drought you would end up using both the  
19 drought reserve plus general retained earnings in order  
20 to manage it.

21 So I don't -- like I said, my struggle was  
22 I really didn't see how conceptually it differed that  
23 much from what -- from what the Board is, sort of, trying  
24 to do with -- with Manitoba Hydro right now.

25 MS. TAMARA MCCAFFREY: But I think

1 conceptually you agree that the important point of having  
2 reserves for the purpose of dealing with risks is, of  
3 course, you want to make sure that the funds are there  
4 when you need them?

5 MR. WILLIAM HARPER: Yeah. You know, I  
6 guess the other issue is, on the other hand, you're  
7 thinking do I identify I think that risk management  
8 document of Hydro's had -- I'm trying to remember whether  
9 it was like twenty (20) risks or you know, maybe more  
10 than that involved and do I end up taking my retained  
11 earnings and carving it up into twenty (20) different  
12 little funds identified for each and that seems to be a  
13 little bit -- I don't want to use the word "silly" but  
14 maybe I will use the word silly in that sense.

15 In a sense of whereas right now what they  
16 have is they have an overall level of retained earnings  
17 that is trying to -- that is aimed at managing that  
18 overall. Because in the end if you set up these twenty  
19 (20) little funds and one (1) runs short you might find  
20 yourself borrowing between the funds in order to -- in  
21 order to address particular risks which -- which gets you  
22 back right where you were to start of with.

23 MS. TAMARA MCCAFFREY: You may not want  
24 to break it down into a separate fund for a separate  
25 risk, that might not make any sense. But -- and there's



1 and whether because there was some -- I want to be clear  
2 because, you know, there -- you know, you may be  
3 referring to benefits in two (2) senses.

4           One, in the sense that I believe that  
5 particular application ends up with a more favourable RCC  
6 for residential than the current method does and if  
7 you're interpreting that as being the -- the short-term  
8 benefit and what that might mean in terms of differential  
9 rate increases; that's one of the results of the  
10 methodology.

11           Another -- another way I was tending to  
12 interpret the short-term benefit comment was with respect  
13 to the fact that if, as opposed to taking those net  
14 excess -- those excess revenues and, sort of, using them  
15 to lower the revenue requirement and returning it to  
16 customers, one creates a reserve fund that therefore has  
17 more higher rate increases in the short term.

18           You know, that -- that could -- that sort  
19 of trade off could also be viewed as a short-term  
20 benefit. And I guess in that regard I guess my view is,  
21 like I said, is I think those trade offs are already made  
22 in terms of what's needed for appropriations for net  
23 income to safeguard against risk as opposed to what you  
24 need to cover costs.

25           MS. TAMARA MCCAFFREY: Short-term benefit

1 and a long-term benefit as well in terms of the --

2 MR. WILLIAM HARPER: Well, well, -- you  
3 know, I hate to be arguing about this. But I think we're  
4 getting the benefit anyways in a sense that there's a --  
5 you know, there's a process we go through now to decide  
6 what's a reasonable and appropriate amount of net income  
7 to appropriate in order to build -- build up the retained  
8 earnings.

9 And I guess at the extreme if we had a  
10 reserve here, I think I said in my direct over on the  
11 other side, you know, if you had \$20 million in a reserve  
12 the decision might be I need \$20 million less in net  
13 income to appropriate to the general balance sheet.

14 And at the end of the day the rate  
15 increase is the same for everybody.

16 MS. TAMARA MCCAFFREY: Okay. Okay. In  
17 terms of the -- part of your direct evidence you went  
18 through some of your experience with Mr. Williams. And  
19 one of the things that you talked about was working on  
20 cost of service issues advising, was it eighty-five (85)  
21 utilities; did I hear that correctly?

22 MR. WILLIAM HARPER: Well, I'm not --  
23 there are roughly between eighty-five (85) and ninety  
24 (90). The numbers seem to change on a -- as people --  
25 new utilities form, distribution utilities in Ontario.

1 The Ontario Energy Board is interested in having a common  
2 cost of service methodology that all utilities would  
3 apply the same methodology and they would all come up and  
4 be able to develop RCCs for their customer classes.

5 And I'm working on a technical advisory  
6 group that is basically trying to come up with what's the  
7 appropriate cost allocation methodology that these  
8 distribution companies should be using.

9 Now, since the distribution companies, the  
10 focus of it is only on distribution costs. So we're not  
11 talking about allocation of transmission costs. We're  
12 not talking about allocation of commodity costs. We're  
13 just talking about the allocation of the distribution  
14 costs, which includes street lighting.

15 So just for -- I'm trying to --

16 MS. TAMARA MCCAFFREY: Just give me a  
17 moment.

18 MR. WILLIAM HARPER: Sure.

19

20 (BRIEF PAUSE)

21

22 MS. TAMARA MCCAFFREY: So in your work --  
23 in this type of work, of course, you're focussing on  
24 consistency of principles, right? That you want some  
25 common cost of service principles for all the utilities,

1 is that right?

2 MR. WILLIAM HARPER: I think that that's  
3 correct. I think it's, you know, the unfortunate thing  
4 is when you're looking at a methodology that eight-five  
5 (85) people have to implement consistency, there's also a  
6 great deal of practicality involved in what you're  
7 actually going to -- going to sort of apply as a cost of  
8 service methodology, because this is going to apply to  
9 distributors like Hydro One that have over a million  
10 customers.

11 It's also going to apply to other  
12 distributors that maybe only have four or five hundred  
13 (400-500) customers. So I think, yes, yes consistency.  
14 I'm just saying that sort of to some extent, our  
15 deliberations in this particular process have been --  
16 have been mitigated by pragmatism in a number of  
17 instances.

18 MS. TAMARA MCCAFFREY: And I'm certain  
19 that that would be the case. That certainly makes sense  
20 to me, Mr. Harper.

21 Where I'm -- the point I'm getting at is,  
22 of course, there's principles here at work though --

23 MR. WILLIAM HARPER: Yes --

24 MS. TAMARA MCCAFFREY: -- right? There's  
25 established --

1 MR. WILLIAM HARPER: -- you know --  
2 that's right --

3 MS. TAMARA MCCAFFREY: -- cost of service  
4 principles.

5 MR. WILLIAM HARPER: -- and I think the  
6 same principles I talked about in my direct in terms of  
7 looking at the issue of cost -- cost causality and trying  
8 to -- in allocating costs on the basis of cost causality  
9 is the fundamental principle Board staff has been banging  
10 into our head on a regular basis.

11 MS. TAMARA MCCAFFREY: Sir, in your  
12 evidence you noted -- you made reference in a footnote to  
13 a Hearing that was held in Ontario in the 1970's, HR-5?

14 MR. WILLIAM HARPER: That's correct.

15 MS. TAMARA MCCAFFREY: In regards to  
16 doing cost allocation based on marginal costs, is that  
17 right sir?

18 MR. WILLIAM HARPER: Well, actually it  
19 was looking at marginal cost pricing but, I think in  
20 terms of looking at marginal cost pricing it was starting  
21 all the way back in terms of, you know, do I -- if I'm  
22 going to have marginal costs prices then you know, maybe  
23 that's -- if I have embedded cost base prices, I do  
24 embedded cost of service.

25 If I have marginal cost prices do I do a

1 marginal cost of service and so it ended up covering the  
2 whole gambit, yes.

3

4

(BRIEF PAUSE)

5

6 MS. TAMARA MCCAFFREY: So the Hearing  
7 then it was known as ECAP, which is for electricity  
8 costing and pricing then?

9

MR. WILLIAM HARPER: That's correct.

10

MS. TAMARA MCCAFFREY: And can you  
11 confirm for the record that the Ontario Energy Board  
12 rejected marginal cost pricing as an alternative to  
13 embedded costs methods based on accounting costs, is that  
14 right?

15

MR. WILLIAM HARPER: Yes, that's correct.

16

MS. TAMARA MCCAFFREY: And I understand,  
17 sir, this Board decision followed a hearing that took two  
18 (2) years and one hundred thirty one (131) days?

19

MR. WILLIAM HARPER: That's correct.

20

MS. TAMARA MCCAFFREY: Kind of put things  
21 in perspective doesn't it?

22

MR. WILLIAM HARPER: You know and I think  
23 if you notice my evidence what happened is that that was  
24 sufficient time for, sort of, conditions on the system to  
25 change so much that even the concepts of what I thought

1 were marginal costs going into the hearing weren't the  
2 same were marginal costs coming out of the hearing,  
3 because over two (2) years a lot can change.

4 MS. TAMARA MCCAFFREY: Mr. Harper,  
5 speaking about more recent times now, you'd agree that  
6 regulated utilities have pursued more efficient price  
7 signals via the rate designs moving forward from what was  
8 being proposed in Ontario back then?

9 MR. WILLIAM HARPER: Yes and I think it's  
10 fair even Ontario Hydro, I mean while I was there we had  
11 real time pricing, equivalent of your SEP rate. AS a  
12 matter of fact, I think we had a surplus power rate prior  
13 to the SEP rate if I'm not mistaken.

14 And so I think utilities have pursued sort  
15 of other types of rate designs.

16 MS. TAMARA MCCAFFREY: Now, I'm going to  
17 move a little bit further in that area, but before we  
18 leave this. From that order there was at least four (4)  
19 key principles that came out of that Order and you  
20 provided for MIPUG in your responses, in attachment (b)  
21 an except from that hearing --

22 MR. WILLIAM HARPER: Yes, it was the  
23 executive summary.

24 MS. TAMARA MCCAFFREY: -- that you  
25 referred to in your -- that's right; that you referred to

1 in your footnote. What I'll do it's just -- I'll even  
2 just take you through it and read it into the record and  
3 that way everyone's sort of looking for it, we'll just  
4 put it right to you and we'll have it on the record and  
5 you can tell me whether these principles are still  
6 sensible, relevant today and I think you'll say that they  
7 are.

8 All right. So first --

9 MR. BYRON WILLIAMS: Ms. McCaffrey, just  
10 for my information, this is -- is this the attachment to  
11 Interrogatory number 6 from MIPUG? And it's --

12 MS. TAMARA MCCAFFREY: It's Attachment B,  
13 report to the Minister of Energy on principles of  
14 electricity costing and pricing for Ontario Hydro HR-5  
15 December 20th, 1979.

16 MR. BYRON WILLIAMS: Thank you.

17 MR. WILLIAM HARPER: It was the response  
18 to the question 2(A).

19 MS. TAMARA MCCAFFREY: Rates -- the  
20 executive summary, I'm looking at the second page of  
21 that, it's roman numeral viii, the top of the page and  
22 then there's four (4) points that -- that we'll just go  
23 through together that I think are -- are -- are  
24 important.

25 "Rates should be sufficient to recover

1 Ontario Hydro's revenue requirement as  
2 currently determined in the Annual Bulk  
3 Power Rate Hearings. Meeting the  
4 revenue requirement as calculated from  
5 accounting costs is an important  
6 pricing objective that provides  
7 stability to rate levels."

8 That continues to be relevant today, sir?

9 MR. WILLIAM HARPER: Yes, it does.

10 MS. TAMARA MCCAFFREY: You define  
11 stability as -- how?

12 MR. WILLIAM HARPER: Well, I guess, you  
13 know, avoiding capricious changes. I mean, rates have to  
14 -- I mean, costs change, rates have to change, I guess.  
15 What you're trying to do is avoid, for want of a better  
16 word, sort of, capricious or perhaps unnecessary or  
17 unwarranted changes.

18 You know, and, you know, to be quite  
19 honest with you and just glancing down the list, the  
20 points here aren't that much different than the ones that  
21 Mr. Williams talked about with Mr. Wiens about his  
22 bedtime reading and the Bonbright sort of thing I think  
23 they're actually probably taken and paraphrased directly  
24 from Bonbright.

25 MS. TAMARA MCCAFFREY: And the second

1 one, then, would be that rates should be fair. And we  
2 talked a lot about fairness. Broadly defined as equal  
3 treatment of those causing equal costs?

4 MR. WILLIAM HARPER: That's correct.  
5 That's, sort of, the fairness objective I talked about  
6 myself in my direct.

7 MS. TAMARA MCCAFFREY: And the Board has  
8 interpreted that fairness objective as requiring that  
9 costs be tracked by rates to the extent practicable.  
10 Undue discrimination avoided and all consumption regarded  
11 as new consumption?

12 MR. WILLIAM HARPER: I guess -- yeah,  
13 those -- you know and I guess it's interesting the last  
14 one all consumption is new consumption is, sort of, is --  
15 you talk about differences between fairness and equity  
16 and that's sort of -- I guess that's sort of an equity  
17 principle that -- that's adopted in most jurisdictions.  
18 You don't make a difference.

19 Except on your capital contribution  
20 policies, say, when people first connect up you don't  
21 make a distinction between customers and put them in  
22 different classes depending on whether I came on board in  
23 1960 or 1965 or 1985.

24 MS. TAMARA MCCAFFREY: And that's still  
25 relevant today; all new consumption is regards as --

1                   MR. WILLIAM HARPER:    Yeah.  I think that  
2   that's a general principle that's still applied today by  
3   most utilities I'm aware of, yeah.

4                   MS. TAMARA MCCAFFREY:   And the efficient  
5   allocation and use of resources in producing and  
6   distributing electrical energy should be encouraged.

7                   The validity of economic efficiency  
8   advanced by witnesses for Ontario Hydro with the  
9   theoretical support for marginal cost pricing is rejected  
10  by the Board as not being a measurable, achievable, or  
11  valid goal for Ontario Hydro but efficiency in the  
12  technical or operating sense is a realistic objective  
13  that would minimize the unit cost of power and the rate  
14  levels?

15                  MR. WILLIAM HARPER:    Yeah.  Actually this  
16  is the one where I'm not too sure if I, sort of, you  
17  know, agree that, sort of, this narrow an interpretation  
18  of efficiency is still something that perhaps, you know,  
19  more than twenty (20) years later one could -- and I --  
20  because I think in rate design there is a growing move to  
21  looking at marginal costs when you're trying to set, say,  
22  rates for incremental consumption and, sort of, try and  
23  use interpretations of efficiency that go beyond the  
24  narrow engineering definition that's used here.

25                  MS. TAMARA MCCAFFREY:    Thank you for

1 that, Mr. Harper. And we'll talk a little bit about  
2 that, too, shortly.

3 And the final one then is rate structure  
4 should be publicly acceptable and comprehensible and  
5 should provide rate stability and should be feasible in  
6 application?

7 MR. WILLIAM HARPER: Yes. I think --  
8 and, again, that's paraphrasing of various criteria of  
9 the Bonbright's put forward in his text.

10 MS. TAMARA MCCAFFREY: There's consensus  
11 everywhere about those principles then; right?

12 MR. WILLIAM HARPER: Yeah, I guess  
13 there's not necessarily consensus in terms when you come  
14 down to the fine tuning of interpreting them sometimes,  
15 like equal treatment of equals, well who are the equals,  
16 I guess, you know.

17 Or we have to made trade-offs between them  
18 which often arises. That's where there's not consensus,  
19 but --

20 MS. TAMARA MCCAFFREY: But that in no way  
21 takes away from --

22 MR. WILLIAM HARPER: No --

23 MS. TAMARA MCCAFFREY: -- the validity of  
24 those principles, they're cardinal principles?

25 MR. WILLIAM HARPER: Yes I think like I

1 said, except for the one (1) caveat I'd add about sort of  
2 the interpretation that was put around efficiency by the  
3 Board. I think the Board at that point in time, was  
4 struggling with how they saw as a practical definition of  
5 efficiency.

6 MS. TAMARA MCCAFFREY: Thank you.

7 MR. ROBERT MAYER: Do they have the same  
8 kind of validity or persuasiveness as we are told the  
9 generally accepted accounting principles have?

10 MR. WILLIAM HARPER: Well not in the  
11 sense that there's sort of a -- you know -- a sort of an  
12 accounting authority and I'm sorry, I can't remember the  
13 exact expression for you -- the Canadian -- you know  
14 there isn't the same sort of regulatory authority over  
15 all accounting rules, you know, over all regulatory  
16 rules.

17 But, I think to a large extent I think in  
18 that -- in general they do and that's to some extent why,  
19 when I was actually referring to them I didn't actually  
20 put in an excerpt from Bonbright, I put an expert from  
21 Phillips who was another author basically to try and  
22 demonstrate that a number of people do refer to these  
23 same principles and they are used very, very widely.

24 MR. ROBERT MAYER: The reason I asked  
25 that is, is that I asked a similar question to a doctor

1 whose name keep escaping me and Byron keeps reminding me  
2 who he is, we met at the Clean Environment Commissions.

3 MR. WILLIAM HARPER: Oh, Dr. Higgin.

4 MR. ROBERT MAYER: Yes and discussing --  
5 when there seems to be a definition of fairness in equity  
6 that is defined in regulatory principles, it seems to  
7 differ somewhat from what me, as a hick town country  
8 lawyer, thinks is maybe fair or maybe equitable under any  
9 circumstances.

10 So I'm trying to wonder how broadly  
11 accepted these are because Dr. Higgins did say, yes,  
12 there is room in some of these principles, in generally  
13 accepted regulatory principles, for terms like fairness  
14 as I understand it and equity as I understand it and  
15 public policy as we may all understand it.

16 MR. WILLIAM HARPER: No and I think  
17 that's fair. And that's why and I think I tried to echo  
18 a bit of that in my response to Ms. McCaffrey when I  
19 saying, even when we come down to equals, well who do we  
20 define as equals?

21 I may have a different definition of who I  
22 believe is equal to me, in terms of treatment from a rate  
23 perspective than you do, in terms of who you think is  
24 equal in terms of from a cost causation perspective.

25 And when it comes down to equity issues, I

1 think that's where -- that's where you come into common  
2 precepts on things like no consumption is new  
3 consumption, or maybe why do you have uniform rates even?

4 I think that's an element of equity which  
5 some people support and other people don't. So I think  
6 you're right, you know, it's like anything, at a high  
7 level the words sound good. When you're coming to  
8 actually try to parse them and apply them, and different  
9 people read them, different people have different  
10 interpretations of how they should be applied.

11 That's probably different, I mean when you  
12 read accounting rules, they're probably precisely clear  
13 as to exactly how it should be applied and I don't --

14 MR. LEN EVANS: Just to follow up, if I  
15 might, about marginal costs. And I think there was  
16 either Ms. McCaffrey or yourself said the Ontario Energy  
17 Board rejected the use of marginal costs and said well  
18 you must use embedded costs, which I gather probably are  
19 average costs?

20 MR. WILLIAM HARPER: Yes average or  
21 accounting costs, that's right.

22 MR. LEN EVANS: Yes, this seems to me a  
23 perpetual problem in economics. You know, the theory of  
24 the firm, you maximize profits where marginal costs  
25 equals marginal revenue. That's the ideal.

1                   The problem is, who knows what the  
2 marginal cost is?

3                   MR. WILLIAM HARPER:    Yes --

4                   MR. LEN EVANS:       And it's not only  
5 utilities but other types of industries, as well.  So I  
6 guess my question is, about Manitoba Hydro in its  
7 material, I think make reference to using proxies to get  
8 to marginal costs.

9                   And I'm not clear about what proxies we're  
10 taking about and how useful those proxies are.

11                   MR. WILLIAM HARPER:    Well, I think what -  
12 - what Manitoba Hydro was talking about was the proxy --  
13 the fact that they were using -- specifically them, their  
14 surplus energy program rates as being a proxy for -- as  
15 being a proxy for -- for marginal costs.

16                   Now, I believe -- and that's because I  
17 believe their marginal costing methodology itself  
18 basically -- to -- completely on the generation side  
19 determines the marginal costs based on export -- I don't  
20 want to use the opportunities because that gets mixed up  
21 with -- the definition of opportunities -- they base to a  
22 large extent on the prices they can achieve in the export  
23 market.

24                   Because that's where the -- because that's  
25 where they can sell that additional generation that's

1 made available if they reduce demand from domestic  
2 customers, or it's lost if they increase demand.

3                   So -- but -- but there were some, as I  
4 said earlier, some problems with using their actual  
5 forecasts of what they deemed to be their, let's say,  
6 proper marginal costs in a rate proceeding like this  
7 because there was commercial sensitivity around how they  
8 developed the forecasts.

9                   And so they were using the SEP rates as a  
10 proxy for those marginal costs. I don't know if that  
11 helps in understanding the difference.

12                   MR. LEN EVANS: No, I'm not -- I'm not  
13 sure whether I can sit here and pretend I understand it  
14 all. But I think it's refreshing to hear that the OEB  
15 said that, you know, embedded costs were more reliable  
16 than marginal costs. Or at least that's what you were  
17 telling us.

18                   THE CHAIRPERSON: I think we're citing a  
19 1979 report; aren't we, and --

20                   MR. WILLIAM HARPER: Yes.

21                   THE CHAIRPERSON: -- the OEB.

22                   MR. WILLIAM HARPER: Right. You know,  
23 and so I think, you know I think it's -- I think the  
24 issue has not been revisited since then. But like I  
25 said, I think, sort of -- and that's why to some extent I

1 was taking some exception with the engineering  
2 inefficiency because I think to some extent thinking has  
3 evolved.

4 I think there still are some problems  
5 definitionally about, like you said, Mr. Evans, about how  
6 you define marginal costs and calculating them. Probably  
7 it's much easier to define and calculate accounting  
8 costs.

9 MR. LEN EVANS: Right. Thanks.

10

11 CONTINUED MS. TAMARA MCCAFFREY:

12 MS. TAMARA MCCAFFREY: On the subject of  
13 efficiency, in Manitoba the Public Utility Board has been  
14 doing things to improve the efficiency of price signals  
15 to residential customers, for example, by ordering the  
16 gradual elimination of declining block rates; are you  
17 familiar with that?

18 MR. WILLIAM HARPER: Yes, I am.

19 MS. TAMARA MCCAFFREY: By the way, you  
20 participated in this hearing in the 1970's?

21 MR. WILLIAM HARPER: 1970's?

22 MS. TAMARA MCCAFFREY: The OEB hearing?

23 MR. WILLIAM HARPER: No, actually I  
24 didn't. Even I was kind of young -- I was going to say,  
25 no, actually to be quite honest with you I started my

1 career at Hydro in Power costing when they hired me to  
2 come in to figure out -- help them figure out what to do  
3 after they got the report because the report was issued  
4 in '79 and I started there in 1980.

5                   And so, it was a matter of the group had  
6 been doing it, had been working a lot on marginal costing  
7 and then they basically had to shift gears somewhat, to  
8 some extent, and sort of start and figure out how they  
9 were going to do embedded cost of service and that was  
10 when my career started with Ontario Hydro.

11                   MS. TAMARA MCCAFFREY: Just curious. You  
12 -- we talk about residential, improving efficiency of  
13 pricing with residential customers, you'd also agree, of  
14 course, that rates for larger customers, like  
15 industrials, can also be designed to improve the  
16 efficiency price signals on incremental load changes;  
17 right?

18                   MR. WILLIAM HARPER: Yes, on --

19                   MS. TAMARA MCCAFFREY: That's something  
20 you can do and --

21                   MR. WILLIAM HARPER: You know, I guess on  
22 incremental load changes for -- for, say, an existing  
23 customer, yes. The conversation we were having earlier  
24 about new customers coming in I don't -- I'm not too sure  
25 if -- I don't believe stepped rates can address -- can

1 specifically address that issue.

2 MS. TAMARA MCCAFFREY: Well, can we talk  
3 a little bit about the new British Columbia industrial  
4 rate that's charged customers on a stepped or inverted  
5 rate; were you involved with the hearing that dealt with  
6 that, sir?

7 MR. WILLIAM HARPER: Yes, I was.

8 MS. TAMARA MCCAFFREY: Is the cut off  
9 point between the lower base rate and the higher run out  
10 rate; that's called the customer baseline?

11 MR. WILLIAM HARPER: Yes, it is.

12 MS. TAMARA MCCAFFREY: And then I take it  
13 you're aware that this rate was designed to be revenue  
14 neutral; that is rates on some portion of the customers  
15 loads went up and others went down by equal amounts; is  
16 that right?

17 MR. WILLIAM HARPER: Yes. I think the  
18 cut off point -- they -- sort of it was a cut off point  
19 set at roughly 90 percent of the customers' baseline  
20 which is supposed to be his typical use and then the  
21 rates were designed such that for that industrial class  
22 overall you get the same revenue back as what you would  
23 have under the existing rates except you're charging a  
24 higher rate linked to the long run cost of supply for the  
25 final 10 percent of the load and a lower rate, whatever

1 it takes to balance the revenue requirement for -- for  
2 the first 90 percent.

3 MS. TAMARA MCCAFFREY: And I think that  
4 the rationale for doing that was that if a customer  
5 expanded their plant so as to increase their output  
6 capacity the customer baseline would be increased so that  
7 the customer would not be penalized for its investment in  
8 the form of the higher stepped rate?

9 MR. WILLIAM HARPER: Right. And that's  
10 really where, you know, -- so what happens is if a  
11 customer expands his plant then basically his plant --  
12 you know, his baseline goes up and so basically he  
13 doesn't pay that incremental rate for -- for all of his  
14 increased use.

15 So to some extent, you know, this maybe  
16 gets back to the discussion we were having before, Mr.  
17 Mayer, about, you know, there was a trade off there  
18 between trying to figure out how do I put in a rate that  
19 isn't going to totally shut down all economic expansion  
20 in the province and at the same point in time put in a  
21 rate that's going to signal, sort of, what's the real  
22 cost of long-term supply.

23 And they did this by adjusting the  
24 baseline so that customers who expanded their production  
25 wouldn't be negatively impacted.

1 MS. TAMARA MCCAFFREY: Thank you, Mr.  
2 Harper. You're short-circuiting my questions like crazy  
3 here. It's wonderful.

4 MR. WILLIAM HARPER: Well we're all  
5 interested in finishing by 3:00 so it's --

6 MS. TAMARA MCCAFFREY: All right. Sir,  
7 you've indicated that you support Manitoba Hydro's  
8 proposed approach to credit net export revenues to  
9 generation and transmission for some portion of exports  
10 and then for the remainder credit against all costs  
11 including distribution costs?

12 MR. WILLIAM HARPER: I don't believe --

13 MS. TAMARA MCCAFFREY: Maybe not -- you  
14 don't like the term, net export revenues. Let me put it  
15 to you again. You noted you agree with Manitoba Hydro's  
16 proposed approach to credit export revenues to generation  
17 and transmission for some portion of exports, but that  
18 for the remainder credit against all costs including  
19 distribution. Am I right?

20 MR. WILLIAM HARPER: I'm not sure if I'd  
21 say it that way. You know it's really a two (2) part  
22 proposal. The first part is determining the costs of  
23 exports. And you determine the costs of exports by  
24 determining the variable costs associated with  
25 opportunity exports and both variable and the fixed costs

1 associated with -- deemed to be associated with firm  
2 exports.

3                   Once you've identified those costs of  
4 exports, the difference between the costs and export  
5 revenues is the net export revenue that is then allocated  
6 back to customers based on their usage of generation and  
7 transmission and -- effectively all allocated assets.

8                   MS. TAMARA MCCAFFREY:   Okay.  I think the  
9 result of the way I put it and you put it, I think is the  
10 same thing.

11                   MR. WILLIAM HARPER:   Same thing.

12                   MS. TAMARA MCCAFFREY:   Are you aware of  
13 any utility that credits export revenues against the  
14 distribution system, sir?

15                   MR. WILLIAM HARPER:   No, I'm not -- no  
16 I'm not.

17                   MS. TAMARA MCCAFFREY:   And you're not  
18 arguing today that there's a functional link between  
19 exports and distribution assets?

20                   MR. WILLIAM HARPER:   No, I think I'm  
21 arguing that once we get -- once we've identified what's  
22 a fair and reasonable assessment of costs against the  
23 exports, then really the net -- when you get down to that  
24 point you're dealing with the excess or the net export  
25 revenue at that point in time.

1                   There's not much of a link to anything,  
2 except the fact that Manitoba Hydro's managed to make  
3 extra money off of exports.

4                   MS. TAMARA MCCAFFREY:   Thank you.  There  
5 you go again short circuiting my questions left, right  
6 and centre here.

7                   If you just give me a moment, please.

8

9   (BRIEF PAUSE)

10

11                   THE CHAIRPERSON:   While Ms. McCaffrey is  
12 doing that, I just had one (1) question.  Are you are of  
13 any Canadian utility that exports -- has more higher  
14 export sales than domestic sales?

15                   MR. WILLIAM HARPER:   No I don't believe I  
16 am actually.  And maybe to follow up on that a little  
17 bit, like I said the utilities I deal with primarily  
18 which you think would be hydro and exports are say BC and  
19 Hydro Quebec.

20                   And to be quite honest with you, under  
21 median water flow conditions when they forecast their  
22 rates, BC does not have a surplus.  You know, they may  
23 have surplus on an actual basis when water is good and as  
24 a result of that they can make exports.

25                   But, they don't have -- but they don't

1 have surplus hydro like Manitoba Hydro currently does  
2 when they're doing forecasts going forward.

3 They require all their hydro plus  
4 purchases they're making from -- and contracts to meet  
5 their domestic load. So it's a little bit of a different  
6 circumstance.

7 And so to some extent when I was -- the  
8 question about how you treat export revenues, you know,  
9 to some extent what we've got here is a rather unique  
10 circumstances in Manitoba.

11 And so perhaps trying to find precedents  
12 elsewhere can be a little bit awkward.

13

14

(BRIEF PAUSE)

15

16 CONTINUED BY MS. TAMARA MCCAFFREY:

17 MS. TAMARA MCCAFFREY: All right then  
18 sir, with respect to the MIPUG CAC/MSOS-5(b) IR that -- I  
19 referred to it briefly earlier.

20 MR. WILLIAM HARPER: Yes, I've got that.

21 MS. TAMARA MCCAFFREY: Okay. I just want  
22 to explore your response to the question that was posed  
23 there, namely if these exports are beyond what can be  
24 credit to generation and transmission now, should they  
25 be credited to domestic ratepayers at all, versus perhaps

1 taken away for say a government purpose or social purpose  
2 or any other use someone else might think of?

3 Can you expand on your answer? Look at --

4 MR. WILLIAM HARPER: No, I -- no -- I  
5 guess we're dealing with, you know, I'm not too sure how  
6 much I can actually expand on what I said here to the  
7 extent that my understanding is that the current  
8 framework in which Manitoba Hydro operates, and maybe  
9 this goes a little bit to the point Mr. Mayer raised with  
10 me earlier about the Act being changed to allow for  
11 exports, I think.

12 Part of the whole background on that on  
13 exports was exports for what reason? And it was exports  
14 for the benefit of domestic customers; that was my -- you  
15 know, it would all come back to the same thing.

16 And so from that perspective it's  
17 benefiting domestic customers. You know, it then feeds  
18 into -- we've got a definition, I believe in the Act, in  
19 terms of how you're supposed to come up, you know, with  
20 the revenue requirement and what costs you include in  
21 that generally in the revenue requirement from a -- you  
22 know, in terms of operating cost and appropriations from  
23 net income and if export revenues are available they're  
24 used as an offset against that.

25 And so I guess what I was struggling with

1 first of all is I wasn't too sure within the current  
2 framework whether -- whether there was -- there really  
3 wasn't any hole you could, sort of, send money out from  
4 Manitoba Hydro to -- to somebody else, sort of thing, and  
5 say we're going to -- you know, it's sort of -- it's sort  
6 of within Manitoba Hydro it's going to be used to reduced  
7 their revenue requirement or what the size of that  
8 revenue requirement is is something that, sort of,  
9 Manitoba Hydro makes applications to the Public Utilities  
10 Board.

11                   And the Public Utilities Board makes  
12 decision on that and, you know, and the level of net  
13 income is part of what's taken into account in terms of  
14 what's the level of retained earnings they want. And  
15 that all comes into the mix with -- with export revenues.

16                   So my first part was is it seems to me  
17 we've got a construct here and I'm not too sure from Mr.  
18 Lazar's suggestion about non-utility purposes; that got  
19 that impression it was going outside the utility. I  
20 wasn't too sure, I'm not a lawyer, but I wasn't too sure  
21 in understanding the construct here whether that was  
22 actually even possible for it to go outside the utility  
23 unless there was a specific change to the Act.

24                   So that was really my -- my first point.  
25 The second point was, was that if you decide you're going

1 to retain it in Manitoba Hydro and keep it all for  
2 retained earnings I think, you know, Manitoba Hydro's  
3 calculation has over \$200 million in net export revenues;  
4 that translates into a 20 percent rate increase all of a  
5 sudden if you decide you're going to retain all that in  
6 one (1) year.

7 I guess my second point was dealing with  
8 the fact I didn't think that would be an acceptable thing  
9 to have happen and, therefore, some of it has to get  
10 credited back. And, like I said already, the PUB goes  
11 through a process of deciding what level of rate increase  
12 is appropriate.

13 I don't know if that helps in terms of my  
14 answer but that was where it was coming from.

15 MS. TAMARA MCCAFFREY: So I think the two  
16 (2) points that I'd like to distill from your answer is  
17 that some of it gets credited back to domestic customers  
18 and anything beyond that threshold, if I could put it  
19 that way, you would urge would still belong within the  
20 electrical portion of the utility; again, to benefit  
21 domestic customers?

22 MR. WILLIAM HARPER: Yes. You know, then  
23 what you're doing is you're looking for -- again, once  
24 you've decided on net export revenues as being net of  
25 what you think is an appropriate amount to, sort of,

1 credit against the cost of generation and transmission  
2 facilities used to support those; I think at that point  
3 in time you've addressed the cost -- you could say the  
4 cost causality associated with exports and the question  
5 of how you credit those back becomes a little -- somewhat  
6 more open.

7                   And, as I said, I've argued, I think,  
8 crediting back just on generation and transmission is  
9 sending the wrong price signal from a cost causation  
10 perspective.

11

12                   (BRIEF PAUSE)

13

14                   MS. TAMARA MCCAFFREY: Mr. Harper, in  
15 some cases you would agree that other jurisdictions make  
16 efficiency in markets a primary focus of rate setting;  
17 such as in your own Province of Ontario and also in  
18 Alberta; correct?

19                   MR. WILLIAM HARPER: You know, I'm not  
20 too sure. They have established a market in order to,  
21 sort of, provide the commodity to consumers in the  
22 province, both in Ontario and Alberta.

23                   I'm not too sure if it's just for pricing  
24 reasons. You've got -- you know, you've used markets  
25 work in terms of establishing prices. Theoretically they

1 work in terms of balancing supply and demand and  
2 encouraging new supplies to come on.

3                   So I think the market structure you used  
4 goes beyond just your objective in terms of how you think  
5 rates should be set.

6                   MS. TAMARA MCCAFFREY: It does go beyond  
7 that in terms of other considerations?

8                   MR. WILLIAM HARPER: Yes.

9                   MS. TAMARA MCCAFFREY: In those cases, we  
10 keep hearing that customers are exposed to efficient  
11 marginal costs for their power once it's set by the  
12 markets.

13                   Is that -- would you agree with that?

14                   MR. WILLIAM HARPER: Well, customers are  
15 exposed to some extent, you know, depending upon how --  
16 how the prices are passed through -- to what extent the  
17 prices are actually passed through to customers or you  
18 have things like we have regulated price plans for  
19 smaller customers, so they don't -- aren't exposed to the  
20 volatility.

21                   Over time they pay what it costs, but not  
22 on a month-to-month basis. But, you know, yes, customers  
23 see more directly what the cost of supply is.

24                   MS. TAMARA MCCAFFREY: Right and in those  
25 cases, the generation of power is priced at the market

1 clearing prices and people purchase their supply at the  
2 market based priced, am I right?

3 MR. WILLIAM HARPER: Yes or it's  
4 purchased for them and it's flowed through them. In the  
5 case of most small customers, it's purchased by the  
6 municipal utility who then basically flows it directly --  
7 passes it directly through to the customers.

8 MS. TAMARA MCCAFFREY: And I think you've  
9 said that the market will -- they only apply to  
10 generation utilities, is that right?

11 MR. WILLIAM HARPER: Well, you know, the  
12 transmission and the distribution segments of the market  
13 are still fully regulated.

14 MS. TAMARA MCCAFFREY: And for the  
15 distribution --

16 MR. WILLIAM HARPER: And actually parts  
17 of the generation are still regulated as well so let's  
18 put all that stuff out there --

19 MS. TAMARA MCCAFFREY: For distribution  
20 utilities though, they continue to recover all their cost  
21 of service via the rates for wire service, is that right,  
22 sir?

23 MR. WILLIAM HARPER: That's correct.

24 MS. TAMARA MCCAFFREY: And you've told us  
25 that those rates are regulated?

1 MR. WILLIAM HARPER: That's correct.

2 MS. TAMARA MCCAFFREY: So if I'm a  
3 customer receiving these efficient price signals, I'm  
4 paying a market price for my generation plus paying  
5 embedded costs for my wire service; fair?

6 MR. WILLIAM HARPER: That's correct.

7 MS. TAMARA MCCAFFREY: And just to go one  
8 (1) more step, if I'm a customer in Ontario I'm also  
9 paying a debt retirement charge related to nuclear  
10 facilities; is that right?

11 MR. WILLIAM HARPER: Well, it's more than  
12 nuclear facilities. At the time that they did the market  
13 restructuring they looked at what the -- I think Ontario  
14 Hydro's debt ratio was in excess of 100 percent at that  
15 point in time.

16 So but they looked at what the -- what  
17 they thought was a reasonable commercial financial  
18 structure for each of the successor companies, the  
19 difference in debt was transferred over to the provincial  
20 government and it's held by the Ontario Electricity  
21 Finance Corporation.

22 And basically there's a debt retirement  
23 charge that goes in everybody's bill basically to retire  
24 that debt over time.

25 MS. TAMARA MCCAFFREY: So everybody pays

1 it?

2 MR. WILLIAM HARPER: Yes, that's correct.

3 MS. TAMARA MCCAFFREY: So ultimately  
4 then, the Ontario customers bore the risk and  
5 responsibility for Ontario Hydro's decisions to construct  
6 the facilities, is that right?

7 MR. WILLIAM HARPER: Yes, you know, you  
8 know you could say the Province is ensuring that  
9 electricity consumers pay for sort of the electricity  
10 costs both past and present.

11 MS. TAMARA MCCAFFREY: I just want to  
12 talk to you a little bit about Mr. Lazar's proposals to  
13 include CO2 emissions in the cost of service.

14 You're familiar with that proposal?

15 MR. WILLIAM HARPER: Yes I am.

16 MS. TAMARA MCCAFFREY: You'd agree that  
17 these are not really costs for Manitoba Hydro?

18 MR. WILLIAM HARPER: No, they're not --  
19 they're not costs that Manitoba Hydro incurs.

20 MS. TAMARA MCCAFFREY: Have you ever seen  
21 an embedded cost of service study includes costs of this  
22 type with all your breadth and years of experience?

23 MR. WILLIAM HARPER: Actually, no, I  
24 haven't.

25 MS. TAMARA MCCAFFREY: And I take it you

1 wouldn't suggest that we would raise rates in Manitoba to  
2 have customers here pay for CO2 costs when they're buying  
3 hydro power?

4 MR. WILLIAM HARPER: I think I've already  
5 addressed that in my direct in terms of, I don't think  
6 the sort of the incremental rates for consumption should,  
7 at this point in time, include -- include externality  
8 costs.

9 Like I've said, I think to some extent  
10 some of those costs are actually worked through and in  
11 Manitoba Hydro's embedded revenue requirement to the  
12 extent they make decisions about which plants they're  
13 going to operate or whether they're going to purchase or  
14 operate.

15 And those decisions are influenced by  
16 externality considerations. They may end up having  
17 higher costs as a result of that and those costs will  
18 flow through to customers, through the rates, because  
19 they're part of the costs they're actually incurring.

20 MS. TAMARA MCCAFFREY: Thank you, sir.  
21 Now, getting back to your direct, back in the 1990's the  
22 issue of treatment of export revenues, I think you said  
23 that it wasn't carefully considered. Did I hear you  
24 right this morning?

25 MR. WILLIAM HARPER: No, I don't think I

1 said that. I --

2 MS. TAMARA MCCAFFREY: They weren't very  
3 -- I think you said something along the lines of the  
4 export revenues weren't very big back then, so they  
5 weren't really -- the allocation wasn't carefully  
6 considered?

7 MR. WILLIAM HARPER: You know, I think I  
8 said at the beginning, you know, it was perhaps expedient  
9 to treat them the way they were. I think towards the end  
10 of my direct -- towards the end of my direct, I was  
11 making a more general statement that said, typically when  
12 we are doing cost of service studies, sometimes you tend  
13 to focus on the big dollar items and tend to overlook  
14 sometimes the smaller dollar items, simply because they  
15 are smaller dollar items.

16 You know and I think -- you know, that's  
17 something actually we're finding now because distribution  
18 that was typically a very small portion of somebody's  
19 bill and so people never slooked a lot at how you  
20 allocated distribution costs because it only ended up  
21 being a smaller part of the bill when you had an  
22 integrated utility.

23 Now, that we've broken it all up and, like  
24 I said, we're doing these cost of service studies for  
25 distribution utilities, you know, that 15 percent is now

1 100 percent. So we end up -- we end up paying attention  
2 to things that we probably didn't pay attention to  
3 before.

4 MS. TAMARA MCCAFFREY: Which is leaving  
5 me with that impression, again, and I think I want to  
6 give you an opportunity to clear up on the record.

7 MR. WILLIAM HARPER: Right, no, that's  
8 fair. like I was not here in the early 1990's I think as  
9 I expressed again, I just -- it was just a comment I made  
10 that the tendency tends to be a focus on the big ticket  
11 items like whenever you're doing cost of service studies  
12 and utility, everybody talks about how you're going to  
13 allocate generation because generation ends up being --  
14 not too many people often talk about how you're going to  
15 allocate street lights.

16 MS. TAMARA MCCAFFREY: You're not  
17 suggesting that export revenues were ignored though in  
18 those previous Public Utility Board decisions --

19 MR. WILLIAM HARPER: No --

20 MS. TAMARA MCCAFFREY: -- are you, sir?

21 MR. WILLIAM HARPER: No, I'm not. I'm  
22 just saying that sometimes -- sometimes when we're  
23 worrying about smaller dollars, how they get allocated  
24 has less of an impact and therefore, you know, decisions  
25 about how we're allocating them don't end up, you know,

1 sort of -- giving rise to the same concern.

2 I think you saw that in my direct when I  
3 was talking about some of the smaller cost items be it  
4 the \$5 million for the MISO and the MAPP fees in terms of  
5 how you want to treat that.

6 And I think Manitoba Hydro's acknowledged  
7 the same -- made the same comments with respect to some  
8 of the costs in their cost of service. It's a smaller  
9 dollar item, if I change the treatment it isn't going to  
10 have a big impact.

11 MS. TAMARA MCCAFFREY: I know that you  
12 weren't here in the early '90's. John Todd I think was  
13 involved. Were you familiar with the hearings that were  
14 held in 1994, for example, where the Board did hear  
15 evidence from Mr. Todd, I believe one (1) was Mr. Todd  
16 from -- where exports should be given in a greater share  
17 to distribution customers.

18 MR. WILLIAM HARPER: No, I'm familiar  
19 with the Board's decision, like I hadn't -- didn't go  
20 back and read the records but I've read the Board's  
21 decision, so, I'm familiar from them with the positions  
22 that were taken by the various parties.

23 MS. TAMARA MCCAFFREY: So you are  
24 familiar with the Board's decision though from 1994?

25 MR. WILLIAM HARPER: Yes, I am.

1 MS. TAMARA MCCAFFREY: And you are aware  
2 that back then CAC/MSOS, with the assistance of Mr. Todd,  
3 was arguing for an allocation of export revenues to  
4 distribution customers even back then?

5 MR. WILLIAM HARPER: Yes, I think I'm  
6 aware of that from the -- from reading the Board's  
7 report. I haven't seen Mr. Todd's -- I haven't reviewed  
8 Mr. Todd's evidence that he filed at that hearing.

9 MS. TAMARA MCCAFFREY: But, it would  
10 follow from that though that it was, in fact, considered  
11 even though it was small dollars?

12 MR. WILLIAM HARPER: No, I think that's  
13 fair, yes.

14 MS. TAMARA MCCAFFREY: Okay. And I take  
15 it you're also aware in 1996 that it was considered  
16 again?

17 MR. WILLIAM HARPER: Yes, I read the 1996  
18 decision, as well.

19 MS. TAMARA MCCAFFREY: 1987/'89 I  
20 understand there was a hearing, as well, that also  
21 considered the treatment of export revenues and also the  
22 creation of an export class. I don't know if you're  
23 familiar with that, as well.

24 MR. WILLIAM HARPER: I don't think our  
25 records went back quite that far, to be quite honest with

1 you.

2 MS. TAMARA MCCAFFREY: Okay. So  
3 notwithstanding what you said earlier about we don't tend  
4 to give the same attention to smaller dollars -- to big  
5 dollars the reality is that these specific issues have  
6 been given some consideration before?

7 MR. WILLIAM HARPER: Yes, I think that's  
8 fair.

9 MS. TAMARA MCCAFFREY: Okay. Mr.  
10 Chairman, there might be one (1) other area arising from  
11 this discussion that we've had. I am essentially very  
12 close to being finished.

13 I would appreciate though, if it's an  
14 opportunity to take a break now a chance to review my  
15 notes and consult with Mr. Bowman who is here providing  
16 assistance to me through this Hearing and determine if  
17 there might be one (1) or two (2) more questions. But  
18 I'm almost done.

19 THE CHAIRPERSON: How much time would you  
20 require to consult with Mr. Bowman?

21 MS. TAMARA MCCAFFREY: Just a few  
22 minutes, I'm just noticing the time --

23 THE CHAIRPERSON: Would ten (10) minutes  
24 be sufficient?

25 MS. TAMARA MCCAFFREY: Ten (10) minutes

1 would be fine.

2 THE CHAIRPERSON: Very good then.

3 MS. TAMARA MCCAFFREY: Thank you.

4

5 --- Upon recessing at 2:20 p.m.

6 --- Upon resuming at 2:33 p.m.

7

8 THE CHAIRPERSON: Okay. Welcome back. I  
9 understand there's some interest in not having the  
10 evening session. So we'll see how we make out.

11 Ms. McCaffrey, are you ready to resume?

12 MS. TAMARA MCCAFFREY: I sure am. And in  
13 the interests of doing our part towards achieving that  
14 objective, I have about four (4) questions for you. So  
15 we'll be pretty quick.

16

17 CONTINUED BY MS. TAMARA MCCAFFREY:

18 MS. TAMARA MCCAFFREY: You talked about  
19 the price of exports being the driver of the proposals  
20 not the volume?

21 MR. WILLIAM HARPER: That's correct.

22 MS. TAMARA MCCAFFREY: Now, Mr. Harper,  
23 you're aware that with respect to the price if we're  
24 talking here about unit price which is cents per kilowatt  
25 hour, BC and Quebec actually get much higher export

1 prices than Manitoba Hydro; don't they?

2 MR. WILLIAM HARPER: I'm -- I'm not  
3 precisely aware of the prices that -- that they get, so,  
4 I can't comment on that.

5 MS. TAMARA MCCAFFREY: If I put to you  
6 that Hydro Quebec is, in some years, receiving on average  
7 export prices of twenty (20) cents per kilowatt hour  
8 higher, does that ring a bell for you at all? Are you  
9 familiar with that at all, as to what the --

10 MR. WILLIAM HARPER: No, not -- because  
11 like I said, in Quebec the generation business isn't  
12 regulated. So when I'm doing work in Quebec I'm dealing  
13 with the distribution utility and exports that's --  
14 that's the unregulated business; that's not something  
15 that's talked about.

16 MS. TAMARA MCCAFFREY: So that -- that's  
17 fair. I don't want to put you in a position of  
18 commenting if you don't know what exports -- it's just in  
19 following up from the Chairman's question to you with  
20 respect to whether you were aware of other jurisdictions  
21 that were receiving these kind of export revenues.

22 And as I understand it, Quebec sells to  
23 New York and British Columbia sells to California and  
24 those are pretty high priced jurisdictions and I - I --  
25 but if you're not comfortable --

1 MR. WILLIAM HARPER: Well --

2 MS. TAMARA MCCAFFREY: -- commenting on  
3 that, that's fine.

4 MR. WILLIAM HARPER: Well, you know.  
5 They probably are. If -- if that's the case that's, you  
6 know, in Quebec you know there is a -- there was a fixed  
7 -- you could say almost a fixed -- there was a fixed  
8 price established for heritage pool assets and whatever  
9 monies are made on the export market now are a matter  
10 between Hydro Quebec production and its shareholder.

11 MS. TAMARA MCCAFFREY: That's fine. I  
12 just thought you might have been aware of what those were  
13 and, again, I only bring that up in response to the  
14 comments that the Chair -- the Chairperson.

15 Thank you very much, sir. It's always a  
16 pleasure.

17 MR. WILLIAM HARPER: Thank you.

18 MS. TAMARA MCCAFFREY: And that completes  
19 our cross-examination.

20 THE CHAIRPERSON: Thank you, Ms.  
21 McCaffrey. Is Mr. Anderson here?

22 MR. BOB PETERS: He did e-mail me that he  
23 had no questions of Mr. Harper and I think that's his  
24 latest position. So I think we can assume that --

25 THE CHAIRPERSON: Okay, very good.

1 Professor Miller, are you happy back there or do you want  
2 to --

3 DR. PETER MILLER: Oh, I'm happy, yeah.  
4 And I hope to keep it fairly brief. I know it's going to  
5 be brief in any case.

6

7 (BRIEF PAUSE)

8

9 CROSS-EXAMINATION BY DR. PETER MILLER:

10 DR. PETER MILLER: I think in response to  
11 a comment by Mr. Evans he equated embedded and average  
12 costs and I think you said you agreed and I'm wondering  
13 how you reconciled that with an earlier remark you made  
14 that not all kilowatt hours and kilowatts are equal?

15 Do you recall either of those two (2)  
16 things that I'm trying to --

17 MR. WILLIAM HARPER: Well, I recall the  
18 first --

19 DR. PETER MILLER: -- join together?

20 MR. WILLIAM HARPER: Yeah. I recall the  
21 first one and I think it's maybe at a broad -- at a very  
22 broad basis when you're talking about setting rates and  
23 the basis on which you're setting them. I think embedded  
24 costs are usually thought of as being the accounting  
25 costs of the firm.

1 I think, you know, many people mistakenly,  
2 and maybe I do too, use average costs to mean the same  
3 thing. It's sort of the -- you know, and so that was the  
4 context in which I was meaning average costs as opposed  
5 to, say, marginal costs. If you want to put it that way.

6 And when you say average costs, I  
7 typically think of that in a sense of from an accounting  
8 perspective because that's -- that's what you're usually  
9 doing. Embedded studies based on accounting costs or  
10 average cost based studies based on accounting costs or  
11 you're doing marginal cost base studies based on marginal  
12 costs.

13 In terms of all kilowatt hours being --  
14 not being equal, I guess you know that comment would  
15 apply whether -- whether you were doing a cost of service  
16 study trying to allocate embedded costs or whether you're  
17 doing a cost of service study based on avoided costs.

18 You know, you would still have that same  
19 issue in terms of, you know, they're not all created  
20 equal and, therefore, they're not all -- say if you're  
21 doing avoided cost or a marginal cost based study --  
22 excuse me I mix my terms sometimes, the -- you know, all  
23 kilowatt hours don't impose the same marginal cost on the  
24 system.

25 Say, the curtailable rate program that

1 Manitoba Hydro does; if you're doing a marginal cost  
2 based study on that, you wouldn't assign a full marginal  
3 cost of generation to it because they are curtailable and  
4 they don't impose that same level of capacity requirement  
5 on the Manitoba hydro system.

6 DR. PETER MILLER: But surely, accounting  
7 costs or embedded costs it just depends on how you define  
8 your accounting categories? I mean, one of the proposals  
9 that's being considered is -- is Winnipeg River  
10 Generation versus Nelson River Generation based on  
11 accounting costs and so those are both embedded but  
12 different; is that not the case?

13 MR. WILLIAM HARPER: Oh, yes, in a sense  
14 if you're talking about, say, the vintaging alternative  
15 that was one of the four (4) alternatives that Manitoba  
16 Hydro had undertaken at the request of the Board.

17 There you do have -- that's right, you  
18 haven't -- you aren't allocating everything on an average  
19 basis. You split things out between, sort of, older and  
20 newer stations and older stations are assigned just to  
21 domestic customers and the newer stations are assigned to  
22 both domestic and exports.

23 So you have made some distinction there  
24 between the two (2) of them, so, you aren't allocating  
25 everything out on a very broad average. You're starting

1 to, sort of, as you say, sort of, put it down into  
2 different categories.

3                   So in that sense, it isn't an average cost  
4 method any more because you've added this vintaging. It  
5 isn't an average cost in the very broad sense of the word  
6 because you've added this vintaging to it. It's still  
7 average cost, I guess, in the sense that it's based on  
8 embedded costs as opposed to marginal costs.

9                   DR. PETER MILLER: But, well, can't you  
10 just say it's an embedded cost method but not an average  
11 cost method?

12                   MR. WILLIAM HARPER: Yes, and --

13                   DR. PETER MILLER: Aren't the two (2)  
14 concepts somewhat discrete?

15                   MR. WILLIAM HARPER: Yes. You know, if  
16 we want to define an average cost method is we're  
17 allocating the -- is we're allocating everything to  
18 everybody on the same average basis, like I say, all,  
19 then your characterization would be correct. It's an  
20 embedded cost method but it's not an average cost method.

21                   DR. PETER MILLER: Thank you. And linked  
22 to this discussion, I'm trying to understand what is  
23 meant by the phrase "all consumption is new consumption."

24                   Wouldn't that argue for a marginal cost  
25 approach to things?

1                   MR. WILLIAM HARPER:   Not necessarily, no,  
2 because you can apply that same principle to an embedded  
3 cost approach and I think the -- you know, the vintaging  
4 example -- the vintaging methodology would be an example  
5 where you're saying all consumption is not -- all  
6 consumption is not new consumption. Some consumption is  
7 old consumption and we're going to assign the older costs  
8 of the older plants to that.

9                   So, I don't think that particular sort of  
10 principle necessarily automatically takes you to applying  
11 avoided costs. All it means is we're not going to --  
12 we're not going to try and say that, you know, this part  
13 of -- you have a town. This part of town I built the  
14 distribution system twenty (20) years ago, I'm going to  
15 charge them for that portion of the distribution system  
16 based on the depreciated assets that are twenty (20)  
17 years old.

18                   This part I have a new part of town and  
19 everybody who's moved in there, the assets are brand new,  
20 I'm going to charge them based on the fact that I've got  
21 undepreciated assets and I've just started -- I've just  
22 built those.

23                   I'm not going to make that distinction  
24 between my customers. I'm going to treat them as if  
25 they're all new -- or they're all old. You could say it

1 either way. You could say all customers are new  
2 customers or all customers are old customers. You're  
3 just saying, I'm not going to take vintaging into  
4 account. I'm not going to take how long they've been on  
5 the system into account.

6 DR. PETER MILLER: From that response it  
7 sounds like the expression should rather be all customers  
8 are old customers?

9 MR. WILLIAM HARPER: Well, like I say,  
10 that would be the other way of characterizing it, yeah.

11 DR. PETER MILLER: But the two (2) are  
12 very different because new customers impose marginal  
13 costs on the system and old customers, if they're not  
14 increasing their load, may not?

15 MR. WILLIAM HARPER: You know, it's just  
16 -- you know, maybe we're trying to parse the words on  
17 this expressing further than they were meant to be  
18 parsed.

19 DR. PETER MILLER: Well then, I'll leave  
20 it then. I want to -- I think you said that the main --  
21 one (1) of the main purposes of costs is to fulfill the  
22 principle of fairness --

23 MR. WILLIAM HARPER: That's correct.

24 DR. PETER MILLER: -- in rates. And you  
25 also said that the revenue requirement should be based on

1 embedded costs, I believe you -- you made that statement.

2 MR. WILLIAM HARPER: Well, I said that's  
3 the starting point we're given here. We have a revenue  
4 requirement that's based on embedded costs. If you're  
5 working in a jurisdiction that for some reason was basing  
6 the revenue requirement on replacement costs or basing it  
7 avoided costs, then you'd have a different starting  
8 point.

9 My understanding is the starting point  
10 that we have here is a revenue requirement that's defined  
11 based on embedded costs and using a forward test here.

12 DR. PETER MILLER: Well, that may be true  
13 but is it fair and I think that's the issue. Let me just  
14 -- I think with Mr. Williams was talking to Mr. Wiens on  
15 this issue of fairness, if I'm correct, I think he -- Mr.  
16 Wiens suggested that maybe embedded costs are not a fair  
17 way to allocate but -- because, you know, the issues that  
18 have come out that large increases in load, basically, on  
19 a cost causation standpoint raise the cost for everyone.

20 And that maybe a marginal cost approach  
21 would be a fairer approach. Would you comment on whether  
22 Mr. Wiens said that or not, on -- whether that type of  
23 reasoning might be true?

24 MR. WILLIAM HARPER: I'm not going to  
25 comment on whether or not Mr. Wiens said that or not.

1 But, sort of putting that aside, I think it comes down to  
2 how you want to determine the term "fairness."

3 I think that was one of the conversations  
4 I was having with you Mr. Mayer in terms of, you know,  
5 it's the interpretation of the word. And I think -- I  
6 think to some extent the issues you're raising about  
7 efficiency and looking forward are sort of addressed in  
8 that other rate-making principle that I talked about  
9 which was the efficiency principle.

10 And so, to some extent, the fairness  
11 principle looks at the apportionment of the cost that  
12 customers are actually going to pay, you know, the costs  
13 that are incurred that they're paying.

14 The efficiency principle starts to take  
15 into account the considerations that you've -- that  
16 you've raised about looking forward in terms of what are  
17 the going forward implications of those consumption  
18 decisions, in terms of what are costs that aren't on the  
19 books right now, but are going to arise next year or the  
20 year after that because the consumption decisions that  
21 are made because of the prices that I'm currently  
22 charging.

23 And those sort of are, that's -- you could  
24 interpret that as being a different definition of  
25 fairness if you wanted to. And I interpret that as being

1 it came to the efficiency and objective of ratemaking  
2 that we talked about before.

3 And maybe giving it a different level of  
4 efficiency as opposed to fairness makes us realize that,  
5 to some extent, we've got two (2) objectives here and at  
6 the end of the day on rates, you're trying to design  
7 rates that address both of them, but you have to have  
8 metrics that help you understand both of them.

9 And I guess what I'm saying is, to some  
10 extent, the cost of service study gives you the metrics  
11 to understand the fairness aspect of rates. Avoided  
12 costs will give you the metrics or marginal costs will  
13 give you the metrics to understand the efficiency  
14 associated with rates.

15 And at the end of the day, you're going to  
16 have to design a set of rates that takes both those  
17 metrics into account.

18 DR. PETER MILLER: Well, I guess the  
19 reasoning cited is challenging that dichotomy and saying  
20 that accounting costs are the fair metric and marginal  
21 costs are the efficiency, but perhaps not as fair metric.  
22 And so you don't buy the argument that -- that on the  
23 principle not of efficiency but of fairness, marginal  
24 costs might reflect fairness in a way that embedded costs  
25 do not?

1                   You reject that?

2                   MR. WILLIAM HARPER:   Well, again, I think  
3   it's a different definition of fairness, if you want to  
4   put it that way.

5                   You know and it's important -- it is an  
6   important consideration. I think it's captured in the  
7   efficiency objective. I think to throw out the other  
8   objective entirely and say there only is one (1)  
9   definition of fairness and it's the efficiency objective,  
10  I think you'd be losing something in that. You'd be  
11  losing the consideration that we've got.

12                  If I'm saying I'm going to recover --  
13  sorry, if I'm going to recover a set level of revenue  
14  requirement from customers and I'm talking to them, I'm  
15  going to apportion that -- the costs that are actually  
16  incurred amongst them fairly it seems to me they expect  
17  you to be apportioning those costs not some -- not some  
18  other definition of costs amongst them and come up with  
19  what's a fair apportionment of that.

20                  And to some extent cost causation is  
21  viewed as being a good way of trying to do that on a fair  
22  basis; that's one set of -- one principle we're trying to  
23  achieve. Your definition of fairness is, sort of,  
24  another principle which is the efficiency principle.

25                  DR. PETER MILLER:   Okay, to sum up then,

1 fairness can reflect the marginal cost determination and  
2 it's not necessarily just based on embedded accounting  
3 costs?

4 MR. WILLIAM HARPER: If that's how you  
5 want to define it, yes.

6 DR. PETER MILLER: Thank you. There's  
7 another aspect of fairness which is inter-generational  
8 fairness. Do you see embedded costs as fair to the next  
9 generation if they're not raising enough funds for a  
10 replacement of the plant or the -- is it not putting a  
11 greater debt load on the future generation then, some  
12 notion of replacement costs or something higher than  
13 historic embedded costs?

14 MR. WILLIAM HARPER: Like I say, two (2)  
15 comments on that. I guess the first is, is that embedded  
16 costs are based on accounting principles, and to some  
17 extent I -- you know, I'm not an accountant but one of  
18 the issues around accounting principles is in terms of,  
19 as I understand it, is how you apportion costs over time.

20 And it's a matter of, if I've an asset how  
21 do I apportion the cost of that asset over time and if  
22 it's got a twenty (20) year life I depreciate it over  
23 twenty (20) years so everybody that is getting the  
24 benefit of that over each of the twenty (20) years pays a  
25 portion of that.

1                   So I -- I think to some extent embedded  
2 costs through those accounting principles are trying to  
3 address that inter-generational equity issue that you've  
4 raised. The -- I guess the second issue from an inter-  
5 generational equity perspective would be is that if this  
6 is an ongoing problem going forward then basically, yes,  
7 I will get a bit of a ride in terms of what my  
8 consumption decisions are impacting on tomorrow.

9                   Tomorrow's customers will also get a bit  
10 of a ride because they're in. So everybody is getting --  
11 it's fair in terms of everybody is, sort of, paying a  
12 little bit less than what they're imposing on the system.  
13 But if everybody in each generation is doing that they  
14 you could say that's fair on a going forward basis.

15                   THE CHAIRPERSON: Mr. Harper, can you  
16 build a new hydro generation today and pay for it with  
17 rates that were based on embedded costs from a plant that  
18 was constructed fifty (50) years ago?

19                   MR. WILLIAM HARPER: No, you couldn't.  
20 You've got the inflation costs associated with the plant.  
21 But like I said, I think the -- the issue, like I said,  
22 was you're trying to take the costs that I incurred to --  
23 to build that plant and rather than charging them all to  
24 customers in the one year in which I put the plant in  
25 service, which would be unfair because the customers for

1 the next thirty (30) years wouldn't be paying anything  
2 for that plant, you spread the cost of the plant over the  
3 lifetime of the plant.

4 But you're perfectly right, just a matter  
5 of inflation would probably suggest, you know, and  
6 hydraulic plants may be poor example, because each one's  
7 unique in terms of its location and dams etc. But I  
8 would think if I built a thermal station twenty (20)  
9 years ago I couldn't build the same thermal station today  
10 for the same costs.

11 THE CHAIRPERSON: Well, you just have to  
12 look at Manitoba Hydro's balance sheet. They've got  
13 5,000 or so megawatts with assets of whatever it is, 7  
14 billion, and Wuskwatim for 200 megawatts it's going to  
15 cost 1.2 or four (4) billion. I mean, there's a  
16 significant difference between embedded cost and new  
17 cost?

18 MR. WILLIAM HARPER: Yes. Yes, there is.  
19 I'm not too sure, and I apologize, I wasn't trying to  
20 make that distinction. I was trying to say -- we were  
21 talking about inter-generational equity and I was trying  
22 to make the point that to some extent embedded costs,  
23 when they're based on accounting principles are, to some  
24 extent, trying to address some inter-generational equity  
25 issues in terms of spreading the costs that we've

1 incurred to serve customers over time.

2 THE CHAIRPERSON: But just to follow up  
3 on that before I lose that train of thought, there is a  
4 significant difference, isn't there, between, let's say,  
5 a utility company that its assets were all hydro-electric  
6 and built sometime ago and a utility located in another  
7 province that has gas or coal-fired generations where the  
8 load is leaping forward into building plants all the  
9 time, there'd be a significant difference in the unit  
10 embedded costs between those two (2) examples, would  
11 there not?

12 MR. WILLIAM HARPER: Yes, there probably  
13 would be if you're talking about, sort of, one (1) --  
14 apart from the fact that the hydraulic stations probably  
15 cost different than the -- including the fact that, you  
16 know, they were put in service a number of years ago and  
17 therefore had a different value and if stations hadn't  
18 been built recently because they didn't have to be built,  
19 then you wouldn't have newer stations on the books at  
20 higher costs.

21 THE CHAIRPERSON: Professor Miller...?

22 DR. PETER MILLER: Thanks for that  
23 supplement.

24

25 CONTINUED BY DR. PETER MILLER:

1 DR. PETER MILLER: I think I have one (1)  
2 other area of questioning. And that has to do with  
3 whether CO2 costs should be reflected in rates, whether  
4 the whole rate or at the margin.

5 And you indicated one (1) objection I  
6 think was that you felt the determination is subjective.  
7 Is that correct, is that one (1) of your -- one (1) of  
8 the reasons why you see it as problematic?

9 MR. WILLIAM HARPER: I don't remember  
10 saying that actually to tell you the honest truth --

11 DR. PETER MILLER: Okay.

12 MR. WILLIAM HARPER: -- it may have been  
13 somebody else in the room that may have said that.

14 DR. PETER MILLER: All right.

15 MR. WILLIAM HARPER: I think the -- you  
16 know the main concerns I had was that in trying to, we  
17 were identifying -- over and above the costs that  
18 Manitoba Hydro actually incurred we're identifying one  
19 (1) externality here and deciding to include that. You  
20 know, one (1) externality cost.

21 There may a whole range of externality  
22 costs and maybe even benefits that we can't -- you know  
23 that you could conceivably think of including. And so to  
24 some extent, you know, I wasn't too sure, sort of,  
25 whether you're just picking this one (1) and including

1 it.

2                   The other thing had to do with the fact  
3 that if it's included in Manitoba Hydro's prices that you  
4 used, but because it's not a cost that other companies or  
5 other providers of energy or other services that  
6 customers are making choices about when you're looking at  
7 electricity, have to be included in those prices.

8                   It creates a bit of distortion when  
9 somebody tries to look at those prices to make choices.

10                  DR. PETER MILLER:   Okay.  Thanks.  I'll  
11 follow up on the second one in a moment.  But, dealing  
12 with the first one of the selectivity, or if not the  
13 subjectivity.  Do you think that the best estimate of the  
14 combined externalities is zero, which is essentially the  
15 current practice, that is not reflecting them in rates at  
16 all?

17                  MR. WILLIAM HARPER:   No, I think there's  
18 probably some -- you know, there's some societal costs  
19 associated with CO2.  The fact that we, you know, we  
20 haven't gotten to a point in time we've been able to sort  
21 of put a price on that either, through some marketing  
22 mechanism or through some legislative mechanism.

23                  But clearly there are some costs --  
24 there's -- there are lots of other costs involved with,  
25 you know, from other sources from activities that we do,

1 as well.

2 DR. PETER MILLER: So it might be more  
3 accurate than assigning zero to assign some positive cost  
4 to externalities?

5 MR. WILLIAM HARPER: Again, I come back  
6 to like you can assign a cost to it, you've -- and the  
7 purpose of that is to encourage customers to make wise  
8 choices, I presume in terms of because that's why they're  
9 looking at prices, they're looking at prices to make wise  
10 and efficient choices.

11 And those efficient choices would be  
12 associated with you know, if you're including externality  
13 costs, it's because you're trying to have those efficient  
14 choices taken to account externality considerations.

15 The concern I have with that, is the fact  
16 that I'm -- I'm arbitrarily -- I'm arbitrarily and that's  
17 the choice of word I want to use, including the price of  
18 CO2 here when it's not included in other comparable  
19 activities that the customer is going to have to make  
20 choices over because we haven't as a society made a  
21 choice either legislatively or market wise that that's a  
22 cost that people have to internalize.

23 And so therefore I'm concerned about what  
24 that means about in terms of the types of choices people  
25 are going to make, whether they're going to make the

1 right choices.

2                   The marginal cost that you look at, those  
3 are costs that in the end the company is going to incur.  
4 You know, we're talking about the private marginal costs  
5 of Manitoba Hydro and to some extent, I can see using  
6 those as a benchmark, yes. It was when it went into the  
7 externality costs and the fact that there's somewhat of a  
8 selectivity in terms of where they'd be applied and when  
9 they'd be applied that I have a problem.

10                   DR. PETER MILLER: Okay. Thanks for  
11 that. Now, the -- I think the one (1) example that you  
12 gave of that was natural gas when you -- when you raised  
13 this earlier.

14                   And now, natural gas in this province is  
15 regulated by the PUB and provided by the same utility --  
16 or there's some question of whether it's the same utility  
17 or not when it comes to the Sustainable Development Act,  
18 but, so if that is the main choice between gas and  
19 electricity couldn't that be handled in this jurisdiction  
20 very handily by reflecting externalities in both?

21                   MR. WILLIAM HARPER: You know, I think  
22 natural gas is just one place where you're making your  
23 choices.

24                   But, you know, like I said, I think you  
25 could do it but you'd have to have a much broader

1 consideration than just -- than just what we're doing  
2 here and I think it goes to the same comment I made about  
3 looking at all the implications of trying to implement a  
4 particular decision and making sure when you go forward  
5 you understand all the implications of that and one  
6 implication is just the choice between natural gas and  
7 electricity. There's likely to be others as well.

8 DR. PETER MILLER: Could you mention some  
9 of the others that you'd want to investigate?

10 MR. WILLIAM HARPER: Well, I think, well,  
11 you know, -- I mean, you know, there is -- I assume  
12 there's still oil heating, to some extent, in Manitoba.  
13 There's propane heating probably, to some extent, in  
14 Manitoban areas. I mean, I was just using natural gas as  
15 one -- as one energy substitute.

16 MR. ROBERT MAYER: Two (2) houses in  
17 Thompson left heated by oil.

18 DR. PETER MILLER: I believe propane is  
19 regulated by this Board; is that correct? Thank you. I  
20 guess that's my questions. Thank you very much.

21 THE CHAIRPERSON: Thank you, Professor  
22 Miller. Yes, it is, Ms. Ramage...?

23

24 (BRIEF PAUSE)

25

1 CROSS-EXAMINATION BY MS. PATTI RAMAGE:

2 MS. PATTI RAMAGE: Mr. Harper, this  
3 morning I heard you say there was two (2) key issues that  
4 you thought were the most significant in this hearing.  
5 One of them being that -- in fact, the most significant  
6 being Manitoba Hydro's recommended change to the cost of  
7 service that would have net export revenues allocated to  
8 the various customers classes based on total costs as  
9 opposed to generation and transmission as was done in the  
10 past.

11 You agree that is the most significant  
12 change?

13 MR. WILLIAM HARPER: Yes, and I think  
14 maybe it should be broader, it was the whole change in  
15 treatment of export revenues. You have a change in how  
16 you're costing them as well as a change in how you're  
17 allocating the export revenue. So it was the -- I was  
18 talking about that whole changes being the major one.  
19 And I think that's major because it's, I think as we've  
20 seen in the debate here, it's the more controversial one  
21 probably.

22 And from an impact perspective, I think it  
23 has much more impact on the cost of service results than,  
24 say, the change in generation classification and  
25 allocation.

1 MS. PATTI RAMAGE: And just to give us a  
2 bit of a foundation and not to repeat everything we've  
3 heard already, but, you indicated you support this change  
4 and could you briefly summarize your reasons for  
5 supporting the change?

6 MR. WILLIAM HARPER: Well, without going  
7 back through the whole --

8 MS. PATTI RAMAGE: Sort of a highlight.

9 MR. WILLIAM HARPER: At a -- at a high  
10 level again, it seems to me it addresses two (2) issues.  
11 One, there's concerns about our exports carrying a fair  
12 share of their costs and there's a methodology here to  
13 try and identify and more -- and more specifically  
14 identify the costs and allocate the costs associated with  
15 exports to them which has increased the costs attributed  
16 to exports.

17 The second thing is, is when we then  
18 allocated those costs and looking at the net export  
19 revenues, it -- it does a -- it allocates those net  
20 export revenues on a more neutral basis that doesn't  
21 cause the problem I see with, sort of, allocating them  
22 just on the generation and transmission in terms of -- in  
23 terms of telling customers that it's their use of  
24 generation and transmission that's creating export  
25 revenues when really the reverse is true.

1 MS. PATTI RAMAGE: So when you say "the  
2 reverse is true," are you -- essentially, you're going  
3 back to it's the domestic customers' use of the  
4 facilities -- rather than it's the domestic customers'  
5 use of facilities that give rise to these net exports,  
6 it's the opposite that's true?

7 MR. WILLIAM HARPER: You can either say -  
8 - you either say customers are either using less or  
9 Manitoba Hydro is installing more, but it's the surplus  
10 facilities there that are really giving rise to the  
11 exports.

12 And those surpluses either come because  
13 either you build more facilities or you encourage  
14 customers to use the existing facilities less.

15 MS. PATTI RAMAGE: So I think your  
16 distinction would be between function and use that use is  
17 -- use isn't what gives rise to net export revenues,  
18 rather it's the functions of generation and transmission  
19 not the use of those functions?

20 MR. WILLIAM HARPER: It's not the use of  
21 those functions by domestic customers that give rise to  
22 it, it's the fact that you have the surplus facilities  
23 there.

24 MS. PATTI RAMAGE: In Mr. Bowman's pre-  
25 filed evidence he was discussing -- oh, before I get to

1 that question, Mr. Wiens wanted me to review something  
2 else before we get down that track.

3 I wanted you to imagine a situation in  
4 which everyone in this room comes to agreement, you're  
5 going to have stretch here. But, we're all going to come  
6 to agreement on what are the appropriate costs to  
7 allocate to exports. So that's not an issue, are you  
8 with me?

9 MR. WILLIAM HARPER: I'm with you so far,  
10 yes.

11 MS. PATTI RAMAGE: Okay. And once we've  
12 come to that agreement, there's going to remain a  
13 quantity of export revenue left to be allocated to the  
14 various customer classes.

15 And that amount would be in the range of,  
16 say, 200 to 300 million. Now, assuming that this 200 to  
17 300 million is pure net revenue, would it be your opinion  
18 that embedded cost of service approaches or precedents  
19 bring anything principled to bear on the allocation of  
20 that 200 to 300 million among the domestic classes of  
21 service?

22 MR. WILLIAM HARPER: Well, you know, if I  
23 take the first part of your hypothetical which is that  
24 we've properly identified the costs associated with  
25 exports, then really you've probably addressed the cost

1 causation principles, which is the fundamental underlying  
2 principle you're trying to achieve in your cost of  
3 service.

4                   And so what you've got left with are  
5 dollars that, you know, there probably isn't a cost of  
6 service -- cost causation type principle you can apply to  
7 them. Probably what you'd be looking for then is, you  
8 know, I mean there's a whole bunch of secondary  
9 considerations that Bonbright has over and above you know  
10 -- something that gives stable rates, something that's  
11 transparent, something that probably doesn't confound or  
12 sort of give perverse results for the cost allocation  
13 signals you gave to begin with.

14                   I think you'd want to take into account  
15 some of those secondary considerations. But, probably if  
16 you've allocated all of the costs properly, you're  
17 probably beyond cost causality and into other  
18 considerations when you allocate the costs.

19                   MS. PATTI RAMAGE: Thank you. So when  
20 Mr. Bowman is discussing -- in his pre-filed evidence he  
21 was dealing with the treatment of an amount of export  
22 revenues in excess of his defined threshold, he -- during  
23 that bit in his pre-filed evidence he stated, and I'm  
24 quoting here from page 17 of the -- I don't think you  
25 need to turn to it because it's very brief, but it's page

1 17 of his evidence that:

2 "There is no principle basis to use  
3 this revenue to lower rates to any  
4 group of customer regardless of the  
5 class or economic characteristics of  
6 the customer."

7 And I'm wondering, in your expert opinion,  
8 is Manitoba Hydro's recommended approach any less  
9 principled than the status quo we have right now in the  
10 current approach?

11 MR. WILLIAM HARPER: Well, I guess the  
12 problem I have with that is we go back to your  
13 hypothetical and the status quo assumes a certain level  
14 of costs associated with exports. And we went to a  
15 hypothetical and I assume, you know, we've gone to a  
16 hypothetical -- either your hypothetical or Mr. Bowmans'  
17 threshold where we're satisfied that we appropriately  
18 attributed an appropriate level of cost to exports.

19 So, I have a bit of a problem with the  
20 references to the current method. Once you've, you know,  
21 once you've properly associated costs with exports, it  
22 seems to me any other net revenue you've got, like I said  
23 before, there's no -- I don't know if there is a  
24 principled way because you've addressed all the cost  
25 causality issues already and so I'm not so sure if I'd

1 agree with Mr. Bowman.

2

3

(BRIEF PAUSE)

4

5 MS. PATTI RAMAGE: So at the end of the  
6 day, using total cost isn't any less principled than  
7 using generation and transmission, as long as you've  
8 covered your -- the initial allocation of costs?

9 MR. WILLIAM HARPER: No, I wouldn't think  
10 so.

11 MS. PATTI RAMAGE: I think you indicated  
12 in your pre-filed testimony that:

13 "While precedent and standards can  
14 assist costs analysts in performing the  
15 cost of service study recognition must  
16 also be given to a specific utility's  
17 circumstances."

18 Do you recall saying something to that  
19 effect?

20 MR. WILLIAM HARPER: Yes, I do.

21 MS. PATTI RAMAGE: And if the degree by  
22 which marginal cost exceeds embedded costs differs in any  
23 significant degree amongst customer classes, would you  
24 consider that to be a circumstance which requires  
25 recognition and perhaps something that needs to be taken

1 into consideration in the cost of service study?

2

3

(BRIEF PAUSE)

4

5 MR. WILLIAM HARPER: In terms of the  
6 choice of methodology, I don't think so. I think the  
7 difference between marginal costs and average costs  
8 probably suggests that there are some significant, you  
9 know, -- there are significant issues or maybe this is an  
10 area where you have to pay particular concern.

11 But I think you should then be -- you  
12 know, having gotten your antennas up because you want to  
13 pay -- concern because of that, I think you should be  
14 going back and looking at things from a cost causation  
15 perspective when you're trying to -- when you're trying  
16 to do the allocation.

17 So I don't know if it helps or not but I  
18 think the difference may be, sort of, suggests to you  
19 it's an area I want to be particularly cautious with or  
20 maybe make sure I'm taking a careful look at.

21

22

(BRIEF PAUSE)

23

24 MS. PATTI RAMAGE: Would it -- would it  
25 impact or inform your choice as to how you impact pure

1 net export revenues in that situation?

2

3

(BRIEF PAUSE)

4

5 MR. WILLIAM HARPER: It probably would in  
6 the sense that if you're beyond the point of thinking  
7 about cost causation, which is the principal objective  
8 you're dealing with here, and you're into considering  
9 well, now, I've got something else I have to deal with,  
10 then I think then you are into some of these secondary  
11 considerations, perhaps efficiency is one of those  
12 considerations.

13 It's a secondary consideration. But if  
14 you're into pure excess export revenues then, yes, it  
15 would because, like I said before, I think the marginal  
16 costs are probably a good metric to use from an  
17 efficiency perspective.

18 MS. PATTI RAMAGE: Thank you. Something  
19 else that I was reading in your pre-filed testimony was a  
20 statement you said,

21 "Well, it could be argued that  
22 opportunity exports are carrying less  
23 than their fair share of fixed costs  
24 relative to domestic load, the opposite  
25 argument could be made in the case of

1                   the firm export class."

2                   Do you recall that statement?

3                   MR. WILLIAM HARPER:   Actually if you  
4 could get me on the page I can maybe see the context?

5                   MS. PATTI RAMAGE:   It's page 46.

6

7                                   (BRIEF PAUSE)

8

9                   MR. WILLIAM HARPER:   I apologize.  I  
10 should have put line numbers in this so this is my fault  
11 for trying to find -- page 46?

12                   MS. PATTI RAMAGE:   It's the third  
13 paragraph, second full paragraph, on that page.  Your  
14 numbering may be different than mine.

15                   MR. BYRON WILLIAMS:   Why don't we look  
16 for a footnote number or a --

17                   MS. PATTI RAMAGE:   It's above footnote --  
18 it's immediately following footnote 130.

19                   MR. WILLIAM HARPER:   My page only had two  
20 (2) paragraphs.  Okay, so immediately above footnote 130  
21 which is immediately following -- while it could be  
22 argued that -- right.  Okay.  No, no.  That's right.  
23 Okay.  I understand the context in which I was using it  
24 now.  That's fine.

25

1 CONTINUED BY MS. PATTI RAMAGE:

2 MS. PATTI RAMAGE: So with respect to the  
3 suggestion that an argument can be made that firm exports  
4 are carrying more than their fair share of costs, would  
5 that be because the exports don't have the same degree of  
6 firmness as domestic consumption?

7 MR. WILLIAM HARPER: One (1) because --  
8 yes, one (1) because they don't have the same degree of  
9 firmness as domestic consumption.

10 And, two (2), because to a large extent  
11 the facilities that have been built on the system have  
12 been built primarily with -- with a domestic focus.

13 MS. PATTI RAMAGE: And when we talk about  
14 facilities being built with a domestic focus, we spoke  
15 this morning about the five (5) unit generating station  
16 versus the ten (10) unit generating station; those type  
17 of decisions.

18 You're familiar with that discussion?

19 MR. WILLIAM HARPER: I was here, I guess,  
20 first thing this morning when it was -- Mr. Cormie was  
21 following up on that example for Conawapa, I believe it  
22 was.

23 MS. PATTI RAMAGE: And are you able to  
24 provide us with any comments or can you agree that there  
25 are important domestic load considerations when

1 determining the optimum number of units in a new  
2 generating station like Conawapa?

3 MR. WILLIAM HARPER: Yes, I think you  
4 know, I'm not a resource planner, but from an economic  
5 perspective it seems I can appreciate what Mr. Cormie was  
6 saying, in terms of you've got a long lived asset here,  
7 you're trying to decide over the life of that whole asset  
8 what's the optimum way to size it, recognizing that I got  
9 both energy requirements that I have to meet on the  
10 system and capacity requirements I have to meet on the  
11 system.

12 And so that you know, that decision  
13 whether its five (5) or ten (10) units is a decision  
14 that's going to last for, if I heard him correctly, a  
15 hundred (100) years. So and you know a hundred (100)  
16 years probably goes well beyond the point of, you know,  
17 for most of that period of time, I would suspect you  
18 know, like in that long of time it's going to be domestic  
19 load it's going to be serving.

20 MS. PATTI RAMAGE: So from a economics  
21 perspective, would you agree that the opportunity sales  
22 is not going to drive your decision?

23 MR. WILLIAM HARPER: Well, you know, on  
24 something that long the opportunity sales is probably not  
25 going to be a key component of that relative to the

1 hundred (100) year life of the station.

2 MS. PATTI RAMAGE: I want to change gears  
3 here and take about the purchase power costs. And I want  
4 to clarify just what was said this morning, to make sure  
5 we're all operating from the same --

6 MR. WILLIAM HARPER: Where we are --

7 MS. PATTI RAMAGE: -- page here. In  
8 Manitoba Hydro's recommended method 45 percent of  
9 purchase power costs are directly assigned to opportunity  
10 class, with the remaining 55 percent included in  
11 generation costs that are allocated then to large  
12 domestic customers and firm exports, that's correct?

13 MR. WILLIAM HARPER: That's correct.

14 MS. PATTI RAMAGE: And if -- I want to  
15 make sure I've got this right. In your testimony this  
16 morning you recommended purchase power be attributed 50  
17 percent to domestic and 50 percent to exports, is that  
18 correct?

19 MR. WILLIAM HARPER: As your first step,  
20 that's correct.

21 MS. PATTI RAMAGE: Right. And then as  
22 your next step, that 50 percent that goes to domestic  
23 would go to the generation pool, is that correct?

24 MR. WILLIAM HARPER: That's correct.

25 MS. PATTI RAMAGE: And then 50 percent

1 that went to exports would undergo the firm opportunity  
2 split?

3 MR. WILLIAM HARPER: Would go through the  
4 45/55 split and so you'd have 55 percent of that 50  
5 percent would also go to generation to be allocated. The  
6 remaining 45 percent of that 50 percent would stay with  
7 the opportunity exports.

8 MS. PATTI RAMAGE: You just jumped about  
9 three (3) steps ahead of me. Good. Now, Mr. Wiens was  
10 busily working his calculator after you said that and I'm  
11 just -- I'd like to throw some numbers at you without, I  
12 just want to see if any of these numbers -- if you've run  
13 through this at all yourself, to just give an idea.

14 Based on -- I should back up and say there  
15 was two (2) other changes besides the purchase power  
16 costs. You also recommended some changes with respect to  
17 wind, the treatment of wind --

18 MR. WILLIAM HARPER: Yes, that's correct.

19 MS. PATTI RAMAGE: -- and the treatment  
20 of power supplies transmission. And Mr. Wiens tried to  
21 just do some quick numbers and we're just trying to make  
22 sure we're all on the same page in terms of what the  
23 impact would be.

24 And based on, for example, purchase power  
25 excluding wind with total costs of \$48 million he

1 calculates that the -- that under the Manitoba Hydro  
2 method 21.4 million would be attributed to domestic  
3 customers. But if he used your method that would go to  
4 34, so an increase of 6 million to the domestics?

5 MR. WILLIAM HARPER: That would be on the  
6 wind side, I'm sorry --

7 MS. PATTI RAMAGE: I'm sorry, an increase  
8 of 13 million, sorry.

9 MR. WILLIAM HARPER: I'm sorry?

10 MS. PATTI RAMAGE: An increase of 13  
11 million between the domestics -- between the Manitoba  
12 Hydro method and the -- and your recommendation. And I -  
13 - it's just in the order of magnitude whether you were  
14 cognizant of the impact of that recommendation?

15 MR. WILLIAM HARPER: You know -- actually  
16 I sat down on a broad level to try and work it through  
17 and then realized I couldn't work through the impacts on  
18 water rentals because I didn't have enough information to  
19 do so.

20 And so I -- and so at that point in time I  
21 must admit, no I hadn't actually worked through the --  
22 worked through the math of it.

23 I was trying to actually take, what I  
24 call, as more of a principled approach in terms of how I  
25 would -- and I know Mr. Williams is going to hate me for

1 saying that word, but principled approached to sort of  
2 working through these various issues.

3 But we can worth through the math and I  
4 trust Mr. Wiens calculator.

5 MS. PATTI RAMAGE: Well, I'm not sure  
6 that it's worth going through all the math. Mr. Wiens  
7 didn't include water rentals in his analysis but came to  
8 an ultimate conclusion that when you use those three (3)  
9 changes, domestics costs increase by \$6 million, the  
10 combined; is that -- is that the sort of impact you would  
11 have expected?

12 MR. WILLIAM HARPER: I think that's  
13 probably about right because there's some puts and takes  
14 on the scale.

15 MS. PATTI RAMAGE: And firm exports  
16 increased also by about 5 million does that sound --

17 MR. WILLIAM HARPER: Yes, but the firm  
18 exports would go -- you know -- I guess we could say  
19 domestics -- that's right -- then the firm exports.  
20 That's domestics before you do the allocation or after  
21 you -- you know there's this issue because then the firm  
22 exports goes into the pot and gets allocated between --

23 MS. PATTI RAMAGE: Yes, this is just in  
24 the order of magnitude as opposed to being precise. But  
25 finally the opportunity exports would go down by 12

1 million does that -- in the order of magnitude, is that  
2 what you would have expected?

3 MR. WILLIAM HARPER: That probably sounds  
4 about right, particularly with the shift in purchase  
5 power costs and the wind power costs.

6 MS. PATTI RAMAGE: Leaving that, there  
7 was a discussion just this afternoon with your exchange  
8 with Ms. McCaffrey, regarding 1979 OEB, was it a OEB  
9 decision, is that correct?

10 MR. WILLIAM HARPER: Yes, yes it was.

11 MS. PATTI RAMAGE: '79 is too far for me  
12 to remember back. But one of the things I wanted to ask,  
13 is in that decision was -- when they dealt with marginal  
14 costs was that -- was their marginal costs estimates  
15 based on next plant?

16 MR. WILLIAM HARPER: I guess as I said,  
17 one (1) of the three (3) issues the Board had was just  
18 the methodology itself. And there were numerous  
19 methodologies put forward for how you would -- for how  
20 you would calculate marginal costs.

21 You know differences in system planning  
22 and next plant. So one (1) of the methodologies would  
23 include that. But this is one (1) of the things that the  
24 Board was having trouble with is there were numerous  
25 methodologies put forward, in terms of how you could

1 actually calculate marginal costs.

2 MS. PATTI RAMAGE: Was one (1) of them  
3 the value of exports?

4 MR. WILLIAM HARPER: No, exports was --  
5 exports was not on the radar at that point in time.

6 MS. PATTI RAMAGE: So you'd agree it's  
7 sort of -- it's a different world today than 1979?

8 MR. WILLIAM HARPER: Yes, now I think  
9 that's part of the reason why when we were going through,  
10 when I was going through the criteria, sort of those sort  
11 of criteria with Ms. McCaffrey, I sort of paused a bit  
12 when it came to the efficiency criteria and the  
13 interpretation you want to give this, because I think the  
14 analogies at that point are giving a broader  
15 interpretation of that.

16 MS. PATTI RAMAGE: And are you aware that  
17 there's some utilities that set rates to recover their  
18 revenue requirement but allocate their costs or that  
19 revenue requirement among classes on the basis of  
20 marginal costs?

21 MR. WILLIAM HARPER: I believe -- I'm  
22 sorry I just want to make sure I understand the question,  
23 they basically have an embedded cost revenue requirement  
24 but they use marginal cost of service methodology to  
25 allocate it?

1 MS. PATTI RAMAGE: That's correct.

2 MR. WILLIAM HARPER: I'm aware that  
3 there's some -- that there's some that do do that. I  
4 don't -- I don't have any particular names off the top of  
5 my head, but, there are some that do that.

6 MS. PATTI RAMAGE: That's all I really  
7 wanted to confirm that marginal costs have been accepted  
8 in some jurisdictions.

9

10 (BRIEF PAUSE)

11

12 MS. PATTI RAMAGE: Also during your  
13 exchange with Ms. McCaffrey you talked about risks a fair  
14 bit. And what I heard was, and correct me if I'm wrong,  
15 that most risks fall with the generation and transmission  
16 system, was that correct?

17 MR. WILLIAM HARPER: I think she was  
18 asking me whether the types of risks that Manitoba Hydro  
19 is exposed to, what functions they're related to.

20 And I thought, just from my recollection  
21 of what I remembered from the risk management study, that  
22 Manitoba Hydro had done sort of, the most -- the  
23 prominent ones seemed to be associated with sort of --  
24 with issues dealing with the generation and transmission  
25 aspects of the business, yes.

1 MS. PATTI RAMAGE: So if we were to  
2 follow what I'll term sort of the strict traditional  
3 approach without applying any sort of creativity and just  
4 fall back to the approaches I think that are advocated by  
5 MIPUG, would I be right in saying then that if those  
6 risks arise out of generation and transmission they  
7 should also be functionalized to generation and  
8 transmission?

9 And those would be the areas that pay  
10 those costs or the costs of insurance or the  
11 contributions to net income to cover those costs?

12 MR. WILLIAM HARPER: Well, you know -- you  
13 know, I think so yes, and maybe to pause I think you know  
14 the issue about setting the reserves aside and you know  
15 there was discussion in the proceeding here about a rate  
16 increase that might result as a result of that.

17 But what dawned on me actually just before  
18 I got in the room here today was there had been no  
19 discussion about, well gee whiz, which customer, if  
20 you're going to have a rate increase at additional  
21 costs, from a cost allocation perspective, which customer  
22 classes are you going to allocate that appropriation to,  
23 which I think is the question you were asking me.

24 And you know -- you know and to that  
25 extent it would make sense that if you're saying I have

1 reserves that are associated with issues of generation  
2 maybe they should be allocated to generation customers,  
3 if it's transmission, maybe it's to transmission  
4 customers.

5 That would be fairly consistent with sort  
6 of that issue of you know, which functions are driving  
7 the costs, yes.

8 MS. PATTI RAMAGE: And are you aware that  
9 Manitoba Hydro's -- any planned additions to net income  
10 is functionalized to include not only generation and  
11 transmission but the sub-transmission, distribution and  
12 customer service components?

13 MR. WILLIAM HARPER: I believe it's  
14 allocated on an investment basis across all those assets.  
15 So you look at the net investment, generation and  
16 transmission, sub-transmission, distribution and its  
17 allocated on that basis.

18 Just as -- because net incomes combined  
19 with interest costs to be the total financing costs.

20 MS. PATTI RAMAGE: Now I think this is my  
21 final area, and I wanted to talk a little bit about rate  
22 design.

23 Do you think that the concerns expressed  
24 by Manitoba Hydro regarding the gap between rates and  
25 marginal costs is a -- can be characterized as simply a

1 rate design issue that should be able -- that can be  
2 dealt with simply by rate design?

3

4

(BRIEF PAUSE)

5

6

MR. WILLIAM HARPER: I think it's  
7 primarily a rate design issue. I'm not -- you know --  
8 I'm not too sure whether it can all be dealt with by rate  
9 design or not. But I think that would be the first place  
10 to start would be trying to work it through from a rate  
11 design perspective.

12

MS. PATTI RAMAGE: I'm just going to --  
13 Manitoba Hydro in its rebuttal evidence discussed or  
14 stated that a stepped rate intended to recover embedded  
15 costs but with the last block set at marginal costs will  
16 not influence major load expansion in Manitoba.

17

And I want to look at that comment of  
18 Manitoba Hydro's and get your comments. And in doing  
19 that I want to walk through just an example of a stepped  
20 rate and I'm hoping to try to emulate something close to  
21 what's going -- what was discussed as the BC -- what the  
22 BC Hydro is doing.

23

THE CHAIRPERSON: Ms. Ramage, just before  
24 you begin because it's 3:25 right now. I just want to --  
25 you only have a couple of minutes?

1 MS. PATTI RAMAGE: I have two (2)  
2 minutes.

3

4 CONTINUED BY MS. PATTI RAMAGE:

5 MS. PATTI RAMAGE: For the purposes of  
6 this example, if we can assume embedded costs are at 3  
7 cents a kilowatt hour and marginal costs are 5 cents a  
8 kilowatt hours, and we look at, as per the practice in BC  
9 a customer's past usage to establish a baseline, am I  
10 correct that the last 10 percent of usage would be  
11 charged at 5 cents a kilowatt hour?

12 MR. WILLIAM HARPER: That's correct.

13 MS. PATTI RAMAGE: But in order not to  
14 over-recover, an adjustment to the first block of energy  
15 would have to be made, is that correct?

16 MR. WILLIAM HARPER: That's correct, it  
17 would be reduced down so I think in your example for the  
18 average overall was .03 cents.

19 MS. PATTI RAMAGE: And assuming  
20 consistent usage then, 90 percent of that customer's  
21 consumption would be priced at 2.78 cents per kilowatt  
22 hour?

23 MR. WILLIAM HARPER: If that's how the  
24 math works out, I'll accept that.

25 MS. PATTI RAMAGE: It's Mr. Wiens math,

1 so -- so 90 percent of the consumption is then priced at  
2 below embedded costs, is that correct in --

3 MR. WILLIAM HARPER: That's correct.  
4 When you're doing this on an individual customer basis  
5 though, what he's seeing for any decision he's making to  
6 increase or decrease his load is that 5 cents a kilowatt  
7 hour though, yes.

8 MS. PATTI RAMAGE: And if a new customer  
9 comes to the Province the average price though for their  
10 consumption is still at 3 cents a kilowatt hour --

11 MR. WILLIAM HARPER: Yes --

12 MS. PATTI RAMAGE: -- that doesn't change  
13 then?

14 MR. WILLIAM HARPER: You're correct, if a  
15 new customer comes to the Province there's an estimate  
16 made as to what his load will be at the start, the same  
17 ninety (90) ten (10) rule applies and then basically  
18 that's sort of firmed up as experience is actually gained  
19 with the customer.

20 So it isn't like a new customer coming to  
21 the Province pays 5 cents for everything. No, they're  
22 paying an average of the same 3 cents.

23 MS. PATTI RAMAGE: And it's probably a  
24 pretty good deal at that point, would you agree?

25 MR. WILLIAM HARPER: Anyways --

1 MS. PATTI RAMAGE: Yeah. Most  
2 importantly, the stepped rate will have really no impact  
3 on a decision to locate the industry in the province in  
4 terms of discouraging or encouraging usage. The three  
5 (3) cent is -- three (3) cents a kilowatt hour price is  
6 what a customer would look at; correct?

7 MR. WILLIAM HARPER: That's correct.

8 MS. PATTI RAMAGE: And if that new  
9 customer went on to establish after -- after they move to  
10 the province a baseline and is then able to go below the  
11 -- 10 percent below their baseline, they would in fact be  
12 able to pay less than embedded costs for 100 percent of  
13 their consumption; is that correct?

14 MR. WILLIAM HARPER: Well, it depends on  
15 how and why he went below the baseline. The baselines  
16 are periodically reviewed and -- and revised annually  
17 actually. And it depends on how and why, if he made  
18 investments in demand-site management and he paid for  
19 them, then -- then there's certain rules about the  
20 baseline.

21 If he does demand-site management financed  
22 by the BC Hydro, there's a different set of rules. So it  
23 -- it doesn't -- that doesn't necessarily apply.

24 MS. PATTI RAMAGE: That concludes my  
25 cross-examination, Mr. Chair.

1 THE CHAIRPERSON: Thank you, Ms. Ramage.  
2 Just before we adjourn for the evening,  
3 the Panel would like to assure ourselves as to our  
4 potential progress tomorrow.

5 So tomorrow, we would begin with Board's  
6 Counsel's cross-examination?

7 MR. BOB PETERS: Yes. I'll commence at  
8 nine o'clock tomorrow morning and I don't expect I'll be  
9 more than forty-five (45) minutes.

10

11 (BRIEF PAUSE)

12

13 THE CHAIRPERSON: And then, Professor  
14 Miller, Mr. Lazar is ready to go?

15 DR. PETER MILLER: Yes. He's getting in  
16 at 11:30 tonight, we'll have breakfast together and I'll  
17 try to update him. And he's scheduled to catch a 5:30  
18 flight out so.

19 THE CHAIRPERSON: If necessary, we will  
20 have to shorten the lunch period. We'll see how it goes.

21 DR. PETER MILLER: Yeah.

22 THE CHAIRPERSON: Mr. Peters, do you see  
23 any difficulty with this?

24 MR. BOB PETERS: Not so far. Not based  
25 on the estimates that I've heard from the parties, I

1 think we can accommodate that.

2 THE CHAIRPERSON: Mr. Williams...?

3 MR. BYRON WILLIAMS: No. Just we  
4 certainly, if it would accommodate Mr. Lazar's schedule,  
5 we could defer until later in the day if that would  
6 assist in -- in any way, just to make sure that he gets  
7 out on time, and then bring on Mr. Harper.

8 And I think we're certainly able to sit in  
9 the evening tomorrow too. So I'm just --

10 MR. WILLIAM HARPER: I'm here for the  
11 next two (2) days, so I'm at your disposal, whenever --

12 MR. BYRON WILLIAMS: So I'm just trying  
13 to, in terms of accommodating Mr. Lazar's schedule, we  
14 could certainly do our best.

15 THE CHAIRPERSON: Tomorrow we're open.  
16 Tomorrow -- or today we're open, tomorrow we're not, at  
17 night. That's our difficulty.

18 But, Mr. Peters, you think we should be  
19 all right with this?

20 MR. BOB PETERS: I do.

21 THE CHAIRPERSON: All right then. We  
22 stand adjourned. We'll see you tomorrow at 9:00.

23 MR. ROBERT MAYER: And I'm here Saturday  
24 and Sunday in case anybody really wants to work.

25 MR. BYRON WILLIAMS: We'll be working on

1 closing, unfortunately.

2

3 --- Upon adjourning at 3:30 p.m.

4

5

6

7

8 Certified Correct,

9

10

11

12

\_\_\_\_\_

13 Ryan Pickering

14

15

16

17

18

19

20

21

22

23

24

25