

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA HYDRO
 COST OF SERVICE STUDY

Before Board Panel:

- Graham Lane - Board Chairman
- Robert Mayer - Board Member
- Kathi Avery Kinew - Board Member
- Len Evans - Board Member

HELD AT:

Public Utilities Board
400, 330 Portage Avenue
Winnipeg, Manitoba
May 25th, 2006
Volume VIII
Pages 1543 to 1810

APPEARANCES

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

R.F. Peters) Board Counsel
Patti Ramage) Manitoba Hydro
Odette Fernandes)
Bryon Williams) CAC/MSOS
Myfanwy Bowman	(np))
Doug Buhr) City of Winnipeg
Peter Miller) TREE
Tamara McCaffrey) MIPUG
Patrick Bowman	(np))
Andrew McLaren	(np))
Jurgen Feldschmid) CCEP
Michael Anderson) MKO

	TABLE OF CONTENTS	
		Page No.
1		
2		
3	JAMES LAZAR, Sworn	
4	Examination-in-Chief by Dr. Peter Miller	1548
5	Cross-Examination by Ms. Myfanwy Bowman	1582
6	Cross-Examination by Mr. Michael Anderson	1631
7	Cross-Examination by Ms. Tamara McCaffrey	1672
8	Cross-Examination by Ms. Patti Ramage	1683
9	Cross-Examination by Mr. Bob Peters	1699
10		
11	WILLIAM HARPER, Resumed	
12	Cross-Examination by Mr. Bob Peters	1743
13		
14	Certificate of Transcript	1810
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1	LIST OF EXHIBITS		
2	Number	Description	Page No.
3	CAC/MSOS-6:	Copies of the last several	1614
4		JL-4, JL-5 and JL-6, different	
5		versions that have been circulated	
6			
7			
8			
9			
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1 --- Upon commencing at 9:06 a.m.

2

3 THE CHAIRPERSON: Good morning, everyone.
4 Welcome again, Mr. Lazar.

5 MR. JAMES LAZAR: Thank you very much.

6 THE CHAIRPERSON: Thanks to the
7 generosity of CAC/MSOS we're changing the order around a
8 bit to ensure that we're able to hear you out and cross-
9 examine you properly before your return flight.

10 MR. JAMES LAZAR: Thank you very much.

11 THE CHAIRPERSON: We're pleased to do so,
12 we're a cooperative bunch. Mr. Peters do you have any
13 initial comments?

14 MR. BOB PETERS: I would indicate that
15 there is a few scheduling issues from some of the parties
16 that I'll keep my eye on, but I won't bring them to the
17 attention of the Board until and unless they need to be -
18 - that is Ms. McCaffrey's absence this morning is planned
19 and Mr. Williams likewise has a commitment that will --

20 THE CHAIRPERSON: But, Ms. Bowman is
21 here.

22 MR. BOB PETERS: Yes, of course and I'll
23 keep an eye on that if it becomes an issue I'll bring it
24 to the Board's attention. But, other than that I think
25 we're ready to go.

1 THE CHAIRPERSON: The only scheduling
2 change that I'm aware of is tomorrow morning because of
3 another conflict, we can't begin until 9:30. Manitoba's
4 a no fault jurisdiction, Mr. Mayer.

5 Professor Miller, do you want to introduce
6 Mr. Lazar and just quickly go over his credentials
7 because we've heard from Mr. Lazar before.

8 DR. PETER MILLER: Yes, I wonder if he
9 should be sworn first.

10 THE CHAIRPERSON: I always forget that.
11 Mr. Barron?

12

13 JAMES LAZAR, Sworn

14

15 EXAMINATION-IN-CHIEF BY DR. PETER MILLER:

16 DR. PETER MILLER: Okay. We'll proceed
17 and perhaps Mr. Lazar can give his background experience
18 relevant to this proceeding.

19 MR. JAMES LAZAR: My name is Jim Lazar,
20 my office address is 1063 Capital Way, South, Suite 202,
21 Olympia, Washington 95801, USA.

22 I'm a consulting economist specialized in
23 utility rate and resource issues. I've been engaged in
24 utility consulting continuously since 1979. During that
25 time I've appeared before many local State and federal

1 regulatory bodies.

2 I've authored papers and articles on
3 utility ratemaking and I've been a faculty member on
4 numerous occasions at training sessions for utility
5 industry analysts. I've appeared before this Board
6 twice, before the British Columbia Utilities Commission
7 several times and before the State Commissions of
8 Washington, Oregon, Idaho, Montana, Arizona, California,
9 Illinois, Hawaii.

10 I'm also an associate with a group called
11 the Regulatory Assistance Project which is based in the
12 State of Maine. RAP advises regulatory bodies throughout
13 the world on implementation of effective utility
14 oversight programs.

15 In that role I have participated as a
16 trainer and technical consultant in programs, both
17 domestically and overseas, in India, China, the
18 Philippines, Brazil, Namibia, Mozambique and most
19 recently, the country of Marishes (phonetic).

20 I testified before TREE and RCM in two (2)
21 previous proceedings involving Manitoba Hydro.

22 DR. PETER MILLER: Thank you. We
23 circulated evidence and interrogatory responses do you --

24 THE CHAIRPERSON: Professor Miller, sorry
25 to interrupt --

1 DR. PETER MILLER: Yes --

2 THE CHAIRPERSON: -- just on process.

3 Ms. Fernandes or Ms. Bowman, do you have any difficulties
4 with Mr. Lazar's credentials?

5 MS. MYFANWY BOWMAN: I don't.

6 MS. ODETTE FERNANDES: We don't either.

7

8 CONTINUED BY DR. PETER MILLER:

9 DR. PETER MILLER: Thank you.

10 We -- we previously circulated initial
11 evidence and then interrogatory responses that you wrote.
12 Do you adopt that evidence, the written evidence that was
13 circulated earlier?

14 MR. JAMES LAZAR: Yes.

15 DR. PETER MILLER: Do you have any
16 corrections that you would like to call to our attention?

17 MR. JAMES LAZAR: There -- there were
18 substitute exhibits for JL-4 and JL-6 that I believe have
19 been previously circulated, and I want to make sure
20 people are using the revisions. And there is a revision
21 that comes from JL-6 that carries forward to page 2 of
22 the written evidence.

23 On page 2, at line 40, the number 170
24 million per year came from the original JL-6 and once
25 that was corrected that number in JL-6 now reads 388

1 million, and the text should be revised on page 2, line
2 40, from one seventy (170) to three eighty-eight (388).

3 DR. PETER MILLER: Thank you. With those
4 corrections to JL-4, JL-6 and page 2, is -- is that the
5 evidence then that you adopt?

6 MR. JAMES LAZAR: Yes, it is.

7 DR. PETER MILLER: Thank you.

8 What is the purpose of your evidence in
9 this proceeding?

10 MR. JAMES LAZAR: I've been asked to
11 review the -- the Company's evidence and cost of service
12 methodologies, to comment on those methodologies and to
13 recommend alternatives which may more accurately reflect
14 the total costs of providing service, including
15 environmental costs.

16 Initially, I expected to go the next step
17 into rate design and the application of the originally
18 requested revenue increase, but that part of the
19 proceeding was truncated.

20 DR. PETER MILLER: Thank you.

21 And what are the principal findings that
22 you present?

23 MR. JAMES LAZAR: Well, first and
24 foremost, I find that the -- the recommended method that
25 Manitoba Hydro has presented is a progressive step

1 forward and improves the accuracy of cost determination
2 and allocation in Manitoba.

3 However, even this improved method still
4 uses all of the net export revenues to offset utility
5 costs to Manitoba consumers. This is inefficient in an
6 economic sense, as consumers see prices that fail to
7 reflect the full cost of providing service by almost any
8 measure. Customers are assigned only 78 percent of the
9 embedded costs of providing the service.

10 Given experience in the past where -- with
11 the government appropriating a dividend from Manitoba
12 Hydro, this may not reflect the level of revenues
13 Manitoba Hydro needs to cover -- needs to collect to
14 cover all of its costs. And in -- in a severe drought it
15 could be equally serious.

16 Second, I present alternatives that build
17 upon this recommended method. The alternatives that I
18 present incorporate marginal environmental costs
19 associated with energy consumption during the various
20 rate periods that are used in the recommended method.

21 When these are included it shows that the
22 residential class is providing a higher revenue to cost
23 ratio than shown in the results of the recommended
24 method, simply because energy costs and the -- you know,
25 the -- the environmental costs associated with general --

1 with generation are least significant for this class and
2 for the small general service class.

3 On the other hand, the most significant
4 impact is to the large general service class, for whom
5 generation costs are by far the majority of their cost of
6 service.

7 Because any reduction in electricity
8 consumption in Manitoba results in lower emissions from
9 power plants, fossil-fired power plants in the export
10 market, and because the majority of those of those are
11 coal-fired power plants, I recommend that the PUB direct
12 Manitoba Hydro to consider emissions to be an opportunity
13 cost associated with energy consumption for all classes
14 in Manitoba.

15 Third, I estimate the difference for each
16 class between current revenues and the costs associated
17 with applying marginal generation costs in place of
18 embedded generation costs. Manitoba Hydro has indicated
19 that marginal energy costs are eight point five eight
20 (8.58) cents per kilowatt hour in the winter and four
21 point eight nine (4.89) cents in the summer. These are
22 dramatically higher, more than twice, the generation
23 costs that are included in current rates.

24 Fourth, I estimate the difference for each
25 class between current revenues and the costs associated

1 with providing their service including marginal
2 generation costs and the CO2 opportunity costs.

3 Fifth, based on elasticity estimates
4 provided by Manitoba Hydro I have estimated that total
5 electricity consumption in Manitoba could be reduced by
6 something on the order of 30 percent if these marginal
7 costs were utilized in setting marginal rates.

8 Based on the estimate of marginal
9 generation costs that could be recovered from the export
10 market this could lead to a net inflow of funds to
11 Manitoba of as much as \$388 million a year. While I do
12 not, repeat, do not, recommend moving rates up this much
13 in any short period of time, doing so could be a
14 significant stimulus overall to the Manitoba economy.

15 Finally, I make the observation that the
16 current method and recommended method both that net
17 export revenue is divided among the Manitoba Hydro
18 customer classes based, primarily, on electricity usage.

19 I believe that this principle puts the
20 entire net benefit at risk for Manitoba citizens. I say
21 this because if you continue to apply the export credit
22 to rates the rates that a new large electro-process
23 industrial customer might see would be so attractive, and
24 current rates are that attractive, that you're likely to
25 attract a few extremely large energy intensive

1 industries.

2 Those new industries could consume the
3 surplus power, wipe out the export earnings, drive up the
4 cost of electricity for every business in Manitoba, for
5 every household in Manitoba, and if it was an aluminum
6 smelter, as probably the most extreme example of a high
7 electricity consumption to job ratio industry, provide
8 really very few jobs and very little other revenue to the
9 province.

10 Taking steps to prevent this, I believe,
11 is probably crucial to the health of Manitoba and I'm
12 pleased to see from the record that's come before you
13 that Manitoba Hydro has recognized that issue and is
14 apparently taking some steps towards addressing that, at
15 least for electro-process industry.

16 DR. PETER MILLER: Thank you. I should
17 pause to -- to acknowledge in our audience the executive
18 director of Resource Conservation Manitoba, Randall
19 McQuaker and Mariah Mailman and Carolyn Garley
20 (phonetic). And, oh, Liz, behind a chair there. Liz
21 Dykeman (phonetic) who is the Chair of the Board of RCM.

22 In your elasticity analysis you calculated
23 that full cost pricing that embodied both marginal
24 generation costs and CO2 costs in the price of
25 electricity could lead to a domestic load reduction of

1 over 30 percent which, if exported, would bring an
2 additional 388 million into the province.

3 Do you recommend that the PUB -- to the
4 PUB that Manitoba Hydro should implement such prices as a
5 result of this proceeding?

6 MR. JAMES LAZAR: No, definitely not.
7 This, as I understand it, is not a rate hearing and the
8 tariffs are not at issue. This is a hearing on the cost
9 of service methodology.

10 However, I think it's important for the
11 Utility, the PUB and the Government of Manitoba to
12 seriously considering moving gradually in that direction,
13 in the longer run.

14 And perhaps in the short run with respect
15 to incremental large loads that might come onto the
16 system.

17 MR. ROBERT MAYER: Mr. Lazar, I hate to
18 interrupt, but I haven't read your evidence and I may be
19 the only person in the room that will have this concern
20 because I live there.

21 But, where I live we don't really have a
22 lot of option in terms of how we heat. We can heat by
23 propane which is incredibly expensive. We can heat by
24 oil which is likewise expensive or we can heat by wood,
25 which as I understand is not a good plan in terms of the

1 environment, if my experience from Whitehorse is any
2 indication.

3 There's no elasticity in terms of when I
4 have to turn my furnace on. When it is minus forty (40),
5 I do have to have my furnace on. And if we start moving
6 to rates like that, I could probably afford it but, I
7 know an awful number of people where I live that could
8 not.

9 How do we deal with that?

10 MR. JAMES LAZAR: My -- my evidence
11 actually addresses that in a couple of ways. And my
12 previous testimony before this Board has addressed it, as
13 well.

14 First of all, the -- from an economist --
15 from a pure economic perspective, the decision of how to
16 heat your house, how much to heat your house and how much
17 to insulate your house, really ought to be based upon a
18 comparison of the marginal economic and environment costs
19 of oil versus propane versus wood versus electricity.

20 And that's just sort of a textbook
21 economists answer. And right now you have a market
22 driven cost for propane and oil that don't reflect the
23 environmental costs but do reflect marginal costs, and a
24 regulated price for electricity that does not.

25 So the economist says that you're working

1 with bad information in making your decisions.

2 MR. ROBERT MAYER: Well, unfortunately,
3 Mr. Lazar, many of us didn't build our houses and we
4 purchased them and they were built in the '60's and '70's
5 to a large extent. Although they're -- a number of us
6 have done some insulation work, it would be major, major
7 renovations to make them what Hydro would now call energy
8 efficient homes.

9 MR. JAMES LAZAR: I understand that, I've
10 now finished being the textbook economist.

11 MR. ROBERT MAYER: Okay.

12 MR. JAMES LAZAR: I'm going to turn into
13 somebody a little bit more pragmatic if I may. The next
14 step that I've discussed previously before the Board is a
15 rate design that recognizes that natural gas is not an
16 option in parts of the Province.

17 And that what I recommended last time I
18 was before the Board is that in all areas of the Province
19 where natural gas is not available at the street, that a
20 different rate design be used in the residential sector
21 to recognize that pretty much those people are going to
22 either have electric heat or be up against oil and
23 propane prices.

24 So that any kind of a rate design would
25 recognize providing a -- at least an essential level of

1 electric space heating at a -- I'll call it at Hydro
2 based rate for customers for whom natural gas is not an
3 option.

4 And the third place where my testimony in
5 this proceeding touches on the problem you describe is
6 that a significant portion of the export dividend could
7 be used to augment energy efficiency programs that may be
8 available and cost effective for retrofit of existing
9 structures and for improving the efficiency of new
10 structures.

11 And I guess finally, you know, one (1) of
12 the things that I recommended in this testimony if one
13 goes the -- if the Government of Manitoba decides to go
14 the next step and increase rates above the Utility's
15 embedded costs, which is sort of you know the threshold
16 that I think the PUB has historically worked within, but
17 if the recommendations that I made over the long run to
18 actually incorporate marginal costs rather than embedded
19 costs and incorporate environmental costs. That -- that
20 would produce additional substantial amount of revenue
21 that Hydro wouldn't need for its operations and that
22 money could be invested in a whole host of -- of ways.

23 And as long as they're unrelated to
24 electricity consumption or reduced electricity
25 consumption, they'll be more socially beneficial than

1 leaving the rates at lower than the economic level. And
2 investing that money in resource alternatives for people
3 who don't have a lot of choices is probably a viable
4 option.

5 MR. ROBERT MAYER: Thank you.

6

7 CONTINUED BY DR. PETER MILLER:

8 DR. PETER MILLER: Thank you, Mr. Mayer.
9 You picked up my script because I was just going on to
10 customer impacts. You've done that for me. So I'll --
11 I'll move ahead.

12 Wouldn't higher electrical rates encourage
13 some people to convert to natural gas or propane? And
14 wouldn't that increase global greenhouse gas emissions
15 now displaced by electric space and water heating in
16 Manitoba?

17 MR. JAMES LAZAR: In a narrow sense, in
18 Manitoba, yes, I expect some people would convert, and
19 that would increase greenhouse gas emissions in Manitoba.
20 But, at the same time, it would free up electricity that
21 would be sold into an export market that is primarily
22 coal-fuelled and that the margin is often fuelled by
23 natural gas but at relatively low conversion efficiency.

24 Greenhouse gas emissions in Manitoba would
25 increase slightly, but greenhouse gas emissions in the

1 export provinces and states would be reduced by a much
2 larger amount. The net greenhouse gas emissions would be
3 lower.

4

5

(BRIEF PAUSE)

6

7 DR. PETER MILLER: You earlier observed
8 that this isn't a rate hearing, but isn't the cost of
9 service a tool in rate-making, and how might your full
10 cost accounting cost of service be used in rate setting
11 and other planning and operations at Manitoba Hydro?

12 MR. JAMES LAZAR: Well, first and
13 foremost, it can be used for determining the class
14 revenue responsibility, which is historically the primary
15 function of the -- the cost of service study. And I've
16 provided in my evidence indexed revenue to cost ratios
17 for each of the alternatives that I've presented that
18 could serve as that guide.

19 It could be used to set the cost
20 effectiveness threshold for conservation programs. It
21 could be used to guide rate design, particularly for the
22 end blocks of inverted rates for the residential sector
23 or for the incremental rates for rolling baseline general
24 service rates, so that general service customers would at
25 least see something resembling marginal cost in making

1 their incremental consumption decisions.

2 DR. PETER MILLER: If a future rate
3 hearing were to determine that Manitoba Hydro's revenue
4 requirement is significantly less than the amount that
5 full cost pricing would yield, how might the full cost
6 analysis cost that you've designed be employed to
7 allocate that revenue requirement to the various customer
8 classes?

9 MR. JAMES LAZAR: With a constrained
10 revenue requirement, we kind of move out of the
11 efficiency realm and into the equity realm. And, in that
12 context, using my analysis or future evolution of that
13 type of analysis, I would say that all shares -- all
14 classes should contribute either their share of the
15 embedded revenue requirement, their share of the embedded
16 revenue requirement plus emission costs, or their share
17 of the full cost revenue requirement, which I'll define
18 as marginal costs plus emission costs.

19 The analysis that I -- that -- the
20 analysis that Hydro presented in the recommended method
21 is useful for the first, allocating the embedded revenue
22 requirement. My analyses are useful for the second and
23 third options, given that, at present, CO2 is not being
24 assigned a price in the marketplace very effectively.
25 It's not really a part of the embedded revenue

1 requirement; that could, and I think, will change in the
2 future at which point my method would also apply to the
3 first option; that is allocating the embedded revenue
4 requirement.

5 DR. PETER MILLER: What are the reasons
6 to prefer your full cost accounting costs to Manitoba
7 Hydro's recommended costs in rate setting?

8 MR. JAMES LAZAR: The cost of service
9 studies that I present including both the ones that use
10 embedded cost plus emissions and those using marginal
11 generation costs plus emissions I believe provide a more
12 accurate picture of the total share of costs that each
13 customer class ultimately causes to be incurred.

14 I know it's a bit of a stretch to include
15 environmental costs, particularly those that physically
16 occur south of the border in the US and being from there
17 I'm particularly suspect in making this -- this analysis,
18 but greenhouse gases know no borders.

19 Frankly, it's not the ice cap of Nebraska
20 that's going to melt and raise the levels of -- of the
21 world's oceans. It's going to be ice caps that are far
22 to the north of Nebraska that are going to melt.

23 I would agree in a minute that US buyers
24 of Manitoba Hydro power should be paying a price that
25 includes the greenhouse gas emissions that they avoid by

1 such purchases. If and when the US imposes a CO2
2 emissions tax those markets will evolve, perhaps after
3 another US election cycle probably not before, and when
4 that occurs it will be obvious that this is a value
5 associated with consuming electricity in Manitoba because
6 those greenhouse gas taxes will increase what Wisconsin
7 is willing to pay for power that it imports from
8 Manitoba.

9 Until then it's just a matter of kind of
10 doing the right thing, or at least thinking about doing
11 the right thing.

12 DR. PETER MILLER: Are you aware of any
13 other utilities which have done the right thing and
14 incorporated environmental costs in rates?

15 MR. JAMES LAZAR: I've provided in one of
16 the information requests reference to a tariff in Denmark
17 that explicitly includes a carbon dioxide adder. Since
18 then I've learned that the municipal utility of Seattle,
19 Washington, Seattle City Light directly funds the
20 incremental cost of bio-diesel that is used by transit
21 busses and ferries that serve the City.

22 It does that in order to take credit for
23 the CO2 emission reductions in the transportation system
24 to meet its own voluntary self-imposed CO2 emission cap.
25 In effect, what they've done is they've increased

1 electricity rates to their customers to provide the funds
2 to reduce greenhouse gas emissions off of their system.

3 DR. PETER MILLER: In your evidence do
4 you explicitly state that you are not advocating massive
5 rate increases based on full cost accounting?

6 MR. JAMES LAZAR: Yes, I do. In several
7 places I testify that a decision of that type would be a
8 policy issue for the Public Utility Board and the
9 government of Manitoba.

10 My evidence quantifies the energy savings
11 that I think would result. It quantifies the increased
12 export revenues that I think would be generated. I state
13 and I believe that this would result in a net increase in
14 the welfare of Manitoba. A portion, to be fair, would be
15 offset by higher expenditures to a province to the West
16 for natural gas and propane to the extent that higher
17 prices resulted in fuel substitution.

18 But on balance it would be a -- I think a
19 huge economic benefit to Canada and to Manitoba in
20 particular.

21 DR. PETER MILLER: In your evidence do
22 you explicitly consider the impact that significant rate
23 increases would have on Manitoba's existing industrial
24 customers to complement the residential side?

25 MR. JAMES LAZAR: Yes, I specifically

1 testify that some way of protecting existing local
2 industries, those who are using local raw materials or
3 recycled -- materials that are recycled in close
4 proximity to Manitoba and who have made significant plant
5 investments based on a reasonable expectation of very low
6 electric rates, some way of protecting these folks is
7 important.

8 And I've testified in the past of ways
9 that general service rate design could accomplish that.
10 I've also stated in my evidence however that addressing
11 the potential for large new electricity intensive
12 industry is crucial.

13 And Manitoba Hydro has taken some steps in
14 that direction. I have no way of knowing if my testimony
15 nudged them along or if I just sort of appeared in the
16 middle of a path that they were already on.

17 I do think, and this is based on
18 experience worldwide, where I've examined the behaviour
19 of the aluminum industry in Australia, in New Zealand, in
20 the United States and Canada, most recently in Mozambique
21 and Bahrain, that that industry searches the world for
22 low electricity rates.

23 That's the biggest factor in their cost of
24 production. The location of a large aluminum smelter or
25 two (2) here would suck up all of the surplus power

1 that's now being exported. They would have under the
2 current tariff's a very attractive retail rate, and
3 Manitoba would lose the much higher export revenues its
4 receiving.

5 If that happened under the current method
6 of allocating the export surplus the problem would become
7 much less contentious among the parties because you'd be
8 allocating a nice round number like zero.

9 That would drive up rates for all of the
10 existing industries from Inco in the north to industries
11 here in Winnipeg. It would drive up the rates for this
12 office building. It would drive up rates for retailers
13 and for homes and to be fair, that smelter would provide
14 dozens of new jobs here in Manitoba.

15 But nothing comparable -- my calculations
16 are that the sub City per job that smelters typically
17 extract is on the order of between \$100,000 and \$200,000
18 per year per job. And that's the kind of industry that
19 maybe you don't want to attract.

20 DR. PETER MILLER: Have you reviewed the
21 presentations by MIPUG members regarding the impact that
22 high rates would have on certain local industries?

23 MR. JAMES LAZAR: Yes I have -- I did
24 receive and reviewed the presentation that was given to
25 the Board I guess last week. And it seemed to me that

1 the industry that was used as an example was the
2 AmeriSteel plant, which as I understand it is a recycled
3 steel smelter.

4 And that plant was using about 50
5 megawatts of power and providing about five hundred (500)
6 jobs. It turns out that's about average for the MIPUG
7 members. Their presentation indicated that they employ
8 directly about four thousand (4000) people and use about
9 4 billion kilowatt hours per year, which is about 450
10 average megawatts of power.

11 By contrast, when you get into
12 manufacturing industries, I'll just the Boeing company as
13 an example because I know them. They use about 50
14 average megawatts of power in the Puget Sound area and
15 employ about fifty thousand (50,000) workers.

16 So the same consumption as one (1) steel
17 recycle mill and one hundred (100) times the employment.
18 Of course, at the other end of the spectrum a large
19 aluminium smelter would consume something like 500
20 megawatts of power, ten (10) times as much as AmeriSteel
21 and have about the same employment, about five hundred
22 (500) workers.

23 And my understanding is that chlor-alkali
24 is about almost as energy -- electricity intensive as
25 aluminum.

1 So while some of the MIPUG members are
2 much more electricity intensive than a technical industry
3 like transportation equipment manufacturing, most of them
4 are much less electricity intensive than the kind of
5 industry that I fear, that is the kind of industry that I
6 feel that Manitoba Hydro's current industrial rates
7 invite.

8 My real concern is that inviting chlor-
9 alkali aluminum or another electro-process industry,
10 where electricity isn't a tool in making something, it is
11 a component of making something, that they would come to
12 Manitoba just for the cheap power.

13 I'm much less concerned about the impact
14 of industries that use native Manitoba raw materials or
15 recycled materials and happen to use a lot of electricity
16 to process that raw material. Those kind of industries
17 provide substantial collateral benefits to the local
18 economy.

19 The rolling baseline rate concept that
20 I've discussed here in the past may address that. If you
21 give every customer, say, 85 percent of their historical
22 usage at embedded cost prices and any usage above that is
23 at an incremental price, you protect existing industries
24 because they'd be getting the overwhelming majority of
25 their power at a traditional regulated price.

1 But you would also discourage a new
2 industry that is electricity intensive from locating
3 here. And by doing so you would protect the ability of
4 Manitoba Hydro to continue to offer attractive prices to
5 the existing industries.

6 DR. PETER MILLER: What tools are
7 available to Manitoba Hydro and the PUB to address the
8 risk of a large energy intensive industry locating here
9 and devouring the export earnings surplus?

10 MR. JAMES LAZAR: Well, Mr. Weins has
11 testified to some of these already. You know, vintaging
12 of -- of customers is one option. Requiring large
13 increases in load by any customer to pay marginal cost is
14 another. An outright ban on large new loads is another.

15 I'm an economist and, therefore, I
16 generally favour using pricing tools rather than
17 prohibitions to accomplish that.

18 I think that the rolling baseline rate
19 concept has a lot of promise to protect existing
20 industrial customers while giving customers that have an
21 ability to expand a legitimate way to do so and
22 eventually to become grandfathered into the system. A
23 marginal cost rate for all large new customers, similar
24 to what we have on Bonneville power administration system
25 would be another.

1 DR. PETER MILLER: How would you define
2 "large new customer" in this context?

3 MR. JAMES LAZAR: Well, I think it would
4 -- it would really merit some study. I'd probably survey
5 existing non-electro-process general service large
6 customers to find out what is their usage per employee.
7 I would, you know, be looking at the mines and mills and
8 manufacturers, but not the electro-process industries,
9 chlor-alkali or some of the other air separation, some of
10 those that for which electricity is really an input.

11 And I'd set -- I'd set the threshold based
12 upon what are our current industrial customers using.
13 You know, I mean, for the Boeing company it's about one
14 (1) kilowatt per employee, 10,000 kilowatt hours a year.
15 For the kinds of industries you have here it's
16 substantially more than that.

17 But I'd set some kind of a threshold and
18 tying it to the number of employees may be a reasonable
19 way to do it. And then usage above that threshold,
20 however it's set, would be subject to the rate based on
21 marginal cost.

22 That way you'd be protecting the current
23 low costs or, from another perspective, subsidizing
24 labour-intensive industries that provide a lot of jobs
25 relative to the power consumption. You'd be inviting new

1 industries that have an average or better ratio of energy
2 to employment. And you'd be collecting marginal cost
3 based rates for excess consumption so that everybody
4 else's rates don't go up when an energy intensive
5 industry locates here or expands.

6 DR. PETER MILLER: And I think you've
7 already added to that the notion of inverted rates to get
8 incremental price of incremental usage closeage (sic) to
9 marginal costs?

10 MR. JAMES LAZAR: Yes. And Mr. Wiens has
11 already testified it's pretty easy to set residential
12 rates that are inverted and provide a marginal cost based
13 price for the tail block. It's a lot tougher for
14 industrial customers.

15 But I think there are some ways to set the
16 incremental rates to reflect incremental usage and the
17 rolling baseline concept is the one (1) that I've found
18 most fair to existing customers and most effective at
19 ensuring that new customers recognize and compensate the
20 system for the costs that they have caused.

21 DR. PETER MILLER: What tactics do you
22 recommend be explored for larger customers?

23 MR. JAMES LAZAR: Well, I -- I think -- I
24 think I've answered that. The rolling baseline rate
25 approach is -- is the one (1) that makes most sense to

1 me. But this is a very creative utility. I would gladly
2 trade the rate staff at most of the utilities I work with
3 for Mr. Wiens.

4 I'm not sure I can convince the utility to
5 let go of him but there may be some -- some other options
6 that -- that I haven't thought of that will work well for
7 Manitoba.

8 DR. PETER MILLER: Can you produce any
9 examples of how this might work?

10 MR. JAMES LAZAR: Well, the -- there
11 aren't many, in the electric industry, customer specific
12 rates. During -- there have been periods when marginal
13 costs were, during the power surplus period, the marginal
14 costs were way below average costs and the utilities
15 offered economic development rates that gave new
16 customers lower rates than everybody else.

17 If we were creative enough to do that we
18 ought to be able to apply the same concept under
19 different economic circumstances with marginal costs
20 above average rates.

21 But we're always talking about, sort of, a
22 customer specific rate. And I've looked around and
23 discovered that there's a whole industry that figured
24 this out a long time ago. One that I don't normally
25 think of is at the vanguard of creative rate making and

1 that's the sewer utility industry.

2 Many sewer utilities -- they don't have
3 meters on the sewer to measure how much goes down the
4 drain and probably because they have a hard time hiring
5 maintenance staff to work on those meters. But they do
6 have meters on the water that comes into every building.

7 And what sewer utilities do is they look
8 at like the December, January, February water consumption
9 and they assume that substantially all of that is going
10 down the drain and they base each customers' sewer volume
11 charge on their winter water consumption.

12 And so if I use five thousand (5,000)
13 gallons of water a month -- excuse me, twenty thousand
14 (20,000) litres of water a month in the winter I will pay
15 for twenty thousand (20,000) litres of sewer service all
16 year long.

17 And if Dr. Miller uses ten thousand
18 (10,000) litres of water a month in December, January and
19 February, he pays for ten thousand (10,000) litres of
20 sewer service throughout the year. Individual customer
21 rates.

22 If the sewer industry's customer
23 information systems can keep track of customer individual
24 pricing, it shouldn't be too big a stretch for a
25 sophisticated electric utility to -- to figure it out

1 also.

2 I mean, the theory in the sewer industry
3 is, in the summertime a lot of water goes in the garden
4 and they don't have to treat it. It doesn't ever wind up
5 in the sewer and so they don't charge customers for the
6 extra consumption that occurs in the summer.

7 Anyway, I think that customer specific
8 rates are -- are not, first of all, they're not
9 unprecedented. There's this industry we never thought to
10 look at that does it and they're not that complicated to
11 implement.

12 DR. PETER MILLER: Thanks. I think I'll
13 skip the next one, it's the one you've already responded
14 to.

15 MR. JAMES LAZAR: Yes.

16 DR. PETER MILLER: Do you have a specific
17 recommendation in this proceeding for a set of priorities
18 for application of the export class net income?

19 MR. JAMES LAZAR: Yes, I think the
20 guiding principle should be that as much as possible the
21 export revenue should be utilized in a way that does not
22 increase electricity consumption in Manitoba.

23 There's no certainty that that export
24 dividend will be there forever. It is volatile in
25 relationship to water conditions. It is volatile in

1 relationship to export prices which in turn are dependant
2 upon natural gas prices, which are volatile.

3 So, first the decision I think you've
4 already made to offset the impact of the uniform rates
5 legislation is appropriate. There's no reason that
6 industrial customers in Thompson should subsidize the
7 rural residential distribution costs in the far north.

8 Nor, is there any reason why an industrial
9 customer in Winnipeg should do that. There's no reason
10 why a residential customer in Winnipeg should subsidize
11 the rural distribution costs that occur in the more
12 expensive zones.

13 The export dividend, a pot of money that
14 doesn't really belong to any customer, no customer is
15 paying rates that recover those costs, is an appropriate
16 way to fund it.

17 Second and this is something, a conclusion
18 I've come to since I've drafted my evidence, but since
19 reading the record here. I think it's important to get
20 Manitoba Hydro finances in line, in order. To get their
21 finances up to the point where they can handle a serious
22 drought without having to resort to drastic or sudden
23 rate increases under those conditions.

24 Whether that's done by raising the equity
25 ratio up to 25 or 35 percent, or by building up a

1 segregated drought fund, a drought reserve, isn't really
2 important to me, it's maybe important to the accountants
3 but not to an economist.

4 I spend an awful lot of my time
5 criticizing American utilities who are asking for 45 or
6 55 percent equity in their regulatory hearings. I think
7 that's too much. But, below 20 percent is too little.

8 So, a significant part of the export
9 dividend and particularly maybe the dividend that's being
10 accrued now when export prices are higher than were
11 expected when current rates were set, I think ought to go
12 to building financial reserves.

13 Third, funding energy efficiency programs
14 is a natural application of this fund. Doing so is
15 consistent with the sustainability goals of Manitoba. It
16 reduces electric bills in Manitoba. It creates jobs for
17 conservation vendors in Manitoba.

18 And it also increases the revenues from
19 export sales because that electricity isn't used in
20 Manitoba and can be sold somewhere else. So to some
21 extent that's a self-financing result.

22 Fourth, funding low income energy
23 assistance programs to provide the basic essentials of
24 modern life to individuals who are destitute will have a
25 minimal impact on total consumption. Those people don't

1 use a lot of electricity. And it will provide some
2 modicum of a 21st century lifestyle to those who can't
3 now afford it.

4 Finally, you might give thought to an
5 approach that the Oregon Commission formerly used. For
6 many years marginal costs in Oregon were way above their
7 embedded costs. And the Oregon PUC dealt with that under
8 advice from NERA, National Economic Research Associates,
9 the same consultant that's assisted Manitoba Hydro in
10 this work, used them to offset the basic distribution
11 infrastructure costs.

12 Those costs that Professor Bonbright
13 testifies are not really allocable. The joint costs that
14 aren't really customer related like metres and metre
15 reading, aren't really demand related, like incremental
16 transmission capacity and aren't really energy related
17 like generation.

18 This is the basic cost of having a network
19 of poles and wires and transformers around a service
20 territory that have to be there regardless of usage
21 level.

22 Bonbright said forty-five (45) years ago
23 that the basic distribution infrastructure was strictly
24 inallocable.

25 Those elements of the distribution system

1 are really an elastic. People are going to hook up to
2 the electric grid whether it's \$5 a month or \$15 a month.
3 They're going to have a refrigerator. I suppose there
4 are propane refrigerators, but you don't see them much,
5 even in Hawaii where electricity is twenty-five (25) and
6 thirty (30) cents a kilowatt hour.

7 What Oregon did is, until marginal costs
8 and rates came more closely into balance, they just threw
9 those costs out of the cost of service study altogether.
10 That would be sort of the -- the last option that comes
11 to my mind within the current, kind of, role of the Board
12 as I see it.

13 DR. PETER MILLER: What would be the
14 result of the steps that you just outlined?

15 MR. JAMES LAZAR: I think those steps
16 would -- would absorb substantially all of the current
17 export dividend. It -- all classes would then pay rates
18 based on the embedded costs of the service they received,
19 except for elements that you've decided to specifically
20 subsidise, the inelastic elements or the -- the socially
21 important elements. At that point, rates would equal
22 embedded costs. That's still a lot lower than marginal
23 costs.

24 The tremendous benefits to the Manitoba
25 economy of the current level of export earnings would be

1 retained for the benefit of the population of Manitoba.
2 They'd get it in different ways than through their
3 electric bill but they'd still get basically every penny.

4 And I contrast that to the alternative,
5 which is the historical method, flowing it all back to
6 customers based on their usage, or what I call the
7 biggest-piggy-gets-the-most-slop method. Because I --
8 because I fear that that approach will attract electro-
9 process industry to Manitoba, as that approach has in
10 Ghana, in Mozambique, in Bahrain most recently, and
11 historically did to the Pacific Northwest, British
12 Columbia, Australia, New Zealand and the Tennessee
13 Valley.

14 DR. PETER MILLER: Thank you for that,
15 Mr. Lazar.

16 And with that, the witness is available
17 for cross-examination.

18 THE CHAIRPERSON: Thank you, Mr. Lazar,
19 Professor Miller.

20 I'm just looking here -- first one up
21 would be CCEP, Mr. Feldschmid. He's not here, so we'll
22 move along the list.

23 Mr. Buhr, is he here, for the City of
24 Winnipeg?

25 MR. BOB PETERS: Mr. Chairman, if I can

1 just interrupt. I -- I hope my comments this morning
2 didn't disrupt the order of process. While Mr. Williams
3 wasn't here, Ms. Bowman was here I believe to cross-
4 examine Mr. Lazar.

5 THE CHAIRPERSON: Yes. I was just trying
6 to take care of the Intervenors that I had noted that
7 weren't here, just for the record.

8 MR. BOB PETERS: Okay. Thank you.

9 THE CHAIRPERSON: Now we will go back to
10 Ms. Bowman, and you can commence your cross-examination
11 for CAC/MSOS.

12 MS. MYFANWY BOWMAN: Thank you, Mr.
13 Chair. If I can just have a moment to consult with Mr.
14 Harper.

15 THE CHAIRPERSON: Yes. In fact, what
16 we'll do then is we'll just take our fifteen (15) minute
17 break right now, allow everyone to prepare for the cross-
18 examination. Thank you.

19 MS. MYFANWY BOWMAN: Thank you. I
20 appreciate it.

21

22 --- Upon recessing at 9:59 a.m.

23 --- Upon resuming at 10:22 a.m.

24

25 THE CHAIRPERSON: Ms. Bowman, anytime you

1 wish to begin.

2 MS. MYFANWY BOWMAN: Perhaps we should
3 wait for Mr. Evans.

4 THE CHAIRPERSON: Professor Miller, are
5 you ready to go?

6 DR. PETER MILLER: Sure we are.

7 THE CHAIRPERSON: Okay, Ms. Bowman...?

8 MS. MYFANWY BOWMAN: Thank you Mr. Chair,
9 Members of the Panel. I'll try and speak up this time.

10

11 CROSS-EXAMINATION BY MS. MYFANWY BOWMAN:

12 MS. MYFANWY BOWMAN: Mr. Lazar, thank you
13 for joining us this morning. I was very pleased to hear
14 in your direct evidence that you, in fact, are familiar
15 with Mr. Bonbright. You will find that he had made
16 devotees here. And I'm going to ask you a couple of
17 questions about him.

18 You would agree with me that Mr. Bonbright
19 prescribes three (3) primary rate criteria -- he
20 describes a number but there are three (3) that he would
21 describe as primary; is that fair? Yes?

22 MR. JAMES LAZAR: Well, the -- it's only
23 a four hundred and fifty (450) page book and it was
24 published in 1961, and I have read the whole thing but
25 I'm not sure I -- I would identify only three (3)

1 with me that the cost of service is only one (1) element
2 in the process of rate setting?

3 MR. JAMES LAZAR: Yes.

4 MS. MYFANWY BOWMAN: And the other
5 elements would be the revenue -- extended revenue
6 requirement and rate design?

7 MR. JAMES LAZAR: Well, to me, that --
8 that is true, but to me -- and -- and Bonbright is -- is
9 fairly clear about this, that cost is only one (1) thing
10 that a regulator will consider, that impacts on the
11 service territory, gradualism, you know, social impacts,
12 are also things that a regulator will consider in
13 addition to cost.

14 MS. MYFANWY BOWMAN: You foresaw my
15 question.

16 And, in fact, there would be other factors
17 than those mentioned that would also be legitimate
18 considerations; would you agree with that?

19 MR. JAMES LAZAR: You're -- can you bring
20 the mike a little closer or talk a little slower or --

21 THE CHAIRPERSON: I think the problem --

22 MR. JAMES LAZAR: -- hit me so I listen a
23 little faster.

24 THE CHAIRPERSON: I think part of the
25 problem is, is that both of you are leaving off on your

1 mikes when you finish speaking, so it might be affecting
2 the way it picks up.

3 MS. MYFANWY BOWMAN: I apologize. I'll
4 try and stop doing that.

5 THE CHAIRPERSON: It's actually both of
6 you.

7

8 (BRIEF PAUSE)

9

10 CONTINUED BY MS. MYFANWY BOWMAN:

11 MS. MYFANWY BOWMAN: Would you agree with
12 me also that there are other factors that would be
13 legitimate considerations in terms of setting rates?

14 MR. JAMES LAZAR: Yes.

15 MS. MYFANWY BOWMAN: And those factors
16 might include equity and fairness?

17 MR. JAMES LAZAR: Yes.

18 MS. MYFANWY BOWMAN: Impact on the
19 regional economy?

20 MR. JAMES LAZAR: Yes.

21 MS. MYFANWY BOWMAN: Impacts on
22 disadvantaged citizens?

23 MR. JAMES LAZAR: Yes.

24 MS. MYFANWY BOWMAN: And there may well
25 be other legitimate criteria that we haven't discussed?

1 MR. JAMES LAZAR: Many. An impact on the
2 environment would be one that I would clearly add that I
3 don't think, in 1961, Professor Bonbright included.

4 MS. MYFANWY BOWMAN: Fair enough.

5 Would you also agree with me that cost of
6 service studies require analysis and judgment?

7 MR. JAMES LAZAR: Yes.

8 MS. MYFANWY BOWMAN: Would you also agree
9 that there are literally dozens of different methods used
10 to calculate electric cost of service and none of them
11 are precisely correct?

12 MR. JAMES LAZAR: No. I think there are
13 hundreds and none of them are precisely correct.

14 MS. MYFANWY BOWMAN: I stand corrected.

15

16 (BRIEF PAUSE)

17

18 MS. MYFANWY BOWMAN: When I reviewed your
19 report I noticed that you said and -- and you continue to
20 agree that, first and foremost, you find that the
21 recommended method of computing cost of service advocated
22 by Manitoba Hydro is a progressive step forward.

23 You would agree with that statement?

24 MR. JAMES LAZAR: Yes.

25 MS. MYFANWY BOWMAN: You believe that it

1 improves the accuracy of cost determinations and
2 allocation in Manitoba?

3 MR. JAMES LAZAR: Yes.

4 MS. MYFANWY BOWMAN: And you believe all
5 of the changes proposed are improvements and should be
6 approved by the Public Utilities Board?

7 MR. JAMES LAZAR: Well, I think on
8 balance the -- the proposal is a significant improvement.
9 If I were to do an item-by-item-by-item evaluation of
10 each and every change I'm sure I would find one (1) that
11 I might approach slightly differently. But I'm not sure,
12 given that none of the methods are precisely correct, I
13 think it's important to look at things in the whole.

14 Certainly, I would continue to disagree
15 with Manitoba Hydro on the treatment of the basic
16 distribution infrastructure which -- which they classify
17 a portion of as customer related that I would not.

18 MS. MYFANWY BOWMAN: But on the whole you
19 would?

20 MR. JAMES LAZAR: The changes I think are
21 -- are -- are an improvement. There's still a few things
22 I would do differently.

23 MS. MYFANWY BOWMAN: And I appreciate
24 that, having read your report. But on the whole you also
25 note that the change from generation and transmission

1 only with respect to the allocation of net export revenue
2 to the recommended method offsetting all utility costs,
3 you find that a definite improvement in economic
4 efficiency?

5 MR. JAMES LAZAR: Yes, I find that a
6 definite improvement.

7

8 (BRIEF PAUSE)

9

10 MS. MYFANWY BOWMAN: The focus of your
11 report, in large part, is environmental and at one point
12 you say that the key issue relating to the environmental
13 impact of electric supply for Manitoba Hydro customers is
14 the -- I think what you call avoidable CO2 emissions in
15 export markets.

16 Those emissions that can be avoided by
17 conservation in Manitoba?

18 MR. JAMES LAZAR: Yes.

19 MS. MYFANWY BOWMAN: And your report
20 focusses specifically on that issue?

21 MR. JAMES LAZAR: Yes. I -- I mean,
22 there are also mercury emissions and some other but I
23 limited my analysis to carbon dioxide.

24 MS. MYFANWY BOWMAN: And that was because
25 you wanted to keep it simple?

1 MR. JAMES LAZAR: Correct.

2 MS. MYFANWY BOWMAN: You would agree with
3 me that almost all human activity would have an impact on
4 the environment?

5 MR. JAMES LAZAR: Yes, although some of
6 them are positive. Death, in particular, occurs to me as
7 one that has a positive impact on the environment. We
8 create fertilizer and quit doing all the other things
9 that we do.

10 MS. MYFANWY BOWMAN: We'll make a note of
11 that. And you would agree, therefore, that different
12 generation choices would have environmental impacts?

13 MR. JAMES LAZAR: Yes, absolutely.

14 MS. MYFANWY BOWMAN: And that would
15 include generation choices made by Manitoba Hydro?

16 MR. JAMES LAZAR: That's correct.

17 MS. MYFANWY BOWMAN: And many of the
18 environmental impacts of generation choices made by
19 Manitoba Hydro will be felt here in Manitoba; would that
20 be fair?

21 MR. JAMES LAZAR: Some of them would.
22 The CO2 emissions would not particularly be felt in
23 Manitoba. They would be felt globally. And, you know,
24 unless they became so concentrated that there wasn't
25 enough oxygen for people to breath, the CO2 emissions

1 generally are not.

2 And depending upon the dispersion of other
3 pollutants most of the impacts of the acid rain that was
4 being produced by Illinois and Indiana and Michigan power
5 plants was much more seriously affecting Canada than the
6 US which led to a treaty between the countries to start
7 addressing those.

8 MS. MYFANWY BOWMAN: So if I understand
9 your point, there's certainly some migration, but you
10 would also agree with me that many of Manitoba Hydro's
11 choices would also potentially have impacts felt here at
12 home?

13 MR. JAMES LAZAR: Absolutely. I think
14 when Manitoba Hydro builds a dam and floods some area
15 that was formerly used for something else that impact is
16 felt unambiguously in Manitoba.

17 If it's a combustion resource and things
18 go up the stack that impact is sensed more broadly and if
19 a wind resource causes bird mortality those are migratory
20 birds and that impact is felt in -- throughout the
21 migratory path of the birds. So if it's mostly in
22 Manitoba, it's mostly in Manitoba. Some are more
23 localized, some are more global.

24 MS. MYFANWY BOWMAN: You seem to have
25 great insight into where I'm going this morning. So

1 let's talk a little bit about some of those environmental
2 impacts. As I understand it Hydro can potentially have a
3 number of impacts, one of which can be flooding; is that
4 right?

5 MR. JAMES LAZAR: Yes.

6 MS. MYFANWY BOWMAN: And flooding can
7 have impacts on the people resident in the area,
8 trappers, fishers, harvesters, hunters, people who are
9 using that land for whatever reason?

10 MR. JAMES LAZAR: Yes. Although I guess
11 I don't know the management of the Manitoba Hydro system
12 nearly as well as I know others. But clearly when you
13 build a dam you impound water and that causes some
14 flooding.

15 But also once you have a hydro system you
16 have the ability to absorb inflows of water that may
17 allow you to -- to prevent flooding that would otherwise
18 occur and that flood control is one of the historical
19 purposes that the multi-purpose dams built, for example,
20 by the Army Corps of Engineers or the Bureau of
21 Reclamation in the US are --are justified on as flood
22 control.

23 So flooding can be both a -- from a human
24 perspective both a positive and a negative impact,
25 although those floods -- those floods also were what

1 provided nutrients to the soil and we've since discovered
2 all that flood control is requiring application of
3 chemical fertilizers that we didn't used to need.

4 And so in the global sense maybe that
5 flood control isn't such a good thing.

6 MS. MYFANWY BOWMAN: Would it be fair to
7 say then that it's a very complex system of
8 interconnected impacts --

9 MR. JAMES LAZAR: Yes --

10 MS. MYFANWY BOWMAN: -- that can often be
11 hard to predict?

12 MR. JAMES LAZAR: They're complex,
13 they're hard to predict. We've developed quite a bit of
14 science of predicting them and that's why both in Canada
15 and in the US, extensive environmental analysis is
16 required of major projects.

17 MS. MYFANWY BOWMAN: Absolutely. Some of
18 the other potential impacts related to Hydro projects can
19 be changes to water flow patterns, not just in an area
20 that might be flooded, but downstream as well. Would
21 that be fair?

22 MR. JAMES LAZAR: Yes, definitely.

23 MS. MYFANWY BOWMAN: Other potential
24 impacts might be changes in habitat?

25 MR. JAMES LAZAR: Habitat, fishery

1 migration, fishery spawning.

2 MS. MYFANWY BOWMAN: I understand that
3 water turbines can be a little tough on fish too?

4 MR. JAMES LAZAR: They can and in
5 addition the nitrogen super saturation that occurs when
6 water is released from dams can be hard on fish. Even if
7 you can pass the fish around the turbines, you wind up
8 with the gas make-up of the water isn't what the fish
9 evolved to handle.

10 MS. MYFANWY BOWMAN: If we look at
11 natural gas fired generation, obviously there's the
12 potential for the generation of CO2?

13 MR. JAMES LAZAR: Yes.

14 MS. MYFANWY BOWMAN: And emissions other
15 than CO2, sulphur dioxide, whatever?

16 MR. JAMES LAZAR: Virtually no sulphur
17 dioxide, the nitrogen oxides can be quite significant.
18 Water vapour can cause, as I understand it, localized
19 climate impacts.

20 MS. MYFANWY BOWMAN: There's also water
21 demands in terms of cooling?

22 MR. JAMES LAZAR: Yes, although there are
23 techniques to truly minimize those. One of my clients,
24 the City of Burbank in California just built a 250
25 megawatt power plant that uses sewage effluent for all of

1 its cooling water make-up and the plant was designed to
2 have zero liquid discharge.

3 All of the water is recycled and recycled
4 until it's either steam in the air or solids that are
5 landfill. There's no discharges to a stream whatsoever
6 of the water used. So the water side of it is probably
7 the most managed and manageable at this point.

8 MS. MYFANWY BOWMAN: But the degree to
9 which that's managed will also depend -- vary from plant
10 to plant?

11 MR. JAMES LAZAR: Yes.

12 MS. MYFANWY BOWMAN: And again with
13 natural gas there are issues with resource extraction?

14 MR. JAMES LAZAR: There are issues with
15 resource extraction, with resource treatment, with
16 pipeline construction and with cost.

17 MS. MYFANWY BOWMAN: A lot to think
18 about?

19 MR. JAMES LAZAR: Yes.

20 MS. MYFANWY BOWMAN: If we talk about
21 coal fire generation, again we have CO₂, sulphur dioxide,
22 nitrogen oxides things like that?

23 MR. JAMES LAZAR: Mercury is a big one
24 that I would add and the extraction impacts are often
25 going to be quite severe.

1 MS. MYFANWY BOWMAN: There's also issues
2 sometimes with thermal discharge and again water cooling
3 demands?

4 MR. JAMES LAZAR: Yes.

5 MS. MYFANWY BOWMAN: And I understand
6 there can be issues with waste disposal, as well?

7 MR. JAMES LAZAR: Yes the slag is -- can
8 be a large quantity of material.

9 MS. MYFANWY BOWMAN: If we look at wind
10 generation, I understand noise can be an issue?

11 MR. JAMES LAZAR: Noise was a bigger
12 issue in the past with smaller wind turbines that spun
13 fast. The big news ones turn pretty slow and I
14 understand noise is a much smaller problem than it was.

15 MS. MYFANWY BOWMAN: It might still be a
16 consideration, but less so.

17 MR. JAMES LAZAR: A consideration.

18 MS. MYFANWY BOWMAN: Visual disturbance
19 is also a consideration?

20 MR. JAMES LAZAR: Not everyone shares my
21 sense that wind turbines are beautiful.

22 MS. MYFANWY BOWMAN: Perhaps if we painted
23 them. I understand that they can also be difficult for
24 birds and bats, hard on their populations?

25

1 MR. JAMES LAZAR: Yes. Although, again,
2 the newer turbines that are much slower are a lot easier
3 on birds and bats. I think actually my cat does more
4 damage to the bird population than the average wind
5 turbine.

6 MS. MYFANWY BOWMAN: So depending on the
7 age and the technology they're have a greater or lesser
8 issues in terms of birds and bats?

9 MR. JAMES LAZAR: Yeah. They do have
10 impacts and those impacts have been mitigated by
11 technological evolution.

12 MS. MYFANWY BOWMAN: To some extent?

13 MR. JAMES LAZAR: To some extent.

14 MS. MYFANWY BOWMAN: If we talk about
15 transmission and distribution those particular
16 transmission can have impacts in terms of habitat change
17 and bi-section of migration routes, things like that?

18 MR. JAMES LAZAR: Yes. And one of the
19 more serious impacts is the impact on -- on bees and the
20 pollination that -- that the bees are responsible for.
21 Farmers have wound up having to spend a lot more on
22 pollination as a result of -- if they're in the vicinity
23 of transmission lines.

24 It's a mitigatable cost but it's one that
25 was a little bit of a surprise to some people.

1 MS. MYFANWY BOWMAN: Difficult to
2 foresee?

3 MR. JAMES LAZAR: Sorry?

4 MS. MYFANWY BOWMAN: If was difficult to
5 foresee?

6 MR. JAMES LAZAR: It was not foreseen and
7 it did -- it did occur.

8 MS. MYFANWY BOWMAN: And even if we look
9 at something as environmentally friendly as DSM, demand
10 side management, we still potentially have issues with
11 waste disposal?

12 MR. JAMES LAZAR: We have issues with the
13 manufacturing of the materials. We have issues of waste
14 disposal. Improperly installed we can have issues with
15 indoor air quality.

16 I guess what we're getting to is there's
17 no such thing as a free lunch.

18 MS. MYFANWY BOWMAN: Thank you. You
19 would also agree that it is almost impossible, if not
20 completely impossible, to list all of the potential
21 impacts?

22 MR. JAMES LAZAR: Yes. The purpose of
23 the environmental review process is to identify as many
24 as reasonably can be identified and quantified and until
25 we're -- until we know everything we -- we can't do it

1 well. And I guess the solution is to hire 16 year olds
2 to do our environmental impact statements because they
3 know everything.

4 MS. MYFANWY BOWMAN: They just won't have
5 their jobs for very long.

6 One of the proposals contained in your
7 report is to include the notional cost of the CO2 emitted
8 in other jurisdictions which is theoretically avoidable
9 if use in Manitoba is reduced; do I understand you
10 correctly?

11 MR. JAMES LAZAR: Yes, I think you state
12 it very well.

13 MS. MYFANWY BOWMAN: Now, the CO2 that
14 you're referring to is not the CO2 that is being produced
15 by Manitoba Hydro in its generation?

16 MR. JAMES LAZAR: That's correct.

17 MS. MYFANWY BOWMAN: The CO2 is being
18 produced in other jurisdictions by other generators?

19 MR. JAMES LAZAR: Yes.

20 MS. MYFANWY BOWMAN: And that would
21 obviously be as a result of their generation choices?

22 MR. JAMES LAZAR: Correct. And I suppose
23 some trivial -- some tiny percent of Manitoba Hydro
24 generation is thermal and that might be mitigated but
25 that's not where the action is. The action is in the

1 export markets.

2 MS. MYFANWY BOWMAN: That's certainly not
3 what you were talking about in your report?

4 MR. JAMES LAZAR: No. 99.7 percent of
5 what I'm talking about is elsewhere.

6 MS. MYFANWY BOWMAN: And the CO2
7 emissions that you're talking about in your report do not
8 actually constitute an out of pocket expense for Manitoba
9 Hydro at this time?

10 MR. JAMES LAZAR: Do not cause an expense
11 nor generally produce a revenue. If and when they start
12 producing a revenue for Manitoba Hydro, that somebody's
13 willing to pay to have the -- the Hydro power to displace
14 their thermal power and willing to pay for the CO2, the
15 math gets a lot easier. They are no longer notional
16 costs. They're real numbers.

17 MS. MYFANWY BOWMAN: It would presumably
18 have some kind of impact on our export prices?

19 MR. JAMES LAZAR: Correct.

20 MS. MYFANWY BOWMAN: You would also agree
21 with me that when or if a CO2 tax is introduced it will
22 presumably be payable by the person or company emitting
23 the CO2?

24 MR. JAMES LAZAR: I think that's the most
25 likely outcome. It may be imposed at the point of

1 extraction or first import is another approach to do it
2 as -- rather than cause every driver of every automobile
3 to remit their CO2 emission costs, to tax the oil when
4 it's extracted from the ground or imported into the
5 country.

6 But it will -- it will be paid ultimately
7 either by the person emitting it or in the fuel cost of
8 the person emitting it.

9 MS. MYFANWY BOWMAN: Now, you would agree
10 with me that Manitoba Hydro has natural gas generation
11 stations both at Brandon and Selkirk?

12 MR. JAMES LAZAR: Yes.

13 MS. MYFANWY BOWMAN: You would also agree
14 that Manitoba Hydro has one (1) coal-burning unit, also
15 at Brandon, unit number 5?

16 MR. JAMES LAZAR: Yes, that's my
17 understanding.

18 MS. MYFANWY BOWMAN: Manitoba Hydro has
19 diesel stations?

20 MR. JAMES LAZAR: A few. Fewer than it
21 used to.

22 MS. MYFANWY BOWMAN: Correct. You'd also
23 agree that all of those stations, when they operate,
24 would emit CO2 among other things?

25 MR. JAMES LAZAR: Yes.

1 MS. MYFANWY BOWMAN: Would you agree with
2 me as well that Manitoba Hydro CO2 emissions would be
3 affected by a number of factors, and I will give you a
4 couple of examples.

5 Water levels. In periods of drought
6 Manitoba Hydro would likely increase its thermal
7 generation.

8 MR. JAMES LAZAR: Yes, to the extent that
9 it was more economical to operate their thermal plant
10 than to import power.

11 MS. MYFANWY BOWMAN: That was going to be
12 my next factor. That export prices might also -- or
13 import prices might affect how often our thermal stations
14 are run.

15 MR. JAMES LAZAR: Yes.

16 MS. MYFANWY BOWMAN: And export prices
17 would also affect how often those thermal stations are
18 run and, therefore, what Manitoba Hydro CO2 emissions
19 would be?

20 MR. JAMES LAZAR: Yes.

21 MS. MYFANWY BOWMAN: And you are aware
22 that Manitoba Hydro runs the Brandon coal unit for export
23 purposes?

24 MR. JAMES LAZAR: That's my
25 understanding.

1 MS. MYFANWY BOWMAN: You are aware as
2 well that Manitoba Hydro imports power?

3 MR. JAMES LAZAR: Yes.

4 MS. MYFANWY BOWMAN: And they do that
5 sometimes to supplement domestic supply, particular in a
6 period of drought?

7 MR. JAMES LAZAR: Sometimes they do it
8 during a -- a drought and sometimes they do it when they
9 can buy off, they can sell on, they equally might do just
10 to -- to arbitrage the market.

11 MS. MYFANWY BOWMAN: Once again, you are
12 prescient, you saw where I was going.

13 And the power that Manitoba Hydro
14 purchases is generally produced in the United States?

15 MR. JAMES LAZAR: That's -- I don't think
16 I -- you know, I assume that is true but I don't think
17 I've ever actually looked at any data that I can -- I can
18 cite to. So I -- I'll accept that subject to check.

19 MS. MYFANWY BOWMAN: If I were to tell
20 you that was the evidence of the Manitoba Hydro
21 representatives at this hearing, would you accept that
22 evidence?

23 MR. JAMES LAZAR: Yes.

24 MS. MYFANWY BOWMAN: And you would agree
25 with me that power purchased from the United States would

1 primarily be sourced from coal and natural gas.

2 MR. JAMES LAZAR: Yes.

3 MS. MYFANWY BOWMAN: I'm going to ask you
4 to turn to the tables to your report. I'd like to just
5 go through them a little bit. And I'm going to ask you
6 to start with JL-2, page 1.

7

8 (BRIEF PAUSE)

9

10 MS. MYFANWY BOWMAN: Now, this chart, as
11 I understand it, reflects use of energy by various
12 classes at various periods.

13 Is that right?

14 MR. JAMES LAZAR: Yes.

15 MS. MYFANWY BOWMAN: And you would agree
16 with me that the numbers reflected here would vary
17 depending on a number of things, including for example
18 changes in consumption choices?

19 MR. JAMES LAZAR: Yes.

20 MS. MYFANWY BOWMAN: They might reflect -
21 - they might vary depending on changes in technology or
22 pricing of technology?

23 MR. JAMES LAZAR: Yes.

24 MS. MYFANWY BOWMAN: They might, if we're
25 lucky, vary depending on DSM programming?

1 MR. JAMES LAZAR: Luck will have little
2 to do with it. If we're skilful, we will affect them and
3 if we're sloppy, we won't, but I don't think it's luck.

4 MS. MYFANWY BOWMAN: Fair enough. But
5 you would agree that DSM programming, if properly done,
6 will hopefully have an impact on those numbers?

7 MR. JAMES LAZAR: Yes.

8 MS. MYFANWY BOWMAN: You would agree as
9 well that changes in -- in industrial or other user
10 profiles might have an impact on those numbers?

11 MR. JAMES LAZAR: These numbers, as I
12 understand it, are a snapshot at a point in time and they
13 will be affected by anything and everything that changes
14 from that moment forward.

15 MS. MYFANWY BOWMAN: Precisely. Thank
16 you.

17 If you can look next at JL-2, page 2. As
18 I understand it, this table shows marginal resources in
19 export markets by period, and then you estimate CO2
20 emissions.

21 Is that right?

22 MR. JAMES LAZAR: That's correct.

23 MS. MYFANWY BOWMAN: And in order to
24 estimate those CO2 emissions you took information that
25 was based on averages from the Midwest area.

1 Is that right?

2 MR. JAMES LAZAR: Yes, it was the mid-
3 west independent system operator data. So it's not just
4 mid-west. The term, mid-west, is a little bit vague.
5 The Mid-west ISO defines a specific group of utilities
6 that coordinate their planning and operation.

7 MS. MYFANWY BOWMAN: So it could be
8 significantly larger than the mid-west potentially?

9 MR. JAMES LAZAR: It's -- it depends
10 where you live, where the mid-west is. My relatives in
11 New York think of Pennsylvania as the mid-west and I live
12 on the west coast and I think of Pennsylvania as the east
13 coast. But, the Mid-west ISO is you know, Wisconsin,
14 Minnesota, the Dakotas, Iowa, parts of Illinois, I mean
15 it's a -- down into Missouri.

16 It's a part of the country -- of the
17 United States that is sort of mid-country but it's called
18 mid-west.

19 MS. MYFANWY BOWMAN: And in fact,
20 Manitoba is apparently a member.

21 MR. JAMES LAZAR: Apparently, yes.

22 MS. MYFANWY BOWMAN: And the information
23 that you used to estimate is based on information that's
24 averaged from that whole area?

25 MR. JAMES LAZAR: It's not even that

1 precise. It's information that I estimated from a
2 particular information response that Hydro provided me
3 and which I then asked them if their sense of the data
4 was about the same as mine, and they said yeah that looks
5 about right.

6 So I don't want to represent this as a
7 hourly study of the dispatch of seven hundred thirty
8 (730) power plants that make up the Mid-west ISO. This
9 is looking at a few tables that they produced based upon
10 summer and winter operations and making an approximate
11 judgment based on that.

12 You'll notice that the percentage of
13 generation numbers are fairly round numbers.

14 MS. MYFANWY BOWMAN: That's a fair
15 statement. So you would agree then that the actual
16 numbers, if we were to look contract by contract, where
17 Manitoba Hydro is displacing emissions, the numbers could
18 be precisely the same or they could be wildly different,
19 it's hard to predict?

20 MR. JAMES LAZAR: I don't think they
21 would be wildly different. I'm certain they would be
22 somewhat different. I know I'm not perfect but, I don't
23 think I'm out of the ballpark here either.

24 MS. MYFANWY BOWMAN: The numbers would
25 depend on where Manitoba Hydro's actually selling power

1 to?

2 MR. JAMES LAZAR: Depends on where and it
3 depends on what hours. The hours at which they can get
4 the highest prices are typically the hours when gas
5 generation is operating and they seek to manage their
6 system to take advantage of that market opportunity.

7 If there was a carbon tax imposed, the
8 cost structure would change, the dispatch order would
9 change and the operation of the Manitoba Hydro system
10 would probably change in response to a changing market
11 dynamic.

12 MS. MYFANWY BOWMAN: So the crystal ball
13 gets a little murky after a while?

14 MR. JAMES LAZAR: Yeah.

15 MS. MYFANWY BOWMAN: You would also agree
16 with me that marginal resources in use can vary over
17 time?

18 MR. JAMES LAZAR: Yes.

19 MS. MYFANWY BOWMAN: And it can vary
20 based on fuel prices?

21 MR. JAMES LAZAR: Yes.

22 MS. MYFANWY BOWMAN: They can vary based
23 on environmental initiatives such as a CO2 tax or
24 something else?

25 MR. JAMES LAZAR: Yes.

1 MS. MYFANWY BOWMAN: They could vary
2 based on what kinds of new generation plants are
3 available?

4 MR. JAMES LAZAR: Yes. Probably the
5 biggest variation recently has been the failure of one
6 (1) railroad bridge across one (1) river which
7 constrained the ability of the railroads to move coal out
8 of the Powder River basin into the mid-west and forced a
9 significant shift to the use of high sulphur Appalachian
10 coal or natural gas.

11 Both of which drove up the cost of
12 generation in the mid-west significantly. And my
13 understanding is that railroad bridge is fixed and the
14 trains are rolling again and prices have mitigated.

15 MS. MYFANWY BOWMAN: But, that was
16 something that would have been difficult to predict
17 probably?

18 MR. JAMES LAZAR: It wasn't predicted, it
19 was not a scheduled repair. They wouldn't have scheduled
20 it for a time when natural gas prices were ten (10) plus
21 dollars a million, they would have scheduled it for
22 during the spring run off or something.

23 MS. MYFANWY BOWMAN: I'm going to look at
24 JL-2 page 3, and this is as I understand it, your attempt
25 to quantify emissions that are avoidable if Manitoba

1 decreases its consumption; is that right?

2 MR. JAMES LAZAR: Yes.

3 MS. MYFANWY BOWMAN: And again this is
4 not based on a CO2 charge that is currently being imposed
5 on Manitoba Hydro, this is notional only, is that right?

6 MR. JAMES LAZAR: Yes. I estimated it at
7 \$10 a ton and then multiplied that to get what it would
8 be at different values, but it's -- it's not a charge
9 that's currently being imposed.

10 MS. MYFANWY BOWMAN: And you would agree
11 with me that the calculations that you've done here
12 depend on the numbers from pages 1 and 2 that we just
13 looked at and changes in those previous tables would have
14 implications for the numbers that we're looking at on
15 page 3.

16 MR. JAMES LAZAR: Yes.

17 MS. MYFANWY BOWMAN: And if we turn then
18 to JLS, page 3, if I understand what you've done here --
19 sorry, JLS-3, page 1. I apologize.

20 MR. JAMES LAZAR: JL --

21 MS. MYFANWY BOWMAN: JL --

22 MR. JAMES LAZAR: -- 2?

23 MS. MYFANWY BOWMAN: JL-3, page 1.

24 MR. JAMES LAZAR: JL-3 --

25 MS. MYFANWY BOWMAN: That should be the

1 next one you have, yes? You have that?

2 MR. JAMES LAZAR: Yes.

3 MS. MYFANWY BOWMAN: If I understand what
4 you've done here, you've added this notional CO2 cost
5 into total cost by customer class and you've calculated
6 RCC's on that basis.

7 Is that right?

8 MR. JAMES LAZAR: Yes. I've calculated
9 both a revenue to cost ratio without application of the
10 export dividend. And the next to the last column, for
11 example, with residential at 68 percent and general
12 service small non-demand at 77 percent, and I've
13 calculated those same things indexed to one (1).

14 The index ratios are sort of -- put
15 everything on a -- in a context that the Board and -- and
16 the parties have generally been familiar with seeing in
17 other proceedings.

18 MS. MYFANWY BOWMAN: And us non-
19 economists. It makes it easier for us --

20 MR. JAMES LAZAR: Well --

21 MS. MYFANWY BOWMAN: -- non-economists as
22 well.

23 MR. JAMES LAZAR: It makes it easy for a
24 non -- well, you know, actually, the -- the non-indexed
25 revenue to cost ratio to me is -- is the most relevant.

1 Are people paying their cost of -- of service.

2 We know that under the current
3 circumstances the export class is paying more than its
4 cost of service because there's this dividend for people
5 to fight over. And I guess I would describe, as long as
6 a class is not paying more than 100 percent in the column
7 labelled "RCC Ratio" they are not subsidizing anybody,
8 they are being subsidized.

9 And if that column broke 100 percent, then
10 I think a class might have a legitimate argument that its
11 rates are above cost.

12 MS. MYFANWY BOWMAN: Now, as I understand
13 these calculations, they flow from the tables we just
14 talked about in Exhibit JL-2.

15 MR. JAMES LAZAR: Yes.

16 MS. MYFANWY BOWMAN: Is that right?

17 So they would depend on the numbers in the
18 calculations in the pages in JL-2?

19 MR. JAMES LAZAR: Correct.

20 MS. MYFANWY BOWMAN: So anything that
21 changed the numbers in the various pages of JL-2 would
22 affect the numbers that we're looking at here in JL-3?

23 MR. JAMES LAZAR: Yes.

24 MS. MYFANWY BOWMAN: And that would also
25 be true for pages 2 and 3 of this exhibit, which are --

1 are your calculations of different values.

2 MR. JAMES LAZAR: Yes.

3

4 (BRIEF PAUSE)

5

6 MS. MYFANWY BOWMAN: Just bear with me
7 for a minute, please.

8

9 (BRIEF PAUSE)

10

11 MS. MYFANWY BOWMAN: If we look at JL-3,
12 page 4, it's sort of a summary of the RCC's at various
13 values for CO2.

14 MR. JAMES LAZAR: Yes.

15 MS. MYFANWY BOWMAN: And, as I understand
16 it, the changes in the RCC's reflect that some classes,
17 particularly industrial classes, use -- use large amounts
18 of energy in all time periods, including those where the
19 marginal resource and the export market is coal and
20 therefore associated with maximum emissions.

21 Is that right?

22 MR. JAMES LAZAR: Yes.

23 MS. MYFANWY BOWMAN: And some classes,
24 and particularly residential, would use most of their
25 energy at peak times when the marginal resource and the

1 export market is gas or coal and gas and therefore
2 associated with lower emissions.

3 Is that also right?

4 MR. JAMES LAZAR: Yes.

5 MS. MYFANWY BOWMAN: In a general sense,
6 obviously.

7 MR. JAMES LAZAR: Different classes have
8 their usage different time periods and the marginal
9 resources during those time periods are different.
10 That's why I did the study based upon the time periods.

11 In previous cases I don't think Manitoba
12 Hydro produced the time period data by -- by customer
13 class. It was done as part of the -- the NERA
14 methodology update and I thought it was sensible to use it
15 because the market marginal resources are significantly
16 different, particularly summer versus winter.

17 MS. MYFANWY BOWMAN: And again, these
18 RCC's depend on the calculations and assumptions that
19 we've talked about in all the preceding pages?

20 MR. JAMES LAZAR: Correct.

21

22 (BRIEF PAUSE)

23

24 MS. MYFANWY BOWMAN: I have a handout
25 that might help the Board and Members here to follow

1 where I'm going next, so I'm just going to pass that out
2 if I might.

3 THE CHAIRPERSON: Absolutely.

4 MS. MYFANWY BOWMAN: I have a bunch of
5 copies that are highlighted and I have some extras that
6 aren't, just in case I run out, so we will see.

7

8 (BRIEF PAUSE)

9

10 THE CHAIRPERSON: We have it Ms. Bowman.
11 Perhaps for ease of handling we should give it an Exhibit
12 number.

13 MS. MYFANWY BOWMAN: Please.

14 THE CHAIRPERSON: CAC/MSOS 6.

15

16 --- EXHIBIT NO. CAC/MSOS-6: Copies of the last several
17 JL-4, JL-5 and JL-6, different versions
18 that have been circulated

19

20 MS. MYFANWY BOWMAN: Thank you Mr. Chair.
21 And just for the record it consists of copies of the last
22 several JL-4, JL-5 and JL-6, the different versions that
23 have been circulated just so that everyone has everything
24 in front of them.

25 THE CHAIRPERSON: Would you mind pulling

1 the speaker thing a little bit closer to you? Thank
2 you.

3

4 CONTINUED BY MS. MYFANWY BOWMAN:

5 MS. MYFANWY BOWMAN: Now if we look at
6 JL-4 page 1, here what you're doing is substituting
7 marginal generation costs in the cost of service, is that
8 right?

9 MR. JAMES LAZAR: Yes.

10 MS. MYFANWY BOWMAN: And I have three (3)
11 versions. The original version that was included in your
12 report and then two (2) that were attached to an email
13 dated April the 28th, 2006.

14 MR. JAMES LAZAR: Yes.

15 MS. MYFANWY BOWMAN: And if we look at
16 version number 2 and I've marked them 1 of 3, 2 of 3 and
17 3 of 3, so if you look at 2 of 3 -- it should be the
18 second page in.

19 MR. JAMES LAZAR: Okay, I'm there.

20 MS. MYFANWY BOWMAN: And it's marked at
21 the top 2 of 3, corrected version email April 28th, 2006
22 PDF.

23 MR. JAMES LAZAR: Yes.

24 MS. MYFANWY BOWMAN: And this was
25 received attached to an email I believe from Mr. Miller

1 saying that it corrected column B, row 8, which is area
2 and roadway lighting, with minor effects on the other
3 highlighted cells which are 8(c), (e), (f) and 9(b) and
4 (f), is that right?

5 MR. JAMES LAZAR: Yes.

6 MS. MYFANWY BOWMAN: And the information
7 as to what was being corrected, was that provided by you
8 or is that referred by Mr. Miller, do you recall?

9 MR. JAMES LAZAR: One of his colleagues
10 caught my mistake and then I went ahead and said, yeah,
11 it looks like you caught my mistake.

12 MS. MYFANWY BOWMAN: Fair enough. In
13 fact, if you go through and -- I'll back up. So the
14 changes that were highlighted were the ones I just listed
15 in lines 8 and 9 and also up at the top under the ratio
16 between marginal and average generation, that was changed
17 I believe by one (1) percentage point, is that right?

18 MR. JAMES LAZAR: That was changed
19 because the area and roadway lighting had a lower
20 generation cost than the other classes so it had a
21 trivial effect on that ratio of the existing average
22 generation costs.

23 MS. MYFANWY BOWMAN: And did those
24 changes flow from a change in the kilowatt hours that
25 you're attributing to area and roadway lighting?

1 MR. JAMES LAZAR: Yes.

2 MS. MYFANWY BOWMAN: And can I ask how
3 that came to be, was it just a number written down wrong
4 or what happened there?

5 MR. JAMES LAZAR: How the change came to
6 be? I had the wrong number in there.

7 MS. MYFANWY BOWMAN: So it was simply a
8 question of having written down the wrong number as
9 opposed to something else?

10 MR. JAMES LAZAR: Yes.

11 MS. MYFANWY BOWMAN: And then the changes
12 in line 8 and 9 obviously flow from that?

13 MR. JAMES LAZAR: Correct.

14 MS. MYFANWY BOWMAN: If you --

15 MR. JAMES LAZAR: The correction was in
16 b-8, the kilowatt hours for area and roadway lighting.
17 That changed the ratio, marginal costs didn't change and
18 everything else that did change, changed because of the
19 area roadway lighting.

20 MS. MYFANWY BOWMAN: So just so that I
21 understand, the email references the changes to lines 8
22 and 9 but, in fact you'll find that every number in
23 columns c), e) and f) changed. And is that because of
24 the change in the ratio?

25 MR. JAMES LAZAR: It's all driven by the

1 change in cell b-8 --

2 MS. MYFANWY BOWMAN: Okay.

3 MR. JAMES LAZAR: -- the area and roadway
4 lighting kilowatt hours.

5 MS. MYFANWY BOWMAN: All right. And then
6 this copy, this version deletes column (I) which was the
7 indexed RCC, was that simply an error or do you recall
8 how that came to be?

9 MR. JAMES LAZAR: I think that was an
10 error.

11 MS. MYFANWY BOWMAN: All right. And so
12 that's what version --

13 MR. JAMES LAZAR: I think that happened
14 in the conversion from the spreadsheet to PDF.

15 MS. MYFANWY BOWMAN: Fair enough. And so
16 version 3 of 3, the next page shows the indexed RCC, so
17 column (I) has reappeared?

18 MR. JAMES LAZAR: Yes.

19

20 (BRIEF PAUSE)

21

22 MS. MYFANWY BOWMAN: And just so the
23 Board can follow, the highlighting that I have done
24 simply reflects the change from version to version.

25 MR. ROBERT MAYER: Are we entitled to

1 assume that of this, the only one we need is 3 of 3?

2 MR. JAMES LAZAR: Yes.

3 MR. ROBERT MAYER: The rest are errors
4 or --

5 MR. JAMES LAZAR: The rest are errors
6 that we've tried to correct.

7 MR. ROBERT MAYER: Thank you.

8 MR. JAMES LAZAR: The rest are errors
9 that we have corrected. We haven't corrected the errors
10 that we haven't yet discovered, if there are any.

11

12 CONTINUED BY MS. MYFANWY BOWMAN:

13 MS. MYFANWY BOWMAN: And the purpose of
14 this table is to try and incorporate the marginal costs
15 into the cost of service study?

16 MR. JAMES LAZAR: Substituting the
17 marginal cost of generation into the cost of service
18 study. Mr. Wiens addresses in his evidence the
19 substitution of additional marginal costs into the cost
20 of service study, which is I think also a useful
21 discussion to have, but isn't something that I did in my
22 evidence.

23 MS. MYFANWY BOWMAN: So we're dealing
24 just with marginal generation costs?

25 MR. JAMES LAZAR: Just the generation

1 side.

2 MS. MYFANWY BOWMAN: And as I understand
3 it marginal generation costs for Manitoba Hydro are based
4 on export prices?

5 MR. JAMES LAZAR: Yes.

6 MS. MYFANWY BOWMAN: And as I understand
7 it and I'm new to Hydro so this is all new to me, export
8 prices can vary based on the price of coal?

9 MR. JAMES LAZAR: Yes, during those hours
10 when coal plants are the marginal resource.

11 MS. MYFANWY BOWMAN: They could also
12 potentially vary based on the price of natural gas?

13 MR. JAMES LAZAR: Yes during those hours
14 when natural gas is the marginal resource.

15 MS. MYFANWY BOWMAN: They could
16 potentially vary depending on weather, a hot summer or a
17 particularly cold winter?

18 MR. JAMES LAZAR: Yes.

19 MS. MYFANWY BOWMAN: They could vary
20 depending on water levels here and elsewhere?

21 MR. JAMES LAZAR: Yes.

22 MS. MYFANWY BOWMAN: They could vary
23 depending on other things related to supply and demand?

24 MR. JAMES LAZAR: Yes, my understanding
25 is that what Manitoba Hydro did is they estimated a

1 marginal cost over a multi-year period based upon a range
2 of weather conditions. And at any moment it's a safe bet
3 that the marginal cost is different from this.

4 But, it was -- my understanding is it was
5 their estimate of what they expected on average over a
6 multi-year period.

7 MS. MYFANWY BOWMAN: But the actual price
8 at any time could be quite different?

9 MR. JAMES LAZAR: Yes.

10 MS. MYFANWY BOWMAN: Would you agree with
11 me, as well, that one (1) purpose of a cost of service
12 study is to enable consumers to understand how costs and
13 revenues are allocated?

14 MR. JAMES LAZAR: Well, maybe about three
15 (3) dozen consumers, those that are in this room. I
16 would think it's a safe bet that the other 1 million or
17 so consumers of Manitoba Hydro haven't got a clue what
18 this is about or would be capable of understanding it
19 without the amount of effort that everybody in this room
20 has put in to trying to understand this stuff.

21 MR. ROBERT MAYER: From my discussions at
22 my favourite places after work, I agree with you. When
23 asked what are you doing here, it is really difficult to
24 explain.

25 MR. JAMES LAZAR: The purpose is to allow

1 a bunch of geeks to understand those relationships, I
2 don't think it's to enable ordinary consumers to
3 understand those relationships. They have to --

4 MS. MYFANWY BOWMAN: Some might take
5 offence at that.

6 MR. JAMES LAZAR: Ordinary consumers are
7 put in a position of trusting that the Board has done its
8 best to understand this and applied its judgment to the
9 results.

10

11 CONTINUED BY MS. MYFANWY BOWMAN:

12 MS. MYFANWY BOWMAN: So in your view
13 transparency would not be important?

14 MR. JAMES LAZAR: I think transparency is
15 important and I think that being able to have an
16 auditable, traceable logic between what we as experts
17 present to the Board and then in the Board's order a
18 logical and transparent explanation of how they've used
19 that data and interpreted it, that is readable to a
20 slightly larger group of the general public, maybe
21 including two (2) newspaper reporters plus the people in
22 this room, the people that actually read the orders, is
23 important.

24 But ultimately consumers find out about
25 this either by looking at the rate schedules, and now

1 we've added several hundred more consumers, or by looking
2 at their bills, and then we've added several thousand
3 more, or by looking at their bank statements when their
4 automatic payment gets entered into the Quicken account
5 at the of the month, and then we've picked up almost --
6 you know, those that actually keep track of how much
7 they've paid.

8 Then there's a whole bunch of consumers
9 that pay their bills and don't have -- don't look at how
10 much they consumed, don't pay a lot of attention how much
11 they pay, and as long as it's smaller than their house
12 payment and smaller than their car payment -- in the case
13 of Manitoba, smaller than their liquid refreshment
14 payments in a lot of cases -- it's just not a big thing
15 to worry about.

16 MS. MYFANWY BOWMAN: So to some extent
17 transparency would be significant.

18 MR. JAMES LAZAR: I think transparency is
19 important but I don't think it reaches the -- the average
20 guy who's -- you know, a school teacher or a factory
21 worker or -- or a homemaker.

22 MS. MYFANWY BOWMAN: If we can look then
23 at JL-5, page 1. And this is your attempt, I believe, to
24 combine marginal cost with -- with the added CO2 cost and
25 then calculate RCC's.

1 I have two (2) versions of this table, the
2 first that came with your report and the second we
3 received by e-mail dated April the 28th, 2006.

4 You have those?

5 MR. JAMES LAZAR: Yes.

6 MS. MYFANWY BOWMAN: And the e-mail dated
7 April the 28th is the one that provided the corrections
8 to JL-4 that we just talked about. And the e-mail
9 indicated that:

10 "Although other pages of the
11 spreadsheet are not affected, including
12 JL-6, I'm also attaching a revised copy
13 of the active spreadsheet."

14 I'm going to suggest that if you actually
15 looked at the entire spreadsheet you would find that it
16 included the changes to JL-4 that we've talked about and
17 the changes to JL-5 included as Version 2 of 2.

18 Would you agree with me?

19 MR. JAMES LAZAR: Yes.

20 MS. MYFANWY BOWMAN: And if we look at
21 Version 2 of 2 we'll note that every number under the
22 column marginal cost of service has changed. Yes?

23 MR. JAMES LAZAR: Yes.

24 MS. MYFANWY BOWMAN: And every number
25 under total cost of service has changed.

1 MR. JAMES LAZAR: Yes. And those derived
2 from column F on JL-4, page 1 -- page -- Version 3,
3 that's right.

4 MS. MYFANWY BOWMAN: That's right. And
5 similarly every number under class subsidy versus full
6 cost has changed and, again, that's a result of the
7 changes to JL-4?

8 MR. JAMES LAZAR: Yes. The -- but the --
9 what's interesting is the RCC ratios didn't change at
10 all. And that, to me, is sort of where the rubber meets
11 the road here.

12 MS. MYFANWY BOWMAN: So we have some
13 fairly compelling evidence, you would agree, that the
14 numbers on this table rely entirely on the numbers in the
15 previous tables.

16 MR. JAMES LAZAR: Oh, yeah, they -- they
17 do.

18 MS. MYFANWY BOWMAN: We've got a little
19 mathematical food chain as it were.

20 MR. JAMES LAZAR: Yeah.

21 MS. MYFANWY BOWMAN: And if we turn then
22 to JL-6, page 1, I have three (3) versions of that. The
23 first is the version that was attached to your report.
24 The second is the version that was circulated by e-mail
25 dated April the 17th, 2006, along with your IR responses.

1 MR. JAMES LAZAR: Yes.

2 MS. MYFANWY BOWMAN: And, again, there
3 was follow-up e-mail as well. And then the last version
4 was handed out by Mr. Miller at -- when the proceeding
5 began.

6 MR. JAMES LAZAR: Yes.

7 MS. MYFANWY BOWMAN: Is that your
8 understanding as well?

9 MR. JAMES LAZAR: Yes.

10 MR. ROBERT MAYER: Version 3 of JL-6 the
11 copies we don't have -- are there any changes to this
12 aluminum smelter stuff, that was page 2? On Version 3
13 that was handed out it doesn't have the aluminum smelter
14 attachment.

15 MR. JAMES LAZAR: No, I don't think there
16 were changes to the aluminum smelter example.

17 MS. MYFANWY BOWMAN: It was a one (1)
18 page handout I believe.

19

20 CONTINUED BY MS. MYFANWY BOWMAN:

21 MS. MYFANWY BOWMAN: So if we look at the
22 changes from Version 1 to Version 2, we'll find that
23 you've changed the percentage increase in price in each
24 column, is that right?

25 MR. JAMES LAZAR: Yes, I had

1 inadvertently used the wrong denominator in the
2 spreadsheet cells, all the way across.

3 MS. MYFANWY BOWMAN: And then the changes
4 in additional energy export and additional revenue to
5 Manitoba, those flow from that mathematical error, is
6 that right?

7 MR. JAMES LAZAR: Yes.

8 MS. MYFANWY BOWMAN: And then if we look
9 at the changes from Version 2 to Version 3, you've
10 corrected marginal generation cost and therefore total
11 costs including CO2 marginal generation based on the
12 changes to J1-4, is that right?

13 MR. JAMES LAZAR: Yeah, the changes in
14 Version 3 of 3, derive from correcting the kilowatt hours
15 for street and area lighting. And those are such a minor
16 thing that it doesn't actually have any impact on the
17 percentage increase in price or the elasticity for
18 anybody other than -- I mean really the only change is
19 that street and area lighting, pretty minor.

20 MS. MYFANWY BOWMAN: So all of the other
21 changes that I've highlighted here, flow from that one?

22 MR. JAMES LAZAR: They all flow from
23 using the corrected kilowatt hours for street and area
24 lighting.

25 MS. MYFANWY BOWMAN: My mathematical food

1 chain in action?

2 MR. JAMES LAZAR: Yes.

3 MS. MYFANWY BOWMAN: Now, in this table
4 you're attempting to quantify the benefits to Manitoba of
5 adopting the suggestions that you propose. And if we
6 start by leaving out the export credit that would lead to
7 a rate increases of 28 percent, yes?

8 MR. JAMES LAZAR: On average yeah, I'll
9 assume that's correct.

10 MS. MYFANWY BOWMAN: And if we add in CO2
11 at \$20 a tonne, the rate increase moves up to 60 percent,
12 on average?

13 MR. JAMES LAZAR: Yes, but I have to
14 reiterate that that part of my discussion indicates that
15 making that decision would require a policy change by the
16 Government of Manitoba.

17 I think that that goes beyond what the
18 Board would or could do in this or any other stand alone
19 rate proceeding without some direction.

20 MS. MYFANWY BOWMAN: I appreciate that,
21 but the impact of what you're proposing would be
22 ultimately, if you add in the CO2 adder, a 60 percent
23 rate increase? If you did the things that you are
24 suggesting?

25 MR. JAMES LAZAR: Yes, if the Government

1 of Manitoba directed the Board to include avoidable
2 environmental impacts from CO2 in the revenue requirement
3 in --

4 MS. MYFANWY BOWMAN: In the fashion you
5 propose.

6 MR. JAMES LAZAR: -- the fashion I
7 propose, the revenue requirement increase would be as
8 you've described.

9 MS. MYFANWY BOWMAN: And then if we are
10 to use marginal generation cost, the rate increase moves
11 to 95 percent?

12 MR. JAMES LAZAR: Yes.

13 MS. MYFANWY BOWMAN: And if we combine
14 all three (3) of those, the rate increase moves to 127
15 percent, is that right?

16 MR. JAMES LAZAR: That's my estimate,
17 yes.

18 MS. MYFANWY BOWMAN: Although in the
19 first version of this table you calculated that at 56
20 percent?

21 MR. JAMES LAZAR: Because I used -- yes
22 that's correct, because I used the wrong denominator in
23 my calculation.

24 MS. MYFANWY BOWMAN: You would agree with
25 me also that if marginal rates equal export prices for

1 Manitoba and we're adding in a notional CO2 adder, the
2 prices for Manitoba customers would be higher than for
3 export customers, that's also correct?

4 MR. JAMES LAZAR: Well, yes the retail
5 prices for Manitoba customers would be higher by the
6 amount of distribution costs plus the CO2 costs.

7 MS. MYFANWY BOWMAN: Thank you. If I can
8 just have a quick moment?

9 THE CHAIRPERSON: Yes, we'll just take
10 five (5) minutes.

11 MS. MYFANWY BOWMAN: I just need one (1)
12 minute even.

13 THE CHAIRPERSON: The rest of us might
14 take five (5).

15 MS. MYFANWY BOWMAN: Fair enough.

16

17 --- Upon recessing at 11:17 a.m.

18 --- Upon resuming at 11:23 a.m.

19

20 THE CHAIRPERSON: Okay. Ms. Bowman...?

21 MS. MYFANWY BOWMAN: Thank you for the
22 indulgence. I'm -- those -- that concludes my questions.
23 Thank you.

24 THE CHAIRPERSON: We appreciated the
25 interruption.

1 MS. MYFANWY BOWMAN: And thank you to Mr.
2 Lazar.

3 THE CHAIRPERSON: Oh, you're finished,
4 Ms. Bowman. I didn't realize that. I apologize. Well,
5 thank you very much.

6

7 (BRIEF PAUSE)

8

9 THE CHAIRPERSON: I don't see Ms.
10 McCaffrey, so we will go to Mr. Anderson.

11

12 CROSS-EXAMINATION BY MR. MICHAEL ANDERSON:

13 MR. MICHAEL ANDERSON: Good morning, Mr.
14 Chair.

15 THE CHAIRPERSON: Good morning.

16

17 CONTINUED BY MR. MICHAEL ANDERSON:

18 MR. MICHAEL ANDERSON: Mr. Vice-Chair,
19 Dr. Avery-Kinew and Dr. Evans.

20 Mr. Lazar, it's -- I was listening in the
21 -- the back work room while you were presenting your
22 material. Thank you very much.

23 Mr. -- Dr. Miller, good morning.

24 It will just take me a moment to open my
25 books up here.

1 THE CHAIRPERSON: While you're doing that
2 -- Mr. Peters, do we know if Ms. McCaffrey is going to
3 cross-examine Mr. Lazar?

4 MR. BOB PETERS: Yes, she will. And
5 she'll be here after the lunch break.

6 THE CHAIRPERSON: Very good.

7

8 (BRIEF PAUSE)

9

10 CONTINUED BY MR. MICHAEL ANDERSON:

11 MR. MICHAEL ANDERSON: Mr. Lazar, while
12 I'm putting my materials together, I just wanted to ask a
13 few questions about your background and the familiarity
14 that you might have with some of the matters I'd like to
15 discuss. It will help me focus some of my questions, if
16 I might.

17 I was looking at Exhibit JL-1 attached to
18 your pre-filed testimony and in particular the direct
19 consulting clients partial listing that you've kindly
20 provided, in addition to the listing of expert testimony
21 and research that you'd conducted. I -- I thank you for
22 that, that's very helpful.

23 I notice in the -- the list that a
24 considerable amount of -- or quite a lot of the work that
25 you've done is in the Pacific Northwest of the United

1 States and in British Columbia.

2 Is that correct.

3 MR. JAMES LAZAR: Yes.

4 MR. MICHAEL ANDERSON: And I also note
5 that you'd worked with Pacific States Marine Fisheries
6 Commission.

7 Is that correct?

8 MR. JAMES LAZAR: Yes.

9 MR. MICHAEL ANDERSON: And with the
10 Columbia River Inter-Tribal Fish Commission.

11 Is that correct?

12 MR. JAMES LAZAR: Yes.

13 MR. MICHAEL ANDERSON: Could you please
14 describe in -- in general terms, Mr. Lazar, what the
15 scope of the work for those two (2) agencies was?

16 MR. JAMES LAZAR: My work for those two
17 (2) agencies dealt with the management of the Columbia
18 River by the Bonneville Power Administration and the
19 impact that had on salmon migration, and ways that the
20 cost of restoring something closer to natural stream flow
21 conditions for salmon migration could -- the cost of that
22 could be mitigated for Bonneville Power Administration.

23 MR. MICHAEL ANDERSON: Thank you, Mr.
24 Lazar. In your work for these two (2) agencies were --
25 did you also become familiar with what I would describe

1 as irreversible adverse environmental affects of a large
2 scale Hydro electric developments?

3 MR. JAMES LAZAR: In a general sense,
4 yes, but my work was kind of more short run changes in
5 nature rather than sort of the long term global impacts
6 of major projects.

7 MR. MICHAEL ANDERSON: Thank you.

8 MR. JAMES LAZAR: So management of dams
9 that existed as opposed to evaluating the impacts
10 compared to not having the dams.

11 MR. MICHAEL ANDERSON: And that reference
12 -- comment is specific to the scope of your detailed
13 research and study, is that correct?

14 MR. JAMES LAZAR: Yes.

15 MR. MICHAEL ANDERSON: When you were
16 working with these agencies, however, were you
17 familiarized with the scope of these other more global
18 impacts as you describe them?

19 MR. JAMES LAZAR: As I say, in a general
20 sense yes. But, not -- it's never a part of my detailed
21 work. My work for the Nez Perce Indian Nation, came
22 closer to that kind of look because they had claims on
23 the water flows of the Snake River that predated any of
24 the European development.

25 MR. MICHAEL ANDERSON: I was listening in

1 the back to Ms. Bowman's questions and you anticipated
2 what my next one (1) would have been, which was to ask
3 the question directly, which of your other clients did
4 you have an occasion to actually assist in doing research
5 on a larger scale of global impacts as you describe them.

6 Were there any others, other than your
7 work for the Nez Perce?

8 MR. JAMES LAZAR: There was a little tiny
9 bit of it in my work for the Natural Resources Defence
10 Council where I looked at the amount of spill that
11 occurred at dams on the Columbia River, immediately post-
12 dam construction compared to the natural flows prior to
13 dam construction.

14 But, that was also all sort of in the
15 context of impact on salmon migration, looking beyond
16 that to social impacts or cultural impacts, was beyond
17 the scope of my work there.

18 MR. MICHAEL ANDERSON: Specifically in
19 that case for the Natural Resources Defence Council?

20 MR. JAMES LAZAR: Yes.

21 MR. MICHAEL ANDERSON: Thank you. In
22 your work for the Nez Perce, as I guess is how you would
23 describe it, is that correct, the pronunciation?

24 MR. JAMES LAZAR: Yes.

25 MR. MICHAEL ANDERSON: Thank you. Was

1 the analysis done to quantify the pre and post project
2 effects of hydroelectric development?

3 MR. JAMES LAZAR: The objective of my
4 retention was to find ways -- to find a million acre feed
5 of water that could help fish get from the headwaters of
6 the Snake River to the ocean before they turned into salt
7 water fish.

8 So again it was all -- it's all salmon
9 migration work. But, in that case, I actually went back
10 to how fast did the river flow under pre-development
11 conditions to how much water would it take and what kind
12 of management of the dams would it take to get the fish
13 to sea as quickly with the dams in place as before the
14 dams were built.

15 But, that was the one where I went all the
16 way back to pre-dam conditions. But, again it was all
17 fish flow and water flow and not looking at cultural
18 impacts. They had other experts who worked on those
19 issues.

20 And for those of you who aren't familiar,
21 salmon are a very important historic and cultural icon in
22 the Pacific northwest. It was the centrepiece of the
23 Native American economy and the basis of an awful lot of
24 trade and communication between the various tribes and
25 bands.

1 So the -- I'm aware that there were huge
2 cultural implications. I didn't study any of them.

3 MR. MICHAEL ANDERSON: Once again as
4 we've been mentioning that you've proceeded my thinking.
5 I was going to ask if you, through that work, had become
6 familiar with the significance of the salmon resource to
7 the Pacific tribes.

8 And is there any other comment in addition
9 to the ones that you've just described that you'd like to
10 share?

11 MR. JAMES LAZAR: No.

12 MR. MICHAEL ANDERSON: The key issue,
13 however, in terms of this study that you contributed to
14 in respect of finding a million acre feet to assist fish
15 movement of migrating salmon fry, is that correct?

16 MR. JAMES LAZAR: Yes and basically I was
17 looking for the lowest value agricultural uses of water
18 being sucked out of the river to figure out what was the
19 cheapest way we could restore enough water to the river
20 that the fish could get to sea before they died.

21 MR. MICHAEL ANDERSON: And you'd
22 indicated that other experts had done impacts on the
23 cultural significance of salmon to the Nez Perce, is the
24 correct?

25 MR. JAMES LAZAR: Other people were

1 advising the Nez Perce and I interacted with them a
2 little bit. The same was true for my work for Inter-
3 tribe I just never interacted with the people who were
4 doing that work for Inter-tribe.

5 MR. MICHAEL ANDERSON: One (1) of the
6 things I just wanted to clarify in that, was this work
7 done by yourself and the other experts part of a
8 comprehensive analysis that was being done for a specific
9 purpose or are they parallel studies, are they intended
10 to be integrated, et cetera?

11 MR. JAMES LAZAR: It was all part of a
12 very large piece of litigation over water rights. And I
13 was working on one (1) aspect of the settlement
14 negotiation between the Idaho water users the Nez Perce
15 Indian Nation, the State of Idaho and various federal
16 agencies.

17 MR. MICHAEL ANDERSON: Thank you. And
18 the hydroelectric facility, are we talking about one (1)
19 or more facilities?

20 MR. JAMES LAZAR: Fourteen (14) I think
21 in the State of Idaho and eight (8) more down river that
22 belong to the federal government. So a couple of dozen
23 facilities that turn the Snake River from what used to be
24 a natural, free flowing fast river into a bunch of lakes
25 connected by dams.

1 MR. MICHAEL ANDERSON: So in the course
2 of examining this -- the million acre feet to assist fish
3 movement, you had to examine an integrated hydroelectric
4 system that involved twelve (12) facilities, is that
5 correct?

6 MR. JAMES LAZAR: Well I think -- I know
7 there's eight (8) on the lower Snake and I think there's
8 fourteen (14) on the upper Snake.

9 The Bonneville power administration
10 provided the staffing to do the modelling of the options
11 that we had worked on. By the time I came to the project
12 the parties had pretty well determined that a million
13 acre feet was what it was going to take to get the fish
14 to sea.

15 And then my job was to figure out where we
16 could buy a million acre feet cheapest. And the answer
17 was from farmers growing alfalfa and potatoes at higher
18 elevations, that is low value crops in areas that aren't
19 very good growing areas, where the ones with the lowest
20 farm income per acre foot and the ones that would be
21 willing to sell their water rights for the lowest price.

22 MR. MICHAEL ANDERSON: And as a matter of
23 interest, what was the cost of this million acre feet as
24 you determined?

25 MR. JAMES LAZAR: Ultimately, the case

1 settled on different terms and I don't think that number
2 was ever quantified. Apparently enough of the farmers
3 went broke on their own that the water rights were
4 released in many cases without cost.

5 THE CHAIRPERSON: This is fascinating,
6 Mr. Anderson, and I can understand how it helps you
7 assess Mr. Lazar's background and expertise, but I
8 presume you'll be moving on to the subject closer at
9 hand, the COSS and his testimony in that respect.

10 MR. MICHAEL ANDERSON: Yes. Absolutely,
11 Mr. Chair. The intent of it what to confirm my
12 understanding of Mr. Lazar's familiarity with integrated
13 hydroelectric systems that operated in the US Pacific
14 Northwest, as distinct from the focus of the testimony
15 which, as I understand it, and without giving testimony
16 on behalf of Mr. Lazar or -- or RCM/TREE, I understood
17 that his environmental costs were being examined in
18 respect of CO2 -- avoided CO2 emissions in the US
19 marketplace.

20 I just -- which is generally associated
21 with thermal projects. I just wanted to bring the -- my
22 questions a little closer to home, Mr. Chair.

23 THE CHAIRPERSON: I can see the
24 relationship.

25

1 CONTINUED BY MR. MICHAEL ANDERSON:

2 MR. MICHAEL ANDERSON: Thank you.

3 Mr. Lazar, would the...

4

5 (BRIEF PAUSE)

6

7 MR. MICHAEL ANDERSON: In looking at your
8 response to PUB/RCM/TREE-3, if you mind, it's in response
9 to Question A. It would be our -- PUB Interrogatory
10 RCM/TREE number 3. And I'm looking at your response,
11 which is a summary of course of -- of your testimony.

12 And in the response to A could you please
13 read the last sentence of your response, please, into the
14 record.

15 MR. JAMES LAZAR: "The most important of
16 these in the context of the present
17 proceeding is the incorporation of
18 environmental costs into the cost of
19 service study."

20 MR. MICHAEL ANDERSON: Thank you. In
21 respect of the testimony that you've provided, what are
22 the scope of the environmental costs that you are
23 suggesting be incorporated into the cost of service study
24 of Manitoba Hydro?

25 MR. JAMES LAZAR: Avoidable carbon

1 dioxide emissions that could be achieved through changing
2 the pricing structure for Manitoba Hydro.

3 MR. MICHAEL ANDERSON: In the case of the
4 investigations that you had done on costs associated with
5 changes to fish migration in the Pacific Northwest,
6 presumably the hydroelectric facilities there are
7 regulated utilities?

8 MR. MICHAEL ANDERSON: I'm sorry, I
9 couldn't hear the last phrase.

10 MR. MICHAEL ANDERSON: I'm sorry. I cut
11 the microphone out.

12 Are the hydro -- are the facilities that
13 are operating the hydro -- hydroelectric and -- and water
14 management facilities on the Snake River also regulated
15 utilities that would have cost of service studies
16 associated with their operations?

17 MR. JAMES LAZAR: Generally, no. The
18 vast majority of them are owned by the Army Core of
19 Engineers and the US Bureau of Reclamation. They sell
20 the output of those to the Bonneville Power
21 Administration, which does do a cost of service study,
22 but that doesn't get into -- basically a purchase power
23 expense by the time it gets into their studies.

24 The middle part of the river has, I think,
25 five (5) dams that are owned by the Idaho Power Company.

1 It is a regulated utility and does do cost of service
2 studies.

3 MR. MICHAEL ANDERSON: Thank you very
4 much, Mr. Lazar. I appreciate the precision. So that
5 the output of the plants on the Snake River are purchased
6 by Bonneville Power or -- again, if you could state the
7 other utility that you mentioned again?

8 MR. JAMES LAZAR: Idaho Power.

9 MR. MICHAEL ANDERSON: Are these
10 utilities in the practice of incorporating environmental
11 costs into their cost of service studies?

12 MR. JAMES LAZAR: I can't speak to Idaho
13 Power's current practices. A decade ago I -- or more I
14 worked on a Idaho Power case and they certainly were not
15 at that time. But they just received an award from the
16 Northwest Energy Coalition for the progress that they've
17 made in -- in environmental considerations of their power
18 planning and resource acquisition process, and it may be
19 that some of that has flowed into the cost of service
20 study.

21 I will say that for all of the hydro
22 utilities the out-of-pocket costs that they are expending
23 for fish migration mitigation measures are incorporated
24 but that's more akin to having the costs of a coal plant
25 scrubber included in a power utility cost of service

1 study.

2 Those are actual dollar payments that are
3 made that are included like any other accounting costs in
4 the cost of service. They're not comparable to the
5 inclusion of -- of avoidable CO2 costs that are not
6 currently monetized.

7 MR. MICHAEL ANDERSON: How are the fish
8 migration costs functionalised in their cost of service
9 study; are you aware?

10 MR. JAMES LAZAR: They're functionalised
11 to generation and then classified differently by the
12 different -- Bonneville would ultimately functionalise
13 them perhaps differently than Idaho would -- would
14 classify them different than Idaho would. But they'd
15 always be functionalised as generation.

16

17 (BRIEF PAUSE)

18

19 MR. MICHAEL ANDERSON: In the resource
20 acquisition process that Bonneville power undertakes are
21 they required to consider the full cost of production --
22 the full cost associated with the power that they're
23 intending to purchase?

24 MR. JAMES LAZAR: Yes, the statute
25 requires that they consider all quantifiable

1 environmental costs. It does not require them to
2 consider quantifiable social costs; that was an amendment
3 that was lost in the United States Senate.

4 But the quantifiable environmental costs
5 are required to be included and they now are including a
6 specific adder for CO2. Which is in addition to the
7 monetized costs for things like nitrogen oxide, sulphur
8 dioxide, mercury and that sort of thing.

9 MR. MICHAEL ANDERSON: Are you aware of
10 what would -- is it set out in the provisions of the
11 guidelines or the regulation for -- the resource
12 acquisition process -- does it specify a list of items
13 that must be quantified for -- as environmental costs?

14 MR. JAMES LAZAR: The federal statute
15 simply requires all quantifiable environmental costs, the
16 Northwest Power and Conservation Council has interpreted
17 that language and basically left it at those costs that
18 are monetized plus a CO2 adder.

19

20 (BRIEF PAUSE)

21

22 MR. MICHAEL ANDERSON: The term "notional
23 cost" was applied in this proceeding to the CO2 costs; do
24 you agree with that?

25 MR. JAMES LAZAR: Well, I interpret the

1 term "notional cost" to be a cost that we know exists and
2 we're capable of estimating how much it is but no money
3 actually changes hands.

4 And that's precisely what the Northwest
5 Power and Conservation Council has done. I think they
6 used a eight dollar (\$8) US per tonne cost which at the
7 time I was writing my testimony was pretty close to ten
8 dollars (\$10) Canadian a tonne.

9 It's getting to be less and less of a
10 benefit to do my shopping up here.

11 THE CHAIRPERSON: Actually the Canadian
12 dollar is up another cent today.

13 MR. JAMES LAZAR: We used to call them
14 big American Dollars now we just kind of trade them.

15

16 CONTINUED BY MR. MICHAEL ANDERSON:

17 MR. MICHAEL ANDERSON: And I apologize
18 for asking this again but I just wanted to make sure I
19 have it precisely. You used a very precise description
20 for what you describe as a notional cost.

21 Would you mind just please repeating that
22 for me?

23 MR. JAMES LAZAR: A cost that we know
24 exists that we can quantify, but no money actually
25 changes hands.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

(BRIEF PAUSE)

MR. MICHAEL ANDERSON: And one (1) of these costs is CO2 costs, is that your evidence?

MR. JAMES LAZAR: That's the cost that I have used that Northwest Power and Conservation Council has used and I haven't used any other. So the one that I've used is CO2, there could be others.

In the US, mercury regulation is anticipated imminently and many analysts are using those costs as though it's a done deal.

MR. MICHAEL ANDERSON: And the -- in terms of incorporating these costs, to your knowledge, and you may be repeating yourself but I just wanted to be clear, that carbon dioxide costs are to your knowledge the only notional cost that's currently reflected as a cost in cost of service -- for cost of service purposes by US utilities?

MR. JAMES LAZAR: I don't think anybody else in this proceeding has included any notation costs in their cost of service studies. I have and CO2 costs are the ones that I have included.

MR. MICHAEL ANDERSON: So the Northwest Power and Conservation Council is utilizing the CO2 costs in what way, I just wanted to be clear?

1 MR. JAMES LAZAR: They're using CO2 costs
2 in the resource planning and acquisition process, but
3 they don't do the cost of service study.

4 MR. MICHAEL ANDERSON: How do they apply
5 it in the recourse acquisition process?

6 MR. JAMES LAZAR: I think they adopted
7 eight dollars (\$8) a tonne as -- it's actually -- it
8 ramps up over time. But, it kicks in sometime after
9 January 20th, 2009 which is the inauguration date after
10 the next presidential election.

11 And gradually rises over time but, it
12 works out over sort of the planning horizon to I think --
13 over the twenty (20) year planning horizon to about eight
14 dollars (\$8) a tonne.

15 MR. MICHAEL ANDERSON: Is that reflected
16 in the purchase power cost to the utility?

17 MR. JAMES LAZAR: It is in the sense that
18 when Bonneville seeks to buy power they have to buy
19 resources that are consistent with the Council's plan and
20 under that plan they would in theory be willing to and in
21 practice have been willing to pay a premium for a non-
22 carboniferous resource.

23 The plan actually calls for meeting all of
24 the region's energy growth needs with a combination of
25 energy efficiency and wind generation, fossil generation

1 kind of got bumped out of the resource acquisition
2 priority by the inclusion of CO2 costs.

3 MR. MICHAEL ANDERSON: And purchase power
4 costs are included in cost of service analysis?

5 MR. JAMES LAZAR: Yes.

6 MR. MICHAEL ANDERSON: They are
7 functionalized how?

8 MR. JAMES LAZAR: They're functionalized
9 at generation.

10 MR. MICHAEL ANDERSON: So indirectly then
11 the CO2 cost is reflective in the cost of service study
12 through purchase power costs?

13 MR. JAMES LAZAR: As Bonnsville acquires
14 resources under the fifth power plant it was adopted last
15 year, to the extent that they actually pay a premium to
16 buy wind power or to buy DSM, over what they could have
17 paid for a fossil resource, that will be functionalized
18 to generation and functionalized to production and
19 included in the cost of service study.

20 MR. MICHAEL ANDERSON: Based on your
21 experience with the proceedings that you provided
22 evidence to and the research that you've done can you
23 identify any other costs that we can quantify but that no
24 money actually changes hands that would be incorporated
25 within the scope of environmental costs?

1 MR. JAMES LAZAR: Well, certainly the
2 impact on fisheries, on forestry are examples of that
3 that occur from hydroelectric development. While I'm not
4 an expert on it the cultural impacts of displacing native
5 peoples, interfering with wildlife migration patterns and
6 interfering with the ability of -- of people to engage in
7 their usual and accustomed hunting and fishing and
8 gathering practices are quantifiable, I'm not an expert
9 in the quantification of them.

10 But to the extent that those impacts occur
11 there are people who are experts in them and who can
12 speak to the quantification of them.

13

14 (BRIEF PAUSE)

15

16 MR. MICHAEL ANDERSON: And in the event
17 that there would be an interest in either the utility,
18 it's regulatory authority or the government in
19 quantifying these costs, such as you've just now
20 described, would it be appropriate to incorporate them
21 into the cost of service of the utility providing the
22 service and incurring the effects?

23 MR. JAMES LAZAR: Yes, if the policy of
24 the government is to use a full costing approach in
25 examining the impacts of -- of decisions that are made by

1 consumers.

2 MR. MICHAEL ANDERSON: Thank you, Mr.
3 Lazar.

4

5 (BRIEF PAUSE)

6

7 MR. MICHAEL ANDERSON: I note, Mr. Lazar,
8 in your response to MH/RCM/TREE-6 that you refer to
9 Manitoba's Sustainable Development Act, I just wondered
10 if you could get that out, I have a few questions about
11 your response there?

12 And if you could please make reference to
13 it, Mr. Lazar.

14

15 (BRIEF PAUSE)

16

17 MR. MICHAEL ANDERSON: I'm sorry, I have
18 Manitoba Hydro, RCM/TREE number 6.

19 MR. JAMES LAZAR: Yes. Yes, I do -- I
20 see that reference.

21

22 (BRIEF PAUSE)

23

24 MR. MICHAEL ANDERSON: I'm noting that
25 you had made a reference to the Sustainable Development

1 Act and noting that you're not legal counsel so I won't
2 be asking you for a legal opinion on the legislation per
3 se itself, do you happen to have a copy of the Act with
4 you?

5 MR. JAMES LAZAR: I do not.

6 MR. MICHAEL ANDERSON: I just wanted to
7 make a brief reference to a single definition in it and
8 for that purpose perhaps I could just read to you from
9 the -- from the Act and ask my question, if that's
10 acceptable?

11 In your -- just to assist the Board and
12 participants, if you could please read the second
13 paragraph of your reply to MH/RCM/TREE-6 into the record,
14 Mr. Lazar?

15 MR. JAMES LAZAR: "This is a proceeding
16 where the MPUB can consider such a
17 policy decision. It is my
18 understanding that the Manitoba
19 Sustainable Development Act includes a
20 provision for full cost accounting
21 including environmental externalities.
22 My evidence introduces this into the
23 costing methodology for MH."

24 MR. MICHAEL ANDERSON: Thank you very
25 much, Mr. Lazar. And the types of environmental costs

1 that you had just illustrated for us in respect of the
2 operation of hydro electric facilities would also be
3 incorporated within your description of environmental
4 externalities; is that correct?

5 MR. JAMES LAZAR: I would include them in
6 my definition of environmental externalities. I can't
7 speak to what the Manitoba Sustainable Development Act
8 includes.

9 MR. MICHAEL ANDERSON: I appreciate the
10 clarification. I had just wanted to -- as we changed
11 terminology slightly in respect to your testimony and
12 replies I wanted to make sure we understood we were still
13 talking about the same items. Thank you very much for
14 that clarification.

15 In the definition of full cost accounting
16 in the Sustainable Development Act it says:

17 "Full cost accounting means 'accounting
18 for the economic, environmental, land
19 use, human health, social and heritage
20 costs and benefits of a particular
21 decision or action to ensure no costs
22 associated with the decision or action
23 including externalized costs are left
24 unaccounted for'."

25 Is it -- would that be a definition of

1 full cost accounting that is consistent with your concept
2 of accounting for the full environmental costs as set out
3 in your testimony?

4 MR. JAMES LAZAR: Yes. Obviously my
5 evidence only addresses one (1) element of these that I
6 have some expertise in.

7 MR. MICHAEL ANDERSON: And recognizing
8 that you have only the benefit of my reading it to you,
9 are there any other elements that should be incorporated
10 into a full cost accounting in respect of decisions made
11 by a utility, it's regulator, or government regarding
12 environmental costs?

13 MR. JAMES LAZAR: I think the categories
14 that are in the passage that you read to me are broad
15 enough that almost anything I can think of that I would
16 term an environmental externality could be described as
17 fitting within one (1) of those categories.

18 But I'm sure if one attempted to do that
19 that someone else would argue a different definition. A
20 different interpretation of the Act. So I -- it -- it
21 looks like a very broad collection of -- of -- of
22 considerations to me. But my expertise is really in the
23 power sector impacts which are primarily air, water and -
24 - and land use.

25 MR. MICHAEL ANDERSON: Now --

1 MR. JAMES LAZAR: And to a lesser extent
2 as we've see -- at least I've seen in the Northwest a
3 little bit of historical or cultural with respect to,
4 I'll call it, the ceremony around salmon separate from
5 the economic value of the salmon.

6 MR. MICHAEL ANDERSON: But you're
7 comfortable that this definition captures the scope of
8 full -- accounting for the full cost of environmental
9 effects as you have mentioned in your testimony?

10 MR. JAMES LAZAR: Yes, it's a definition
11 that I -- I think does a fine job.

12 MR. MICHAEL ANDERSON: Thank you, Mr.
13 Lazar.

14

15 (BRIEF PAUSE)

16

17 MR. MICHAEL ANDERSON: And of these -- if
18 an effort were made to quantify these externalities in
19 respect of the list of extern -- of -- of items that
20 you'd indicated were associated, in your view, with the
21 operation of hydro electric facilities would all of those
22 costs so identified be functionalised to generation?

23 MR. JAMES LAZAR: I think so.

24 MR. MICHAEL ANDERSON: Thank you, Mr.
25 Lazar. And -- and just to be clear, you had described

1 that there were other experts, I just had wanted to
2 confirm for the record that it's your opinion that the
3 science, that is the methodology -- methodological
4 approaches that may be applied to quantify these
5 externalities do, in fact, exist and it is really a
6 function of a direction to do the quantification as
7 distinct from an inability to quantify?

8 MR. JAMES LAZAR: The science exists, the
9 precision is certainly not the same level of precision
10 that we have in dealing with accounting costs. And the
11 range of dispute between experts can be considerable.

12 MR. MICHAEL ANDERSON: I can appreciate
13 that and that's very helpful. I think the distinction
14 that I was looking for is that it is not impossible to
15 quantify that there are approaches that may be taken to
16 quantify those externalities?

17 MR. JAMES LAZAR: Yes.

18 MR. MICHAEL ANDERSON: Thank you Mr.
19 Lazar.

20

21 (BRIEF PAUSE)

22

23 MR. MICHAEL ANDERSON: Now, I recognize
24 that in your evidence you'd indicated that it would be
25 most efficient from a -- just a moment Mr. Lazar.

1 THE CHAIRPERSON: Mr. Anderson, could we
2 get some idea of how much longer you expect. Because
3 we're thinking of the lunch break and what time we'd come
4 back.

5 MR. MICHAEL ANDERSON: I don't have that
6 many more questions, Mr. Chair. I'm in your hands if you
7 wish to break now and I complete them as soon as we
8 return. Or whether we just plow on and --

9 THE CHAIRPERSON: Well, why don't we
10 continue then until 12:15 or 12:20, if you think you can
11 finish by then otherwise we'll break until 1:15. I'll
12 leave it up to you.

13 MR. MICHAEL ANDERSON: I'm just doing the
14 math to see whether I can meet your deadline or your
15 suggested time requirement, Mr. Chair. I understood it
16 as a suggestion, of course.

17 THE CHAIRPERSON: It was.

18

19 (BRIEF PAUSE)

20

21 MR. MICHAEL ANDERSON: I do think it
22 would take me more than seven (7) minutes to ask the
23 remaining questions that I have.

24 THE CHAIRPERSON: Okay. Well, we'll hold
25 it all over then until 1:15 p.m.

1 MR. MICHAEL ANDERSON: If that's
2 acceptable, thank you Mr. Chair.

3 THE CHAIRPERSON: We'd rather do that
4 than rush.

5 MR. MICHAEL ANDERSON: I appreciate it
6 Mr. Chair. I do. Thank you.

7

8 --- Upon recessing at 12:08 p.m.

9 --- Upon resuming at 1:20 p.m.

10

11 THE CHAIRPERSON: Okay, welcome back
12 everyone. Mr. Anderson...?

13 MR. MICHAEL ANDERSON: Thank you, Mr.
14 Chair.

15

16 (BRIEF PAUSE)

17

18 CONTINUED BY MR. MICHAEL ANDERSON:

19 MR. MICHAEL ANDERSON: Mr. Lazar, in
20 essence, I understand that in your -- at page 4 of your -
21 - your pre-filed testimony, the very last question, at
22 line 43 of page 4 you provide your opinion in respect of
23 the Manitoba Hydro recommended method to approach the
24 cost of service study.

25 Could you please read the first sentence

1 there at line 43?

2 MR. JAMES LAZAR: On line 43?

3 MR. MICHAEL ANDERSON: Yes, please, Mr.
4 Lazar.

5 MR. JAMES LAZAR: "I believe all of the
6 changes are improvements and should be
7 approved by the MPUB."

8 MR. MICHAEL ANDERSON: Thank you, Mr.
9 Lazar. In essence the changes that are being described
10 that you're referring to there would be summarized by you
11 as what?

12 MR. JAMES LAZAR: The big one is to use
13 time of use energy billing determinants for allocation of
14 the power supply costs instead of the demand and energy
15 split method, and allocating the export dividend across
16 all costs not just across generation and transmission
17 costs.

18 MR. MICHAEL ANDERSON: And the most
19 significant of the additional costs that are encompassed
20 by all costs would be what, Mr. Lazar?

21 MR. JAMES LAZAR: Oh, I -- across all of
22 the costs that are in the cost of service study,
23 distribution costs are the big -- the big difference.

24 MR. MICHAEL ANDERSON: Thank you, Mr.
25 Lazar.

1 So if I understand the essential basic
2 process is that the -- and I referred to this earlier in
3 my reference to Mr. Warden's comments of November 24th
4 which I won't refer to again now, but just for the
5 record, is that the process is net export revenues are
6 allocated to Manitoba Hydro's customers based on costs to
7 serve those customers; is that essentially correct?

8 MR. JAMES LAZAR: The cost to serve those
9 customers that flow cross Manitoba Hydro's books
10 currently.

11 MR. MICHAEL ANDERSON: And the essence
12 of your testimony or one (1) element of it is that you're
13 suggesting, recommending that another cost flow across
14 Manitoba Hydro's books being the CO2 related costs, is
15 that correct?

16 MR. JAMES LAZAR: Well, I'm recommending
17 that another cost be included in the cost of service
18 study -- CO2 costs, and that the Government of Manitoba
19 and the Board consider whether those costs should be
20 reflected in Manitoba Hydro's revenue requirement.

21 They still might not flow across Manitoba
22 Hydro's books except on the revenue side.

23 MR. MICHAEL ANDERSON: It's your
24 understanding that if it was incorporated into the
25 revenue requirement it would be reflected either directly

1 or indirectly in the cost of service?

2 MR. JAMES LAZAR: Yes.

3 MR. MICHAEL ANDERSON: Thank you. Now,
4 to some extent I know that there's been exploration by
5 all parties of different approaches to examining costs
6 and conceptualizing how to address those costs within
7 cost of service -- for cost of service purposes.

8 And I will now join the group in taking
9 advantage of an opportunity to explore a possibility,
10 dealing entirely with the understanding the
11 quantification of environmental costs for the purpose of
12 cost of service.

13 And I'll ask a question, just a moment.

14

15 (BRIEF PAUSE)

16

17 MR. MICHAEL ANDERSON: Assuming that
18 there was a direction either as a policy by the utility,
19 Manitoba Hydro's regulator to the Public Utilities Board
20 or government to apply the full cost accounting process
21 set out, for example, in the Sustainable Development Act,
22 to the environmental affects of hydro-electric
23 development and operations that we discussed earlier.

24 And those costs -- would they -- I just
25 wanted to know whether the -- and those costs were

1 quantified, were they -- I'd ask this question before,
2 they would all be functionalized to generation, is that
3 correct?

4 MR. JAMES LAZAR: Those associated with
5 hydro development yes, obviously. Hydro development sort
6 of carries with it transmission development and there may
7 be some environmental costs associated with that
8 transmission development that would be functionalized to
9 transmission.

10 MR. MICHAEL ANDERSON: And if in the
11 identification and quantification of these costs it was
12 established that these effects could be reasonably
13 associated with a group of customers, would it be
14 appropriate to allocate those costs to that identified
15 group of customers?

16 For example, the communities that are
17 directly affected -- most directly affected by Manitoba
18 Hydro's operations?

19 MR. ROBERT MAYER: You surely wouldn't
20 want to assign costs to them Mr. Anderson?

21 MR. MICHAEL ANDERSON: I just have an
22 exploration based on the approach that we're taking in
23 the cost of service study, Mr. Vice Chair. I just wish
24 to explore it with the witness.

25 MR. JAMES LAZAR: If I understand your

1 question correctly, that if the cost of hydro development
2 is primarily being borne by some group and they can be
3 quantified, should that group be compensated?

4 And if that's the question you're asking,
5 that's the question for the government not for an
6 economist. It sort of depends, to me, on who has the
7 rights to what's being taken.

8

9 CONTINUED BY MR. MICHAEL ANDERSON:

10 MR. MICHAEL ANDERSON: All right. I
11 wasn't going to speak directly to compensation. I was
12 containing it directly within cost of service. So, I'll
13 just provide the following scenario with the beginnings
14 that I had. That is is that there was a direction to
15 quantify those effects that we discussed.

16 So this would be the sequence for cost of
17 service purposes using the current model where net export
18 revenues are allocated to customer classes on the basis
19 of their costs.

20 As a side note, as I understand, one of
21 Ms. McCaffrey's concerns is that MIPUG is on -- at least
22 the reference is being allocated a smaller amount of net
23 export revenue based on a smaller pot of costs.

24 So clearly the costs that are being used
25 and those that are assigned to the customer classes are

1 clearly driving the quantum of the net export revenue
2 assigned to that class; correct?

3 MR. JAMES LAZAR: Yes.

4 MR. MICHAEL ANDERSON: Thank you. So the
5 scenario would be this is that first a Hydro affected
6 customer class or sub-class, and this would be, in my
7 understanding, residential and general service primarily,
8 must be included in the cost of service study for each
9 effective customer class, which would be residential and
10 general service.

11 And I'm basing this on my knowledge of our
12 communities. I'm the Research Director of MKO's Natural
13 Resources Secretariat, and I apologize for not
14 introducing myself earlier.

15 MKO, Manitoba Keewatinook Ininew Okimowin
16 represents the thirty (30) northernmost First Nations in
17 Manitoba and most of those directly affected by major
18 hydro and transmission facilities. So that's where I'm
19 coming from. Thank you.

20 So, first, we identify a class or sub-
21 class of hydro affected customers, just using that phrase
22 for now. Second, the full costs associated with the
23 ongoing adverse environmental effects would be identi --
24 defined, identified and quantified.

25 Third, a value associated with those costs

1 and then -- and, fourth, net export revenues would be
2 allocated to the hydro affected customer class or sub-
3 class by functionalising 100 percent of these costs as
4 generation or by direct assignment of these costs to the
5 hydro affected customers?

6 MR. JAMES LAZAR: I'm going to answer
7 your question a bit of a historical and roundabout way.
8 In previous proceeding I testified that one reason for
9 applying the export dividend to the Zone 2 and Zone 3
10 cost deficiencies was that those were the areas that were
11 most affected by the hydro development and this was a way
12 of providing them with something in return for what
13 they've given up.

14 And I -- and I think that -- that makes
15 some sense. Clearly, Manitoba already does that in
16 another sense by subsidising the diesel communities.
17 Going beyond that to a direct assignment is something I
18 haven't thought about and don't really have an opinion
19 on.

20 MR. MICHAEL ANDERSON: And I would just
21 add, and I take that response and thank you for it, that
22 if it was a decision of the -- policy decision, a
23 proposal by the utility or a recommendation by the PUB or
24 by government that given this particular model that's
25 before us to allocate net export revenues based on costs,

1 that if these costs were to be quantified would this
2 process that I've described of creating a sub-class,
3 assigning these environmental costs to that sub-class and
4 then making an allocation of net export revenue be a
5 mechanism of providing an allocation of net export
6 revenues to these particular customers?

7 MR. JAMES LAZAR: Yes. But it seems
8 backwards to me. It seems like the more logical way to
9 do it would be to provide direct compensation as a
10 production cost; that is pay for the damages caused,
11 classify that to production, raise the cost of service to
12 everybody and then if the Board allocates the export
13 surplus to cover that cost, fine.

14 If the Board reflects that cost in rates,
15 fine. It seems to me if it's a cost it ought to be
16 charged to Hydro and show up on their books as an expense
17 rather than the Board kind of going around, if you will,
18 around the books of Hydro allocating the export dividend
19 to -- to some particular group.

20 It seems to me that monetizing it would be
21 much more straightforward.

22 MR. MICHAEL ANDERSON: And just so that I
23 -- I clearly understand your response. When you say
24 "monetizing it would be much more straightforward"; could
25 you just clarify that please?

1 MR. JAMES LAZAR: If I -- the development
2 of hydro dam B caused \$10 million worth of damage to a
3 land area that is historically the territory of
4 aboriginal nation C, then Hydro ought to pay aboriginal
5 nation C \$10 million bucks, that shows up as a production
6 cost and gets classified and allocated and recovered in
7 the hydro tariff.

8 Revenues come in from customers using
9 electricity from that project, expenses show up on the
10 books of Hydro for compensation and the current system of
11 accounting works just fine for that.

12 I mean that's what we do now with, for
13 example, water rental. Hydro pays the government for
14 water rental. It gets functionalized to production. It
15 gets included in the rates. The customer pay it to
16 Hydro. Hydro pays it to the government and it's -- the
17 accounting is real simple.

18 If you substitute land occupation for
19 water rental and you have -- and all the accounting
20 principles stay the same.

21 MR. MICHAEL ANDERSON: So in the -- I
22 just wanted also to clarify that in the context of the
23 discussion that we've been having when we say -- using
24 your example and recognizing its notional as an example,
25 cause \$10 million in costs -- by in costs, we're

1 referring to full cost accounting as we've been
2 discussing earlier today?

3 MR. JAMES LAZAR: Yes, and in this case
4 we've quantified it and monetized it.

5 MR. MICHAEL ANDERSON: And the
6 qualification or comments that you'd made about the
7 approach that I've described being to some extent
8 backward, speaks also to your comments about -- about
9 efficiencies in cost of service and assignment of net
10 export revenue that you'd referred to also in your
11 evidence, is that correct?

12 MR. JAMES LAZAR: Yes.

13 MR. MICHAEL ANDERSON: But, in the end
14 you recommended that the Board adopt the recommended
15 method suggested by Manitoba Hydro?

16 MR. JAMES LAZAR: I recommended they
17 adopt the recommended method but, I also made additional
18 recommendations, first of all, with respect to the
19 treatment of carbon dioxide costs being added to the
20 recommended method.

21 And then I've made some suggestions as to
22 the treatment of the export dividend over and above the
23 change that has been proposed to allocate it across all
24 costs. That is, for example, to strengthen Manitoba
25 Hydro's equity and fund energy efficiency programs, low

1 income assistance programs.

2 MR. MICHAEL ANDERSON: Thank you.

3

4 (BRIEF PAUSE)

5

6 MR. MICHAEL ANDERSON: In preparing for
7 your evidence did you have the opportunity to review, as
8 you discussed, the change in circumstances over the past
9 decade and a half or so of Manitoba Hydro's operations in
10 respect of the marginal value of a kilowatt hour of
11 electricity sold in Manitoba and a kilowatt hour of
12 electricity sold on the export market?

13 MR. JAMES LAZAR: Yes, generally.

14 MR. MICHAEL ANDERSON: Thank you. And
15 did you also generally bring yourself to arrive at an
16 understanding of the change in net revenues or net
17 incomes of the Corporation over that same period of time?

18 MR. JAMES LAZAR: Yes, the export revenue
19 has gone from something like a penny and a half a
20 kilowatt hour to 4.5 cents, it's roughly tripled and the
21 net income is now pretty substantial.

22 MR. MICHAEL ANDERSON: Thank you for
23 that. Earlier you had described -- we had discussed and
24 you had described the quantification of a full cost
25 environmental effects and the -- your suggestion that

1 they be provided as direct compensation to affected
2 parties, essentially that was the substance of that
3 comment; correct?

4 MR. JAMES LAZAR: Yeah. If the costs are
5 quantified and compensated, the accounting is pretty
6 straightforward.

7 MR. MICHAEL ANDERSON: In addition to
8 those types of payments, do you believe that there would
9 be any other consideration made for the substantial
10 change in circumstances of the Corporation financially
11 between those times that the dams were originally
12 commissioned and constructed and the current
13 circumstances.

14 That is that those persons who were most
15 directly affected by the operations of Manitoba Hydro
16 would also, in addition to be compensated for their
17 direct impacts, the full cost environmental effects,
18 receive additional consideration regarding the
19 significant change in financial circumstances of the
20 Corporation, given their continuing contribution to that
21 operation?

22 MR. JAMES LAZAR: I -- I think you're
23 beyond the scope of my knowledge of Manitoba Hydro,
24 Manitoba history, Manitoba culture, and Manitoba
25 politics.

1 again, Mr. Lazar.

2 MR. JAMES LAZAR: Good afternoon.

3 MS. TAMARA MCCAFFREY: I'm here on behalf
4 of Manitoba Industrial Power Users Group and I wasn't in
5 the room this morning. However, one of the consultants
6 from Intergroup was here and I have been briefed on your
7 evidence and I have just a couple of brief questions for
8 you just to clear up a couple of things on the record --

9 MR. JAMES LAZAR: Okay.

10 MS. TAMARA MCCAFFREY: -- if you don't
11 mind.

12 First of all, with respect to your
13 response to the IR CAC/MSOS/TREE/RCM-9.

14 MR. JAMES LAZAR: Yes.

15 MS. TAMARA MCCAFFREY: I just -- I wanted
16 to give you an opportunity, actually, just to clear up
17 your response on the record there. If you -- you recall
18 this is a question where you were asked whether it was
19 your understanding that BC Hydro's industrial rate
20 proposal would mean that a new industrial plant locating
21 in BC would pay rates based on marginal or incremental
22 costs for all electricity purchased.

23 You've had a change to have a quick look
24 at that IR do -- do you recall this --

25 MR. JAMES LAZAR: I recall this.

1 MS. TAMARA MCCAFFREY: -- Mr. Lazar?
2 Now, I believe your answer, sir, and I'm just going down
3 to the bottom two (2) bullets, was that it did not appear
4 -- or you -- it did not indicate the rate -- the posted
5 tariff did not indicate how new industrial customers
6 would be treated.

7 And you also indicate that it does appear
8 to anticipate enlargement of existing facilities but does
9 not appear to anticipate new facilities; do you see that
10 there?

11 MR. JAMES LAZAR: Yes.

12 MS. TAMARA MCCAFFREY: I'm just -- MIPUG
13 actually had provided in a response to an IR from
14 CAC/MSOS-12, the rate schedules from BC. So what I'd
15 like to do now is give you a copy of that response and
16 just really I -- I want to give you an opportunity to
17 clear -- clear up that response for the sake of the
18 record, if you don't mind.

19 I'm looking here at Attachment 2, Schedule
20 18.23; do you have that page, sir?

21 MS. PATTI RAMAGE: Ms. McCaffrey, could
22 you repeat the reference so we can follow?

23 MS. TAMARA MCCAFFREY: Sure.
24 CAC/MSOS/MIPUG IR-12. And I'm referring here to
25 attachment 2, which is a portion of the tariff in the BC

1 Utilities Commission, effective April 1st, 2006.

2 MR. JAMES LAZAR: Yes, I have it.

3 MS. TAMARA MCCAFFREY: Okay. There
4 should be a highlighted portion on that page.

5 MR. JAMES LAZAR: Yes, I see that.

6 MS. TAMARA MCCAFFREY: All right. I'll
7 just give you a moment to look at that. And for the sake
8 of the Panel who may or may not have it before them, it
9 indicates that:

10 "Part a) energy charge for new
11 customers and customers supplied with
12 electricity under schedule 18.21 for
13 less than twelve (12) billing periods
14 as of the date of this schedule becomes
15 effective."

16 Then there's a rate 2.725 cents per
17 kilowatt hour per billing period.

18 MR. JAMES LAZAR: Yes.

19 MS. TAMARA MCCAFFREY: And then it
20 indicates, sir, that this rate will apply until the
21 customer has been supplied with electricity under the
22 schedule or under schedule 18.21 together with the
23 schedule and so on -- for twelve (12) billing periods
24 after which the customer will be supplied with
25 electricity at the rate specified in part b) below.

1 brief comment about aluminum smelters, sir. Are you
2 aware of any jurisdictions that have a regulated -- and
3 I'm talking about regulated jurisdictions -- that have a
4 regulated rate that's different for aluminum smelters, a
5 special rate for that type of industry?

6 MR. JAMES LAZAR: I am aware that there
7 have been some. I don't really -- it seems to me the
8 State of Maryland had a tariffed or regulated rate for a
9 smelter in that area and that the smelter that was served
10 out of Niagra Falls had a special tariff.

11 But I -- there -- I haven't studied either
12 of them.

13 MS. TAMARA MCCAFFREY: I'm wondering if
14 you would be able to provide details of that as an
15 undertaking.

16 MR. JAMES LAZAR: I'm not sure that I
17 could as sort of hearsay from years and years ago when I
18 was dealing with the element of the smelters in the
19 Pacific Northwest. And I doubt that I have files or data
20 that would be responsive to a request. That's -- just
21 sort of a vague recollection is the most that I can
22 offer.

23 MS. TAMARA MCCAFFREY: Okay. And so that
24 we're clear, this is a vague recollection, you're not
25 sure.

1 MR. JAMES LAZAR: Correct.

2 MS. TAMARA MCCAFFREY: I don't want to
3 pigeon-hole you into giving an answer if you're not -- if
4 you don't know whether that's the case. And I'm just
5 asking you whether you actually do have knowledge of
6 other jurisdictions that have this?

7 MR. JAMES LAZAR: I don't have specific
8 knowledge of another jurisdiction. I believe there have
9 been some and the two (2) that I mentioned are ones that
10 I -- I think fall into that category.

11 MS. TAMARA MCCAFFREY: But, again it
12 sounds to me that you can't say that for certain and you
13 don't have details of them and you wouldn't have -- you
14 wouldn't be able to provide us details of that in this
15 hearing?

16 MR. JAMES LAZAR: That's correct.

17 MS. TAMARA MCCAFFREY: Are you aware of
18 specific examples of economic development or special
19 contract rates for industries?

20 MR. JAMES LAZAR: Yes.

21 MS. TAMARA MCCAFFREY: Can you provide us
22 an example of that?

23 MR. JAMES LAZAR: Yes, I worked in a 1988
24 case I believe, involving Illinois Power, where one (1)
25 of the issues was basically who was going to pick up the

1 subsidy for the Diamond Star Motors Assembly Plant.
2 That's the Mitsubishi assembly plant that was constructed
3 in Illinois in that period.

4 And they were receiving a rate that was
5 dramatically lower than that that was being paid by the
6 other industrial customers served by that company.

7 And the decision of the Illinois
8 commission, I believe, was to make basically all other
9 customers cover the subsidy.

10 MR. ROBERT MAYER: It's my understanding,
11 Ms. McCaffrey, that when Inco was established they had a
12 twenty-five (25) year special rate contract with Hydro
13 and, in fact, put up the money for the development of
14 Kelsey at 2 percent interest rate; that contract was
15 still in existence, as I understand it, when I moved to
16 Thompson.

17 MS. TAMARA MCCAFFREY: And I can candidly
18 admit that I -- I don't know that. I don't have that
19 information, Mr. Mayer. I'm sure I could find that out,
20 however, if it -- if it's required.

21

22 CONTINUED BY MS. TAMARA MCCAFFREY:

23 MS. TAMARA MCCAFFREY: Other than the
24 Illinois power example --

25 MR. JAMES LAZAR: Yes.

1 MS. TAMARA MCCAFFREY: -- are you aware
2 of any other --

3 MR. JAMES LAZAR: Well, that's the one I
4 worked on most -- most directly. I mean, there were
5 several others that I worked on that were not adopted for
6 which my client was very happy.

7 MS. TAMARA MCCAFFREY: You're probably
8 aware that there's no aluminum smelters in Manitoba?

9 MR. JAMES LAZAR: That's -- yet.

10 MS. TAMARA MCCAFFREY: Are you aware that
11 -- that there are smelters, however, operating in British
12 Columbia and Quebec?

13 MR. JAMES LAZAR: Yeah, I know -- I know
14 the -- the Kitimat plant in British Columbia quite well
15 and I understand there's some capacity in Quebec.

16 MS. TAMARA MCCAFFREY: Are you familiar
17 at all with the ongoing competition, as it were, to
18 attract the next aluminum expansion between those two (2)
19 jurisdictions; Quebec and British Columbia?

20 MR. JAMES LAZAR: The people I've talked
21 with would describe it as something other than a
22 competition but more a game of running and hiding.

23 MS. TAMARA MCCAFFREY: You're familiar --
24 you've familiar with that?

25 MR. JAMES LAZAR: Well, I -- I know that

1 there's been discussion in BC about -- about Kitimat.
2 They've improved the efficiency of the plant and they're
3 no longer using all of the capacity of their dam, is my
4 understanding. They're selling the output of the dam
5 into the market and they have the option of expanding the
6 plant and using their power.

7 They also -- there was a proposed
8 completion -- they call it the Macheke Completion Project
9 (phonetic) but -- that was diverting yet another river
10 into the -- the headwaters of the dam that Alcan has and
11 there was an agreement with BC Hydro to provide power in
12 lieu of -- of that diversion and that gives Alcan some
13 operating flexibility in BC.

14 MS. TAMARA MCCAFFREY: Sir, with your
15 background, would you agree that presumably if an
16 aluminum facility were to locate in BC or Quebec, in this
17 case, it would be locating in a jurisdiction that has a
18 heritage generation type rate structure? That type of
19 structure that would be available in those two provinces
20 or are you aware of that?

21 MR. JAMES LAZAR: Well, BC does have what
22 they -- you know, a -- a heritage type rate structure. I
23 don't think there's any expectation that a new smelter
24 would be served by BC Hydro.

25 MS. TAMARA MCCAFFREY: One final

1 question, Mr. Lazar, how would you define a
2 discriminatory rate?

3 MR. JAMES LAZAR: Well, a discriminatory
4 rate I would describe as a rate that treats two (2)
5 customers similarly situated in a different manner and in
6 most utility law the proscription is against undue
7 discrimination, a term that obviously lends itself to the
8 judgment of the regulators and, if necessary, the courts.

9 MS. TAMARA MCCAFFREY: Would you agree
10 that -- that a discriminatory (sic) rate might also be seen
11 as a rate that treats a particular group in a more harsh
12 manner as a result of certain characteristics of that
13 group; would that also fall within your definition?

14 MR. JAMES LAZAR: I think you meant to
15 say "discriminatory" and I think that -- yes, I mean, if
16 it's -- if it treats two (2) otherwise similar customers
17 differently but a lot of jurisdictions have closed rate
18 schedules and open new ones so that all customers who
19 existed as of a point in time are treated one way and all
20 customers who come along thereafter are treated
21 differently.

22 And while those may be discriminatory they
23 seem to have survived the tests of whether it's due
24 discrimination or undue discrimination.

25 MS. TAMARA MCCAFFREY: Thank you very

1 much for you time this afternoon, sir. I have nothing
2 further for you.

3 THE CHAIRPERSON: Thank you, Ms.
4 McCaffrey. I think we're at the Bob Peters hour now.

5 Please proceed at your leisure.

6 MS. PATTI RAMAGE: I was going to suggest
7 perhaps I'll move cross the room because we're a little
8 at odds here.

9 THE CHAIRPERSON: Sounds good, give you a
10 bit more space.

11

12 (BRIEF PAUSE)

13

14 THE CHAIRPERSON: By the way, Mr. Peters,
15 don't interpret my weak attempt at levity as restricting
16 you to an hour.

17

18 CROSS-EXAMINATION BY MS. PATTI RAMAGE:

19 MS. PATTI RAMAGE: Good afternoon, Mr.
20 Lazar.

21 MR. JAMES LAZAR: Good afternoon.

22 MS. PATTI RAMAGE: I hope this moving
23 from tables doesn't impair our relationship in any way.

24 I want to just begin simply by confirming
25 that you would consider one (1) of your prime or primary

1 recommendations that you'd like to see the CO2 adder or
2 an environmental adder, I'll call it, in the cost of
3 service study methodology?

4 MR. JAMES LAZAR: Yes.

5 MS. PATTI RAMAGE: And would you,
6 following up a little bit on Mr. Anderson's cross, would
7 you recognize that Manitoba Hydro's technology or
8 resources has various different environmental impacts and
9 many have already been included in the utilities cost by
10 virtue of inclusion in their revenue requirement?

11 MR. JAMES LAZAR: Yes.

12 MS. PATTI RAMAGE: And so for example,
13 the example I think Mr. Anderson worked with you and the
14 numbers I think you used, was a \$10 million payment.

15 I just wanted to confirm that if a \$10
16 million mitigation payment had been made to a particular
17 group on account of the Utility's activities, it would
18 not be appropriate then -- and that \$10 million ran
19 through the revenue requirement and cost of service, it
20 would in fact be double counting to make any type of a
21 calculation to take that \$10 million and put it into the
22 cost of service study in the same manner as you've done
23 with the CO2 costs?

24 MR. JAMES LAZAR: Well, if it has been
25 paid and it was capitalized as a cost of say a dam, then

1 it is in the cost of service study as plant and service
2 hydro or some other accounting category and it's already
3 there and putting it in a second time would be double
4 counting.

5 MS. PATTI RAMAGE: Thank you.

6 MR. ROBERT MAYER: Excuse me, Ms. Ramage.
7 You're confusing me and I think at least one (1) other
8 member of the Board.

9 You keep using the word mitigation cost.
10 Are you using it mean the equivalent of compensation?

11 MS. PATTI RAMAGE: It could be, yes.

12 MR. ROBERT MAYER: I see them as two (2)
13 different things and I mean, I understand mitigation is
14 when you actually do something to prevent further damage
15 from happening like enclosing your fore-bays (phonetic).
16 Doing things like that.

17 I see compensation as being money paid to
18 compensate someone for the effects of your projects.

19 MS. PATTI RAMAGE: I'm including
20 compensation in mine and perhaps I'm being a little too
21 generic in that.

22

23 CONTINUED BY MS. PATTI RAMAGE:

24 MS. PATTI RAMAGE: Mr. Lazar you
25 discussed a Utility this morning that was new to me and

1 that was the Seattle City and Light example you gave.
2 Can you tell me a little about Seattle City and Lights
3 resource base, is it similar to Manitoba Hydro's?

4 MR. ROBERT MAYER: Well, it's -- it's the
5 City Light meets about half of their requirements with
6 hydroelectric projects that they own. They meet a very
7 small portion of their requirements with thermal power
8 resources that they purchase.

9 They meet a significant portion of the
10 requirements with power that they purchase from the
11 Bonneville Power Administration which in turn, is mostly
12 hydro.

13 So, if you measure where the kilowatt
14 hours come from, hydro versus other sources, it's quite
15 similar. But unlike Manitoba Hydro they don't own more
16 hydro than they need. They own less hydro than they need
17 and happen to have the ability to purchase from a hydro
18 based resource for most of the balance.

19 MS. PATTI RAMAGE: What emissions for
20 Seattle City -- is it Seattle City and Light?

21 MR. JAMES LAZAR: Seattle City Light.

22 MS. PATTI RAMAGE: What emissions are
23 being offset by its contributions to the transit system
24 that you referenced this morning?

25 MR. JAMES LAZAR: I don't know. You

1 know, I've read a -- a description of a court case that
2 is now before the Washington State Supreme Court on this
3 issue. City Light has been paying for the bio-diesel
4 fuel for some transportation agencies to offset some of
5 their own emissions; that was challenged by a group.

6 The trial court sustained City Light's
7 practice. It's now before the Supreme Court. But the
8 court papers didn't say whether they were offsetting the
9 emissions of their line trucks or offsetting the
10 emissions of that power of their power that comes from --
11 from fossil energy.

12 I mean, I can't -- I don't know one (1)
13 step backwards in the process what it is that they're
14 offsetting.

15 MS. PATTI RAMAGE: Their -- their
16 decision to offset emissions, though, is that a voluntary
17 decision or was that something imposed on them by a
18 regulator?

19 MR. JAMES LAZAR: It's a self-imposed
20 greenhouse gas initiative.

21 MS. PATTI RAMAGE: So it would not be
22 unlike Manitoba Hydro's self-imposed greenhouse gas
23 initiative; is that right?

24 MR. JAMES LAZAR: I think so. I mean, I
25 think it was imposed on them by the Seattle City Council

1 which is their regulator. But, you know, I mean, drawing
2 the line between Seattle City Light and the Seattle City
3 Council is a little difficult.

4 MS. PATTI RAMAGE: Sort of like Manitoba
5 Hydro's board and Manitoba Hydro's management?

6 MR. JAMES LAZAR: That would be the
7 analogy I would make, yeah. Yeah, they don't have a
8 separate regulator, like this Board, that has public
9 hearings and Intervenors that look at its budget.

10 MS. PATTI RAMAGE: And Bonneville Power,
11 you also spoke of it earlier. Am I correct in
12 understanding that the legislation applicable to
13 Bonneville power requires it to employ full cost
14 accounting in resource acquisition and planning?

15 MR. JAMES LAZAR: In resource acquisition
16 it's required to consider all quantifiable environmental
17 costs.

18 MS. PATTI RAMAGE: I just want to make
19 sure I'm correct here, did I hear you say this morning
20 that Bonneville power meets those obligations by
21 assessing environmental impacts in its resource planning
22 decisions; is that how --

23 MR. JAMES LAZAR: The Northwest Power and
24 Conservation Council is a four (4) state, inter-state
25 compact agency appointed by the four (4) governors that

1 adopts a regional power plan.

2 And that power plan includes a CO2 adder
3 in it in evaluating resources and Bonneville is required
4 to follow that plan or if it wants to deviate from the
5 plan to come back to the Power and Conservation Council
6 for approval of the deviation.

7 And so far they're following a plan rather
8 than seeking approval of a deviation. So it's -- the
9 Power Conservation Council isn't quite a regulator but it
10 has this one (1) regulatory authority under the law. And
11 if Bonneville wants to deviate they have to get
12 permission.

13 About fifteen (15) years ago they asked
14 for a deviation and it was approved to build a gas-fired
15 power plant but they then terminated the plant before it
16 was constructed.

17 MS. PATTI RAMAGE: So, again, to help me
18 with my understanding; if that CO2 adder, is this how it
19 works; if that CO2 adder causes the acquisition of one
20 (1) particular resource to be more expensive than another
21 they would go with the lower cost resource, both that CO2
22 added would be specifically applied to both of those
23 assessments?

24 MR. JAMES LAZAR: In a sense what
25 happened was the CO2 adder pushed new coal plants out of

1 the resource plan leaving wind and conservation as the
2 only resources to be acquired over the next twenty (20)
3 years.

4 MS. PATTI RAMAGE: Okay. Now, I'm
5 getting it. But the CO2 adder, and this is where my
6 confusion went, it isn't put into the cost of service
7 study of this utility similar to what we're recommending
8 here, it's at the resource planning stage?

9 MR. JAMES LAZAR: Well, you know, in a --
10 in the sense it is. It's not explicitly put in. But
11 let's just say the CO2 adder was eight dollar (\$8) a
12 tonne and in response to that the Bonneville bought a
13 wind project that mitigated the CO2 at a cost of seven
14 dollars (\$7) a tonne.

15 So the cost of the wind project was -- was
16 seven dollars (\$7) a tonne more than the cost of the coal
17 project but because of the eight dollar (\$8) a tonne
18 adder Bonneville chose the wind project.

19 All of the costs of that wind project goes
20 into the cost of service and, in essence, you've got, in
21 the cost of service, the cost of a coal plant plus seven
22 dollars (\$7) a tonne. So to the --

23 MS. PATTI RAMAGE: And that --

24 MR. JAMES LAZAR: -- to the extent it
25 causes you to buy a more expensive resource, that more

1 expensive resource flows through the cost of service.
2 It's really the same as flowing the carbon cost through.

3 MS. PATTI RAMAGE: Okay. So that's how
4 it meets its full cost accounting obligations, correct?

5 MR. JAMES LAZAR: Yes.

6 MS. PATTI RAMAGE: Thank you. You had a
7 brief discussion and now I've already forgotten whether
8 it was Ms. McCaffrey -- it was with Ms. McCaffrey
9 regarding stepped rates.

10 And I'm not sure if you heard my exchange
11 with Mr. Harper or read it yesterday. And I just wanted
12 to clarify again that we're all on the same page. You
13 had talked about a rolling baseline proposal.

14 And I think you may have said this with
15 Ms. McCaffrey, but just to confirm that I'm correct that
16 while the rolling baseline approach would impact most
17 customers energy consumption decisions, it in and itself
18 wouldn't resolve the concerns with respect to the energy
19 intensive customer's decisions to expand or locate in the
20 Province, is that correct?

21 MR. JAMES LAZAR: That's my understanding
22 from looking at the rate schedule that was provided to me
23 by Ms. McCaffrey.

24 MS. PATTI RAMAGE: And that would be
25 because that rolling baseline is based on an average

1 rate?

2 MR. JAMES LAZAR: Well, first of all, the
3 new customer doesn't -- doesn't pay a baseline. He is
4 basically grandfathered in with a -- arrives with a --
5 effectively a baseline.

6 So they never see a marginal cost rate
7 when they make the decision to locate. And then the ---
8 the rolling baseline rate that BC has looks like it
9 quickly collapses into a flat rate.

10 Some customer would look at it and
11 wouldn't see the incentive that we're really looking for
12 here.

13

14 (BRIEF PAUSE)

15

16 MS. PATTI RAMAGE: One (1) of the goals
17 as I understand it from the recommendations you're making
18 to the Board is that we manage rate increases to produce
19 positive results as opposed to having large consumption
20 drive up rate increases and we lose the benefits of
21 surplus power.

22 And that one (1) of the measures you
23 thought was the application of marginal rates for new
24 customers and part of that proposal, in turn, was that we
25 study electricity usage per customer, or in order to

1 implement any kind of a marginal rates for the new
2 customers, you referenced studying the electricity usage
3 per customer, is that correct?

4 MR. JAMES LAZAR: Yes, I mean I think you
5 need to come up with some way of defining at what point
6 is a customer's energy use high enough that it becomes a
7 net loss to the Manitoba economy rather than a net gain.

8 And at one (1) extreme, I used the Boeing
9 Company, 10,000 kilowatt hours a year per employee.
10 They're making 70, \$80,000 a year. I don't have to do a
11 very sophisticated study to conclude that that customer
12 is a tremendous addition to the Puget Sound economy.

13 And I'm sure that there are many -- most
14 nearly all of Manitoba's industrial customers fall into
15 the same category. But at some point the use per
16 employee gets so high, aluminum smelters use on the order
17 of 3 million kilowatt hours per year per employee.

18 That and chlor-alkali are the two (2)
19 industries that I'm most familiar with that are most
20 extreme.

21 MS. PATTI RAMAGE: And thank you for
22 correcting me without pointing it out, I said per
23 customer, not employee but you knew where I was going.

24 MR. JAMES LAZAR: Yes.

25 MS. PATTI RAMAGE: I'm just wondering in

1 your experience, do you believe it's appropriate for a
2 Utility to be considering measures such as electricity
3 usage per employee in rate design or does that really
4 fall into the government side?

5 There's been a few things today that
6 you've said that's really a government matter. And I'm
7 wondering if that's one of those?

8 MR. JAMES LAZAR: Well I think it's the
9 Utility's job to identify for this Board the risk that
10 all customers face from the addition of large energy
11 intensive load to the system and to quantify the macro
12 economic impacts of those customers.

13 What do the jobs bring? What are the
14 spin-off benefits? Is this, you know, how good a deal is
15 this? And I think it's probably the Board's role to say
16 we think this is due discrimination to treat these
17 customers differently or we think this is undue
18 discrimination and everybody's just going to have to suck
19 up and pay higher rates if somebody wants to come in and
20 receive service on the same terms and conditions of
21 everybody who's already here.

22 Do we want to approve a -- you know, a 50
23 percent increase in Manitoba Hydro rates in order to get
24 five hundred (500) jobs in an aluminum smelter and that,
25 to me, is a regulator or a government decision.

1 But it's the Utility's role to make sure
2 the regulator has all the information to make that
3 decision and I think to make a recommendation too.

4 MS. PATTI RAMAGE: Thank you for that.
5 You also in your evidence set out some priorities for
6 dealing with the next export revenues and the second one
7 in your list was one that I think is very near and dear
8 to Mr. Warden's heart and that is for Manitoba Hydro to
9 get its financial house in order to deal with the debt
10 equity ratio; do you recall that?

11 MR. JAMES LAZAR: Yes.

12 MS. PATTI RAMAGE: And I think you
13 characterized in your evidence that Manitoba Hydro's
14 current level of equity as being too low; is that
15 correct?

16 MR. JAMES LAZAR: Yes, I did.

17 MS. PATTI RAMAGE: And is it fair to say
18 that that's not a position you've typically taken in --
19 in -- when testifying in front of regulatory tribunals?

20 MR. JAMES LAZAR: I spend a great deal of
21 my time criticizing American utilities that are seeking
22 45 and 50 percent common equity ratios when the evidence
23 in the marketplace is that equity ratios in the 35 to 40
24 percent range produce a lower overall cost of capital
25 because the debt is so much cheaper in the --

1 particularly in the American tax structure.

2 But the argument is in the range of 35 to
3 50 percent and they think I'm crazy to argue that 35
4 percent is adequate and I think they're crazy to argue
5 that 50 percent is necessary. But 19 percent doesn't
6 enter into the discussion anywhere.

7 I would concede in a moment that a utility
8 exposed to drought risk or catastrophic resource failure
9 risk or even for some period of time a catastrophic
10 failure of the BC transmission system which, you know,
11 would be fixable and wouldn't be environmentally
12 catastrophic but would be financially pretty catastrophic
13 to Manitoba Hydro, needs to have substantial reserves
14 against those contingencies.

15 And whether it's a sequestered contingency
16 reserve or just built into retained earnings doesn't
17 matter to me. It's -- either way it's a -- a cushion
18 against contingencies and that's what I think is needed.

19 MS. PATTI RAMAGE: Thank you. And given
20 that do you think it would be reasonable for Manitoba
21 Hydro to build a zone of reasonableness around pre-export
22 revenue cost coverages and to recommend future rate
23 increases to this Board accordingly?

24 MR. JAMES LAZAR: Yes. If I talk about
25 the way some of the hydro utilities I deal with approach

1 this issue, they ask their regulators to set --
2 Bonneville sets -- asks its self-regulator to set rates
3 based upon an 80 percent probability of being able to
4 make all of its debt service payments and have positive
5 cash flow.

6 That is one (1) year out of five (5) they
7 expect to lose money. And that's one (1) way. Seattle
8 City Light has built into its cost of service an annual
9 contribution to a drought reserve that's expected to be
10 drawn down one (1) year out of ten (10).

11 Both of them have different ways of
12 providing for a high probability of being able to weather
13 a drought without having to come in for a twenty (20) or
14 forty (40) or sixty (60) percent rate increase.

15 MS. PATTI RAMAGE: Another one of your
16 priorities that you mentioned was funding of energy
17 efficiency programs. And I'm wondering if you're aware,
18 Manitoba Hydro's DSM planning already attempts to
19 identify and fund all measures which are cost effective
20 relative to the utility's marginal cost forecast and that
21 that forecast already anticipates future internalization
22 of greenhouse gas costs in Manitoba Hydro's regional
23 market?

24 MR. JAMES LAZAR: If my third priority
25 recommendation is already being done then you need to

1 work on one (1) and two (2). And then move on to four
2 (4).

3

4

(BRIEF PAUSE)

5

6

7

8

MS. PATTI RAMAGE: Again another priority was for the use of the net export revenues, is to use the monies to offset basic infrastructure.

9

10

11

12

13

I'm wondering if you've quantified the extent to which what you referred to as -- and this is -- inallocable distribution costs, how -- the extent to which what you refer to as inallocable distribution costs causes distortion in the cost base?

14

15

16

17

MR. JAMES LAZAR: Well, actually Manitoba Hydro has sort of done that for me. You've produced a cost study based upon eliminating the customer classification of the basic distribution system.

18

19

20

21

22

23

24

And the difference in customer related costs in that study versus your recommended study is the inallocable basic infrastructure costs. I haven't actually added up what the dollars are but that -- both of those studies have been done by MH and it's -- as Professor Bonbright describe that basic infrastructure, that's the part that's strictly inallocable.

25

MS. PATTI RAMAGE: So would you be

1 prepared to accept that Manitoba Hydro's recommended
2 method effectively directs approximately 20 percent of
3 net export revenues to offset distribution costs. Would
4 that seem in the right magnitude?

5 MR. JAMES LAZAR: That would -- you know
6 without looking at the numbers I can't say and maybe at
7 the next break you can help me look at the numbers and
8 I'll be ready to agree.

9 I mean it feels like it's the right order
10 of magnitude but I didn't anticipate the question. I
11 didn't do the analysis and -- but the numbers exist.
12 They've been produced for this docket.

13 MS. PATTI RAMAGE: Well maybe I'll
14 suggest, you and Mr. Wiens can have a brief talk at the
15 next break --

16 MR. JAMES LAZAR: Sure --

17 MS. PATTI RAMAGE: -- and we can just
18 confirm that. And that was actually the close of my
19 cross-examination so I think I can turn it over to Mr.
20 Peters now.

21 THE CHAIRPERSON: Thank you Ms. Ramage.
22 Mr. Peters perhaps you could begin until the break and
23 then after the break we'll go back to Ms. Ramage.

24 MR. BOB PETERS: Certainly.

25 THE CHAIRPERSON: Mr. Peters ...?

1 MR. BOB PETERS: Thank you.

2

3 CROSS-EXAMINATION BY MR. BOB PETERS:

4 MR. BOB PETERS: Good afternoon, Mr.
5 Lazar. As counsel to the Board I have some questions and
6 I'll try to keep us moving briskly so that airplane is
7 not kept waiting.

8 MR. JAMES LAZAR: I don't you need to
9 worry about the airplane.

10 MR. BOB PETERS: Mr. Lazar, in your
11 materials you provided your resume and an outline of some
12 of your work. In the last ten (10) years, how many of
13 those assignments that you had have you been specifically
14 involved in cost of service methodology debates? Can you
15 just give us a ballpark figure?

16 MR. JAMES LAZAR: Less in the last ten
17 (10) years than in the previous fifteen (15) for sure.
18 Most of the early part of my career was overwhelmingly
19 cost of service related.

20 But, I've been in cost of service analyses
21 involved City of Burbank, Pacific Power, Avista
22 Utilities, Puget Sound Energy, Manitoba Hydro, in
23 contested cases and additional work for the New England
24 Demand Resource Initiative. And the County of Maui,
25 Hawaii.

1 And some work that I actually did in
2 Indonesia that was really focussed around low income
3 energy assistance, but quickly turned into a direct
4 assignment of a limited amount of low cost hydro to meet
5 the essential needs of residential customers and running
6 that through their cost of service models.

7 So I guess I would count the -- they serve
8 170 million people, it's the largest electric utility in
9 the world in terms of the number of customers served in
10 Indonesia.

11 MR. BOB PETERS: So somewhere between
12 five (5) and ten (10) cases where you've done some cost
13 of service --

14 MR. JAMES LAZAR: Yeah, in the last ten
15 (10) years.

16 MR. BOB PETERS: And in those cases, sir,
17 did you give specific recommendations to a regulator as
18 to what the cost of service methodology should be?

19 MR. JAMES LAZAR: We settled most of the
20 cases that I was involved in without going to Hearings.
21 So it didn't -- all we got presented to the Commission
22 was a settlement.

23 MR. BOB PETERS: That was in all of them,
24 except the one (1) here in Manitoba Hydro?

25 MR. JAMES LAZAR: Well, I have -- let me

1 look at my resume and -- and see if looking at the -- at
2 the docket list --

3 MR. BOB PETERS: Let me -- let me go on
4 and let's not bog down on that, Mr. Lazar. But in your
5 recommendations as to methodology in your settlements,
6 were you recommending the inclusion of externality costs
7 in the cost of service study?

8 MR. JAMES LAZAR: No.

9 MR. BOB PETERS: In none of them?

10 MR. JAMES LAZAR: None of them.

11 MR. BOB PETERS: And why is that?

12 MR. JAMES LAZAR: Well, the ones that we
13 -- I -- I -- there might have been one (1) had it gone to
14 hearing that I would have involving Puget Sound Energy in
15 2002, but it settled and so the issue never got into
16 testimony.

17 The ones that were before 2002, frankly,
18 our -- the status of the science of quantifying CO2 costs
19 wasn't good enough to make it ready to go before a
20 regulatory body.

21 MR. BOB PETERS: Do I gather from -- from
22 your answer so far, Mr. Lazar, that when you went into
23 these settlement negotiations or alternative dispute
24 resolution processes did you go in seeking externalities
25 to be included in the cost of service study?

1 MR. JAMES LAZAR: Yes and it -- in --
2 that would be in the 2005 cases involving Washington
3 Water Power and Pacific Power and it quickly became
4 evident that enough other parties weren't willing to go
5 that far that it wasn't going to be fruitful to proceed.

6 MR. BOB PETERS: All right.

7 MR. JAMES LAZAR: And it was one of the
8 issues we gave up early on in the negotiations.

9 MR. BOB PETERS: What if I asked the same
10 questions relative to recommendations you've made in the
11 last ten (10) years to incorporate marginal generation
12 costing into the cost of service study; did you do that?

13 MR. JAMES LAZAR: In the last ten (10)
14 years I don't think I've worked in any marginal cost
15 jurisdictions and, kind of -- in 1978 to '80 in the US
16 all the regulatory commissions had to consider and
17 determine various rate-making standards and they all,
18 sort of, either came down on the side of using embedded
19 costs or came down on the side of using marginal costs
20 and it's sort of argued and decided in the States that
21 I've worked in the last ten (10) years.

22 If I go back to '91 in Arizona, I did and
23 1990 in Illinois, I did.

24 MR. BOB PETERS: Most of those '78 to '80
25 decisions that were being made, you would agree with me

1 that the majority came down on the side of using embedded
2 costs?

3 MR. JAMES LAZAR: Probably about two-
4 thirds (2/3) maybe three-quarters (3/4) came down on the
5 embedded costs side and about a quarter (1/4) on the
6 marginal cost side.

7 MR. BOB PETERS: Mr. Lazar, in your
8 evidence, and I think one of my colleagues referenced it
9 earlier, you suggest that Manitoba Hydro's method of
10 allocating net export revenue is a step in the right
11 direction; do you recall words to that effect?

12 MR. JAMES LAZAR: Yes.

13 MR. BOB PETERS: Did you mean to say that
14 was a step in the wrong direction because what you are
15 telling the Board here is that it is a mistake, I think
16 you're saying, to credit customers with any net export
17 revenue?

18 Is that what you're -- is that -- are you
19 saying what I'm suggesting to you?

20 MR. JAMES LAZAR: The answer to -- you've
21 asked me actually several different questions.

22 MR. BOB PETERS: Let me -- I'll --

23 MR. JAMES LAZAR: I think it is a step in
24 the right direction because it allocates those export
25 revenues across all costs not just generation and

1 transmission costs. That's a step and I think that's a
2 step in the right direction.

3 A better step in the right direction, I
4 think, would be to allocate it across distribution costs
5 that are inallocable as I've just been discussing with
6 Ms. Ramage, and not against generation and transmission
7 costs and an even bigger step to an economist in the
8 right direction would be to -- to refund it to the people
9 of Manitoba in some manner wholly unrelated to their
10 consumption of electricity.

11 That would be the best and biggest step in
12 the right direction. But what -- what has been proposed,
13 I think, is a step in the right direction.

14 MR. BOB PETERS: Thank you for answering
15 my three (3) questions with those answers, sir. I
16 appreciate that.

17 Would you agree that when we come to the
18 net export revenue amount what we're facing here is not
19 really the allocation of a cost but, deciding on how to
20 share in some surplus wealth that's been generated by the
21 Utility?

22 MR. JAMES LAZAR: It's surplus wealth
23 that's been generated by the Utility and by the people of
24 Manitoba who took the financial risk to build some
25 resources that have proven to be significantly more

1 valuable than what they cost.

2 MR. BOB PETERS: And so to that extent,
3 all of the academic theory that you bring in from the
4 economist perspective, in terms of cost allocation,
5 doesn't necessary apply to the net export revenue credit?

6 MR. JAMES LAZAR: Well, the traditions of
7 embedded cost allocation don't apply, in my opinion, very
8 well to the net export revenue. You know the economist
9 is saying, you've got a pot of benefits for which there
10 is no associated pot of costs.

11 You've already paid off the costs. It
12 doesn't belong to anybody, except for in a broad sense,
13 the people of Manitoba. How do you divide it up? And
14 that's as much a policy and political decision as an
15 economic or technical decision.

16 MR. BOB PETERS: And that was the point I
17 was head to, is it becomes a matter of policy and
18 considerations of that nature.

19 MR. JAMES LAZAR: Yes, the role the
20 economist brings is to say, don't divide it up in some
21 way that causes people to consume more electricity than
22 they otherwise would.

23 MR. BOB PETERS: And that's what Manitoba
24 Hydro is doing right now, is they're crediting it back to
25 customers and therefore that's encouraging customers to

1 use more electricity?

2 MR. JAMES LAZAR: They're crediting it
3 back to customers in proportion to their usage of
4 electricity driving down the price per kilowatt hour of
5 electricity and that invites usage that is uneconomic.

6 That is people to buy kilowatt hours for 3
7 cents and use it for some value -- purpose that's worth
8 3.5 cents when, in fact, it's worth 5 cents in the
9 market.

10 MR. BOB PETERS: All right. You've heard
11 and you've read and you've probably been briefed by Dr.
12 Miller, that there are a number of different cost of
13 service studies afloat here in the hearing room,
14 including four (4) from Manitoba Hydro and some
15 suggestions by other parties.

16 I think you told my colleague opposite
17 that there could be thousands of different ways you could
18 do this cost of service study, in terms of methodologies?

19 MR. JAMES LAZAR: I think I got the --
20 she asked me about dozens and I think I got to hundreds.
21 But we could work together and get it up to a thousand,
22 I'm sure.

23 MR. BOB PETERS: All right.

24 MR. JAMES LAZAR: And I think there's
25 more than four (4) that have been brought in by Manitoba

1 Hydro. Because in their direct evidence there were four
2 (4). But in the rebuttal evidence they also, I believe,
3 brought in an improvement on the study I did that brought
4 marginal generation costs into the cost of service study.

5 MR. BOB PETERS: That's one (1) of the
6 thousands that I was referring to.

7 MR. JAMES LAZAR: That's the least fo
8 them. If you count my evidence as two (2), one (1) with
9 and one (1) without CO2 costs and the original evidence
10 as four (4) and the marginal study that Hydro brought in
11 on rebuttal that gets us to seven (7) and I'm not sure if
12 MIPUG brought in any of their own.

13 MR. BOB PETERS: All right. Recognizing
14 that the number is growing, you'd accept that the end
15 objective is to adopt and have the Board approve a
16 methodology that is considered fair to all customers?

17 MR. JAMES LAZAR: Yes.

18 MR. BOB PETERS: And could you comment on
19 the possible merits of adopting maybe two (2) different
20 cost of service methodologies and then weighting them or
21 maybe averaging them or somehow coming to a final RCC
22 number? Is there any merit to that and I know that was a
23 question posed earlier in the Hearing. What's your view?

24 MR. JAMES LAZAR: I personally don't
25 think there is merit to that. Each of the studies that

1 is before us has different specific principles that
2 underlie it.

3 And I think it would make more sense for
4 the Commission to list out those principles, identify
5 which of those principles they think are appropriate and
6 then tell Manitoba Hydro, we're going to take principle
7 one (1) from study one (1) and principle two (2) from
8 study three (3), and principle four (4) from study five
9 (5).

10 And we think those principles are
11 appropriate principles. Now show us us what a study that
12 combines those principles looks like rather than
13 weighting them.

14 However, a number of commissions have
15 looked at the study that the consumer advocate brings
16 forward, the study that the utility brings forward and
17 the study that the industrial customers bring forward and
18 if they all show one (1) particular class is paying too
19 much or they all show that one (1) particular class is
20 paying too little they take guidance from that that's
21 sort of independent of the methodology. Something is
22 askew and that I think is an appropriate use of multiple
23 studies.

24 But the studies have principles behind
25 them and I think it's more important to provide guidance

1 on the principles than it is to take studies and average
2 them. If you take studies and average them you're just
3 inviting the parties to bring in the most outrageous
4 studies in the world with the industrial customers
5 allocating all the costs to the residential customers,
6 the residential customers allocating all the costs to the
7 industrial customers and when you average them you've put
8 all the costs on the commercial customers.

9 And I don't see their representative here,
10 maybe he is. But if he's not in the room he winds up
11 with all the costs. And I don't think that averaging
12 outrageous studies is as good as, kind of, focussing in
13 on good ones.

14 MR. BOB PETERS: Would you agree with me
15 if I distilled your evidence down to telling the Board
16 that your main concern is that consumers in Manitoba
17 presently make inefficient energy decisions because their
18 current electricity prices fail to reflect the full cost
19 of providing service to them?

20 MR. JAMES LAZAR: Yes.

21 MR. BOB PETERS: And you gave an example
22 -- well, one (1) of the components that leads to that
23 inefficiency is the assignment of export credits and
24 we've talked briefly about that?

25 MR. JAMES LAZAR: Yes.

1 MR. BOB PETERS: And in essence that's
2 the argument when you are crediting back to the customers
3 you're under -- they're underpricing the energy they're
4 consuming and it doesn't give them this correct price
5 signal that you've talked about?

6 MR. JAMES LAZAR: Yes.

7 MR. BOB PETERS: And one of the best ways
8 to deal with that from certainly your economist's point
9 of view is to remove the net export revenue credit
10 entirely from the consumer classes?

11 MR. JAMES LAZAR: From being credited
12 against consumer costs.

13 MR. BOB PETERS: In the cost of service
14 study?

15 MR. JAMES LAZAR: In the cost of service
16 study. Yeah, I think it would be too big a step to take
17 at one (1) time.

18 MR. BOB PETERS: We'll come to that.

19 MR. JAMES LAZAR: We're talking about a
20 20 or 25 percent rate increase and I don't think that's
21 pragmatic.

22 MR. BOB PETERS: All right. The other --
23 the other concern that I take from your evidence is that
24 there's a failure to recognize marginal environmental
25 costs associated with energy generation?

1 MR. JAMES LAZAR: Yes.

2 MR. BOB PETERS: And even if those
3 environmental costs are not incurred in Manitoba,
4 Manitobans should be global citizens and recognize that
5 those costs exist whether they're within the Manitoba
6 border or outside the border?

7 MR. JAMES LAZAR: They should recognize
8 that in the pricing of the electricity that they consume,
9 yes.

10 MR. BOB PETERS: And I wasn't quite sure
11 of something you told Dr. Miller first thing this
12 morning, I guess that even if Manitobans left the
13 electric utility and went over to the gas side of the
14 utility and took all their heating needs through natural
15 gas that would free up a whole bunch of electricity for
16 export; wouldn't it?

17 MR. JAMES LAZAR: Yes, it would.

18 MR. BOB PETERS: But it would leave
19 behind some of the very problems that we presently don't
20 have and that is in terms of our environmental emissions?

21 MR. JAMES LAZAR: It would incre -- as I
22 -- as I stated very clearly in my opening remarks, it
23 would increase greenhouse gas emissions in Manitoba a
24 little bit and decrease greenhouse gas emissions in the
25 export market jurisdictions by a much greater amount --

1 MR. BOB PETERS: Well, that --

2 MR. JAMES LAZAR: -- so there would be a
3 net benefit.

4 MR. BOB PETERS: Sorry to interrupt. The
5 net benefit is that because we're using gas and we're
6 displacing coal?

7 MR. JAMES LAZAR: It's because we're
8 using gas at sixty (60) and seventy (70) and 80 percent
9 efficiency in gas water heaters and gas furnaces and they
10 are burning coal at 35 percent efficiency in power
11 plants. So there's roughly four (4) times as much CO2
12 emissions from burning coal in power plants as there
13 would be from burning gas in appliances.

14 You've got both gas as a cleaner fuel from
15 a CO2 perspective and direct application of fuels is more
16 efficient than using it to make electricity.

17 MR. BOB PETERS: All right. Thanks for
18 clarifying how that -- how you see it netting out and it
19 nets out that even if Manitobans all resort to natural
20 gas they're doing a better good for the world because
21 they are exporting electricity which will displace coal?

22 MR. JAMES LAZAR: Yes, and then in a
23 perfect market they would receive compensation either in
24 the form of certificates of good stewardship or better
25 yet money. Where the greenhouse --

1 MR. ROBERT MAYER: I get you Hydro will
2 go along with the certificates. They made some comment
3 about being able to produce paper really well.

4 MR. JAMES LAZAR: You know, better yet
5 money for the greenhouse gas emission reductions that
6 occur in the power purchasing jurisdictions.

7

8 CONTINUED BY MR. BOB PETERS:

9 MR. BOB PETERS: And presently the most
10 Manitobans could hope for would be the good citizenship
11 award because there is no money in it for them at this
12 time?

13 MR. JAMES LAZAR: No, they also get the
14 export sales revenues which is a substantial amount of
15 money and not to be taken lightly. I mean the heating
16 bills in Manitoba would change very little, but the
17 export revenue coming into Manitoba, that then everybody
18 could fight about who gets what part of it, would
19 increase.

20 MR. BOB PETERS: And you agree that
21 there's a perception problem then for Manitobans that
22 they are cleaning up somebody else's problem?

23 MR. JAMES LAZAR: I don't think there's
24 any question that making this argument easy for the
25 public to understand and get behind is difficult. It

1 would be much more difficult in a lot of jurisdictions
2 other than Manitoba where the population is less educated
3 and less worldly in their views.

4 MR. BOB PETERS: I'm not sure if I
5 understood your answer to the point that if Manitoba
6 Hydro electricity -- if Manitoba Hydro electricity
7 carried and for my question, I'll call it a surcharge for
8 environment adders, that would put it at a competitive
9 disadvantage with say, natural gas, which wouldn't
10 contain the same adder, would you agree with that?

11 MR. JAMES LAZAR: Yes, unless the same
12 kind of adder were put on natural gas that would be true.

13 MR. BOB PETERS: And the same kind of
14 adder would have to be put on all alternative energy
15 choices to make it a level playing field so the correct
16 price signal could be interpreted by the consumer?

17 MR. JAMES LAZAR: To make a more perfect
18 market, you would want to treat all fuels the same,
19 obviously wind and solar and geothermal and a number of
20 other non-carboniferous sources would be less impacted
21 than gas, oil, propane and electricity.

22 MR. BOB PETERS: In your evidence --

23 MR. ROBERT MAYER: Excuse me, that came
24 by pretty quick. But, if you use the same argument for
25 wind power that it also displaces -- has the ability to

1 displace coal-fired fuel, don't you have the same issue
2 as you would have with Manitoba Hydro -- with hydro
3 power?

4 MR. JAMES LAZAR: If the wind power was
5 coming into the Manitoba Hydro system absolutely. If the
6 wind power were being used directly by a customer, then
7 they would be looking at the full cost of that wind power
8 including any carbon tax on buying that wind turbine,
9 which would be the carbon embedded in the equipment --
10 the carbon emissions embedded in the manufacturing of it
11 versus buying electricity from -- or natural gas from
12 utility.

13 THE CHAIRPERSON: Mr. Lazar, just so we
14 understand, when do you have to be at the airport to
15 catch your plane?

16 MR. JAMES LAZAR: 4:30 -- 4:45.

17 THE CHAIRPERSON: All right. Thank you.
18 Mr. Peters.

19 MR. JAMES LAZAR: 5:29 -- you guys know
20 your airport better than I do.

21

22 (BRIEF PAUSE)

23

24 CONTINUED BY MR. BOB PETERS:

25 MR. BOB PETERS: Mr. Lazar, earlier this

1 morning the Vice Chair had questions of you about the
2 true elasticity of energy consumption in Manitoba when
3 it's minus thirty-five (35) degree Celsius.

4 To that end do you -- do you expect that
5 the electricity consumption that's going to be reduced by
6 increasing the prices would come from the residential
7 customers or would it have to come from the commercial
8 and the industrial customers?

9 MR. JAMES LAZAR: Well, I have to revert
10 to being an economist. In the Hydro response to our data
11 request 2-26(b) they estimated long-term elasticities for
12 all three (3) classes. The low end was minus point two
13 nine (-.29) for commercial, the high end was minus two
14 point eight seven (-2.87) for industrial and they were --
15 you know, they were all in the -- in wide ranges of sort
16 of minus point three (-.3) to minus two (-2).

17 I think it would come from all sectors.
18 In the short run when it's minus thirty-five (-35) the
19 elasticity is pretty limited. In the long run when
20 there's equipment substitution that can be made, a
21 residential structure retrofit that can be done, the
22 response can -- can be pretty clear.

23 I mean, the -- the lighting technology in
24 use in this room is kind of vintage. And we could get
25 this much light onto our work surfaces for half the

1 electricity. And that might happen in office buildings
2 if the rates --

3 And I suspect as soon as the new Hydro
4 building is built when you walk inside and take a look at
5 the lighting technology in that building you're going to
6 want it for yourself.

7 MR. BOB PETERS: Thank you, Mr. Lazar.
8 When you -- when you talk about the savings of
9 electricity by Manitobans and then using that for export,
10 have you given any consideration as to whether Manitoba
11 Hydro has the current transmission inter-tie capability
12 to export that kind of energy?

13 MR. JAMES LAZAR: Only in this sense;
14 most of that electricity is already getting to Winnipeg.
15 It doesn't really have very much further to go. I mean,
16 this is -- this is where most of the -- you know,
17 Southern Manitoba is where most of the consumption takes
18 place. It's where most of the savings would take place
19 and the electricity has already travelled the DC inter-
20 tie.

21 MR. ROBERT MAYER: I think you missed the
22 point, Mr. Lazar. I think the inter-tie Mr. Peters is
23 talking about is the inter-tie between us and the States.
24 We do have limited capacity and I thought the question
25 was, could we use all of that -- could we, in fact, get

1 all of that \$388 million that you talked about, in light
2 of our inter-tie restrictions?

3 MR. JAMES LAZAR: And that is an
4 absolutely legitimate question. I don't know the answer.
5 But it's nowhere near as long a distance as it is from
6 the north to here. So if transmission upgrades are
7 required, and they may well be, you know, one would have
8 to know the cost, but it might be modest.

9
10 CONTINUED BY MR. BOB PETERS:

11 MR. BOB PETERS: I take from your answer,
12 if you're limited in your inter-tie capability just build
13 another extension cord to the border because you're
14 within an hour, a hundred (100) kilometres of the border?

15 MR. JAMES LAZAR: Correct.

16 MR. BOB PETERS: All right. And that
17 will assume that our -- our counterparties would likewise
18 have infrastructure or else build it south of the 49th
19 Parallel to receive it?

20 MR. JAMES LAZAR: Yes.

21 MR. BOB PETERS: Mr. Lazar, what do you
22 think Manitoba Hydro is selling its off-peak energy for
23 right now? Do you have any idea?

24 MR. JAMES LAZAR: No. I -- I know the
25 current on peak, off peak markets on the west coast. I

1 don't know how --

2 MR. BOB PETERS: What are they on the
3 West Coast? What do you think is the off peak price?

4 MR. JAMES LAZAR: Well, actually I --

5 MR. BOB PETERS: Approximately, please?

6 MR. JAMES LAZAR: I -- I do have some
7 data with me that's just a few days old of some of the
8 eastern stuff, I believe. No, I guess, I do not. I'm
9 sorry.

10 MR. BOB PETERS: Would it surprise you if
11 Manitoba Hydro was selling off peak energy on the export
12 market for less than a cent a kilowatt hour?

13 MR. JAMES LAZAR: Right now, in the
14 spring, there's an awful lot of water flowing and not
15 much load out there. I know that's what's happening on
16 the west coast.

17 MR. BOB PETERS: Roughly the same price,
18 you think?

19 MR. JAMES LAZAR: Yeah, a penny.

20 MR. BOB PETERS: If that -- if it's a
21 penny a kilowatt doesn't that suggest then that Manitoba
22 Hydro would be better off selling that in Manitoba and
23 charging five (5) or six (6) cents to its consumers?

24 MR. JAMES LAZAR: In the month of May,
25 yes. I mean, the May prices tend to be the absolute

1 bottom of the -- of the annual market because it's when
2 all the rivers are in freshet and that prices -- prices
3 decline.

4 There's not much load and there's lots of
5 water flowing downhill that's not storeable.

6 MR. BOB PETERS: And then let's take it
7 to -- to maximize the value to Manitoba Hydro at other
8 times of the year, it's to their advantage to sell that
9 electricity that's not used by Manitobans on peak hours,
10 do you agree with that?

11 MR. JAMES LAZAR: Sure.

12 MR. BOB PETERS: Better price?

13 MR. JAMES LAZAR: Yes.

14 MR. BOB PETERS: Even at other times of
15 the year, your on peak price you would expect to be
16 better than your off peak price?

17

18 MR. JAMES LAZAR: You expect the on peak
19 price to be better than the off peak price but, for
20 example, looking ahead to next winter the January,
21 February prices, forward prices both on the west coast
22 and on PJM grid, the east coast, are in the 10 cent a
23 kilowatt hour range.

24 And off peak prices are around seven (7).
25 So if you look ahead out of the month of May, the price

1 relationship that we've been experiencing on average for
2 many years -- for the last several years, looks to
3 continue.

4 MR. BOB PETERS: What's the approximate
5 US average cost of electricity per kilowatt hour?

6 MR. JAMES LAZAR: The wholesale or
7 residential level?

8 MR. BOB PETERS: Residential?

9 MR. JAMES LAZAR: About 9 cents, 10
10 cents.

11 MR. BOB PETERS: And the highest
12 jurisdiction other than Hawaii would be the eastern
13 seaboard cities that were --

14 MR. JAMES LAZAR: Southern California --
15 Southern California Eddison's a five (5) block inverted
16 rate. The cheapest is 11 cents. The tailblock is 33
17 cents.

18 MR. BOB PETERS: And in New York?

19 MR. JAMES LAZAR: I haven't look at New
20 York rates for enough years that I don't think I'm
21 current enough to be relevant.

22 MR. BOB PETERS: Back to our on peak
23 questions. If Manitoba Hydro can get the better value on
24 peak, how do you convince Manitoba consumers to give up
25 their energy during on peak hours?

1 MR. JAMES LAZAR: You -- well, one (1)
2 thing you do is you implement time of use rates that
3 causes high industrial customers that can to shift their
4 load.

5 One (1) thing that you do is you invest in
6 conservation measures that are on peak oriented. And
7 Manitoba Hydro is kind of working pretty hard to identify
8 what those are.

9 And one (1) thing you do is try and manage
10 the system so that the resources that don't need much
11 transmission are available to run at full capacity on
12 peak so that you can get more power to the market during
13 those periods.

14 MR. BOB PETERS: So time of use rates
15 would be a key to achieving that goal of selling on peak
16 power for the best price?

17 MR. JAMES LAZAR: Yes, but I only think
18 on peak -- I only think time of use rates makes sense for
19 quite large customers. I don't think it makes sense to
20 as some utilities have done to take it all the way down
21 to the residential level.

22 The metering costs and the consumer
23 inconvenience starts to be worth more than the savings.

24 MR. BOB PETERS: You acknowledge that
25 residential consumers are also wasteful users of

1 electricity?

2 MR. JAMES LAZAR: Yes.

3 MR. BOB PETERS: You haven't been to my
4 house have you? I'll withdraw that last question. Why
5 do you say that? Why do you say residential also can be
6 considered wasteful consumers?

7 MR. JAMES LAZAR: I serve on the regional
8 technical forum on the Northwest Power and Conservation
9 Council. We've looked at conservation potential in every
10 sector and look at the time of use load shape of more
11 than a thousand possible conservation measures.

12 And we find savings every where we look.
13 There's not a sector, there's not a customer, there's not
14 an industry that we've look at that we haven't found
15 significant savings opportunities.

16 So, residential customers are wasteful.
17 Commercial customers are wasteful. Industrial customers
18 are wasteful. Street lighting customers are wasteful.
19 Irrigation customers are wasteful. Municipal sewage
20 treatment plants are wasteful. It -- there's lots of
21 opportunities out there.

22 MR. BOB PETERS: Mr. Lazar, back to being
23 global citizens here. You can accept that aluminum is
24 going to be a needed product in the world?

25 MR. JAMES LAZAR: It's a useful product.

1 We, you know, lived for almost you know a million years
2 as homosapiens without it, so needed is sort of a
3 pejorative term, it's desired, it's being used, people
4 want it, it does a lot of useful things.

5 MR. BOB PETERS: If the choice was to put
6 that aluminum smelter in a jurisdiction that uses fossil
7 fuel or put it in a jurisdiction that uses hydro electric
8 energy, what do you think is better for the environment?

9 MR. JAMES LAZAR: I don't think that
10 matters. I think it matters what grid you put it in
11 because it's what is the marginal fuel for the grid that
12 matters, not what is the marginal fuel for the
13 jurisdiction.

14 As long as we're an inter-connected grid
15 the ultimate electricity demand doesn't really recognize
16 the borders and the carbon dioxide emissions doesn't
17 really recognize the borders. So you really have to look
18 at it at grid level.

19 MR. BOB PETERS: And if the grid has --
20 has coal resources on it then whether it's coal in --
21 connected to the MISO area or in some third world
22 country; it doesn't matter?

23 MR. JAMES LAZAR: Well, it may matter if
24 the -- you know, depending upon the emission regulations
25 and the efficiency of -- of different coal plants. You

1 know, the Chinese build coal plants with no sulphur
2 dioxide scrubbers and North America requires sulphur
3 scrubbers. So from a sulphur emissions perspective it
4 would be better to put them here than there.

5 But the -- other than differences of
6 emission controls and differences of efficiencies between
7 power plants, the other thing you look at is where is the
8 raw material and where is the market. Manitoba is close
9 to a market but it's nowhere close to any raw materials
10 for aluminum.

11 MR. BOB PETERS: While we're on that,
12 you'd given an example earlier of Boeing because I take
13 it you're familiar with the US northwest --

14 MR. JAMES LAZAR: Yes.

15 MR. BOB PETERS: -- location of it.
16 Boeing itself probably is one of the largest users of
17 aluminum in the world?

18 MR. BOB PETERS: They used to be. The --
19 the 787 is a plastic airplane. It's, you know, a
20 composite plane that's not going to have an aluminum
21 fuselage and most of the wing structure is not aluminum
22 any more and they just announced last week that they're
23 going to build an all composite version of the 737
24 because the airlines just love the 787 because the fuel
25 use is 20 percent lower for the same number of

1 It's the energy to employment ratio that I think gives
2 you some sense of whether they're a net benefit to the
3 economy which most industrial customers certainly are or
4 just shopping for cheap power and don't really care
5 anything else about what Manitoba has to offer.

6 MR. BOB PETERS: Just to switch a couple
7 of quick questions here that I have left for you, Mr.
8 Lazar, Manitoba Hydro's current revenue is derived not
9 only from the energy portion of the bill but from the
10 demand charges that it levies to its commercial and
11 industrial customers; you'd accept that as being correct?

12 MR. JAMES LAZAR: Yes. And also the
13 customer charge to all classes.

14 MR. BOB PETERS: Although the customer
15 charge is relatively modest?

16 MR. JAMES LAZAR: Yes.

17 MR. BOB PETERS: But the demand charges
18 can be at least half the bill, maybe more for some
19 customers?

20 MR. JAMES LAZAR: For a very low load
21 factor customer it could be half the bill; yeah.

22 MR. BOB PETERS: Have you thought about
23 whether or not there would have to be restructuring on
24 the demand charges as well as energy charges for Manitoba
25 consumers if we move forward with some of your

1 recommendations?

2 MR. JAMES LAZAR: I've thought about it
3 and when this proceeding was originally conceived of as a
4 rate increase proceeding and I was going to be looking at
5 all the rate design issues I -- I thought about that and
6 actually some of the work that Hydro has done in this
7 case kind of leads to that which is de-emphasizing the
8 demand charges for the large customers and moving to time
9 of day energy charges to recover at least the production
10 and transmission costs I think is -- is an improvement.

11 It's less burdensome for a low load factor
12 customer who happens to have an off peak load use pattern
13 who is now paying very high rates, but not imposing very
14 high costs.

15 And would be, I think a useful way to
16 move. California has gone to a fixed facility charge for
17 the customer specific facilities on distribution system.
18 And a time of use charge for most of the rest of the
19 costs.

20 And I think that makes more sense given
21 the way the market has evolved.

22 MR. BOB PETERS: Mr. Lazar, with Ms.
23 Bowman you went through some of your Exhibits and you
24 came to the final page where you talked about percentage
25 increase in price.

1 That was on your Exhibit JL-6 corrected,
2 do you recall that?

3 MR. JAMES LAZAR: Yes.

4 MR. BOB PETERS: Under the Manitoba Hydro
5 recommended method you showed a percent increase in price
6 of approximately 28 percent. Is that reflecting what the
7 increase would have to be on average if the net export
8 revenue was not credited back to the class in the cost of
9 service study?

10 MR. JAMES LAZAR: Yes, I believe that's
11 correct.

12 MR. BOB PETERS: And when you add CO2
13 adder at twenty dollars (\$20) a tonne, then the rate
14 would have to go up 60 percent to cover those costs and
15 that was the point you were trying to demonstrate?

16 MR. JAMES LAZAR: Yes.

17 MR. BOB PETERS: But CO2 isn't the only
18 environmental adder that you would say should be added to
19 get the full costing?

20 MR. JAMES LAZAR: To me it's the big one
21 (1). I indicated mercury is another but I think it's
22 going to be regulated and priced in the market within a
23 year or two (2). So I didn't really consider it.

24 MR. BOB PETERS: So you're not going to
25 give us a range or an approximation as to what additional

1 percentage rate increases would have to be levied to take
2 care of other environmental adders?

3 MR. JAMES LAZAR: No, as my testimony
4 said, I've looked at one (1) I haven't tried to quantify
5 any others. It's the big one (1). It's the one (1)
6 that's going to I think change our lifestyle, change the
7 shape and nature of our planet.

8 And --

9 MR. BOB PETERS: But only starting --

10 MR. JAMES LAZAR: -- lifetime of us, our
11 children or our grandchildren. It's the one (1) that I
12 think we need to be focussed on.

13 MR. BOB PETERS: Starting only after the
14 next presidential election in the United States?

15 MR. JAMES LAZAR: Well, that wasn't my
16 plan but I -- as I've said a couple of times today, I'm
17 kind of a pragmatist.

18 MR. BOB PETERS: All right. And then
19 when you look at the marginal generation costs being
20 included the percentage rate increase goes up to 95
21 percent. And is it the -- is it the evidence that you
22 have here that cumulatively those three (3) headings add
23 to 127 percent increase in price needed to cover the
24 costs?

25 MR. JAMES LAZAR: That was my estimate

1 here, yeah.

2 MR. BOB PETERS: But, and I'll give you
3 the chance to say it again clearly to the Board, you're
4 not here advocating any rate increase of the order of
5 magnitude of 127 percent, are you?

6 MR. JAMES LAZAR: Absolutely not.

7 MR. BOB PETERS: What you're here to tell
8 the Board is, can I put it this way, this is a wake up
9 call and that we should be aware that these are costs
10 that are being incurred that aren't presently being
11 considered or recovered?

12 MR. JAMES LAZAR: Yes, if you're only
13 concern was economic efficiency that would be the right
14 number. But we've talked over and over again about how
15 many other important things there are to consider in
16 regulation. And that's only one (1).

17 And the use of these costs in the cost of
18 service study ends up driving down the revenue to cost
19 ratios of all customer classes, correct?

20 MR. JAMES LAZAR: Yes.

21 MR. BOB PETERS: And the purpose of that,
22 I suggest, is that you want to show the Board that at
23 some point you're going to need rate increases and the
24 cost of service study can help you decide how to
25 apportion those rate increases?

1 MR. JAMES LAZAR: Yes.

2 MR. BOB PETERS: And is it your view that
3 eventually Manitoba Hydro will have to include in its
4 rate structure charges to recover the CO2 adder plus the
5 marginal costs of generation plus the removal of the net
6 export revenue credit?

7 MR. JAMES LAZAR: Well, you know, some of
8 these savings I think are more or less perpetual. The
9 cost of the existing dams is a fixed cost and less if the
10 government expropriates the economic benefit of those
11 Hydro would continue to have embedded costs that are well
12 below marginal costs.

13 But, if you don't do something to stem the
14 growth of electro-process industry you're going to be
15 losing the -- initially losing the export market and
16 therefore the export benefits.

17 And then you'll be acquiring, once that's
18 exhausted, you'll be acquiring new marginal cost
19 resources and charging everybody for them.

20 So you'll be getting a fair amount of the
21 increase. Finally, on CO2 I expect it to be monetized,
22 hopefully sooner. If not sooner, later. And then it
23 will show up in the rates when it is monetized and I
24 think you should be aware of what happens and prepare the
25 public for that eventuality.

1 MR. BOB PETERS: Are you going to put a
2 time horizon on when you would think rate increases of
3 the magnitude shown in your Exhibit JL-6 corrected would
4 have to be put in place to recover all these costs?

5 MR. JAMES LAZAR: The first big one will
6 happen the day the aluminum smelter is connected to the
7 hydro grid and that'll be a whopper. The carbon cost is
8 obviously a political decision. It's not driven strictly
9 be economic criteria --

10 MR. ROBERT MAYER: Well, on -- on that
11 carbon cost, if it's done as you say with a carbon tax in
12 the States we would, in fact, be a beneficiary then would
13 we not? We're not producing any carbon. The rates would
14 go up because of the carbon tax and we collect the rates.

15 MR. JAMES LAZAR: The revenues -- the
16 revenues from export would go up and the value of the
17 electricity in Manitoba would go up and it would be worth
18 -- more valuable to encourage people here to improve
19 their efficiency and reduce their use so you can export
20 more and make more money.

21

22 CONTINUED BY MR. BOB PETERS:

23 MR. BOB PETERS: Mr. Lazar, from those
24 answers, and I'm not sure if you said it earlier, but
25 rate design may be the more immediate solution that would

1 assist Manitobans more than embedding these costs in the
2 cost of service study; would you agree with that?

3 MR. JAMES LAZAR: I agree with that with
4 the exception of large new energy intensive load. I
5 think every other customer class we can -- we can find
6 ways to encourage efficiency through rate design.

7 But something different has to be done to
8 large -- large new loads and large expansions of existing
9 loads.

10 MR. BOB PETERS: And Mr. Lazar, in those
11 rate design options, is it -- is it inverted rates or
12 rolling baseline rates; is that the preferred method that
13 the Board should consider?

14 MR. JAMES LAZAR: Well, those are the
15 methods I've identified that the Board should consider.
16 The goal is to get the price for incremental use more
17 closely aligned with -- with -- with marginal cost and if
18 other creative thinkers in this room or elsewhere come up
19 with better ideas than I've got then you should follow
20 their advice.

21 The goal is to get to that result.

22 MR. BOB PETERS: Thank you. One -- one
23 piece here I'm checking my notes that I don't think
24 you've given the Board your views on is the vintaging
25 methodology used by Manitoba Hydro in its -- one of the

1 four (4) methods of cost of service study; you reviewed
2 that?

3 MR. JAMES LAZAR: I did.

4 MR. BOB PETERS: And you actually
5 recommended it at some point in time that the Board
6 should -- and that Hydro should consider that?

7 MR. JAMES LAZAR: I did recommend it and
8 I recommended it primarily in the construct of creating a
9 identified pool of low cost resources that on a cost of
10 service basis would support an initial low cost rate
11 block of an inverted rate.

12 My -- my evidence was that if you give
13 people cheap hydro from the older dams to meet their
14 basic needs those basic needs also happen to have a high
15 load factor that as they occur pretty uniformly through
16 the day so the distribution costs are lower, you could
17 have a very cheap first block.

18 My recommendation of vintaging was more in
19 the context of rate design within classes than cost
20 allocation between classes. When I looked at it as a
21 cost allocation between classes approach it seemed like
22 unnecessarily complicated step in cost allocation to
23 produce a result that wasn't really meaningfully
24 different from Manitoba Hydro's recommended method.

25 MR. BOB PETERS: Is the methodology used

1 in British Columbia of any guidance to Manitoba Hydro?

2 MR. JAMES LAZAR: I think as we
3 established with Ms. McCaffrey, my -- I'm - I'm a little
4 rusty on what they've done up there. I'm a little -- a
5 couple of years behind the curve there so I probably
6 should have no opinion on that.

7 MR. BOB PETERS: My last area of
8 questioning to you, Mr. Lazar, was that you -- you've
9 said on a number of occasions throughout your testimony
10 that some issues are -- are for the government to decide
11 and in that regard I understood you to be staying that
12 it's for the government of Manitoba to decide what is
13 included in the revenue requirement of Manitoba Hydro.

14 Have I understood your evidence correctly?

15 MR. JAMES LAZAR: Well, the main thing
16 that I said was for the Government of Manitoba to decide
17 is whether to reflect either CO2 costs or marginal
18 generation costs in the revenue requirement.

19 The first is including what's been called
20 a notional cost, a cost that's not paid in cash in the
21 revenue requirement and to me that's a political
22 decision. It's a fundamental change in how regulation
23 has happened and probably isn't something the Board
24 should do on its own.

25 And the other falls under the same

1 category, substituting marginal generation costs in the
2 revenue requirement means charging customers at fair
3 market value instead of depreciated original costs for
4 resources that are providing service.

5 That's a very fundamental change in the
6 way regulation has been done. Those two (2) issues I
7 think would need some government guidance. It's --
8 they're very big steps.

9 The issue of taking the export credit and
10 applying it to other things that would flow through
11 Manitoba Hydro's books, applying it to beef up their
12 equity ratio, to fund the uniform rates legislation, to
13 fund energy efficiency, although that may be all being
14 done, to fund low income energy assistance, I think those
15 are things that fall within sort of the traditional
16 purview of a regulatory commission and conventional
17 regulation.

18 So the 28 percent increase, if you will
19 from my JL-6 is sort of the limit of what I think this
20 Board could be looking at within the sort of traditional
21 role of regulation.

22 And anything to the right of that would,
23 in my opinion, sort of have to have some government
24 guidance to the parties to go forward.

25 MR. BOB PETERS: Are you suggesting the

1 government would have to change the legislation in
2 Manitoba?

3 MR. JAMES LAZAR: I don't know, you know,
4 I'm not a lawyer, I haven't looked at the legislation.
5 It just seems to me that that's -- going beyond that in
6 the cost allocation study, I think is fully within the
7 Board's purview to say we want to do a cost allocation
8 study that recognizes all the right efficient things to
9 do, looking forward is fine.

10 But that deals with in my Exhibit, sort of
11 the indexed revenue to cost ratio. To actually add it to
12 the revenue requirement just seems so fundamental to me
13 that's it's beyond -- it's certainly beyond what I would
14 have the courage to do as a Board.

15 MR. BOB PETERS: How do you --

16 MR. ROBERT MAYER: We'll get that advice
17 from you Mr. Peters as to whether we need a change in
18 legislation.

19

20 CONTINUED BY MR. BOB PETERS:

21 MR. BOB PETERS: How do you see
22 governments giving advice on those kinds of issues in
23 other jurisdictions?

24 MR. JAMES LAZAR: Well, you know there
25 aren't any other jurisdictions with rates as low as

1 yours, you know. Most other jurisdictions have rates
2 that are pretty closely aligned to marginal costs
3 already.

4 You know, where you're paying 10 and 12
5 and 15 cents a kilowatt hours US and 09 cents on average.
6 They're sort of already there. And they're not
7 attracting new electro process industry.

8 It's all searching the globe looking for
9 little pockets like Manitoba where there's somebody with
10 a big dam that's not being fully utilized that still has
11 traditional ratemaking that will sell them some
12 electricity cheap.

13 MR. BOB PETERS: From one (1) of your
14 answers, just another -- last question. When you talked
15 about the use to which net export revenue could be put in
16 Manitoba if it was not in the cost of service study, you
17 are acknowledging that whatever use is made of that money
18 there's no new money, it's the same money that we have on
19 the balance sheet of the Corporation.

20 MR. JAMES LAZAR: Yes, basically you
21 would be directing Hydro to include things in its budget
22 that then would become an expense in the cost of service
23 study.

24 And rates would have to be increased in
25 order to keep all the other bills still being paid.

1 MR. ROBERT MAYER: That jurisdiction I
2 could pretty well assure you we don't have.

3 MR. BOB PETERS: Mr. Chairman, I'd like
4 to thank Mr. Lazar for his answers and for keeping the
5 pace with me this afternoon. And also thank Dr. Miller
6 for producing him. Those are my questions.

7 THE CHAIRPERSON: Thank you Mr. Peters.
8 Professor Miller do you have any re-direct
9 of Mr. Lazar?

10

11 (BRIEF PAUSE)

12

13 DR. PETER MILLER: I don't know if you
14 folks have questions. I don't think I do -- have any
15 further questions. I think Jim's positions are well laid
16 out and --

17 THE CHAIRPERSON: I think that we were the
18 recipients of a lot of information and views from Mr.
19 Lazar. I don't believe we've got anything more at this
20 point.

21 So thank you very much, Mr. Lazar, for
22 making the trip again to Manitoba. We hope you have a
23 good flight back and you're not late by the time you get
24 to the airport and have to go through security. Thanks
25 again.

1 We'll have a short break now and when we
2 return we'll be back to Mr. Peters and Mr. Harper.
3 Right, we -- the break took a while to reach and I'd
4 forgotten that we'd agreed that Mr. Wiens was going to
5 consult with Mr. Lazar, very briefly.

6 Okay, well, briefly. We'll be back in
7 fifteen (15) minutes.

8

9 (WITNESS STANDS DOWN)

10

11 --- Upon recessing at 3:09 p.m.

12 --- Upon resuming at 3:25 p.m.

13

14 THE CHAIRPERSON: Well, welcome back,
15 everyone. We're all mindful of the time. Now, I'm sure
16 someone will correct me if I'm wrong but I believe we're
17 back to Mr. Harper and Mr. Peters.

18 MR. BOB PETERS: We are.

19 THE CHAIRPERSON: And before that, Ms.
20 Ramage was going to report on a, sort of, off to the
21 side, conversation between Mr. Wiens and Mr. Lazar.

22 MS. PATTI RAMAGE: Yes. And I think it -
23 - just to avoid it getting lost in the translation I'm
24 going to let Mr. Wiens report so you get direct evidence.

25 THE CHAIRPERSON: Very good. Mr.

1 Wiens...?

2 MR. ROBIN WIENS: Yeah. The -- the
3 question was to Mr. Lazar because you'll recall that he
4 had recommended one of the uses of export revenue might
5 be to deal -- net export revenue might be to deal with
6 those unallocable distribution costs which we call in our
7 cost of service study essentially are the customer
8 related portion of the pole and wire.

9 And Mr. Lazar disagrees -- has in the past
10 disagreed with our characterization of those costs as
11 that. And -- and he refers, as you heard, back to Mr.
12 Bonbright who calls them unallocable and his thought was
13 that you could use some of your surplus export revenue to
14 offset those costs.

15 And our question to him was simply do you
16 understand that our recommended methodology for the
17 allocation of export revenues would, in effect, and it
18 takes about -- we use the number 20 percent, it's
19 actually higher than that if you look at the net revenues
20 in the recommended method, it's closer to 30 percent. It
21 actually benefits -- functions below the level of
22 transmission, which is largely distribution.

23 So we just wanted him to recognize that.
24 And my conversation was yes, he did recognize it. He was
25 thinking though more along the lines of benefiting things

1 through reductions.

2 I may be getting to the point where you'd
3 be better off to bring him back and have him say it.

4 But, reductions of customer related charges, relating to
5 metering, meter reading, billing and that type of thing.

6 The very inelastic components of the
7 customers bill.

8 THE CHAIRPERSON: Okay. Thank you Mr.
9 Wiens.

10 MR. BOB PETERS: Thank you Mr. Chairman.
11 I'd just indicate that in my brief discussion with Dr.
12 Miller he was confident that the summation and the end
13 result of the discussion between Messrs. Lazar and Wiens
14 would be accurately communicated and certainly Dr. Miller
15 will have a change to review the transcript, as will Mr.
16 Lazar and if there's any further supplement to that we'll
17 hear them.

18 But I'm confident that Mr. Wiens has
19 captured the essence of the points. So with that I think
20 it is back to me and Mr. Harper to conclude the questions
21 that I have of this witness.

22

23 WILLIAM HARPER, Resumed

24

25 CONTINUED CROSS-EXAMINATION BY MR. BOB PETERS:

1 MR. BOB PETERS: So welcome back, Mr.
2 Harper.

3 MR. WILLIAM HARPER: Thank you.

4 MR. BOB PETERS: Mr. Harper, on your
5 resume you list a lot of your activities including some
6 activities you've had with Hydro Quebec, correct?

7 MR. WILLIAM HARPER: That's correct.

8 MR. BOB PETERS: And did you do any cost
9 of service methodology reviews for that Utility?

10 MR. WILLIAM HARPER: Yes, I did. When
11 Hydro Quebec distribution first came under regulation
12 from the Regie they filed a -- they filed an initial cost
13 of service methodology which I was involved in reviewing
14 on behalf of a client.

15 And made a number of recommendations to
16 the Regie then sort of established on the basis of that
17 Hearing what they felt should be the going methodology
18 that should be used by Hydro Quebec.

19 And subsequently and I sort of made
20 further comments on the application of that methodology
21 on the subsequent two (2) hearings after that, as well.

22 MR. BOB PETERS: When was that initial
23 hearing?

24 MR. WILLIAM HARPER: It's probably --
25 it's specifically on my CV, but probably somewhere around

1 2002. I'd have to check that if it's particularly
2 important, but it was a number of years ago.

3 MR. BOB PETERS: And can you tell the
4 Board briefly, was that a cost of service study that used
5 embedded costs?

6 MR. WILLIAM HARPER: Yes it was.

7 MR. BOB PETERS: And while we're at it,
8 can you inform the Board based on your understanding as
9 to what are the -- what is the export capabilities and
10 how much is exported annually by Hydro Quebec?

11 MR. WILLIAM HARPER: I think as I
12 mentioned previously and maybe if I didn't state it
13 clearly I should have when I was responding to your
14 questions. This was looking at a cost of service
15 methodology for Hydro Quebec distribution.

16 Hydro Quebec distribution basically either
17 obtains all of its power from Hydro Quebec production
18 under a heritage contract or it buys it under specific
19 power purchase contracts.

20 And within the context of that, really the
21 issue of how much export Hydro Quebec production makes is
22 not -- is not a subject that the proceeding actually gets
23 into, actually Hydro Quebec makes quite a -- take great
24 care to separate in terms of what items are under
25 regulations, which is the distribution and transmission

1 parts of the business, and what items are not under
2 regulation which is the production part of the business.

3 MR. BOB PETERS: So from that answer, you
4 don't have accurate information then in terms of what are
5 the exports and import by the Utility?

6 MR. WILLIAM HARPER: No, I mean other
7 than I think I may have, you know, looked at their annual
8 report in the past and know that they do have substantial
9 amounts of exports.

10 But, it wasn't a matter that we had to
11 deal with at all within the course of the cost of service
12 study.

13 THE CHAIRPERSON: So their export
14 revenues aren't playing a role in their cost of service
15 study?

16 MR. WILLIAM HARPER: That's correct.
17 That's correct. I think I said yesterday or when I
18 appeared here earlier, that's purely a matter better
19 Hydro Quebec production which is an unregulated entity
20 and its shareholder, the Quebec government, as to how
21 they wanted to dispose of those revenues.

22 THE CHAIRPERSON: But, those revenues in
23 other words, are not a factor in rate determination for
24 residents and businesses in Quebec.

25 MR. WILLIAM HARPER: Right. You're

1 correct they're not a factor, at all.

2

3 CONTINUED BY MR. BOB PETERS:

4 MR. BOB PETERS: To some extent they are,
5 as Mr. Lazar had said you take the export revenues right
6 out of the cost of service methodology and use them for
7 some other purpose?

8 MR. WILLIAM HARPER: Yes, effectively you
9 know, you've got a very different market structure in
10 Hydro -- in Quebec, excuse me, than you do in any of the
11 other Provinces.

12 And effectively, that's what they done is
13 they've struck a heritage contract between the
14 distribution entity and the production entity that
15 guarantees the distribution entity, I believe, it's
16 something in the order of 164 gigawatt hours of
17 electricity at a fixed price.

18 And as long a Hydro Quebec production is
19 responsible for delivering that whatever else they do is
20 on the unregulated side of the business.

21 MR. BOB PETERS: And so the power
22 purchase side, again, that's something that wasn't under
23 your review because you just ended up with the
24 distribution side of the business based on the heritage
25 contract?

1 MR. WILLIAM HARPER: Well, you know, the
2 heritage contract, I mean, the whole question of, now
3 that they are starting to buy power from third parties,
4 they've gone through tenders and they're purchasing wind
5 power -- they're purchasing power from TransCanada.

6 They've got additional contracts with
7 Hydro Quebec production. You've had to deal with how you
8 treat those in the cost allocation methodology and how
9 you allocate those purchase power contracts to various
10 customer classes.

11 But that's the extent to which you've have
12 to deal with it.

13 MR. BOB PETERS: Does Ontario Hydro
14 allocate net export revenue through the cost of service
15 methodology?

16 MR. WILLIAM HARPER: We -- we've switched
17 now to Ontario?

18 MR. BOB PETERS: Stay with me.

19 MR. WILLIAM HARPER: Okay. No, no.
20 That's fine. Because again, we have a very different
21 market structure and within that structure the -- the
22 commodity side of the market is competitive to the
23 extent, you know, power is sold into the market, power is
24 bought from the market.

25 Exporters and importers participate in

1 that market. You know, like I said, that's a competitive
2 market. That's not part of the cost of service
3 methodology.

4

5

(BRIEF PAUSE)

6

7

MR. BOB PETERS: You've also been further
8 west than Manitoba and you had involvement with BC Hydro;
9 correct?

10

MR. WILLIAM HARPER: That's correct.

11

MR. BOB PETERS: Also a mainly hydraulic
12 resource?

13

MR. WILLIAM HARPER: That's correct.

14

MR. BOB PETERS: And there, have you been
15 involved in any cost of service reviews?

16

MR. WILLIAM HARPER: No, I haven't.
17 Actually since they came under re-regulation all they've
18 had is a -- they've had a revenue requirement proceeding
19 which involved them basically establishing what was an
20 average -- the average rate increase that was applied
21 across all customer classes.

22

There is some expectation in the future
23 that BC Hydro will be coming forward with a cost of
24 service methodology to talk more specifically about how
25 to allocate their revenue requirement to customer classes

1 and -- and following on that a rate design proceeding.

2 But those are filings that are yet to be
3 made by the utility.

4 MR. BOB PETERS: Are you aware as to
5 whether BC Hydro is a net importer or exporter of
6 electricity?

7 MR. WILLIAM HARPER: I -- no, I have to -
8 - what I'm struggling with in the answer is I believe
9 within their supply plan they are self-sufficient. On a
10 dependable energy basis I believe there could be periods
11 of time when they have substantial amounts of -- when
12 they have -- you know, like Manitoba Hydro, there are
13 periods of time when your water flows are in excess of
14 average where they could well be a net exporter of
15 electricity.

16 It depends very much on their water
17 conditions. It's not something that they would always be
18 a net exporter.

19 MR. BOB PETERS: From your knowledge,
20 sir, is there an allocation of net export revenue in the
21 current BC Hydro cost of service study?

22 MR. WILLIAM HARPER: To be quite honest
23 with you I -- I honestly don't know. The last BC
24 probably formal hearing took place probably about the
25 same time as Manitoba Hydro's hearing took place,

1 sometime in the mid to early '90's and I wasn't involved
2 in that. So I'm not aware of how export revenues were
3 treated back at that time.

4 MR. BOB PETERS: One thing you were
5 involved with was the BC transmission open access
6 transmission tariff application in 2004?

7 MR. WILLIAM HARPER: That's correct.

8 MR. BOB PETERS: And that was for the
9 BCUC to approve the open access transmission tariff?

10 MR. WILLIAM HARPER: Right. And that was
11 an open access transmission tariff that's put forward by
12 British Columbia Transmission Corporation which is a
13 different company than BC Hydro.

14 Again, they have a slightly different
15 market structure. BC Hydro is responsible for generation
16 and distribution. The BC Transmission Corporation is
17 responsible for transmission in the province and when
18 they set up that structure then the BC Transmission
19 Corporation had to establish a set of rates, the open
20 access tariff rates, which were approved by the BCUC.

21 MR. BOB PETERS: Is that a hearing that's
22 held annually or regularly or is it -- or do you know?

23 MR. WILLIAM HARPER: Probably the
24 expectation is it will be held regularly. I'm not too
25 sure if annually. We -- we've had one. There is not a -

1 - there has not been a subsequent application by the BCTC
2 for another revenue requirement.

3 So I think my expectation is regularly.
4 Whether regularly translates into annually or not we'll
5 have to see. It's early days.

6 MR. BOB PETERS: And jumping back to
7 Ontario, one thing that you were involved with was
8 seeking a standardized cost of service methodology for
9 some of the distribution companies?

10 MR. WILLIAM HARPER: That's correct.

11 MR. BOB PETERS: And in that regard
12 there's no standard methodology currently used?

13 MR. WILLIAM HARPER: Well, the -- no, I -
14 - no, I think that's correct. There's no standard
15 methodology that's currently used.

16 A lot of the utilities actually have never
17 done a cost of service study.

18 MR. BOB PETERS: Is Manitoba Hydro's cost
19 of service study the first cost of service study that
20 you've been involved with that has net export revenues
21 flowing through it?

22 MR. WILLIAM HARPER: To the extent we're
23 seeing here, yes. I think it's fair to say that when I
24 was working with Ontario Hydro sort of prior to the
25 restructuring in the early 1990's, they had export sales

1 that were flowing through it.

2 And they were treated very much the same
3 way that export revenues were treated in the 1990's here
4 in Manitoba. They were basically brought as an offset
5 against the bulk power function which included generation
6 and transmission.

7 MR. BOB PETERS: All right. Leaving
8 aside the export revenues, when you deal with most costs
9 in the cost of service study, you're trying to assign or
10 allocate those costs based on some principles of cost
11 causation?

12 MR. WILLIAM HARPER: That's correct.

13 MR. BOB PETERS: And you find that
14 defensible and that's the best approach that you
15 recommend when you testify?

16 MR. WILLIAM HARPER: Yes, that's correct.

17 MR. BOB PETERS: But when you are talking
18 about all costs having been allocated according to some
19 methodology you, too, acknowledge that there are a
20 multitude of methodologies that are available to be used.

21 MR. WILLIAM HARPER: Yes, I'd agree with
22 Mr. -- I heard Mr. Lazar talking to Ms. Bowman about that
23 and I'd agree there are a multitude of methodologies that
24 have been applied.

25 You only have to read the NERA manual and

1 they go -- they don't list one (1) a multiple of
2 different methodologies.

3 MR. BOB PETERS: And once all the costs
4 have been allocated and assigned and you're left over
5 with a net export revenue you would consider that a cost
6 offset, correct?

7 MR. WILLIAM HARPER: If you have already
8 identified what are the appropriate costs to be
9 associated with the export revenues then yes, I think
10 what you've got is probably what I'd define as the true
11 cost offset.

12 MR. BOB PETERS: And when I say net
13 export revenues let's assume that that exercise has
14 concluded --

15 MR. WILLIAM HARPER: And that's right, I
16 just wanted to make sure we were both on the same
17 wavelength there.

18 MR. BOB PETERS: And from what the Board
19 is hearing, would it be correct for them to conclude that
20 there is no hard and fast principles as to what do with
21 such net export revenue or such cost offsets?

22 MR. WILLIAM HARPER: I would think so,
23 yes, I think in terms of you've gone through the process
24 of trying to identify, including exports, sort of, where
25 you can and match up cost with cost causation and what

1 you have here is some additional -- luckily the revenues
2 as opposed to costs that you -- that you're really --
3 sort of at a point in time where you're sort of left
4 trying to sort them out.

5 But there are not sort of direct cost
6 causation sort of factors that you bring to bear.

7 MR. BOB PETERS: What you bring to bear
8 is the concept or principle of fairness, right?

9 MR. WILLIAM HARPER: I think it's a
10 broader principle of fairness. And I think you can bring
11 to bear, and I think in my evidence I probably indicated
12 right at the beginning that you know, you had this
13 primary consideration of cost causation but, then beyond
14 that if you satisfy that there are secondary
15 considerations of say, equity, rate stability,
16 efficiency.

17 I call those secondary because as we
18 talked about before your primarily focussing on the cost
19 causation, but when you've got choices to be made and
20 really the choices don't impact on cost causation, then
21 these secondary considerations would come to bear.

22 MR. BOB PETERS: In terms of how it is
23 treated in the cost of service study then really boils
24 down to a policy issue?

25 MR. WILLIAM HARPER: You know, like I

1 said I think it's a policy issue. There are some things
2 like stability and equity and even issues around
3 efficiency that can help guide you.

4 But I think you know when you've got more
5 than one (1), now that you've have more than one
6 principle you're dealing with to some extent, it does
7 become more of a policy issue, yes.

8 MR. BOB PETERS: And you can't bring
9 guidance to this Board from any other jurisdiction
10 because Manitoba Hydro is unique?

11 MR. WILLIAM HARPER: No and unfortunately
12 I can't -- there may be a jurisdiction out there, but
13 it's not one (1) that I'm familiar enough with that I can
14 bring guidance.

15 So I think it's a matter of just trying to
16 look at it from first principles and see what seems
17 reasonable.

18 MR. BOB PETERS: All right. And there's
19 no requirement to include net export revenue in the cost
20 of service study in the first place, is there?

21 MR. WILLIAM HARPER: Well, I think there
22 is, in a sense if you're trying to meet your first
23 objective which is, sort of, recover the revenue
24 requirement.

25 If you're trying to determine what's a

1 fair apportionment of the revenue requirement across
2 customer classes, and that revenue requirement includes
3 an offset which involves the entire export revenues, then
4 in order to have your apportionment of costs across the
5 customer classes add up to your total revenue requirement
6 you have to include the net export revenues in your cost
7 allocation.

8 MR. BOB PETERS: That's only a
9 mathematical conclusion isn't it, Mr. Harper, because if
10 it's a net export revenue, you've already taken into
11 account the cost to generate the export and there's no
12 requirement to put the surplus back into the cost of
13 service study?

14 MR. WILLIAM HARPER: I think there is
15 either -- I mean, if we're getting to the point of using
16 pre or post RCC's, we can talk about whether it's an
17 implicit inclusion or an explicit inclusion of the net
18 export revenue.

19 But I think -- I think if at the end of
20 the day you're trying to take your revenue requirement
21 and determine how much of that revenue requirement I
22 should collect from each customer class, then by
23 necessity the revenue requirement you collect from each
24 customer class should add up to the total revenue
25 requirement you want the utility to get.

1 Otherwise the utility is going to either
2 over earn or under earn the amount of money that you
3 think is reasonable for it to collect from its customers.

4 MR. BOB PETERS: Well, and the only way
5 in Manitoba that you can do that without massive rate
6 increases is to include it, that's the conclusion you've
7 reached?

8 MR. WILLIAM HARPER: Yes.

9 MR. BOB PETERS: And in terms of where
10 the Board sits, you see the Board sitting here as having
11 to set just reasonable rates that it concludes are in the
12 public interest?

13 MR. WILLIAM HARPER: That's correct.

14 MR. BOB PETERS: And that public interest
15 is including players and stakeholders like ratepayers,
16 like the utility itself and maybe even all Manitobans?

17 MR. WILLIAM HARPER: Well, I think you
18 know there is, you know -- you say sir, yes I think first
19 and foremost when -- I think this what I went through
20 with Ms. McCaffrey, you're looking at regulation as
21 balancing the interests of the utility and its consumers.

22 I think you realize that in public
23 utilities sort of the impact step sort of, you know, the
24 footprint of the utility is fairly large. And so
25 therefore, you know, your comment about the broader

1 public interest is appropriate as well.

2 MR. BOB PETERS: You agree with me that
3 the cost of service study is a tool that's available to
4 be used should the Board decide to use it?

5 MR. WILLIAM HARPER: Yes, it's a tool in
6 my mind if you're trying to meet the three (3) primary
7 ratesetting criteria. One of which is fairness, the cost
8 of service methodology is a particularly useful and
9 accepted tool for trying to look at that particular
10 criteria and see to what extent your revenue recovery
11 from each customer class meets that fairness criteria.

12 MR. BOB PETERS: Mr. Harper, here's some
13 questions that I don't think anybody has asked you and --

14 MR. WILLIAM HARPER: Heaven forbid.

15 MR. BOB PETERS: -- you've been before
16 this Board, three (3) times now?

17 MR. WILLIAM HARPER: I believe this is my
18 third time.

19 MR. BOB PETERS: And always on behalf of
20 the Intervenors CAC/MSOS?

21 MR. WILLIAM HARPER: Yes I've been
22 fortunate to have them as a client each time.

23 MR. BOB PETERS: And would you agree that
24 if your testimony is accepted by the Board the results
25 will be beneficial to your clients?

1 MR. WILLIAM HARPER: I think if you went
2 through my evidence some of the specific recommendations
3 would be beneficial to my clients, other ones would not.

4 MR. BOB PETERS: On balance --

5 MR. WILLIAM HARPER: On balance probably,
6 yes.

7 MR. BOB PETERS: On balance, it would be
8 significantly beneficial to your client compared to the
9 ones that aren't beneficial to your client?

10 MR. WILLIAM HARPER: Yes, you know, if
11 you take the puts and takes, yes.

12 MR. BOB PETERS: Okay. And there's not a
13 tactful way maybe for me to ask this question, but we've
14 heard that the cost of service study isn't precise and
15 there's judgment involved and we've heard that from lots
16 of people who have experience in it.

17 And yet we find the Board hearing evidence
18 from different parties where there's not agreement.
19 You're seeing that here correct?

20 MR. WILLIAM HARPER: That's correct.

21 MR. BOB PETERS: And to that extent can
22 you indicate how should the Board be considering the
23 evidence of the witnesses that come before it, from your
24 experience, where the evidence you're giving is
25 beneficial more so to one (1) client group than another?

1 MR. WILLIAM HARPER: I'm glad no one has
2 ever asked me that question before.

3 And I'm not too sure where to start on
4 that one (1). I think you can look at the
5 recommendations. I think one has to try and work through
6 the logic behind the recommendations and understand the
7 basis for them. You know --

8 MR. BOB PETERS: Well, you want the Board
9 to accept that you're here as an independent consultant,
10 correct?

11 MR. WILLIAM HARPER: That's correct.

12 MR. BOB PETERS: And in that regard you
13 are bringing forth your opinion in an area in which you
14 have expertise?

15 MR. WILLIAM HARPER: That's correct.

16 MR. BOB PETERS: Would you agree with me
17 that you could advance cogent arguments on the opposite
18 side of the position you're taking?

19 MR. WILLIAM HARPER: Parties could
20 advance cogent arguments on, sort of, other sides, other
21 positions. I'm not too sure if I personally could sort
22 of advance cogent arguments on the other side positions.

23 For some of them I could, for others
24 perhaps I couldn't. I have had -- I believe the
25 arguments that I put forward are cogent and it would be

1 hard for me to see how I could talk out of both sides of
2 my mouth at the same time.

3 MR. BOB PETERS: I understand. I mean I
4 could have asked you the question, why didn't Ms.
5 McCaffrey engage you before Mr. Williams did, but how --
6 I'm just trying to help the Board out here in terms of
7 how it hears the evidence.

8 Can the Board conclude that qualified
9 people can have opposing positions on the issue, both of
10 those positions may be reasonable?

11 MR. WILLIAM HARPER: I think that's
12 correct and I think you'll find those precise words in
13 Mr. Lazar's evidence as well, actually. I apologize that
14 that doesn't help the Board at all.

15 MR. BOB PETERS: Did you consider any
16 other methodologies for allocating net export revenue or
17 for using it for other non-utility purposes?

18 MR. WILLIAM HARPER: Well, I -- I did not
19 consider using it for non-utility purposes primarily
20 because of the fact that I viewed it as being part --
21 part of the revenue requirement and therefore necessary
22 to include in the cost allocation.

23 And once you do that it's part of the
24 utility and therefore it's not what you consider outside
25 and non-utility purposes. I must admit in going through

1 the -- in going through the filing and looking at the --
2 and I think I said in my direct, looking at this issue
3 about whether one sort of use -- uses pre or post export
4 allocation RCCs, I did think about the -- the position
5 and the issue of using pre-export RCCs as has been
6 presented here and sort of then basically indexing them
7 all up to 100 percent to come back to some metric that
8 might tell you which customer classes were over
9 contributing and which customer classes were under
10 contributing.

11 Sort of in working through that I came to
12 the conclusion that was really equivalent to allocating
13 net export revenues on the basis of the customers'
14 revenue as opposed to the basis of the customers'
15 allocated costs which one didn't seem to me to be that
16 much different and seemed to be somewhat a little bit
17 more capricious, the costs are the costs, the revenues to
18 some extent depend on whether you're over or under costs
19 at any point in time.

20 And so I thought, you know, between those
21 two (2) methods, the Manitoba Hydro method was, sort of,
22 the more appropriate one to pursue but beyond that I
23 didn't, no.

24 MR. BOB PETERS: When you looked at the
25 cost of service methodology for Manitoba, did you

1 consider whether there was some other use of -- some
2 other costs that would be more appropriate than what is
3 proposed by Manitoba Hydro?

4 MR. WILLIAM HARPER: I'm sorry, some
5 other costs --

6 MR. BOB PETERS: Well, I asked the
7 question --

8 MR. WILLIAM HARPER: You mean some other
9 costs as the allocation base over which to allocate the
10 net export revenue?

11 MR. BOB PETERS: No, let me rephrase the
12 question. In the evidence that you gave Mr. Williams you
13 said that -- did you say that embedded cost of service
14 study was the right cost of service study methodology for
15 Manitoba Hydro?

16 MR. WILLIAM HARPER: Yes, I did.

17 MR. BOB PETERS: Did you consider other
18 measurements of cost such as marginal cost or replacement
19 cost or inflation adjusted cost?

20 MR. WILLIAM HARPER: Well, I -- I'm aware
21 of those particular types of costs exist. I'm aware that
22 cost allocation studies are done using those. I -- it's
23 my belief that, given that Manitoba Hydro's revenue
24 requirement is based on embedded accounting costs for a
25 forward test year that those are the costs that they

1 should be allocating.

2 MR. BOB PETERS: Well, and I took that
3 from your answer that embedded cost of service is okay
4 because the revenue requirement is based on embedded
5 costs and therefore you're in a circular argument that,
6 therefore, it should be an embedded cost of service
7 study?

8 MR. WILLIAM HARPER: Yeah. You know, and
9 I think also just from a point of view of sort of -- and
10 I may take a bit of exception with what Mr. Lazar said
11 about, sort of, transparency and how much customers have
12 to understand about what's going on in the cost of
13 service methodology.

14 I appreciate they don't want to probably
15 hear about it after an after supper drink, if anything,
16 but I think there should be sufficient logic to it that
17 if they said, well, how do they come up with these rates?
18 If you could explain it to them in, you know, three (3)
19 sentences or less or something, that at least it made
20 enough sense that they'd say, oh yeah, I don't understand
21 why you didn't create more questions in their mind.

22 And if you're saying, well, you know,
23 we've got the cost that you've actually imposed on the
24 system and we're trying to figure out what's a fair
25 apportionment of the costs you've actually imposed on the

1 system by the usage you're currently making and charge
2 you a fair apportionment of those, that makes sense.

3 That's probably a lot easier for them to
4 accept than saying, well, we're going to charge you
5 based, not on the costs you've imposed on the system, but
6 on what you might impose on the system if you change your
7 use tomorrow.

8 You know, they say, but that's not what I
9 -- that's not what I'm using now and that's not the costs
10 I'm imposing now. So I guess I just sort of take it from
11 a sort of a little bit more pragmatic view in terms of if
12 I was just logically trying to explain it to the person
13 on the street what might make the most sense to them.

14 MR. BOB PETERS: In terms of other
15 methodologies, one of the methodologies that Manitoba
16 Hydro took the pains to produce for the Board was a
17 vintaging methodology; correct?

18 MR. WILLIAM HARPER: That's correct.

19 MR. BOB PETERS: And is that something
20 that you would recommend the Board use going forward?

21 MR. WILLIAM HARPER: No, I -- I believe
22 my evidence I said it wasn't something that was worth
23 pursuing.

24 MR. BOB PETERS: And can you remind the
25 Board as to what your rationale was for that?

1 MR. WILLIAM HARPER: Well, I -- I think,
2 one, the -- the results weren't all that much different
3 than what we saw coming out of the recommended method.
4 And the whole issue of maintaining what you believe are
5 the vintage assets versus the non-vintage assets could
6 well end up changing over time.

7 I mean, I -- I think, you know, Manitoba
8 Hydro, if I understand it correctly, and I -- I may be
9 wrong, is that, you know, part of the industry in
10 inquiring in Winnipeg Hydro was the fact there were a
11 number of older stations there that perhaps they could,
12 through time, spend some money upgrading, get some more
13 power out of.

14 You know, if they spend -- you know, those
15 are thought of as being part of the older vintage pool I
16 would presume. At some point in time, if you started
17 spending a lot of money on those, to upgrade them and --
18 and make them more efficient, what point in time do they
19 now become part of the new pool as opposed to the old
20 pool? So I could just see there being some complexities
21 in this.

22 It's fine to take a snapshot in time but
23 as you move forward the ongoing application of the
24 methodology seems to me, from what I was getting in terms
25 of the results at the end, not worth the complexity we

1 were getting into here.

2 MR. BOB PETERS: Mr. Harper, do you
3 consider Manitoba Hydro as using full cost accounting in
4 what they were presenting in their numbers to get into
5 the cost of service study?

6 MR. WILLIAM HARPER: I'm sorry but I --
7 I'm probably not in a position to answer that question
8 and understand, you know, how -- you know, I've
9 participated in two (2) rate hearings here. That's
10 probably not sufficient for me to understand the extent
11 to which they apply full cost accounting, how it actually
12 impacts on their costs and impacts on their revenue
13 requirement.

14 So if -- if that's the question, I'm
15 sorry, I -- I don't believe I'm in a position to answer
16 it.

17 MR. BOB PETERS: Are you in a position to
18 answer what externalities should be taken into account by
19 Manitoba Hydro in their cost of service study?

20 MR. WILLIAM HARPER: You're talking
21 specifically in their cost of service study. I believe,
22 since the cost of service study is based on the -- on the
23 revenue requirement, it should be the externalities that
24 -- that they basically monetize and include in -- in
25 their revenue requirement.

1 MR. BOB PETERS: So you're saying if it's
2 not in the revenue requirement, don't put it in the cost
3 of service study?

4 MR. WILLIAM HARPER: That's correct.

5 MR. BOB PETERS: You're aware, Mr.
6 Harper, that Manitoba Hydro has deferred costs, I think
7 they're somewhere in the order of \$150 million, largely
8 related to -- to DSM?

9 MR. WILLIAM HARPER: You know, they --
10 they've got costs that they spent and they've deferred in
11 their amortizing I believe over -- over a period of time
12 that's commensurate with the life expectancy of those DSM
13 programs.

14 MR. BOB PETERS: Some of those are a
15 fifteen (15) year amortization for the most part.

16 MR. WILLIAM HARPER: You know --

17 MR. BOB PETERS: And you're also aware
18 that they have mitigation costs of about half a billion
19 dollars that are charged to plant and depreciated over
20 the life of the plant?

21 MR. WILLIAM HARPER: Right. And those
22 are included in -- in the revenue requirement. I'm not
23 too sure if I would characterize DSM as sort of an
24 externality cost.

25 MR. BOB PETERS: Would -- would you agree

1 that the deferred costs and maybe some of the mitigation
2 costs have a limited tangible benefit going forward?

3 MR. WILLIAM HARPER: I'm sorry, I'm not
4 too sure if I understand. The -- you know, the -- the
5 mitigation costs I presume were costs that were
6 considered to be appropriate as part of the expenditures
7 for obtaining the -- the resources they were associated
8 with, whether it be a new hydraulic development or new
9 transmission line.

10 So to some extent, as long as that new
11 hydraulic development or new transmission line is
12 providing -- is providing benefit to Manitoba Hydro, then
13 the -- then the mitigation costs are sort of part of the
14 cost of providing that benefit, and there's a benefit
15 associated with them.

16 MR. BOB PETERS: You wouldn't consider
17 writing them off and excluding them from the cost of
18 service study?

19 MR. WILLIAM HARPER: Well, if you were --
20 well, I guess, one, if you were to write them off, that
21 would be first and foremost it seems to me, you know, you
22 have to address that issue long before you got to -- to
23 the cost of service -- to the cost of study -- excuse me,
24 cost of service study issue.

25 You're dealing with sort of Manitoba

1 Hydro's financial statements and whether or not from an
2 accounting perspective it's appropriate to write those
3 costs off or continue to amortize and defer them.

4 If the Board was to make -- was to make
5 the decision that from a regulatory perspective it was
6 more appropriate to write them off, then you would write
7 them off and they would be no longer expensed against
8 Manitoba Hydro's revenue requirement on an ongoing basis.

9 But it seems to me that's a different --
10 that's a different question than the cost of study
11 question.

12 MR. BOB PETERS: And that's a question
13 you're saying then would be considered at a general rate
14 application, something like that?

15 MR. WILLIAM HARPER: That's correct. I
16 assume that, you know, part of the general rate
17 application is what are the accounting policies that the
18 Utility is using and where those accounting policies are
19 appropriate. And that could well be one of the
20 accounting policies that were reviewed as part of a GRA.

21 MR. BOB PETERS: Mr. Harper, you -- you
22 understand that Manitoba Hydro's DSM initiatives are to
23 reduce domestic consumption?

24 MR. WILLIAM HARPER: Yes.

25 MR. BOB PETERS: And you understand that

1 with that reduced domestic consumption that will allow
2 Manitoba Hydro to increase its export capabilities?

3 MR. WILLIAM HARPER: Yes. I think it
4 also allows customers to reduce their bills as well. I
5 think there is more than one benefit associated with DSM.

6 MR. BOB PETERS: Looking at it from the
7 Utility's perspective, their benefit is they have more
8 electrons they can ship over to the export market?

9 MR. WILLIAM HARPER: And to some extent
10 they've got more contented customers as well. I think
11 customer satisfaction is always -- is a consideration of
12 utilities as well as just their bottom financial line.

13 MR. BOB PETERS: Fair enough. And would
14 you agree with me then that if DSM is to reduce the
15 domestic consumption and maybe make the customers happier
16 and it increases the export capabilities that that might
17 be sufficient reason to consider allocating or assigning
18 those DSM costs to the export class?

19 MR. WILLIAM HARPER: I guess if -- you
20 know, I guess you're sort of at a point now where you're
21 saying are those -- we've freed up kilowatt hours on a
22 normal year, yes, those freed up kilowatt hours we can
23 export them.

24 There are other points in time whereby if
25 we have problems on the system those freed up kilowatt

1 hours, it's a good thing we don't have to supply them
2 because we may not have enough generation or transmission
3 facilities in place and we're concerned about just
4 meeting the load that does exist.

5 So I think that DSM effectively goes into
6 the overall pot, if you want to put it this way, along
7 with their other sources of generation. It's negative
8 megawatt hours, negative megawatts but it goes into the
9 overall pot along with other generation.

10 I'm not too sure how I would view that as
11 being any different than other generation.

12 MR. BOB PETERS: Well, you're looking at
13 it as an alternative for generation rather than as a
14 source of additional export opportunities; would that be
15 correct?

16 MR. WILLIAM HARPER: You know, and I
17 think the other thing is if these are -- you know, if
18 you're making -- hopefully you're effecting some sort of
19 both fifteen (15) year change, maybe even culture change
20 that goes beyond that. So I think to some extent
21 hopefully the savings exist maybe even well beyond the
22 point in time where you'd be exporting and the point in
23 time where those savings may be pushing forward --
24 pushing backwards, which are the way I want to go, your
25 need date for additional dependable energy and new

1 dependable capacity.

2 MR. BOB PETERS: So you think it's
3 appropriate to tie DSM costs to generation costs?

4 MR. WILLIAM HARPER: I think there --
5 there's a similar linkage there between the two (2).
6 Utilities are out looking at whether they can -- I think
7 it's interesting, other utilities when they're doing
8 their resource planning, and I think we saw a bit of this
9 in the Wuskwatim review, resource planning involves
10 places where I can buy additional sources of generation
11 but also involves, to some extent, where I can buy the
12 equivalent in generation from customers by buying DSM
13 savings from them.

14 And so a lot of utilities will consider
15 DSM just as part of their resource planning and if you
16 look at their resource options, DSM is a resource option
17 just like wind, hydro, or thermal is.

18 MR. BOB PETERS: Okay. Thank you for
19 that. Turning to export classes, in 2002 you were
20 recommending this Board approve zero export classes;
21 isn't that right?

22 MR. WILLIAM HARPER: That's correct. I
23 was expressing -- the idea came up during the hearing and
24 I was expressing a concern about how the -- about how
25 this export class was actually going to be used and the

1 ability to actually implement it.

2 There was a -- I think we were, sort of,
3 early days in terms of understanding the concept of what
4 the export class was and what it was going to be used for
5 and I was having significant problems if it was going to
6 be used in any way for setting export prices or deciding
7 if exports were profitable or not.

8 MR. BOB PETERS: Well, from there we know
9 that NERA has filed a report recommending one (1) export
10 class. Manitoba Hydro is recommending two (2) and you're
11 supporting Manitoba Hydro's two (2) export classes; would
12 that be correct?

13 MR. WILLIAM HARPER: That's correct.

14 MR. BOB PETERS: Is there any magic to
15 the number of export classes, if any, the Board approves?

16 MR. WILLIAM HARPER: Well, I think as I
17 said, you're trying to, in setting up different customer
18 classes, set up customer classes that are basically
19 somewhat unique in terms of the nature of the service
20 that's provided to each.

21 I mean, if I look at Manitoba Hydro's
22 provided information in terms of the types of exports
23 they make and there's a wide range of exports from, sort
24 of, diversity exports to system participation sales to
25 short term firm contracts, to sales into the MISO and the

1 Ontario market on either an hour ahead, day ahead or real
2 time basis.

3 I mean, -- you know, I mean, if one wanted
4 to one could go and try and identify export classes for
5 all of those just like one could in the residential
6 sector start making separate class for space heating and
7 a separate class for water heating customers.

8 I think at a certain point in time you
9 want to make things workable and on that basis the
10 recommendation of having a separation just between the
11 firm and the opportunity sales, recognizing that there
12 was a fundamental difference between those two (2) in
13 terms of what they were -- one source is dependable
14 energy and the other isn't, made sense to me.

15 I mean you could try and break it down a
16 bit further. I think we're having enough trouble
17 identifying and separating the appropriateness of costs
18 between those two (2) customer classes.

19 As we introduce more customer classes and
20 try to sort of shave the costs down even further, I think
21 we'd have even more problems in terms of how we want to
22 differentiate the cost allocation between those various
23 export classes.

24 MR. BOB PETERS: Following your train of
25 thought further, Mr. Harper, that might support an

1 argument for only one (1) export class as opposed to two
2 (2), would you agree with that?

3 MR. WILLIAM HARPER: If you felt there
4 was no fundamental difference between firm and
5 opportunity sales, then yes, you know, there would be a
6 rationale for combining those two (2).

7 Just like if you felt there was no
8 fundamental difference between general service medium and
9 GS-30 to 100 kilowatt you know, industrial customers, you
10 could combine those two (2) customer classes.

11 I think you'd -- but I think in this case,
12 there is sufficient difference between them to make the
13 distinction.

14 MR. BOB PETERS: Do you agree that if
15 costs are incurred specifically for export, those costs
16 should be directly assigned to export?

17 MR. WILLIAM HARPER: I think as long as
18 that allows you to make a reasonable allocation of the
19 balance of the costs, yes.

20 MR. BOB PETERS: You recognize costs may
21 have joint purposes?

22 MR. WILLIAM HARPER: Yes and I guess
23 that's where I was getting back to that reasonable
24 allocation of the balance of the costs.

25 MR. BOB PETERS: You recognize that the

1 purpose for which a cost was incurred may change over
2 time?

3 MR. WILLIAM HARPER: Yes, you know I
4 think that's -- that's fair. I think one (1) of the
5 examples that Hydro cited about that is the Brandon GS
6 station.

7 MR. BOB PETERS: Well, other examples can
8 be that this utility has joint costs that are allocated
9 as between the gas side of their business and the
10 electric side of their business on some reasonable basis.

11 MR. WILLIAM HARPER: Yes, I'm sorry, you
12 know if you step back and not even within the electric
13 utility but joint costs even between the electric and gas
14 utility, that's correct.

15 MR. BOB PETERS: The Manitoba Hydro
16 building on Taylor Avenue may have been built for the
17 electric utility but, there may be some -- some of those
18 costs being charged through to the gas customers?

19 MR. WILLIAM HARPER: Yes, one would
20 expect if part of the utility is being used by the gas
21 business, it may be allocated some fair apportionment of
22 the cost of the overall building.

23 MR. BOB PETERS: And you'd agree with me
24 that exports use capital assets?

25 MR. WILLIAM HARPER: They use capital

1 assets, the extent to which they cause -- and this is the
2 distinction I think I tried to make in my direct and in
3 my evidence, the extent to which exports cause capital
4 assets to be built and the cost of those capital assets
5 to be incurred, maybe different from the extent to which
6 they actually use the assets.

7 And I think since we're looking at cost
8 causation we're trying to look at the second. And this
9 is where I got to the point of saying sometimes usage may
10 not be a sufficient or good enough measure if you're
11 trying to look at cost causality.

12 MR. BOB PETERS: And you're understanding
13 in terms of the export class as proposed is that the
14 opportunity class would get now capital asset allocation
15 to it?

16 MR. WILLIAM HARPER: That's correct.

17 MR. BOB PETERS: And is it your
18 understanding the opportunity exports are now considered
19 by Manitoba Hydro as part of the mix when its considering
20 its generation planning?

21 MR. WILLIAM HARPER: My understanding is
22 that when they're doing generation planning they would
23 take both opportunity exports, firm exports and domestic
24 load requirements into account.

25 You know, and it seems to me that if

1 you're building long-lived assets clearly domestic load
2 requirements get the lion's share of the consideration,
3 the uncertainty associated with opportunity exports
4 probably means they get the least weight in that
5 consideration, I would expect.

6 MR. BOB PETERS: Does the least weight
7 have to mean zero dollars of fixed costs allocated to
8 opportunity?

9 MR. WILLIAM HARPER: No, it's probably
10 something more than zero and I believe I've actually
11 acknowledged that in my evidence.

12 MR. BOB PETERS: And in terms of exports,
13 you would agree that the market is changing?

14 MR. WILLIAM HARPER: The -- you know the
15 market has -- I think there's been fundamental changes to
16 the market. You know, the market continues to change,
17 I'm not too sure if the changes we'll see in the next
18 three (3) years will be as significant as the changes
19 we've seen in the last three (3) years, but yes the
20 market is changing.

21 MR. BOB PETERS: Well, in fact, I'm not
22 sure if it's evidence in this Hearing, but I'll have to
23 check the transcripts. We understand that your home in
24 Toronto runs on electrons generated in Manitoba now?

25 MR. WILLIAM HARPER: To some extent but,

1 unfortunately not enough. There's a lot of transmission
2 constraints to get things down from the northwest Ontario
3 to Toronto. But, you know, a few of them probably leak
4 through but not enough.

5 MR. BOB PETERS: And you understand
6 Manitoba Hydro's export sales are also changing in that
7 the transcript may reflect Mr. Cormie indicating that
8 there are thousands of summer sales now being done. It's
9 not a -- it's not a specific transaction that -- put
10 together over a period of time. A lot of it is more
11 spontaneous now.

12 MR. WILLIAM HARPER: Well, I think that's
13 probably a function, I would suspect, and I'm guessing
14 here but I suspect that's a function of with the MISO
15 market that's opened up, and the MISO market operates on
16 an hourly basis, that they're basically participating in
17 that market now on an hourly basis, whereas before they
18 had to find specific counter-parties to enter into
19 contracts with.

20 Whereas, you know, this thousands is
21 probably now a function of the fact that, well, if you
22 think -- if you participated every hour of the year, that
23 would be eight thousand seven hundred and sixty (8,760)
24 transactions.

25 MR. BOB PETERS: Well, those transactions

1 that we're talking about are becoming shorter in duration
2 and more of them are becoming financially firm.

3 MR. WILLIAM HARPER: Yes. I think --
4 financially firm in the sense that when you're
5 participating in these markets and you make a commitment
6 to deliver there's an expectation that you will either
7 deliver the kilowatt hours yourself, find somebody else
8 to deliver them, or there will be a financial transaction
9 that will hold -- that will hold the market whole.

10 MR. BOB PETERS: Do you agree -- do you
11 agree that the firm exports command the same degree of
12 reliability as to opportunity exports in the market?

13 MR. WILLIAM HARPER: It's my
14 understanding -- I believe they command a higher level of
15 reliability than the opportunity exports in the market.

16 MR. BOB PETERS: And certainly from a
17 financial firm position opportunity exports can command a
18 greater financial firmness than -- than maybe firm export
19 contracts.

20 MR. WILLIAM HARPER: There may be
21 individual ones that do. That's something that I'm not
22 specifically aware of. And -- but I believe the
23 evidence, you know, there's a matter of what's
24 financially firm from a legal perspective and what you
25 actually want to live -- to commit with.

1 And I think -- I think, if I recall,
2 Manitoba Hydro testifying that on some of their longer-
3 term contracts during the drought they were undertaking
4 to meet those even though they did not have the specific
5 obligation to do so, simply because they wanted to
6 maintain their credibility as a long-term firm supplier.

7 MR. BOB PETERS: Is it your understanding
8 that long-term capacity commitments are becoming somewhat
9 antiquated and it's a lot more short-term deals on the --
10 on the horizon?

11 MR. WILLIAM HARPER: I think the --
12 excuse the use of the double word -- but I think the
13 opportunity for opportunity exports has increased through
14 the, you know, the introduction of things like the MISO
15 market.

16 I think if you're looking at making
17 commitments for long-term construction, like say Conawapa
18 or even Wuskwatim, and looking to have the financial
19 certainty that you're going to have the dollars coming in
20 to basically cover the real capital costs associated with
21 this, then it's my understanding that Manitoba Hydro
22 would probably be more looking for long-term contracts to
23 back that up with, as opposed to sort of, you know,
24 forecasting forward and saying, Yes we expect those
25 markets and MISO will give us enough dollars every hour

1 in order to pay for the plant.

2 But I think they're looking for the long-
3 term mortgage as opposed to the short-term variable rate,
4 if I can put it that way.

5 And so I don't think long-term -- I don't
6 think long-term contracts are a sort of, you know -- you
7 know, sort of antiquated dinosaur of the past. I think
8 they've still got to -- I think they're still there. I
9 think there's more opportunities arising in the
10 opportunity market.

11 MR. BOB PETERS: From your evidence, is
12 it -- is it your position that the distinction between
13 firm exports and opportunity exports is really based on
14 water flows and only water flows?

15 MR. WILLIAM HARPER: Well, I guess
16 there's two (2) things. It's based water sourced out of
17 the dependable energy, it's also based on the fact that
18 the longer-term contracts do come more into play and
19 start impacting more on Manitoba Hydro's resource plans
20 and resource planning going forward. The short-term
21 contracts are typically ones that are made, as by the
22 name would suggest, on a very short-term basis.

23 You would never -- you would never build a
24 new transmission line just to meet a short term contract.
25 One, because you can never get the transmission line in

1 service in time to actually make the contract, you know.
2 And I think that's a distinction that's made to a fair
3 degree in the -- in sort of in the standard OAT tariff
4 (phonetic) that's used by FERC in terms there is a
5 distinction between long-term contracts which, really,
6 utilities are required to incorporate into their planning
7 and short-term contracts which they don't, they only sell
8 the transmission capacity when it's there and they sell
9 it on a short-term basis, and it's frequently sold at a
10 discounted rate.

11 So I think it goes beyond just dependable
12 water. There's issues around dependable transmission.
13 There's issues around, you know, implications for
14 planning. And if you look at it from the customer's
15 perspective, I guess there's issue around terms of what's
16 my -- what's my longevity and the reliability associated
17 with this contract.

18 MR. BOB PETERS: But some of those
19 comments also affect the opportunity side as well as the
20 firm side, do they not?

21 MR. WILLIAM HARPER: Could you be more
22 explicit in terms --

23 MR. BOB PETERS: Well, dependable
24 transmission is needed for the opportunity export, just
25 as much as it is for the firm export.

1 MR. WILLIAM HARPER: Except what you're
2 doing is you're grabbing -- excuse the pun again -- an
3 opportunity when you know because of a low demand on that
4 particular day you're -- you can make the sale, there
5 isn't -- you aren't making a long term commitment for
6 that transmission capacity that it's going to impact on
7 your planning and your thoughts in terms of what you'll
8 need, in terms of future transmission capacity.

9 MR. BOB PETERS: Are you aware from this
10 hearing that Manitoba Hydro incurs significant capital
11 costs that do little to increase dependable energy?

12 MR. WILLIAM HARPER: Not precisely no.
13 If there's a reference, we could --

14 MR. BOB PETERS: Are you aware of any of
15 the SSE commitments of Manitoba Hydro and the rerunning
16 of the --

17 MR. WILLIAM HARPER: Oh, okay
18 specifically I think if I recall on the SSE, there was
19 one (1) which was the Kelsey, which was -- which didn't -
20 - and actually I think if we turn up I think it's the CAC
21 book of references --

22 MR. BYRON WILLIAMS: It's Tab 9, Mr.
23 Chairman, Members of the Board.

24 MR. WILLIAM HARPER: Yeah, I think you're
25 right there was -- you know -- looking at a \$96 million

1 enhancement cost for Kelsey for 77 megawatt capacity
2 increase. I think this probably goes to the discussion
3 you were having with Mr. Cormie about, you know, when
4 you're doing planning it's both capacity you need as well
5 as energy. And you're planning to get both.

6 I think I'd also note the fact that, you
7 know, the money they're spending there you've got an
8 internal rate of return of over 20 percent which is
9 pretty good when your capital is costing you 5 to 6
10 percent.

11

12 CONTINUED BY MR. BOB PETERS:

13 MR. BOB PETERS: Mr. Harper, turning to
14 the export classes that Manitoba Hydro has put forward,
15 your evidence suggests that Manitoba Hydro got the
16 allocations incorrect because they allocated too many
17 costs to the firm export class and not enough to the
18 opportunity, is that correct?

19 MR. WILLIAM HARPER: I hate to do this to
20 you, but could you repeat that again, sort of the
21 beginning, I just want to make sure whether you said, I
22 thought Manitoba Hydro got it correct or incorrect, I
23 wasn't too sure which of those two (2) you said.

24 MR. BOB PETERS: I'm suggesting from your
25 evidence that one could conclude that Manitoba Hydro got

1 the export allocations wrong because they allocated too
2 much to firm exports and too little to the opportunity
3 exports?

4 MR. WILLIAM HARPER: I think that's one
5 (1) conclusion you could draw from the evidence. I think
6 if you read the evidence on a more complete basis you
7 would conclude that what I'm saying is that to actually
8 identify the costs associated with the firm exports is
9 probably impractical.

10 The costs are probably something less than
11 the costs of meeting domestic load. So if you treat them
12 the same as domestic load, you may be over allocating to
13 them. I think that's something you have to accept in the
14 fact that we have neither the information nor the ability
15 to specifically identify the costs attributable to
16 exports.

17 The reverse applies on the opportunity
18 class side. They're probably are some fixed costs
19 associated with those. I know for sure if I include both
20 opportunity costs and excuse me -- opportunity exports
21 and fixed exports and include them both in the allocation
22 on a similar basis to domestic customers, I am definitely
23 going to be over allocating costs to the export classes.

24 And I think I got the 's' in there that
25 time, Mr. Mayer, instead of missing it.

1 MR. ROBERT MAYER: And you also said that
2 those two (2) -- the over allocation to firm and the
3 possible under allocation to --

4 MR. WILLIAM HARPER: -- opportunity --

5 MR. ROBERT MAYER: -- basically set each
6 other off.

7 MR. WILLIAM HARPER: Well, you know and I
8 don't know for sure they set each other off, but it
9 seemed to me, you know I knew that having one (1) class
10 with both of them in there was probably definitely wrong.

11 This is probably a better move. It's not
12 precise, this is not a precise science in any sense but,
13 I feel comfortable that it was a better move and it was
14 an improvement over having one (1) class.

15

16 CONTINUED BY MR. BOB PETERS:

17 MR. BOB PETERS: Just a few more
18 questions along that line, Mr. Harper.

19 You also say that Manitoba Hydro omitted
20 some allocations to the export class, such as some O&M
21 expenses, salaries and marketing costs?

22 MR. WILLIAM HARPER: Well, I think there
23 was a question there, yes, in terms of there's a
24 marketing function which I think is involved in both
25 marketing exports, as well as arranging imports for -- to

1 serve domestic load. And if one wanted to, one could --
2 one could try and ascribe a portion of those.

3 I believe the total was about \$7 million,
4 if I'm not mistaken to the export class. I think
5 actually Manitoba Hydro in its rebuttal has acknowledged
6 that and said it's maybe worth reviewing in the future.

7 MR. BOB PETERS: Fair enough. And I
8 think Mr. Weins has also said that in his evidence, that
9 they didn't attempt to do a line-by-line allocation.

10 MR. WILLIAM HARPER: No.

11 MR. BOB PETERS: But you also flagged the
12 MISO and MAPP membership dues as something else that
13 could be assigned to the export class; correct?

14 MR. WILLIAM HARPER: Well -- I'm trying
15 to -- I believe they currently are assigned entirely to
16 exports, if I'm not mistaken. And this is where I'm
17 having my pause in the --

18 MR. BOB PETERS: And if they -- if they
19 aren't, they should be and if they are, they're where
20 they should be. Is that what you're telling the Board?

21 MR. WILLIAM HARPER: Can you hang on just
22 a minute.

23 THE CHAIRPERSON: Mr. Weins could
24 probably clear it up very easily.

25 MR. WILLIAM HARPER: That's quite

1 possible.

2 MR. BYRON WILLIAMS: I may be able to
3 assist Mr. Harper, just with -- refresh his memory
4 through his notes.

5

6 (BRIEF PAUSE)

7

8 MR. WILLIAM HARPER: I'm sorry. I think
9 the way the question was worded, it's because it sort of
10 confused me as to what I thought was the...

11

12 (BRIEF PAUSE)

13

14 MR. WILLIAM HARPER: I apologize. Just a
15 minute.

16 THE CHAIRPERSON: Take your time, Mr.
17 Harper. It's not a question that we can't up at some
18 point.

19

20 (BRIEF PAUSE)

21

22 MR. WILLIAM HARPER: Yeah. I believe
23 it's currently allocated entirely to -- to the export
24 class, fifty-five forty-five (55/45), if I'm not
25 mistaken. And -- and then the -- and then the 55 percent

1 that's firm is allocated as part of the generation costs.
2 I think I was proposing some of that should be assigned
3 to -- to domestic.

4 So it all goes to exports now and I think
5 -- I believe I was saying that some of it should be
6 allocated to the domestic class. Again, this is a small
7 amount of dollars, 5 million, and I thought, sort of,
8 what's going on now is acceptable for an interim solution
9 and perhaps if they're looking at the marketing costs
10 they could re-look at this at the same point in time.

11 They tend to balance each other off.
12 There's the \$7 million which is all in domestic and maybe
13 some should go to export. And \$5 million that's all in
14 export, maybe some should go to domestic. So, you know,
15 on an interim basis the puts and the takes maybe average
16 out.

17 But if you're looking forward and trying
18 to do refinements to this methodology over time, this may
19 be something that's worthwhile trying to refine.

20

21 CONTINUED BY MR. BOB PETERS:

22 MR. BOB PETERS: Mr. Harper, we've heard
23 evidence that during the drought of 03/04 Manitoba Hydro
24 purchased some energy but not all of it was delivered
25 into the Manitoba delivery zone.

1 Are you aware of that?

2 MR. WILLIAM HARPER: Yes. It's my
3 understanding that they had firm -- they had export
4 commitments and it was cheaper to meet those export
5 commitments by purchasing power in the US and arranging
6 that that power delivered to meet their export commitment
7 as opposed to, say, running thermal units in Manitoba and
8 actually exporting the power across the border.

9 MR. BOB PETERS: Should the cost of those
10 gigawatt hours that were purchased but not delivered to
11 Manitoba be charged entirely to the export class?

12 MR. WILLIAM HARPER: Well, those costs
13 are -- those costs show up as purchase costs, I believe.
14 And I think in the -- and in the recommended method that
15 Manitoba Hydro has, they are all initially allocated to
16 exports.

17 In the recommendation I was making, I was
18 -- I was saying that a part of the total purchase power
19 costs should be allocated to the domestic class. And
20 actually when I was doing my arithmetic to come up with
21 my fifty fifty (50/50) split, the 3,000 gigawatt -- I
22 believe it was 3,000 gigawatt hours -- somebody correct
23 me if my units are wrong -- that were purchased, that was
24 part of the 50 percent that would be on the export side.

25 So, you know, in the approach that I took

1 those 3000 -- in coming up with my fifty fifty (50/50)
2 split, those 3000 gigawatt hours were considered as
3 purchased power for export.

4 MR. BOB PETERS: Mr. Harper, you had a
5 concern about the water rental calculations and how those
6 would change under your allocation of import costs;
7 correct?

8 MR. WILLIAM HARPER: Yeah. It really
9 wasn't a concern. It was just a matter of the fact that
10 the way -- the way water rentals are assigned to exports
11 is you identify your total export kilowatt hours, you
12 identify how much of that is being met by purchased
13 power, and then the balance is effectively coming from --
14 from hydro power. And on that basis that's how Manitoba
15 Hydro does its allocation of water rentals.

16 If you -- if the Board was to adopt my
17 recommendations, it would to some extent change the
18 amount of purchases that was attributed to exports and,
19 therefore, it would change the amount of exports that the
20 calculation deemed were attributable to water and it
21 would therefore change the amount of water rentals.

22 I had no problem with their methodology,
23 it's just that when you change the amount of purchases,
24 the arithmetic means you end up changing the amount that
25 comes from water which means you end up changing the

1 amount of water rentals that then get assigned directly
2 to exports.

3 So it's just a matter of -- I think you
4 know, Ms. Myfanwy (sic) used the expression, following
5 the logic through the food chain of the arithmetic,
6 that's all I was doing here. Was trying to just make
7 sure -- just put that note on the record so you recognize
8 that that would have to change, as well.

9 MR. BOB PETERS: Could you, through an
10 undertaking, provide the actual numbers in the Manitoba
11 Hydro recommended methodology in what you're suggesting
12 just so we can see it numerical form?

13 MR. WILLIAM HARPER: Unfortunately I
14 can't. And maybe I couldn't find it. But in going
15 through the record I was unable to find sort of precise
16 numbers that would allow me to duplicate Manitoba Hydro's
17 calculation in terms of total kilowatt hours of exports,
18 how much came from purchases, how much came from water,
19 so I could go through that calculation.

20 So unfortunately, no Mr. Peters, I can't.

21 MR. BOB PETERS: All right. Thank you.

22

23

(BRIEF PAUSE)

24

25 MR. ROBERT MAYER: Mr. Harper, while Mr.

1 Peters is busy. I have only one (1) question for you.

2 You mentioned the -- how imprecise the
3 assignment of these costs are and how imprecise this
4 whole methodology is. It's not a science, there's an
5 awful lot of judgment calls made in here.

6 MR. WILLIAM HARPER: Yes, there are some
7 judgment calls.

8 MR. ROBERT MAYER: And you mentioned the
9 zone of reasonableness and the zone of reasonableness as
10 I understand it as been approved by the Board, is plus or
11 minus 5 percent.

12 MR. WILLIAM HARPER: That's my
13 understanding too, yes.

14 MR. ROBERT MAYER: Can anybody, we keep
15 talking about moving to zero. Is that a useless exercise
16 or can we really logically get any closer than plus or
17 minus 5 percent? Or are we just going to be guessing?

18 MR. WILLIAM HARPER: Well, I think maybe
19 there's two (2) ways to answer your question. And you
20 know from electric utilities, you know, there's different
21 zones of reasonableness used.

22 I think plus or minus 5 is about the
23 tightest zone I've seen used. You know, I think as I
24 tried to explain in my direct, I think even if you were
25 to move -- even if you were to believe the science -- you

1 thought you had science there, and you wanted to move to
2 zero, I think the -- generally accepted view, sort of,
3 about the need for stability in rates in electricity and
4 the fact that trying to follow zero every year, would
5 necessarily end up with gyrations in bills, is something
6 that you wouldn't want to do

7 So I think there's a couple of reasons why
8 in my mind, you probably don't want to try and track
9 100.0 for every class. I think it's particularly
10 important, you know, and you've had different customer
11 classes appearing here that if there is a -- for a
12 protracted period of time they seem to be outside of the
13 zone then there's -- there's a problem that needs to be
14 addressed.

15 Perhaps as people get down to the 97, 98
16 level then you know, then you're -- you're probably well
17 within the accuracy of the study that we're dealing with
18 here.

19 MR. ROBERT MAYER: Thank you.

20 THE CHAIRPERSON: Mr. Harper, you just
21 said something I want to follow up on. I notice Mr.
22 Peters is still conferring with his associate.

23 You said this is one (1) of the tightest
24 ranges that you've seen. How wide have you seen?

25 MR. WILLIAM HARPER: Well, I think you

1 know the --

2 THE CHAIRPERSON: And what is the general
3 practice?

4 MR. WILLIAM HARPER: You know the two (2)
5 common numbers I've seen used are 95 -105 and 91 - 10, I
6 mean those are the two (2) general numbers that I've
7 seen.

8 THE CHAIRPERSON: Thank you. Mr.
9 Peters...?

10

11 CONTINUED BY MR. BOB PETERS:

12 MR. BOB PETERS: Yes, Mr. Harper, I'm
13 still at a bit of a loss in terms of how to explain your
14 position on the water rental calculations that you would
15 change in the allocation of imports.

16 And perhaps the best way is that I confer
17 with Mr. Williams and we see if we can piece together the
18 information. We may have to ask Ms. Ramage to employ
19 some information from Mr. Wiens if we need it.

20 But I'd like the Board to see the actual
21 numerical information on the methodologies that we're
22 talking, just so we can drive home what you're
23 suggesting?

24 MR. WILLIAM HARPER: Well, you know, I
25 guess if Manitoba Hydro's is willing to assist we could

1 probably work through it if they're willing to help out.

2 MR. BOB PETERS: All right. Let's leave
3 it at that --

4 THE CHAIRPERSON: Mr. Peters, if I could
5 inquire how much longer do you think you'll take?

6 MR. BOB PETERS: Five (5) minutes.

7 THE CHAIRPERSON: Five (5) minutes,
8 please continue. And then Mr. Williams will be doing
9 some re-direct?

10 MR. BYRON WILLIAMS: I don't anticipate
11 much if any, but I'll confer with my client.

12 THE CHAIRPERSON: Very good, but if you
13 require more time than that we're going to probably have
14 to adjourn no later than quarter to 5:00.

15 Okay, Mr. Peters.

16

17 CONTINUED BY MR. BOB PETERS:

18 MR. BOB PETERS: Mr. Harper, is it your
19 understanding that the Selkirk generating station is now
20 being used for planning and operating reserves and to
21 increase dependable energy available for firm exports?

22 MR. WILLIAM HARPER: Yes, I think I --
23 you know, not -- not specifically in terms of the
24 evidence that I've read. But an understanding that the
25 Selkirk plant is a gas-fired plant. It's not something

1 that you would actually probably be operating to make
2 opportunity sales into the market given the prices of
3 gas.

4 But it's something that you probably could
5 be keeping in your back pocket and not operating knowing
6 you could turn it on if necessary in order to help firm
7 up sales that you would, in say in nine (9) years out of
8 ten (10) make out of surplus hydro.

9 So to the extent that it's probably being
10 used -- not being operated at all, just the fact that
11 you've got it there, not operating but you've got it
12 there means you can probably firm up additional sales
13 that -- sourced out of hydro that otherwise you would not
14 be able to.

15 The fact that you've got it there means
16 that it can be used, if necessary, and called up on to
17 sort of provide you know, to provide part of your
18 planning -- that 12 percent planning reserve margin that
19 the utility requires.

20 So I think, you know, not from the
21 evidence but just from my understanding of the role of
22 the station I think I'd agree with both of those.

23 MR. BOB PETERS: And then would you agree
24 that the costs of that generating station should then be
25 directly assigned to export?

1 MR. WILLIAM HARPER: Well, I think
2 they're -- from a reliability perspective it's there
3 basically to provide reliability to all the load
4 commitments that Manitoba Hydro has on the system.

5 Both the firm export loads and the
6 domestic loads, it's part of the overall reserve margin
7 and the way the methodology works, the fixed costs go
8 into the generation pool and are allocated to both firm
9 exports and domestic.

10 So I think the methodology treats those
11 costs appropriately.

12 MR. BOB PETERS: The suggestion I think
13 you've made is that opportunity exports draw on cheaper
14 incremental power than average cost of generation; would
15 that be fair?

16 MR. WILLIAM HARPER: Well, I -- the
17 suggestion I made is that I believe that the investments
18 that are probably being made and, sort of, the evidence
19 that Manitoba Hydro has given is that the investments
20 that have been made for opportunity -- to achieve
21 opportunity sales are -- are less than the average
22 embedded cost that they have in their generation and
23 transmission system.

24 MR. BOB PETERS: And do you recall there
25 being a review of the hypothetical example of Canawappa

1 being built with a five (5) unit generating station and
2 then a ten (10) unit station?

3 MR. WILLIAM HARPER: Only to the extent
4 that I was walked through it by Ms. Ramage yesterday, I
5 believe.

6 MR. BOB PETERS: And to that extent did
7 you conclude that there is really no -- there is really
8 no benefit in terms of dependable energy in adding the
9 five (5) extra units?

10 MR. WILLIAM HARPER: I concluded that the
11 -- my understanding is, sort of, just in that
12 conversation yesterday that the benefit of adding the
13 five (5) units was primarily the additional capacity you
14 were getting out of the -- you would be able to get out
15 of the station and that as we said earlier both capacity
16 and energy considerations are important when you're doing
17 planning.

18 And from that perspective sizing the
19 station with ten (10) units and the capacity that gave
20 you was -- it was better from a long-term planning
21 perspective.

22 MR. BOB PETERS: But that additional
23 capacity isn't needed for the domestic load in the
24 foreseeable future?

25 MR. WILLIAM HARPER: Well, I -- I think

1 if you're talking about a planning for -- I -- I would
2 presume and I guess what I'm struggling with here is
3 you're either A, talking about planning for Canawappa
4 when you would put it in service at an in service date
5 when you actually did need it and then you've got a
6 choice, yes, I may not need that additional capacity the
7 first year I build it but as the loads grow on the system
8 I will need additional capacity energy and does it makes
9 sense when I'm building this station right at the
10 beginning to build the station with five (5) units or to
11 build the station with ten (10) units.

12 And from the incremental investment I'm
13 getting in those extra megawatts it makes sense to build
14 the station. The problem we have with hydraulic stations
15 is they come in lumps. I guess, just like limestone came
16 in a lump back in the 1990's.

17 You can't bring -- you could bring --
18 hydraulic stations aren't like thermal stations, you can
19 sort of build wee little ones and match the loads
20 exactly. You have to take the sites and take the
21 opportunities as they come and try and maximize each of
22 those opportunities as you develop them.

23 I think beyond that, as I said before, I'm
24 not a system planning so this is more just from a first
25 principles perspective. But my understanding is they

1 were planning this because that was what seemed the best
2 optimization of the design for the use of the system.

3 MR. BOB PETERS: Would you expect there
4 to be a reduction in the incremental imbedded costs for
5 the additional capacity beyond dependable -- beyond
6 dependable flow?

7 MR. WILLIAM HARPER: Well, we're mixing
8 two (2) uses here, because dependable flow relates to
9 dependable energy, capacity relates to the amount of --
10 which is the dependable gigawatt hours you have on a
11 system. Dependable capacity relates to the amount of
12 megawatts you're putting in place on the system. And
13 what you need is a plan that addresses both of those.

14 And so I have a problem with, you know --
15 and so what you're doing is you're trying to plan not
16 just so you have enough dependable energy on the system
17 but also so you have enough dependable capacity on the
18 system, i.e., megawatts, and that the operation of those
19 two (2) can meet the load on the system.

20 MR. BOB PETERS: Would you agree that the
21 unit cost per gigawatt hour for the first five (5) units
22 is the -- the same as the unit costs per gigawatt hour
23 for the last five (5) units?

24 MR. WILLIAM HARPER: If that's what the
25 calculation shows, then, you know, I can't question the

1 numbers. I thought the issue was in the last five (5)
2 units was we're getting additional capacity, which was
3 also what Manitoba Hydro needed.

4 I'm sorry. We're sort of -- it would
5 probably be much better if you were actually asking all
6 these questions of Mr. Cormie and Mr. Surminski because
7 they're the ones that actually know -- know this a lot
8 better than I do.

9 MR. BOB PETERS: And in your evidence you
10 -- you somehow conclude that Manitoba Hydro's approach is
11 reasonable as an interim step forward, and those would
12 be --

13 MR. WILLIAM HARPER: Could you show me
14 that particular part of the evidence because I want --
15 you know, there's the whole approach, I just want to make
16 sure I understand where you're getting that particular
17 quote from.

18 MR. BOB PETERS: Sorry. I think it might
19 have been what you said to Mr. Williams in your direct
20 evidence, but I can't show you the transcript, but you
21 may not recall saying it.

22 Do you consider Manitoba Hydro's
23 recommended approach as a reasonable interim step
24 forward?

25 MR. WILLIAM HARPER: Well, I think there

1 are, as we identified and talked about, I think there are
2 places where fine-tuning can be done. We've talked about
3 a couple of those already, but -- so if you want to
4 consider that as an interim step at this point in time,
5 yes.

6 MR. BOB PETERS: Well --

7 MR. WILLIAM HARPER: I think I used the
8 word "interim" in my direct primarily in terms of looking
9 at probably the treatment of the -- of the MISO and MAPP
10 charges and the treatment of the marketing charges, and
11 the fact that -- sort of that, like I said, both of those
12 tend to balance each other off. And the proposed
13 treatment is fine.

14 And if we look at them going further -- I
15 think cost of service methodologies aren't something you
16 carve in stone. There will probably refinements to this
17 methodology that Manitoba Hydro will likely bring forward
18 in their next GRA hearing.

19 Sorry if that means we have to talk about
20 this all over again but I'm sure there will be some
21 refinements going forward.

22 MR. BOB PETERS: So in terms of how and
23 when you would fix whatever deficiencies may need fixing,
24 you see that as a regular occurrence at -- at the Phase 2
25 hearings for this Utility or the GRA hearing?

1 MR. WILLIAM HARPER: I -- yes, I would
2 expect that even Manitoba Hydro itself, as -- as it
3 applies this methodology and perhaps its own
4 circumstances start to change or evolve, we'll sort of
5 look at fine-tuning it.

6 I think if we look at the types of changes
7 that were made through the early 2000's, there were a
8 number of fine-tuning changes that Manitoba Hydro made to
9 its cost of service methodology, even before it got to
10 the major changes we're talking about here. So I would
11 expect those sorts of things just to continue as a
12 natural course.

13 I know in -- sort of the Hydro Quebec
14 distribution, we had that major hearing, they were sort
15 of established. We've had some fine-tuning gone on. And
16 each of the hearings after that there's been a few things
17 brought forward and fine-tuned as better data was
18 available or they realized they could do things a little
19 bit better, and the methodology gets improved.

20 MR. BOB PETERS: Thank you.

21 With that, Mr. Chairman, I'd like to thank
22 Mr. Harper for his answers to my questions. Those
23 conclude them.

24 THE CHAIRPERSON: Thank you, Mr. Peters.

25

1 (BRIEF PAUSE)

2

3 THE CHAIRPERSON: Mr. Williams, do you
4 have any re-direct?

5 MR. BYRON WILLIAMS: I'd like to
6 contemplate that for about three (3) minutes. I don't
7 expect that I do but I'd just like to ponder that if I
8 might just take a couple minutes. I'm mindful of your
9 4:45 --

10 THE CHAIRPERSON: That's fine. If you
11 do --

12 MR. BYRON WILLIAMS: -- I don't expect I
13 will --

14 THE CHAIRPERSON: -- if you do have to do
15 re-direct we can consider returning to it --

16 MR. BYRON WILLIAMS: Okay.

17 THE CHAIRPERSON: -- tomorrow, because I
18 believe Mr. Harper is still here.

19 MR. BYRON WILLIAMS: Yeah.

20 THE CHAIRPERSON: Okay.

21 MR. BYRON WILLIAMS: He's stuck with us
22 for another day.

23 THE CHAIRPERSON: Okay. We'll sit down
24 for three (3) minutes then and at least determine what
25 we're going to be doing tomorrow.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

(BRIEF PAUSE)

THE CHAIRPERSON: Mr. Williams...?

MR. BYRON WILLIAMS: No questions. I guess we'll -- I'll confer with Mr. Peters and Ms. Ramage in terms of what, if any, undertaking he may request of us and we'll provide our position tomorrow morning.

THE CHAIRPERSON: Thank you, Mr. Williams. And thank you very much, Mr. Harper. You've been very patient with us with the interregnum before we got you back here and you've had, I think it would be fair to say, a very thorough grilling today --

MR. WILLIAM HARPER: Thank you for the opportunity.

THE CHAIRPERSON: I'm sure you're quite steeped in our Manitoba issues by now. So I wish you a good night and return to your assistance to Mr. Williams and --

MR. WILLIAM HARPER: Thank you.

THE CHAIRPERSON: -- CAC/MSOS.

(WITNESS STANDS DOWN)

THE CHAIRPERSON: Now, tomorrow we are going to have MIPUG's witnesses and the cross-examination

1 then, and that'll lead to closing statements beginning on
2 Monday and then through to Friday.

3 So we stand adjourned. Thank you.

4 MR. BOB PETERS: And we stand adjourned,
5 Mr. Chairman until 9:30?

6 THE CHAIRPERSON: Yes. And tomorrow we
7 cannot begin until 9:30 because of other commitments.

8

9 --- Upon adjourning at 4:40 p.m.

10

11 Certified Correct

12

13

14

15

16

17

18 Ryan Pickering

19

20

21

22

23

24

25