

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA PUBLIC INSURANCE  
2008 GENERAL RATE APPLICATION

Before Board Panel:

- Graham Lane - Board Chairman
- Alain Molgat - Board Member
- Len Evans - Board Member

HELD AT:

Public Utilities Board  
400, 330 Portage Avenue  
Winnipeg, Manitoba  
October 4th, 2007  
Pages 296 to 513

APPEARANCES

1  
2 Walter Saranchuk, Q.C. ) Board Counsel  
3 Candace Everard )  
4  
5 Kevin McCulloch ) Manitoba Public Insurance  
6  
7 Raymond Oakes ) CMMG  
8  
9 Byron Williams ) CAC/MSOS  
10  
11 Nick Roberts ) Manitoba Used Car Dealers  
12 ) Association (MUCDA)  
13  
14 Donna Wankling ) CAA Manitoba  
15 Michael Mager )  
16  
17 Robert Dawson ) CBA/MBA  
18  
19 Peter Miller (np) ) RCM/TREE  
20  
21  
22  
23  
24  
25

1	TABLE OF CONTENTS	
2		PAGE NO.
3	List of Exhibits	299
4	List of Undertakings	300
5		
6	MPI PANEL:	
7		
8	BARRY GALENZOSKI, Resumed	
9	OTTMAR KRAMER, Resumed	
10	DON PALMER, Resumed	
11	MARILYN MCLAREN, Resumed	
12	WARD KEITH, Resumed	
13		
14	Continued Cross-Examination by Ms. Candace Everard	303
15		
16		
17		
18		
19		
20	Certificate of Transcript	513
21		
22		
23		
24		
25		

	LIST OF EXHIBITS			
	EXHIBIT NO.	DESCRIPTION		PAGE NO.
1				
2				
3	MPI-12	Response to Undertaking 2		302
4				
5				
6				
7				
8				
9				
10				
11				
12				
13				
14				
15				
16				
17				
18				
19				
20				
21				
22				
23				
24				
25				

	UNDERTAKINGS		
1	NO.	DESCRIPTION	PAGE NO.
2			
3	3	MPI to indicate for Board, in	
4		the year 2006/'07, the aggregate	
5		value of both equities sold and	
6		equities purchased	340
7	4	MPI to advise Board if the actual	
8		year-to-date experience for	
9		2007/2008 has tended to narrow or	
10		widen the gaps between the	
11		projected and revised frequencies,	
12		and also has the actual year-to-date	
13		experience for 2007/'08 tended to	
14		narrow or widen the gaps between the	
15		projected and revised claims incurred	360
16	5	MPI to indicate for the Board the	
17		cost of the computer system	371
18	6	MPI to confirm for the Board the	
19		duration of agreement with Nugenit	
20		and the costs included to customize	
21		the products	374
22			
23			
24			
25			

	UNDERTAKINGS (Con't)	
1		
2	NO.	PAGE NO.
3	7	
4	MPI to file for Board, the	
5	response to question asked by	
6	Board in IR-2-14, first round:	
7	"What criteria are applied to	
8	determine when and to whom	
9	sponsorships, grants and	
10	donations are made?"	399
11	8	
12	MPI to confirm for Board what the	
13	ten (10) month period SM-8.3 is	
14	referring to when it states that	
15	nine hundred and sixty-four (964)	
16	arrests were made with thirty-four	
17	hundred (3,400) charges laid	498
18		
19		
20		
21		
22		
23		
24		
25		

1 --- Upon commencing at 9:03 a.m.

2

3 THE CHAIRPERSON: Good morning everyone.  
4 Another beautiful day for Winnipeg in October. Too bad  
5 we're not outside.

6 Mr. McCulloch, you have something for us?

7 MR. KEVIN MCCULLOCH: Yes, Mr. Chairman.  
8 We have the response to Undertaking Number 2; MPI to  
9 provide the Board with a breakdown of the reduction in  
10 costs involving the three (3) different bodies, Public  
11 Utilities Board, Claimant Advisory Office and the  
12 Automobile Injury Compensation Appeals Commission, filed  
13 as MPI Exhibit Number 12.

14 THE CHAIRPERSON: Thank you, sir.

15

16 --- EXHIBIT NO. MPI-12: Response to Undertaking 2

17

18 (BRIEF PAUSE)

19

20 THE CHAIRPERSON: Thank you, Mr.

21 Gaudreau.

22 Ms. Everard, are you ready to begin again?

23 MS. CANDACE EVERARD: Yes, Mr. Chairman.

24 Thank you.

25

1 MPI PANEL, Resumed:

2 BARRY GALENZOSKI, Resumed

3 OTTMAR KRAMER, Resumed

4 DON PALMER, Resumed

5 MARILYN MCLAREN, Resumed

6 WARD KEITH, Resumed

7

8 CONTINUED CROSS-EXAMINATION BY MS. CANDACE EVERARD:

9 MS. CANDACE EVERARD: Okay. So we left  
10 off yesterday talking about investment income and I'm now  
11 -- keeping with that theme, we'll be moving to the topic  
12 of returns.

13 So if I could ask you to turn to Tab 14 of  
14 the book of documents which is the answer to Information  
15 Request Number 5 asked by the Board in the First Round,  
16 and in particular Attachment A.

17

18 (BRIEF PAUSE)

19

20 MS. CANDACE EVERARD: In re -- are you  
21 there? Yes?

22 In reviewing the investment income  
23 components it would be fair to say that the majority of  
24 the returns are from bonds?

25 MR. DON PALMER: Yes, that's correct.

1 MS. CANDACE EVERARD: And that would be  
2 due to the weighting of bonds within the portfolio?

3 MR. DON PALMER: Yes.

4 MS. CANDACE EVERARD: Thank you. Turning  
5 back to the investment policy statement for a moment and  
6 again it -- it appears at Tab 11 and as well at Tab 19,  
7 or 18 rather, of the book of documents. It doesn't  
8 matter which one you -- you go to.

9 I want to look at Article 5.5 which -- at  
10 the one in Tab 11 is at page 12, and in particular the  
11 table set out at Article 5.5.

12 It's my understanding that this table  
13 represents the investment return objectives; is that  
14 correct?

15 MR. DON PALMER: That's correct.

16 MS. CANDACE EVERARD: And going through  
17 each of the objectives or benchmarks on the list can you  
18 advise how the Corporation determined that these  
19 benchmarks were the appropriate ones?

20 MR. BARRY GALENZOSKI: Yes, that was  
21 determined through our investment department, the people  
22 that are familiar with the various indexes available, and  
23 they would recommend to the investment committee working  
24 group and then subsequently to the investment committee  
25 of the Board the indexes that we should be tracking.

1 MS. CANDACE EVERARD: Now, at Tab 19 of  
2 the book of documents is the response to Question 10  
3 asked by the Board in the first round, which sets out the  
4 actual and expected returns for each benchmark over the  
5 last number of years.

6 And we'll -- we'll go through it in a  
7 moment but perhaps first off you could just confirm that  
8 it's the investment managers that manage these numbers?

9 MR. BARRY GALENZOSKI: The investment  
10 managers manage the investment pools of funds that are  
11 assigned to them. They would -- and we would -- they  
12 would get returns that we would then put against the  
13 benchmarks and so I guess there's a joint managing of  
14 these particular numbers.

15

16 (BRIEF PAUSE)

17

18 MS. CANDACE EVERARD: Okay. Looking at  
19 the column -- the first column after "Asset Class" which  
20 sets out the figures for 2007, I note in looking at the  
21 line for Canadian Equities or the -- under the heading of  
22 "Canadian Equities" for large capitalization equities the  
23 actual return for the year ending February 28th, 2007 was  
24 14.2 percent whereas the benchmark for that period for  
25 that item was 15.9 percent.

1 Is that right?

2 MR. BARRY GALENZOSKI: Yes, that's  
3 correct.

4 MS. CANDACE EVERARD: And moving one (1)  
5 line down to small to mid-capitalization equities, the  
6 actual return for the year ending February 28, 2007 was  
7 11.1 percent, whereas the benchmark for the same period  
8 for that item was 14.1 percent?

9 MR. BARRY GALENZOSKI: Yes, that's  
10 correct.

11 MS. CANDACE EVERARD: Now, we note that  
12 for that particular category, small to mid-capitalization  
13 equities, there were no numbers or it's indicated "N/A"  
14 or not applicable, for the years prior to 2007.

15 Is that because there were no investments  
16 in that category at -- at those times?

17 MR. BARRY GALENZOSKI: Before that we  
18 didn't have a manager dedicated to that particular asset  
19 class.

20

21 (BRIEF PAUSE)

22

23 MS. CANDACE EVERARD: So when did the  
24 manager come on board?

25 MR. BARRY GALENZOSKI: I believe some

1 time in 2006.

2 MS. CANDACE EVERARD: Okay. Continuing  
3 on in this particular chart under the heading of "US  
4 Equities" and the line again dealing with large  
5 capitalization equities. If I'm reading this correctly,  
6 for 2007 the actual return was 11.4 percent, whereas the  
7 benchmark was 13.6 percent.

8 Is that right?

9 MR. BARRY GALENZOSKI: Yes, that's  
10 correct.

11 MS. CANDACE EVERARD: Certainly though in  
12 that particular year the benchmark was -- or the actual  
13 result was closer to the benchmark than it was in 2006  
14 when there was a difference of about 5 percent?

15 MR. BARRY GALENZOSKI: Yes, that's  
16 correct. And then if you look back to the previous year  
17 to that we were -- we exceeded the benchmark by a  
18 considerable amount.

19 MS. CANDACE EVERARD: Thank you. And for  
20 -- still under the heading of "US Equities" the heading -  
21 - or the line rather small to mid-capitalization equities  
22 for 2007 there's reflected a return of 18.7 percent  
23 versus a benchmark of 16.4 percent, which is again a -- a  
24 large improvement over 2006.

25 Is that right?

1 MR. BARRY GALENZOSKI: That's correct.

2 MS. CANDACE EVERARD: Can you explain for  
3 the -- the record, the reasons behind these variabilities  
4 in these particular returns?

5 MR. BARRY GALENZOSKI: Yes. The index of  
6 course is measuring the performance of -- of a larger  
7 group of investments. Normally an investment fund  
8 manager would have fifteen (15) to thirty (30)  
9 investments that they're holding for you which is  
10 selected from a much larger pool of investments that  
11 would be in the index.

12 And their results are very much dependent  
13 on the sector selection and the stock selection within  
14 the sector selection. So it -- it comes down to the  
15 skill of the manager that you're -- you've got under  
16 contract.

17 MS. CANDACE EVERARD: Now, I note as well  
18 that the returns on the Canadian equities have been, at  
19 least for the large capitalization equities, have been  
20 better than for the US equities.

21 What does that represent?

22 MR. BARRY GALENZOSKI: That represents  
23 good news of course if you're more heavily weighted on  
24 Canadian equities. Canadian equities have out-performed  
25 US equities overall for a number of years, and so that

1 performance is reflected in our allocation that we've  
2 made to the two (2) different types of investments.

3 MS. CANDACE EVERARD: Has there been any  
4 impact on the returns to the Corporation due to the  
5 increase in the value of the Canadian dollar over the  
6 last number of months?

7 MR. BARRY GALENZOSKI: The increase in  
8 the value of the Canadian dollar actually takes away from  
9 your returns. As the dollar goes up, you actually lose  
10 return on the US side.

11 We were fortunate enough to hedge the  
12 currency throughout that entire period so we didn't lose  
13 any of those gains whatsoever.

14 MS. CANDACE EVERARD: So is the US equity  
15 index benchmark in any way influenced by foreign  
16 exchange?

17 MR. BARRY GALENZOSKI: No.

18

19 (BRIEF PAUSE)

20

21 MS. CANDACE EVERARD: So while the  
22 returns may be effected by foreign currency exchange, the  
23 benchmarks are not?

24 MR. BARRY GALENZOSKI: The benchmark is  
25 not impacted. The returns when you put them back into

1 Canadian dollars would be impacted. If you were  
2 measuring the returns in US dollars of course then they  
3 wouldn't be impacted.

4 It's the fact that we are a Canadian based  
5 company and we report everything in Canadian dollars,  
6 that's where the impact would happen. So as a result of  
7 the hedging of the -- of the currency we eliminated that.

8

9 (BRIEF PAUSE)

10

11 MS. CANDACE EVERARD: Thank you. What is  
12 the Corporation's comments on the performance of its  
13 investment managers?

14 Is the Corporation generally satisfied  
15 with the returns that it's receiving?

16 MR. BARRY GALENZOSKI: The Corporation is  
17 generally satisfied. We -- we don't -- we don't  
18 concentrate entirely on annual returns. We -- we do  
19 performance evaluations of our fund managers on a rolling  
20 four (4) year basis. And then based on that we would  
21 determine whether we need to take any kind of corrective  
22 action or not.

23 And just -- you know, you have to give it  
24 a longer term view; that's -- that's what we do from a  
25 contractual point of view with all of our managers and

1 from a practical point of view.

2                   So we keep an eye on -- on what's  
3 happening year over year of course, but when we're  
4 evaluating the performance of an individual manager it's  
5 based on a longer term view, primarily a four (4) year  
6 rolling review.

7                   MS. CANDACE EVERARD:    So it's four (4)  
8 years. The first time I wasn't sure if you said "forty  
9 (40)" but I thought that -- that must have been wrong.

10                  MR. BARRY GALENZOSKI:   That's just my  
11 tongue twisting around whatever I've got in my mouth  
12 right now, thanks.

13                  MS. CANDACE EVERARD:    Thank you. Can you  
14 confirm for the record as well, in a situation where a  
15 benchmark is not achieved what if any steps are taken by  
16 the Corporation at that point?

17                  MR. BARRY GALENZOSKI:   Well, first of all  
18 we would look to the reasons why the benchmark wasn't  
19 achieved. We're actually looking over the long term for  
20 performance that exceeds the benchmark by 1 1/2  
21 percentage points or a hundred and fifty (150) basis  
22 points.

23                  So we would look at the reasons behind the  
24 -- the fund manager not achieving the benchmark and talk  
25 to the fund manager obviously. And in some cases we may

1 decide on taking some kind of corrective action with  
2 respect to the amount of money we might have with that  
3 particular fund manager. We have never terminated a fund  
4 manager to date but that's -- that would be a plausible  
5 scenario at some point in the future.

6 So we definitely want to understand the  
7 reasons behind the poor performance and go from that  
8 point.

9 MS. CANDACE EVERARD: Thank you. The --  
10 the next line of questioning relates to the allocation of  
11 investment income. And to get into that area I'd ask you  
12 to turn back to Tab 14 of the book of documents which is  
13 again the answer to Question 5 posed by the Board in the  
14 first round.

15 And while you're turning to that for a  
16 specific question, perhaps you can just confirm initially  
17 that of the Corporation's total overall investment income  
18 there is a portion that's allocated to Basic?

19 MR. OTTMAR KRAMER: That is correct.

20 MS. CANDACE EVERARD: Okay. So looking  
21 at Attachment A at Tab 14, if I'm reading this correctly  
22 it would appear that the projected investment income for  
23 the year of the application for the Corporation as a  
24 whole, is approximately 114.3 million?

25 MR. OTTMAR KRAMER: For the Corporation

1 as a whole, yes.

2 MS. CANDACE EVERARD: And basic share of  
3 that is projected to be 11.2 million or 87.68 percent of  
4 the whole amount?

5 MR. OTTMAR KRAMER: Yes. Yes, that's  
6 correct.

7 MS. CANDACE EVERARD: And can you set out  
8 for the Board how it is that that percentage or basic  
9 share is determined. And there is an IR on it, which is  
10 at Tab 17 of the book of documents.

11

12 (BRIEF PAUSE)

13

14 MS. CANDACE EVERARD: Perhaps just to  
15 make it a little bit simpler, if you can look at Tab 17  
16 which is the response to Question 8 posed by the Board in  
17 the first round and review the -- the formula at a high  
18 level?

19

20 (BRIEF PAUSE)

21

22 MR. OTTMAR KRAMER: Basically the -- the  
23 allocation between Basic and the other lines of business  
24 is on the -- the equity that each line of business has  
25 and -- and the percentage of the total that -- that Basic

1 has of the total equity for -- they have various lines of  
2 business that we have, that that's how the Basic share is  
3 determined.

4 MS. CANDACE EVERARD: Thank you. To what  
5 extent, if at all, do the external auditors review that  
6 particular allocation methodology when they're auditing  
7 the investment income?

8 MR. BARRY GALENZOSKI: The auditors are  
9 required to look at all of the allocation formulas and  
10 verify that they're in compliance. And that's further  
11 strengthened by the fact that they are certifying a basic  
12 annual report which is also filed with the Public Utility  
13 Board material.

14 So in order to do that, that ensures that  
15 -- and that's the reason we've done that is to ensure  
16 that they've done that for the sake of this particular  
17 venue.

18 MS. CANDACE EVERARD: I note from the  
19 chart at Tab 17 that there's no column related to DVL.  
20 Why is that?

21 MR. BARRY GALENZOSKI: DVL basically has  
22 no assets, no pooled assets because it's costing us more  
23 to operate DVL than the monies that we're bringing in.  
24 So there is no allocation to them. They're actually a  
25 draw on -- on the allocation that would go to the

1 extension line of business.

2 MS. CANDACE EVERARD: So DVL in itself  
3 has no retained earnings?

4 MR. BARRY GALENZOSKI: DVL has -- has no  
5 funds available for investment; if that's what you're  
6 getting at.

7 MS. CANDACE EVERARD: Okay. And can you  
8 confirm that the alloca -- allocation, pardon me,  
9 methodology set out at Tab 17 is consistent from that  
10 which has been applied in previous years. Or have there  
11 been changes this year?

12 MR. BARRY GALENZOSKI: No there have been  
13 no changes, it's consistent.

14 MS. CANDACE EVERARD: Thank you. Turning  
15 back to Question 5, which is at Tab 14, for a moment, and  
16 just -- we've already noted that for the year of the  
17 application, it's anticipated that Basic will be  
18 receiving 87.68 percent of the overall income. And it  
19 would appear that that's projected to increase through  
20 the outlook period up to 88 -- just over 88 percent in  
21 2011/12.

22 Is that right?

23 MR. OTTMAR KRAMER: Yes, that's correct.

24 MS. CANDACE EVERARD: And what's the  
25 reason for the -- the increase in the allocation to

1 Basic? Is it just simply based on size?

2 MR. OTTMAR KRAMER: The increase to basic  
3 is due to the fact that the -- the equity as I -- I  
4 previously mentioned for the basic pool is continuing to  
5 increase.

6

7 (BRIEF PAUSE)

8

9 MS. CANDACE EVERARD: Thank you. Okay,  
10 keeping on this tab but turning the page and looking at  
11 Attachment B; and I appreciate, Mr. Galenzoski, that  
12 there is a revised version of this at a different IR but  
13 none of the numbers that I'm going to be going to change,  
14 so we'll stick with this one because it's in the book of  
15 documents.

16 If I could direct your attention to the  
17 "Corporate Total" line, it would appear that in the year  
18 2006/2007 the actual Corporate investment income was just  
19 over 120 million compared with the original projected  
20 amount of about 88 million, is that right?

21 MR. OTTMAR KRAMER: Yes, that is correct.

22 MS. CANDACE EVERARD: And for basic in  
23 the same year the actual income was about 104 million,  
24 whereas the original projected amount was about 78  
25 million?

1 MR. OTTMAR KRAMER: Yes.

2 MS. CANDACE EVERARD: And in previous  
3 years -- and I don't know that we have to go through  
4 every single one of them -- but it would appear that the  
5 original projected amount was significantly less than the  
6 actual income received.

7 Would that be fair to say?

8 MR. OTTMAR KRAMER: That -- that's true  
9 in some of the cases, but in 2002/2003 the -- the actual  
10 was lower than the projected.

11 MS. CANDACE EVERARD: Fair enough. But  
12 in the subsequent years on this table it would be the -- the  
13 reverse?

14 MR. OTTMAR KRAMER: Yes.

15 MS. CANDACE EVERARD: And just for the  
16 purposes of the record so that it's clear, each year when  
17 the Corporation comes forward with the general rate  
18 application, it would be the projected number or the  
19 number on the far right of each column that the rates are  
20 based on?

21 MR. OTTMAR KRAMER: Yes.

22 MS. CANDACE EVERARD: Now, if I can  
23 direct your attention to the "Equity Gain and Loss" line  
24 on this particular schedule; and there is one of those  
25 figures that's slightly different in the -- the other

1 version of the document.

2                   Again, would it be fair to say, based on  
3 what we see here, that in each year the original  
4 projected amount is significantly different from the  
5 actual amount?

6                   And I appreciate that 2002/2003 there was  
7 a gain projected which turned out to be a loss, but then  
8 in subsequent years it was -- the -- the income was  
9 significantly more than originally projected?

10                   MR. OTTMAR KRAMER: Yes, there's a degree  
11 of variability to that and that's correct.

12

13                   (BRIEF PAUSE)

14

15                   MS. CANDACE EVERARD: And can you  
16 confirm, for the record, the reasons behind the large  
17 degrees and variability over the years?

18                   MR. BARRY GALENZOSKI: That would relate  
19 very much to the market conditions, the -- the way the  
20 market is going, both on the Canadian as well as the US  
21 side with respect to the market just growing through  
22 earnings and our ability then to take the gains from the  
23 equity portfolios.

24                   MS. CANDACE EVERARD: And is it true that  
25 the degree of variability will be mitigated at least to

1 an extent by virtue of the inclusion of the equity risk  
2 premium going forward?

3 MR. BARRY GALENZOSKI: Well, if you  
4 assume that -- that it's going to actually be there then  
5 that will mitigate the difference between these two (2)  
6 numbers. However, by including it and then hopefully  
7 relying on that and if it's not there then of course then  
8 you've got the reverse situation occurring.

9 But generally speaking I answer positively  
10 to your question, yes.

11

12 (BRIEF PAUSE)

13

14 MS. CANDACE EVERARD: Okay. Turning then  
15 for a moment to the way that the projections and the  
16 forecasts are determined, can you explain for the record  
17 the basis and the factors that are -- that are included  
18 in -- in setting those numbers.

19 MR. DON PALMER: We include the expected  
20 investment returns as -- as one (1) of the components in  
21 our Revenue Forecast Committee, which again sort of like  
22 the Claims Forecast Committee is a committee of the  
23 Corporation made up of multi-discipline from the Pricing  
24 and Economics Department. We have an economist on that  
25 committee from Budgeting and Planning from insurance

1 operations.

2                   Based on a number of external forecasts we  
3 take a long-term view of both bond -- expected bond  
4 returns, expected bond yields, and also equities; that's  
5 essentially where the equity risk premium would come  
6 from, as well.

7                   MS. CANDACE EVERARD:   Now, is it correct  
8 that variances from the assume rates of return have  
9 consequences on the RSR?

10                  MR. DON PALMER:    That's correct.

11                  MS. CANDACE EVERARD:   And can you  
12 elaborate on that?

13                  MR. DON PALMER:    Any -- with the forecast  
14 on which the rates are based, any variances from that  
15 will either add to or take away from the RSR.  So if the  
16 yields and returns are less than what is expected then  
17 that will be a direct draw on the RSR.  Or if the yield  
18 is in excess of what we said then that will be an  
19 addition to the RSR.

20

21                                       (BRIEF PAUSE)

22

23                  MS. CANDACE EVERARD:   So is it based on -  
24 - sorry, your earlier answer, that the equity return is  
25 based on a projection of the bond return and the equity

1 risk premium, as opposed to being a forecast of an equity  
2 yield?

3 MR. DON PALMER: I'm not sure I really  
4 see the distinction, but we use the bonds plus the equity  
5 risk premium to get the equity yield, yes.

6 MS. CANDACE EVERARD: Now, there were  
7 some questions and responses yesterday dealing with the  
8 \$49 million rebate that's been requested and just -- I  
9 want to explore how that is tied in with investment  
10 income. And I appreciate that there was an exchange  
11 about the timing of when years close and -- and things of  
12 that sort.

13 So is it -- is it possible from the  
14 Corporation's perspective that there would be an impact  
15 on the rebate that's being requested if there was a  
16 significant equity loss in the current year?

17 MR. DON PALMER: Again, with the timing  
18 and -- and I know there was some discussion about the --  
19 the intent of -- of Board Order and -- and adjustments  
20 that could be made or could not be made, but  
21 theoretically if there was swings between now and year-  
22 end that could affect the -- the amount of the re --  
23 rebate, yes.

24

25

(BRIEF PAUSE)

1 MS. CANDACE EVERARD: Thank you. Staying  
2 with Tab 14 and looking at Attachment A, particularly I'd  
3 ask you direct your attention to the projections beyond  
4 the year of the application, which we haven't touched on.  
5 And if I'm -- I'm looking at the -- the section at the  
6 very bottom of the table entitled, "Yield Percentage."

7 Am I correct that last year, the year that  
8 just finished, 2006/2007, the yield percentage on short-  
9 term bonds was 4 percent overall and that's projected to  
10 increased for that particular category to 4 1/2 percent  
11 by 2011/'12?

12 MR. DON PALMER: Yes, that is correct.

13 MS. CANDACE EVERARD: And for long-terms  
14 bonds, the -- the next line item, the actual return last  
15 year, '06/'07, was 4.9 percent, which is projected to  
16 increase -- well, to actually decrease and then to  
17 increase again throughout the -- the six (6) years  
18 reflected on this table, ending at just over 5 percent in  
19 2011/'12?

20 MR. DON PALMER: Yes, that's correct.

21 MS. CANDACE EVERARD: And is the -- the  
22 Corporation satisfied with these level of returns that  
23 are being forecast?

24 MR. DON PALMER: Those are from long-  
25 term, mostly consens -- consensus of external forecasts,

1 so they are what they are, I guess.

2 MS. CANDACE EVERARD: Okay. So that's a  
3 "yes"?

4 MR. DON PALMER: That's a yes.

5 MS. CANDACE EVERARD: Thank you. The  
6 next and the last line under that section is "Equities,"  
7 and again looking at the year that just closed,  
8 2006/2007, the actual was 8.14 percent and that's  
9 projected to increase quite substantially for the year  
10 that we're in, 2007/2008, and then to drop thereafter.

11 Can you, I guess first comment on the --  
12 the projected increase for the current year, the  
13 2007/2008 year?

14 MR. DON PALMER: That would include the -  
15 - the capital gains that we've already taken, and then on  
16 a going forward basis we would expect that to be more on  
17 a average perspecti-- perspective rather than -- than  
18 necessarily expecting large capital gains. And -- and  
19 those numbers do also included the equi -- equity risk  
20 premium.

21 MS. CANDACE EVERARD: Thank you. And to  
22 what extent, if at all, are historical returns  
23 incorporated into the forecasting of the future equity  
24 returns?

25 MR. DON PALMER: Really they're not,

1 other than the fact that the equity risk premium is --  
2 can be derived from the equity risk premium than the  
3 historical performance therein. But the future equity  
4 yield is -- is derived, as I said, from the bond yield  
5 with the -- the equity risk premium.

6 MS. CANDACE EVERARD: Thank you. If you  
7 could now turn to Question 11 asked by the Board in the  
8 first round, which is not in the book.

9

10 (BRIEF PAUSE)

11

12 MR. DON PALMER: I had a bit of a binder  
13 explosion, but I have it.

14 MS. CANDACE EVERARD: Do you want to take  
15 a minute to deal with that?

16 MR. DON PALMER: No, it's here, it's  
17 okay.

18 MS. CANDACE EVERARD: Alrighty. The --  
19 the IR asked, obviously, was to discuss and provide  
20 detail on how the yield assumptions were determined for  
21 each class of investments. And there's a -- obviously a  
22 chart here and then there's a note at the bottom of the  
23 charter just underneath the chart which gives rise to  
24 more charts.

25 Perhaps you can just read in the -- the

1 note immediately behi -- or underneath the -- the chart  
2 on the first page.

3 MR. DON PALMER: The note reads:

4 "Each projected yield is based on the  
5 median interest rates from the  
6 following financial institution --  
7 institutions: Scotia, CIBC, RBC, TD,  
8 BMO, NB, and Global Insight. The  
9 median composites for each projected  
10 yield are..."

11 And then I'm not going to read in those  
12 charts.

13 MS. CANDACE EVERARD: That's fine. So,  
14 if I understand -- stood your earlier answers and -- and  
15 this answer correctly, once the median is determined  
16 based on what you just read in, the equity risk premium  
17 is added.

18 Is that right?

19 MR. DON PALMER: Added to the ten (10)  
20 year bond, yes.

21

22 (BRIEF PAUSE)

23

24 MS. CANDACE EVERARD: Okay, thank you.

25 That's it for that binder, so I'm sure you'll be happy to

1 hear that.

2 So turning back to Tab 14 and Attachment  
3 5(a) that we've -- we've already looked at on a couple of  
4 points.

5 If you could turn you attention to the --  
6 under the heading of "Investment Income", the lines  
7 entitled "Equity Dividends and Equity Gain/Loss," and  
8 just explain for the record the -- the separation between  
9 the two (2).

10

11 (BRIEF PAUSE)

12

13 MR. OTTMAR KRAMER: I -- I believe this  
14 split between the dividends and the gain/loss on the  
15 equity side is about 35 percent for dividends and 65 for  
16 the gain/loss on -- on -- just on the base numbers  
17 excluding the -- the one (1) time gain that we've got in  
18 -- in '07/'08.

19 MS. CANDACE EVERARD: All right. Thank  
20 you. Looking -- we -- we've talked about what's been  
21 forecast in this particular table in terms of yield  
22 percentages, but just looking at the dollar amounts for a  
23 moment, if you can again direct your attention to the  
24 "Corporate Total" line, it would appear that from the  
25 year of the application through the -- the end of the

1 outlook period here, it's projected that the investment  
2 income, as of 2011/'12, should be around \$144 million. I  
3 think that's what this reflects.

4 MR. OTTMAR KRAMER: Yes, that's correct.

5 MS. CANDACE EVERARD: And basic share of  
6 that is projected to be about 127 million?

7 MR. OTTMAR KRAMER: Yes, that's correct.

8 MS. CANDACE EVERARD: Now, I note back to  
9 the "Equity Gain and Loss" line that for the current  
10 year, the year that we're in, 2007/'08, there's forecast  
11 and equity gain of about 48 -- or 46 million, pardon me.

12 I'm assuming that the -- the reason why  
13 that gain is significantly higher than the other numbers  
14 on that line is because of the capital gains that have  
15 already been taken that were referenced a moment ago. Or  
16 am I -- am I wrong about that?

17 MR. OTTMAR KRAMER: No, that's correct.

18

19 (BRIEF PAUSE)

20

21 MS. CANDACE EVERARD: So, has the  
22 Corporation taken any additional gains after this filing  
23 that have not yet been put on the record?

24

25 (BRIEF PAUSE)

1 MR. OTTMAR KRAMER: Yes, we have taken  
2 some additional gains.

3 MS. CANDACE EVERARD: Can you give us an  
4 idea of how -- how much in broad numbers?

5 MR. OTTMAR KRAMER: I believe in  
6 magnitude of approximately \$50 million in total. In  
7 total, not additional, in total.

8 MS. CANDACE EVERARD: Sorry, did you say  
9 fifty (50), five zero (5-0), or fifteen (15), one five  
10 (1-5).

11 MR. OTTMAR KRAMER: Five -- five zero,  
12 (5-0), fifty (50).

13

14 (BRIEF PAUSE)

15

16 MR. BARRY GALENZOSKI: And those -- those  
17 results would be included in the quarterly financial  
18 statements that have already been filed.

19

20 (BRIEF PAUSE)

21

22 MS. CANDACE EVERARD: Thank you. So just  
23 sticking with the "Equity Gain and Loss" line on this  
24 particular schedule, 5(a), I note that for the year of  
25 the application, the -- there's an equity gain projected

1 of just over 20 million which is projected to increase to  
2 about 31 million through the end of the outlook period.

3 What's the rationale or the reasons for  
4 that projected increase?

5 MR. OTTMAR KRAMER: The -- the increase  
6 is due to the increasing size of the portfolio, the  
7 equity portfolio.

8 MS. CANDACE EVERARD: Thank you. If you  
9 could turn now to Tab 16 of the book of documents which  
10 is the answer to Question 7 posed by the Board in the  
11 first round, and in particular the schedule that's  
12 attached to that answer.

13 It would appear that for the year ending  
14 in February of 2007, there were about 80.2 million in  
15 unrealized gains, is that right?

16

17 (BRIEF PAUSE)

18

19 MR. OTTMAR KRAMER: Yes, that is correct.

20 MS. CANDACE EVERARD: And last year for  
21 2006, it was about 81.5 million, is that right?

22 MR. OTTMAR KRAMER: Yes, that's correct.

23 MS. CANDACE EVERARD: And how do the  
24 unrealized gains in the portfolio impact rate setting?

25 MR. DON PALMER: From a historical

1 perspective, they don't. The -- the rates are -- are set  
2 on a prospective basis, so using expected investment  
3 income not the past.

4 Now as those -- those gains are -- are  
5 realized and as you said they add directly to the RSR  
6 which could impact any amount of -- of surplus refund if  
7 -- if that was in play in a given year. So from that  
8 perspective I guess that's the effect on rate.

9 But as far as future projections, we rely  
10 on the -- the projections, not the past amount of the  
11 unrealized capital gain.

12 MS. CANDACE EVERARD: So should  
13 unrealized gains be considered for rate setting purposes  
14 in the Corporation's view?

15 MR. DON PALMER: It's -- it's a  
16 historical statement of what was and rate setting is  
17 prospective exercise, so, no.

18 MS. CANDACE EVERARD: Now do the  
19 investment managers have discretion to realize gains in a  
20 given year, or is that up to -- rather, is that up to MPI  
21 that -- the Corporation, or is that up to the -- the  
22 outside investment managers?

23 MR. BARRY GALENZOSKI: Investment managers  
24 are free to buy and sell within their mandates, so they  
25 can do that as they wish. With -- and then the

1 Corporation can then request through a basis that we've  
2 set up -- and it's spelled out in the investment policy  
3 statement, we can request that they take gains and we've  
4 done.

5 And we've done -- and that's generally how  
6 we get most of the gains on the portfolio. That's  
7 specific to equities by the way, that discussion.

8

9 (BRIEF PAUSE)

10

11 MS. CANDACE EVERARD: Okay. I'm going to  
12 shift into -- this is the -- the last bit on investment  
13 income and it relates to the change in accounting.

14 Now I appreciate that at the -- and I  
15 haven't taken a peek at the second quarterly report on  
16 this point, but certainly in the first quarterly report  
17 which was AI-8 there was an explanation and an  
18 introduction to this comprehensive accounting issue, so  
19 you may want to refer to that.

20 But in any event I would ask you to  
21 explain, for the record, what the change is that's been  
22 implemented?

23

24 (BRIEF PAUSE)

25

1 MR. OTTMAR KRAMER: As indicated in the  
2 Q1 Report and it's also in the -- our second quarter  
3 report, August 31st on page 5, effective March 1st, 2007,  
4 we adopted the recommendations by the CICA on -- on the  
5 comprehensive income accounting -- on the financial  
6 instruments.

7 That standard requires and -- and I'll --  
8 I'll read page 5:

9 "...that all financial assets and  
10 liabilities are to be classified in  
11 various categories: held for trading,  
12 held to maturity, available for sale,  
13 or loans and receivables."

14 And really what that required us as a  
15 corporation to do is take a look at our financial  
16 instruments and determine which class that they held in:  
17 either held for trading, held to maturity, available for  
18 sale. And last year we -- we went through that exercise  
19 to determine which class those assets would fall into.

20 Based on the class that those assets fall  
21 into there's specific accounting provisions on how to --  
22 to classify the unrealized gains.

23 MS. CANDACE EVERARD: So will these  
24 changes have an effect on the Corporation's income  
25 statement, and if so can you explain those changes at a

1 high level?

2 MR. OTTMAR KRAMER: No, those -- those  
3 changes don't impact our income statement. What they do  
4 impact is a calculation called "comprehensive income."  
5 And the unrealized gains are included in a comprehensive  
6 income but not in our income statement or in our retained  
7 earnings.

8 MS. CANDACE EVERARD: And this policy  
9 change is in compliance with GAAP; is that correct?

10 MR. OTTMAR KRAMER: Yes, it is, as  
11 indicated -- the CICA handbook sections.

12 MS. CANDACE EVERARD: And just for the  
13 record, GAAP is the Generally Accepted Accounting  
14 Principles?

15 MR. OTTMAR KRAMER: Yes.

16

17 (BRIEF PAUSE)

18

19 MS. CANDACE EVERARD: Okay. You had  
20 indicated that in the Corporation's view unrealized gains  
21 do not impact rate setting or were not considered for  
22 rate setting.

23 Is it the Corporation's view that the --  
24 that comprehensive income should be taken into account  
25 for rate setting?

1 MR. DON PALMER: Again, from a  
2 prospective basis we're looking at the long-term average  
3 yield on a going-forward basis. So as gains are realized  
4 or unrealized they will just naturally flow through, but  
5 specifically other income -- other comprehensive income  
6 wouldn't specifically affect rate setting, no.

7 MS. CANDACE EVERARD: And why not?

8 MR. DON PALMER: Because they will  
9 eventually be realized. Again, it's a -- it's an average  
10 flow going into the future and -- and an as-at basis at a  
11 given point in time isn't really relevant.

12

13 (BRIEF PAUSE)

14

15 MR. DON PALMER: Just -- just for an  
16 illustration of the point, I -- I would ask you to take a  
17 look at our second quarter financial report, page 9.

18

19 (BRIEF PAUSE)

20

21 MS. CANDACE EVERARD: Thank you.

22 MR. DON PALMER: The -- over the last two  
23 (2) quarters, for instance, we had an unrealized loss on  
24 available for sale financial assets of \$34 million. We -  
25 - I think if we looked at other comprehensive income as -

1 - as an input to rate setting we'd be essentially rate  
2 setting by yo-yo because they go up and down very  
3 frequently.

4                   So again, so it's the long-term expected  
5 averages that we're basing our rate setting on.

6                   MS. CANDACE EVERARD:    So are you saying  
7 that by applying the comprehensive income there would be  
8 increased volatility?

9                   MR. DON PALMER:    Yes.

10                  MS. CANDACE EVERARD:    Okay. Okay. So it  
11 is our understanding that the adoption of the  
12 comprehensive net income accounting in accordance with  
13 the CICA standard, that -- that has been mentioned, will  
14 require the Corporation's actuary to amend his basis for  
15 selection of a discount rate.

16                  Is that correct?

17                  MR. DON PALMER:    That's correct.

18                  MS. CANDACE EVERARD:    So given that the -  
19 - the Corporation is proposing that it will not use  
20 comprehensive net income for rate setting purposes, will  
21 the actuary not be required to use a different set of  
22 assumptions for discounting purposes?

23                  MR. DON PALMER:    The discounting  
24 assumptions will change based on expected yields, yes.

25                  MS. CANDACE EVERARD:    And how will they

1 change?

2 MR. DON PALMER: They will change based  
3 on the expected yields of the portfolio, at the time of  
4 evaluation.

5 MS. CANDACE EVERARD: But its market  
6 yields not book yields, right?

7 MR. DON PALMER: That's correct.

8 MS. CANDACE EVERARD: In the discount  
9 rate used for the purposes of the rate makings, it's the  
10 same as for financial reporting?

11 MR. DON PALMER: Not quite. Just from a  
12 -- a rate setting perspective, our -- the way that we  
13 account for investment income is using the expected  
14 future yields, expected future market yields, so the way  
15 it flows through the -- the process might be a little  
16 different. Again, the evaluation is an as-at on a  
17 retrospective basis. The -- the outcome would likely be  
18 the same.

19

20 (BRIEF PAUSE)

21

22 MS. CANDACE EVERARD: So will this effect  
23 on the assumptions affect the costs of the Corporation?  
24 And if so, by how much?

25 MR. DON PALMER: Could you explain what

1 you mean by "costs"?

2 MS. CANDACE EVERARD: The actuarial  
3 costs, sorry.

4

5 (BRIEF PAUSE)

6

7 MR. DON PALMER: Different assumptions on  
8 your actuarial evaluation will lead to -- to different  
9 results. So from that perspective, yes, there's a  
10 difference in the actuarial provisions that are required.

11

12 (BRIEF PAUSE)

13

14 MS. CANDACE EVERARD: So -- so to what  
15 extent has that been taken to account in this  
16 application, or has it -- hasn't it been?

17 MR. DON PALMER: The -- the evaluation of  
18 liabilities that will take place in -- at the end of this  
19 year, which I guess is the end of the -- or the beginning  
20 of the rate year that we're looking at hasn't been  
21 completed, so that ha -- has not been considered.

22 MS. CANDACE EVERARD: So it's not in the  
23 -- the evaluation?

24 MR. DON PALMER: The evaluation has not  
25 been done.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

(BRIEF PAUSE)

MR. DON PALMER: At the time that that evaluation is done, any changes will flow through the income statement and effect our SR, either positively or negatively, depending on the effect.

MS. CANDACE EVERARD: Okay. I note that the Corporation's investment guideline indicates that the average duration of bodily injury liabilities are approximately nine (9) years.

Does that include PIPP liabilities?

MR. DON PALMER: Yes.

MS. CANDACE EVERARD: And what is the average duration of the maturity of the bond portfolio?

MR. DON PALMER: It's around seven (7), I think.

MS. CANDACE EVERARD: Given the forecasts of the large equity net gains each year, does this suggest that the equity portfolio is heavily traded?

MR. BARRY GALENZOSKI: No, it doesn't mean that it's heavily traded. It -- it -- by in large, a lot of the fund managers hold the investments primarily year over year. It just means that there's been movement in the market value of those bonds and then a decision

1 made whether to take the gain or not. I said "bonds", I  
2 meant equities, sorry.

3 THE CHAIRPERSON: What is the aggregate  
4 level of the sales of the equity portfolio, of say last  
5 year?

6 MR. BARRY GALENZOSKI: I -- I don't think  
7 we'd be able to give you that -- that piece of  
8 information; it's not something that we specifically  
9 track. We do -- we do track the fees that some of these  
10 -- these managers track just because of movement within  
11 the portfolio, and some managers trade their portfolio  
12 more frequently than others.

13 And so it would be different by a  
14 different fund manager, but I don't specifically have a  
15 response that I could provide you right now on that.

16 THE CHAIRPERSON: Could you take it under  
17 consideration?

18 MR. BARRY GALENZOSKI: Could you provide  
19 just what you were looking for again, specifically?

20 THE CHAIRPERSON: Yes, we will.

21

22 CONTINUED BY MS. CANDACE EVERARD:

23 MS. CANDACE EVERARD: Okay, just one (1)  
24 followup question on the actuarial issue that we were  
25 discussing.

1 Under the -- the new CICA regulation, with  
2 the available for-sale assets, is it true that claims  
3 incurred are more susceptible to changes in market  
4 yields?

5 MR. DON PALMER: There could be more  
6 fluctuations, yes.

7 MS. CANDACE EVERARD: Okay. I think that  
8 wraps up the questions on investment income for the time  
9 being, so I'm going to be moving to a new area, which is  
10 claims incurred. So I'd ask you to direct your attention  
11 to Tab 2 of the book of documents, TI-4.

12 THE CHAIRPERSON: Ms. Everard, I have  
13 that question just to let things flow along.

14 For 2006/'07, please indicate the  
15 aggregate value of both equities sold and equities  
16 purchased.

17

18 --- UNDERTAKING NO. 3: MPI to indicate for Board, in  
19 the year 2006/'07, the  
20 aggregate value of both  
21 equities sold and equities  
22 purchased

23

24 THE CHAIRPERSON: Thank you. Okay, Ms.  
25 Everard.

1 MS. CANDACE EVERARD: Thank you, Mr.  
2 Chairman.

3

4 (BRIEF PAUSE)

5

6 CONTINUED BY MS. CANDACE EVERARD:

7 MS. CANDACE EVERARD: Okay. So Tab 2,  
8 TI-4. Looking at the -- the PIPP line and noting that  
9 this is an eight (8) year claims-incurred comparison, it  
10 would appear that the projections with respect to PIPP  
11 costs for the year of the application are projected to be  
12 about 242 million.

13 Is that correct?

14 MR. OTTMAR KRAMER: Yes, that's correct.

15 MS. CANDACE EVERARD: And through the end  
16 of the outlook period that figure is projected to  
17 increase to about 276 million, is that correct?

18 MR. OTTMAR KRAMER: Yes, that's correct.

19 MS. CANDACE EVERARD: Looking at the  
20 collision line, the next one down in the table, it would  
21 appear that figure as of the first year on this table,  
22 2004/2005, was about 202 million, projected to increase  
23 to about 253 million in the year of the application,  
24 2008/2009, and then projected to increase further to  
25 about 293 million in 2011/'12.

1 Is that right?

2 MR. OTTMAR KRAMER: Yes, that's correct.

3 MS. CANDACE EVERARD: And looking at  
4 "Comprehensive," the next line on the table, again the  
5 number is projected to increase. In 2004/2005, the  
6 figure for comprehensive was about 63 million, projected  
7 to increase to 76 million in the year of the application,  
8 and then projected to decrease through the end of the  
9 outlook period at about 71 million in 2011/'12.

10 Is that right?

11 MR. OTTMAR KRAMER: Yes, that's correct.

12 MS. CANDACE EVERARD: And what would be  
13 the -- the reason behind the projected decrease in  
14 comprehensive through the end of the outlook period?

15 MR. DON PALMER: That would be the effect  
16 of our anti-theft programs, especially the Immobilizer  
17 Program.

18 MS. CANDACE EVERARD: Thank you. Looking  
19 at Tab 20 of the book of documents, which is an  
20 Information Request that was asked on TI-4 -- this Number  
21 17 posed by the Board in the First Round -- and  
22 particularly the attachment; this is a breakdown of the  
23 PIPP costs by component.

24 I note that in 1995 the percentage of PIPP  
25 costs allocated to income replacement was 25.8 percent.

1 That number grew to over 60 percent by 2005 and then is  
2 projected to decrease to thirty-five point nine (35.9) in  
3 the current year.

4 Is that right?

5 MR. DON PALMER: That's correct.

6 MS. CANDACE EVERARD: Now, looking at the  
7 -- the 2007 column, the current year, as I indicated  
8 there is a dip in the percentage allocation for income  
9 replacement.

10 Can you explain the reason for that dip  
11 relative to the other pieces of coverage?

12 MR. DON PALMER: We have been undergoing  
13 over the last couple of years some re-statement of  
14 reserves, and they have a large effect on the direct  
15 reported costs that we see in this -- this table. And to  
16 -- as an illustration of that, if you look at the 2006  
17 year the total incurred for all of PIPP for that year was  
18 in fact a negative \$89 million. That's -- I think the  
19 actuarial term I coined last years was "a bit wonky" and  
20 so I think we can throw that out for -- for comparison  
21 purposes.

22 MS. CANDACE EVERARD: Thank you. And so  
23 looking at 2006 on the table at Tab 20 and the obvious  
24 different numbers that are there, particularly the -- the  
25 negative 79 million and the negative 54 million appearing

1 under Income Replacement and Personal Care respectively,  
2 those numbers would be driven by the same factor that you  
3 just mentioned?

4 MR. DON PALMER: That's correct.

5

6 (BRIEF PAUSE)

7

8 MS. CANDACE EVERARD: Thank you. If you  
9 could now turn to Tab 4 of the book of documents which is  
10 TI-11, and in particular Schedule 1 which is the second  
11 last page of the document.

12 It would appear that over -- or from the  
13 year that just finished '06/'07 -- pardon me, relating to  
14 -- to 2006/2007, the -- the actual figures compared with  
15 the revised forecast that would have been provided at  
16 last year's application, saw some changes. And if I'm  
17 reading this correctly there was a -- a decrease in the  
18 PIPP number of approximately 41 1/2 million.

19 Is that correct?

20 MR. DON PALMER: That's correct.

21 MS. CANDACE EVERARD: And the figures for  
22 collision and comprehensive were also actually different  
23 than had been forecasted in the case of collision for  
24 about 6.3 million, and in the case of comprehensive for  
25 about 13.4 million, is that right?

1 MR. DON PALMER: That's correct.

2 MS. CANDACE EVERARD: So overall if we  
3 turn back to the first page of TI-11, those changes gave  
4 rise to a decrease in the claims incurred between that  
5 which was forecast and that which actually materialized  
6 of about 22.6 million.

7 Am I right?

8 MR. DON PALMER: That's correct.

9 MS. CANDACE EVERARD: Thank you. Turning  
10 over one (1) tab to Tab 5 which is TI-12, and focussing  
11 for a moment on the first page of TI-12, and at the line  
12 in particular dealing with claims incurred. It would  
13 appear that there was an increase in the claims incurred  
14 from that which was forecast last year -- and this is for  
15 the current year that we're in -- of about 7 million.

16 Is that right?

17 MR. DON PALMER: That's correct.

18 MS. CANDACE EVERARD: And as is the case  
19 in TI-11, Schedule 1 sets out how that \$7 million  
20 difference is arrived at.

21 So again, if we look at Schedule 1 of TI-  
22 12, it would appear that there was a -- a decrease in the  
23 PIPP benefits of about 6 million, a decrease in collision  
24 of about 2 million and an increase in comprehensive of 14  
25 or so. And that's how we get the -- the \$7 million

1 overage.

2 Is that right?

3 MR. DON PALMER: That's correct.

4 MS. CANDACE EVERARD: Okay. Turning then  
5 to Tab 7 of the book of documents which sets out TI-14,  
6 and if I'm reading this schedule correctly it compares  
7 the year of the application as previously -- as it  
8 previously formed part of the outlook period at last  
9 year's GRA, compared with the revised projections for the  
10 year of the application now, or as of the time of the  
11 filing of the application?

12 MR. DON PALMER: That's correct.

13 MS. CANDACE EVERARD: So between those  
14 two (2) time intervals, we note an increase in the claims  
15 incurred of about 3.3 million, is that right?

16 MR. DON PALMER: That's our change in  
17 projection, yes.

18 MS. CANDACE EVERARD: And again, Schedule  
19 1 sets out how that figure is arrived at or what  
20 comprises that figure. And Schedule 1 reflects an  
21 increase in comprehensive of about 10.7 million and a  
22 decrease in PIPP of about 6.3, which -- and I appreciate  
23 that there are some other numbers there -- but that would  
24 be roughly where the three point three (3.3) comes from,  
25 is that right?

1 MR. DON PALMER: Those are the two (2)  
2 big ones, yes.

3 MS. CANDACE EVERARD: Thank you. Turning  
4 to Tab 9 of the book of documents which is TI-16, dealing  
5 with claims costs, I note that claims costs -- and I --  
6 and I'm looking at the -- the line entitled, "Total  
7 Claims Costs" about have way down the table.

8 The claims costs are forecasted to  
9 increase from about 6 -- 626 million in 2006/2007, and  
10 that's an actual number, to about 796 million through the  
11 end of the outlook period in 2011/'12.

12 Is that right?

13 MR. DON PALMER: That's total claims  
14 includur -- in -- including claims expenses and road  
15 safety; loss prevention expenses, yes.

16 MS. CANDACE EVERARD: Thank you. So  
17 relating to net claims incurred, the number -- the actual  
18 number last year would've been 535 million, and that's  
19 projected to increase to 692 million by the end of the  
20 outlook period?

21 MR. DON PALMER: That's correct.

22 MS. CANDACE EVERARD: And would you be  
23 able to comment on this trend or the projected increases  
24 from the Corporation's point of view?

25 MR. DON PALMER: Most of those increases

1 would be natural in -- inflationary increases, as well as  
2 increases in the size of the fleet, for instance. Your  
3 starting points, the '06/'07 number, is somewhat  
4 suppressed just because that there was some one-time  
5 actuarial adjustments made that would have brought that  
6 number down. I think you pointed out the decrease in --  
7 at \$41 million.

8                   So -- so that number is somewhat  
9 artificially suppressed. I think the -- the better  
10 comparison is if you start at -- as your base year of  
11 '07/'08 and work that forward, those would largely be  
12 inflationary increases that we would naturally ex --  
13 expect.

14                   MS. CANDACE EVERARD: Looking at the  
15 second quarterly report that was provided yesterday and  
16 has been entered as MPI Exhibit 10, and in particular  
17 page 4, it is set out that -- and I'm looking at -- on  
18 page 4, just at the bottom of the first column and  
19 spilling over onto the top of the second column, it's set  
20 out, that activity, to August 31st, 2007.

21                   Or pardon me, I'm looking in the wrong  
22 place. One (1) moment. Sorry.

23                   I'm just -- I was just looking at the --  
24 the wrong place. I'm looking at the left-hand side  
25 column, the first -- or the second full paragraph under

1 the heading, "Current Year and Last Year," where it's  
2 reflected that claims costs for the six (6) months ending  
3 August 31st, 2007 increased by 23.8 million or 6.8  
4 percent, compared to last year.

5 Is that right?

6 MR. DON PALMER: That's correct.

7 MS. CANDACE EVERARD: Thank you.

8 MR. DON PALMER: Maybe I was expecting  
9 your next question. A large portion of that increase in  
10 due to the Dauphin hail storm.

11 MS. CANDACE EVERARD: And I -- I do have  
12 some questions specifically about that, in about two (2)  
13 pages.

14 MR. DON PALMER: We'll wait.

15 MS. CANDACE EVERARD: Thank you. Just  
16 while we're in claims incurred, we -- the Board generally  
17 does like to -- to hear an update on the status of the  
18 remaining pre-PIPP/tort claims, so this is that point in  
19 time.

20 MR. DON PALMER: We'll pull -- pull those  
21 figures out for you; there's not much left.

22 MS. CANDACE EVERARD: Understood. Thank  
23 you.

24 All right. Turning, for the moment, to  
25 the subject of claims forecasting, I'd ask you to take a

1 look at SM-5.2.

2

3

(BRIEF PAUSE)

4

5

MR. DON PALMER: We have it.

6

7

MS. CANDACE EVERARD: Thank you. I would ask you to briefly review the claims forecasting

8

methodology with respect to each of the three (3) methods

9

referenced.

10

11

MR. DON PALMER: You want me to give you a brief description?

12

MS. CANDACE EVERARD: Yes, please.

13

14

MR. DON PALMER: Three (3) methods are the financial method, the linear method, and the

15

exponential method. The financial forecast is done with

16

the basis of the work of the claims forecasting

17

committee, which is a multi-disciplinary committee within

18

the Corporation comprised of people from Pricing and

19

Economics, from Finance, from Claims, from Insurance

20

Operations; that use both past trends and -- and current

21

field information to -- to forecast what expected claims

22

will be going forward through the outlook period.

23

24

The linear and exponential approaches are -- are more formulaic approaches using a fitting of a

25

exponential curve for the exponential method by -- by

1 coverage. For instance, there's a -- a different curve  
2 that's -- that's fitted to PIPP costs, to collision  
3 costs, to comprehensive costs and so on. And then -- and  
4 then that curve is -- is added up to get the exponential  
5 forecast.

6                   Linear forecast is very close to that.  
7 Inste -- but instead of fitting a exponential curve to  
8 the past data, we fit a straight line, and again, to --  
9 it gets a formulaic approach for future forecast.

10                   MS. CANDACE EVERARD: So, is it fair to  
11 say that it's the linear and exponential methods that are  
12 actuarially sound and statistically driven?

13                   MR. DON PALMER: I would say all three  
14 (3) methods are actuarially sound and statistically  
15 driven.

16                   MS. CANDACE EVERARD: But based on your  
17 answer, I -- if I've understood it correctly, the  
18 financial method could properly be said to be a hybrid of  
19 actuarially methods and management judgments, is that  
20 true?

21                   MR. DON PALMER: I would agree with that  
22 characterization. I -- I -- the -- what I may disagree  
23 with is the definition of "actuarially sound." To -- to  
24 me that's -- an actuarially sound is just the projection  
25 of expected costs and different methods will achieve

1 those expected costs.

2 MS. CANDACE EVERARD: Thank you.

3 Turning, then, for a moment, to the question 14 that the  
4 Board posed in the first round, which is not in the book  
5 of documents.

6 MR. DON PALMER: Are you expect -- asking  
7 me to pull out my exploding binder again?

8 MS. CANDACE EVERARD: No, that's a  
9 different one, I think, isn't it? Well, if it is, I  
10 apologize.

11

12 (BRIEF PAUSE)

13

14 THE CHAIRPERSON: Okay, we will take our  
15 break now. We will be back at 10:30. Thank you.

16

17 --- Upon recessing at 10:17 a.m.

18 --- Upon resuming at 10:35 a.m.

19

20 THE CHAIRPERSON: Ms. Everard...?

21 MS. CANDACE EVERARD: Thank you, Mr.  
22 Chairman.

23 MR. OTTMAR KRAMER: Mr. Chairman, if I  
24 could at this point, Mr. Keith is prepared to respond to  
25 the question that Ms. Everard had with respect to the

1 tort runoff.

2 THE CHAIRPERSON: Very good. Mr.  
3 Keith...?

4 MR. WARD KEITH: Thank you. As of  
5 February of 2006, there were twenty-three (23) remaining  
6 tort claims and as of February of '07 that had reduced to  
7 fourteen (14) and as of the current date, we're sitting  
8 at thirteen (13) tort claims involving eleven (11)  
9 separate claimants.

10

11 CONTINUED BY MS. CANDACE EVERARD:

12 MS. CANDACE EVERARD: Do you have a sense  
13 of what the reserves are with respect to those thirteen  
14 (13) outstanding claims?

15 MR. WARD KEITH: Yes, the remaining  
16 reserves are set at 3.2 million, and that includes  
17 financial provisions.

18 MS. CANDACE EVERARD: Great, thank you.  
19 Okay, Mr. Palmer, before we go to number 14 in your fancy  
20 binder that you fixed, I just have a couple of follow-up  
21 questions about the adjustments that were made in the  
22 '06/'07 year that you described as odd or wonky.

23 MR. DON PALMER: Wonky.

24 MS. CANDACE EVERARD: Those are the ones.  
25 If I can direct your attention to AI-16 part 'A'.

1 (BRIEF PAUSE)

2

3 MS. CANDACE EVERARD: Now I understand  
4 this to be a report from Ernst and Young.

5 MR. DON PALMER: That's correct. This is  
6 the annual appointed actuary's report -- did you say Tab  
7 'A' or Tab 'B'?

8 MS. CANDACE EVERARD: Tab 'A'.

9 MR. DON PALMER: As at October 31 of 2006  
10 that was issued in January of 2007.

11 MS. CANDACE EVERARD: And -- and if I  
12 understand the -- the idea of the report is to update on  
13 the first eight (8) months of the fiscal year so the  
14 report would be from February through October of 2006, is  
15 that right?

16 MR. DON PALMER: That's correct.

17 MS. CANDACE EVERARD: Okay. If I can  
18 direct your attention to page 23 where we're dealing with  
19 the comparison to the prior year's estimate; this is  
20 Section 9.

21 MR. DON PALMER: I have it.

22 MS. CANDACE EVERARD: And under the  
23 heading from February 2006 to October 2006, it's noted  
24 that there was a favourable direct development of 73.4  
25 million and a favourable net development of 75.2 million.

1 And then in the next paragraph where it says "This can be  
2 attributed to..." that's obviously an explanation for the  
3 -- the developments that I just mentioned. Is that  
4 right?

5 MR. DON PALMER: That's correct.

6 MS. CANDACE EVERARD: Now, under the  
7 first bullet of the -- the preamble, "This can be  
8 attributed to:" it reads that:

9 "The direct favourable development of  
10 57.8 million for accident benefits,  
11 weekly indemnity was caused largely by,  
12 sub (I), the reversal of the special 28  
13 million IBNR provision for insurance  
14 year 2003/'04 and 16.5 million for  
15 insurance year 2005/'06 that was  
16 established last year."

17 And just for the purposes of the record,  
18 can you confirm what IBNR stands for?

19 MR. DON PALMER: That's "incurred but not  
20 reported."

21 MS. CANDACE EVERARD: And following on  
22 the provision that I just read, can you advise why these  
23 IBNR provisions were put up and then why they were put  
24 down?

25 MR. DON PALMER: With both of those years

1 we had some conflicting data as to the -- the incurred  
2 for those two (2) given accident years.

3 And for our seriously injured claimants,  
4 it does take some time for claims to -- to develop for us  
5 to really be able to know how -- what the quantum of any  
6 particular large claim will be.

7 Within the context of those two (2) years,  
8 what we were seeing was that there was a number of  
9 serious accidents that were put up that had claims  
10 reserves on the personal care coverage, but didn't have a  
11 corresponding increase on the income replacement coverage  
12 that we thought was unusual.

13 But really, from a -- at -- with that  
14 short amount of time between the time of the accident and  
15 the time that we were doing the provisions, we said let's  
16 put up a provision to account for that to bring them up  
17 more to the level of what we would -- would expect based  
18 on the personal care reserves.

19 So we -- we put those reserves up. And  
20 then, through the passage of time, when you can be better  
21 informed as to what the exact quantum of individual claim  
22 files would be, we looked at that and we didn't have an  
23 associated runoff that would indicate that the higher  
24 level of reserves were required. So, at that time, we  
25 brought them down.

1 MS. CANDACE EVERARD: Thank you. Okay.

2 So going back to number 14 --

3 MR. OTTMAR KRAMER: If I can just  
4 interrupt real quickly? We have a response to the -- the  
5 question that was posed by the -- the Chairman; "What was  
6 the aggregate value of equities purchased and sold in  
7 2006/'06 fiscal year?"

8 And our response is the book value of  
9 purchases for the equity portfolio from March 1st/'06 to  
10 February 28th, 2007; the purchases were \$405 million.  
11 Sales for the same period totalled \$368 million.

12 THE CHAIRPERSON: Thank you.

13

14 CONTINUED BY MS. CANDACE EVERARD:

15 MS. CANDACE EVERARD: Great. Thank you.  
16 Okay. So Question 14 posed in the First Round; Mr.  
17 Palmer, if you could describe, in general terms, the  
18 information shown on the tables. And I think it's pretty  
19 much set out in the question.

20 MR. DON PALMER: For -- for each of the  
21 accident years, '02/'03 through '07/'08, we show an  
22 original projected which would be the amount that the  
23 rate application was based on. So, for instance, this  
24 year our -- our projected year would be '08/'09, then the  
25 revised forecast, which is the forecast that's given at

1 the GRA during the year.

2 So, again, this year, for illustration  
3 purposes, the revised forecast would be given for the  
4 '07/'08 year because that's the year we're -- we're in.  
5 And the actual is what actual -- actually occurred for  
6 purposes of financial reporting at the end of that year.

7 MS. CANDACE EVERARD: Thank you. Looking  
8 at Attachment 1 to this IR which deals with a claims  
9 frequency comparison, to what does the Corporation  
10 attribute the significantly improved accuracy for the  
11 physical damage coverages since 2005/2006 compared to the  
12 underestimations that we note in previous years?

13 For example, in 2003/2004 the original  
14 projected estimate for collision was 84 million; the  
15 actual was 98 in '04/'05. For the same line, Collision,  
16 the original projected was 90.3, the actual was a hundred  
17 and eight (108) and for Comprehensive, the projection was  
18 fifty eight point three (58.3) and the actual is seventy-  
19 two point two (72.2). But in '05/'06 and -- and  
20 subsequent years, it seems much more accurate.

21 MR. DON PALMER: I'd like to tell you  
22 we're just getting a lot smarter, but I don't think that  
23 that's necessarily true. There will always be  
24 fluctuations in our forecasts, and we have got a very  
25 good process in terms of the claims forecast and -- and

1 we are well-versed in -- in the field.

2                   But there are unusual events that happen  
3 in terms of -- of different weather related -- the -- the  
4 unfortunate increase in -- in theft claims that all of a  
5 sudden sort of came out of the blue. There are -- can be  
6 large fluctuations in -- in terms of PIPP forecasts.

7                   Again, we're -- we're always forecasting  
8 on the expected line, but there will be fluctuations from  
9 that line. And to -- to look at a specific year and say  
10 there was a large fluctuation that year and, therefore,  
11 it was a bad forecast or, alternatively, to say you were  
12 bang on, it was a good forecast, I think is -- is  
13 oversimplifying, and I think you have to look over the  
14 longer term.

15                   But certainly our -- our forecast --  
16 forecasting team has been together for a number of years  
17 and -- and does improve. But to look and -- and say one  
18 (1) year, you've got it right now, I don't we can say  
19 that.

20                   MS. CANDACE EVERARD: Thank you. Still  
21 looking at table 1 dealing with frequencies; has the  
22 actual year-to-date experience for 2007/2008, since the  
23 time of the answering of the question, tended to narrow  
24 or widen the gaps between the projected and revised  
25 frequencies?

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

(BRIEF PAUSE)

MR. DON PALMER: We'll have to take that as an undertaking.

MS. CANDACE EVERARD: Thank you.

--- UNDERTAKING NO. 4: MPI to advise Board if the actual year-to-date experience for 2007/2008 has tended to narrow or widen the gaps between the projected and revised frequencies, and also has the actual year-to-date experience for 2007/'08 tended to narrow or widen the gaps between the projected and revised claims incurred

CONTINUED BY MS. CANDACE EVERARD:

MS. CANDACE EVERARD: Turning to table 3 of the same IR dealing with claims incurred and looking at, in particular 2004/2005 though 2006/2007 and the accident benefits categories, it would appear, again that the projections have been, in those years, for the most part, sig -- significantly higher than the actual -- at

1 least in -- in 2006/2007 for -- for pre-PIPP. And in the  
2 other years, as well, the projection -- and -- and I'm  
3 now looking at the PIPP line -- the projection -- or  
4 projected numbers were higher than -- than the actual.

5 Can the Corporation comment on the -- the  
6 tendency for over-projection in those particular years?

7 MR. DON PALMER: I -- I wouldn't call it  
8 a tendency to over-project. Over the last couple of  
9 years, two (2) to three (3) years, we have had some  
10 actuarial adjustments to bring down the provision that  
11 that would be the main reason for -- for those, as you  
12 characterize, over-projections.

13 MS. CANDACE EVERARD: So would that  
14 answer apply to the -- the bodily injury line, which is  
15 shown here as post-March 1st, of 1994, as well?

16 MR. DON PALMER: That's correct.

17 MS. CANDACE EVERARD: So, again, similar  
18 to one (1) of the questions that I asked you about table  
19 1; with respect to table 3, has the actual year-to-date  
20 experience for 2007/'08 tended to narrow or widen the  
21 gaps between the projected and revised claims incurred?

22 MR. DON PALMER: We'll add that to the  
23 other Undertaking.

24 MS. CANDACE EVERARD: Thank you. And  
25 just one (1) additional question with respect to these

1 tables. Is it the Corporation's opinion that the tables  
2 provide evidence of any systemic bias in claims  
3 forecasting?

4 MR. DON PALMER: No.

5 MS. CANDACE EVERARD: All right. That's  
6 -- that's it for that IR for the moment.

7 If I can ask you to turn now to Tab 5 of  
8 the book of documents, which is TI-12. And I want to --  
9 I appreciate we looked at this schedule earlier with  
10 respect to the increase in net claims incurred, but I'd  
11 like to now direct your attention to the column on the  
12 far right indicating the -- or -- well, either the -- the  
13 very last column or the second last one, but the ones  
14 dealing with the increase or decrease of the forecast,  
15 and in particular, the section on expenses.

16 I note that under the -- the heading of  
17 "Expenses" on the line entitled "Premium taxes", there  
18 appears to have been a 7.4 percent decrease. And on the  
19 -- the line immediately following for regulatory and  
20 appeal expenses, there appears to have been a 23.74  
21 percent decrease. Can you comment on those figures?

22 MR. OTTMAR KRAMER: The -- the premium  
23 tax decrease is related to the \$49 million rebate that we  
24 proposed in this filing.

25 With regards to regulatory and appeal, the

1 '06 -- '07/'08 initial forecast was based on our '06/'07  
2 projection. And as we filed yesterday, the -- the  
3 '06/'07 numbers were down and we've stated the reasons  
4 why, and the '07/'08 revised forecast builds off of the  
5 '06/'07 numbers.

6 MS. CANDACE EVERARD: Thank you. Turning  
7 to TI-14 for a moment, which is at Tab 7 of the book of  
8 documents. If you could again comment on the -- the 23  
9 percent decrease in the regulatory and appeal expenses;  
10 is that related to the -- the previous answer or is there  
11 a different explanation?

12 MR. OTTMAR KRAMER: No, that would be the  
13 same answer.

14 MS. CANDACE EVERARD: So, in the  
15 Corporation's opinion, do the -- the changes and  
16 estimates that we've looked at in TI-12 and in TI-14  
17 provide any evidence of systemic bias in forecasting?

18 MR. OTTMAR KRAMER: No.

19 MS. CANDACE EVERARD: And have there been  
20 any changes incorporated in the current GRA that the  
21 Corporation expects will improve for -- forecasting  
22 accuracy?

23 MR. OTTMAR KRAMER: No.

24

25 (BRIEF PAUSE)

1 MS. CANDACE EVERARD: All right. Moving  
2 away from claims incurred for the moment, then, and  
3 turning to claims costs and, in particular, claims costs  
4 control initiatives; I'd ask that you turn to SM-5.3 in  
5 Volume I.

6

7 (BRIEF PAUSE)

8

9 MS. CANDACE EVERARD: I note that at page  
10 4 of SM-5.3 there is a section entitled "Bodily Injury  
11 Claim Cost Savings Initiatives" and there are three (3)  
12 initiatives listed as subheadings, being  
13 "Practitioner Education and Liaison, Negotiated Fee  
14 Agreements, and Prolonged Recovery Units."

15 Perhaps you could briefly elaborate on  
16 each of the initiatives for the record.

17 MR. KEITH WARD: Under "Practitioner  
18 Education and Liaison," we have a health care services  
19 team which is made up of health care professionals and  
20 they are actively involved in the community in terms of  
21 doing presentations to -- within the community. And in  
22 the 2006 year, they did seventeen (17) such  
23 presentations.

24 With respect to Negotiated Fee Agreements,  
25 again, we do continue to maintain our policy of -- of

1 negotiated fee agreements with service providers on the  
2 bodily injury side.

3 And the paragraph that follows outlines  
4 the various fee agreements that are in place and their --  
5 their pending expiries or their -- or the date that they  
6 do expire.

7 Would you like me to provide details on  
8 that or...?

9 MS. CANDACE EVERARD: Sure, please.

10 MR. WARD KEITH: Okay. We have  
11 negotiated a new three (3) year agreement with the  
12 Manitoba branch of the Canadian Physiotherapy  
13 Association. And this will now expire in Decem -- on  
14 December 31st of 2009. And it compliments -- it follows,  
15 in a very similar fashion, the multi-year agreements that  
16 are already negotiated with the Chiropractic Association  
17 and the Manitoba Athletic Therapist Association.

18 And the later two (2) -- two (2)  
19 agreements expire on December 31st of this year, so are  
20 currently in the process of being negotiated.

21 With respect to the Prolonged Recovery  
22 Unit, we hae established a dedicated unit within our  
23 Casualty and Rehabilitation Services department. And  
24 this unit is responsible for re-evaluating files where  
25 rehabilitation efforts have been unsuccessful to date.

1                   And the intent here, really, is to take a  
2 second look at how these files have been handled in the  
3 past and look for new and potentially alternate ways in  
4 order to -- in order to assist in -- in bringing the --  
5 the injured person back to pre-accident status or as  
6 close to pre-accident status as possible.

7                   And what we've estimated is that in the  
8 last fiscal year, we achieved approximately \$3 million in  
9 savings as a result of our efforts in that regard.

10                   There are eight -- up to eighty (80) files  
11 that are handled by the Prolonged Recovery Unit at any  
12 point in time, and they are handled by a total of five  
13 (5) staff: one (1) senior supervisor as well as five (5)  
14 senior case managers.

15                   MS. CANDACE EVERARD:    And just an  
16 additional question kind of related to the -- that last  
17 initiative, but -- but possibly slightly different.

18                   In following on the -- the presentation  
19 that we heard yesterday from Ms. McGee I believe her name  
20 was; the lady with the daughter who had the spinal cord  
21 injury.

22                   Can you confirm for the Board whether the  
23 Corporation gives any form of priority to claims  
24 involving catastrophic injuries like the one that -- that  
25 Ms. McGee described?

1 (BRIEF PAUSE)

2

3 MS. MARILYN MCLAREN: I can give you a  
4 little bit of background on that. We have a special  
5 department within the Injury Division responsible for the  
6 most serious losses.

7 They are our most senior case managers;  
8 the case managers with the lowest number of cases per  
9 case manager, and they focus exclusively on our most  
10 seriously injured claimants.

11 Our priority in situations with, you know,  
12 in the early stages of severe spinal cord injuries or  
13 brain injuries -- those are really the two (2) categories  
14 of most serious claims that we have -- is really to make  
15 very early contact to make sure that the family does know  
16 that we're there to support.

17 But during the earliest stages following  
18 the injury, they really are in the hands of the  
19 healthcare system. So, MPI's significant resources to  
20 assist in reintegrating with society and rehabilitating  
21 people with those most serious injuries last throughout  
22 the rest of their lifetime, and really starts to gear up  
23 in a very extensive way once they're ready to move from  
24 the hospital environment back into the community.

25 MS. CANDACE EVERARD: So while the -- the

1 person is in the hospital, is there ongoing consultation  
2 between MPI and the healthcare providers?

3 MS. MARILYN MCLAREN: Yes, absolutely.  
4 And that will continue, again, throughout the -- the  
5 claimant's active engagement with Manitoba Public  
6 Insurance.

7 We deal always with the claimant, with  
8 their family, with their support system, as well as the  
9 healthcare professionals.

10 MS. CANDACE EVERARD: Thank you. Moving  
11 back to SM-5.3 then, and -- or pardon me, as in 5.4,  
12 which would be the next section on page 5 of SM-5.

13 This deals with the all-perils claims cost  
14 savings initiatives. And just keep that open for the  
15 moment. But if you could also turn to Tab 22 of the book  
16 of documents which is the answer to question 20 posed by  
17 the Board in the first round dealing with the purchasing  
18 by the Corporation of after-market or recycled parts.

19 Maybe you could just summarize the results  
20 or the -- the content of the table that appears at Tab  
21 22.

22 MR. WARD KEITH: Certainly. What the  
23 table indicates is that with respect to the total cost of  
24 parts; that in the 2006 year, 61 percent of -- of the  
25 total cost of the parts was invested in new parts.

1                   After-market parts accounted for 23  
2 percent for a total of 25.1 million, and use of recycled  
3 parts accounted for 16 percent. And -- and those --  
4 those percentages are -- are consistent with the previous  
5 year, 2005.

6                   MS. CANDACE EVERARD:    But over the last  
7 number of years, the Corporation has been able to  
8 increase the number of -- or the relevant percentage of  
9 after-market and recycled parts that it utilized even  
10 over five (5) years ago.

11                  MR. WARD KEITH:    Yes, absolutely. And  
12 that does remain our focus in terms of cost containment;  
13 is increasing the use of after-market and recycled parts  
14 wherever that's feasible.

15                  MS. CANDACE EVERARD:   With respect to,  
16 well, both after-market and recycled; I appreciate that  
17 the dollar amounts have increased but the relative  
18 percentages have stayed the same over the last couple of  
19 years.

20                  Does the Corporation anticipate being able  
21 to increase the percentages of after-market and/or  
22 recycled parts?

23                  MR. WARD KEITH:    We look each year to  
24 increase the use of after-market and recycled parts. And  
25 that -- that is used to derive our estimated cost savings

1 with respect to the use of those parts.

2                   There is one particular initiative in here  
3 that's identified which is creation of a new computer  
4 system through the recycler's central office which we --  
5 which we anticipate will result in an additional of  
6 recycled parts.

7                   MS. CANDACE EVERARD: Thank you. And I  
8 actually was just going to ask about the -- the computer  
9 initiative that you just mentioned which is referenced in  
10 SM-5.4 on page 6.

11                   What is the status of that initiative at  
12 this particular point in time?

13                   MR. WARD KEITH: That initiative is  
14 ongoing at the current time.

15                   MS. CANDACE EVERARD: So, do you have a  
16 sense of when it might be implemented?

17                   MR. WARD KEITH: I would expect it would  
18 be implemented within the next fiscal year.

19                   MS. CANDACE EVERARD: Do you mean by the  
20 end of February 2008, or do you mean in the fiscal year  
21 of 2008/2009?

22                   MR. WARD KEITH: I mean within the fiscal  
23 year 2008/2009.

24                   MS. CANDACE EVERARD: And is there an  
25 estimate of the costs that are associated with that

1 computer system?

2 MR. WARD KEITH: We've estimated the cost  
3 -- I'm sorry, the cost of implementing that system or the  
4 savings that will result from that system?

5 MS. CANDACE EVERARD: Both, please.

6 MR. WARD KEITH: I will need to take an  
7 Undertaking on the cost of the system. But with respect  
8 to the savings that we expect will come from  
9 implementation of that new system, we're expecting that  
10 will be approximately \$1 million per year.

11

12 --- UNDERTAKING NO. 5: MPI to indicate for the Board  
13 the cost of the computer  
14 system

15

16 CONTINUED BY MS. CANDACE EVERARD:

17 MS. CANDACE EVERARD: You mentioned a few  
18 moments ago about the negotiated -- oh, sorry, scratch  
19 that.

20 Continuing on page 6 of 5.4, and in  
21 particular 5.4.c on page 6; there's reference to a couple  
22 of agreements that the Corporation entered into in  
23 December of 2004.

24 And, first of all, can you indicate for  
25 the record what the acronyms stand for; MMDA and ATA?

1                   MR. WARD KEITH:    Yes.  The MMDA is the  
2 Manitoba Motor Dealers Association and ATA is the  
3 Automotive Trades Association.

4                   MS. CANDACE EVERARD:   And the information  
5 on page 6 is that these agreements are set to expire at  
6 the end of the calendar year 2007?

7                   MR. WARD KEITH:    Yes.

8                   MS. CANDACE EVERARD:   And is there  
9 negotiation ongoing at this point for renewal purposes,  
10 or will that be coming?

11                  MR. WARD KEITH:    No, negotiations are  
12 ongoing at this time.

13                  MS. CANDACE EVERARD:   So does the  
14 Corporation anticipate that new agreements will be  
15 reached by January 1st of 2008?

16                  MR. WARD KEITH:    That's our expectation.

17                  MS. CANDACE EVERARD:   And is there any  
18 impact on the current projections relating to what the  
19 outcome of the negotiations might be?

20                  MR. WARD KEITH:    I believe we responded  
21 to that question in one (1) of the IRs.  Because these  
22 are subject of ongoing negotiations, we're not really in  
23 a position to talk about what the projected impacts are,  
24 although we did in the IR response provide percentage  
25 increases both in -- in terms of labour, paint, and --

1 and shop supplies with respect to the current agreement.

2 MS. CANDACE EVERARD: Thank you.

3 Continuing in SM-5.4, in particular, looking at Sub D  
4 relating to the estimating compliance audit product; it's  
5 set out here that in March of 2006 a multi-year agreement  
6 was reached with Nugen -- N-U-G-E-N-I-T -- for the use of  
7 their estimating, compliance, audit tool, data  
8 warehousing, and management reporting capabilities which  
9 are being custom developed to suit the needs of the  
10 Corporation.

11 Can you confirm for the record what the  
12 duration of that agreement is and what the annual costs  
13 are?

14

15 (BRIEF PAUSE)

16

17 MR. WARD KEITH: I will need to check  
18 that information and report back.

19

20 (BRIEF PAUSE)

21

22 MS. CANDACE EVERARD: Yeah, that would be  
23 appreciated if you would do that. And my next question  
24 was going to be whether the -- the costs include the  
25 costs of customizing the products. So if you could

1 include that in the undertaking, that would be  
2 appreciated

3

4 --- UNDERTAKING NO. 6: MPI to confirm for the Board  
5 the duration of agreement  
6 with Nugenit and the costs  
7 included to customize the  
8 products

9

10 CONTINUED BY MS. CANDACE EVERARD:

11 MS. CANDACE EVERARD: Can you tell me how  
12 the expenses for this initiative are treated for  
13 accounting purposes? Are they capitalized or are they  
14 expensed?

15 MR. OTTMAR KRAMER: Those costs are  
16 expensed in the claims incurred.

17 MS. CANDACE EVERARD: Okay. And can you  
18 confirm that the annual savings arising from this  
19 initiative will cover or offset the costs over the life  
20 of the contract?

21 MR. OTTMAR KRAMER: Yes.

22 MR. WARD KEITH: I would, if I may, like  
23 to make one (1) clarification or correction. I'd stated  
24 that with respect to the recycler central officer  
25 computer system that we're in the course of developing,

1 that estimated savings were -- would be about \$1 million  
2 a year. In fact, when I referred to that, I was thinking  
3 about the -- the audit compliance tool here.

4 The -- the anticipated savings with  
5 respect to the new computer system will really depend on  
6 the extent to which we can increase participation amongst  
7 the recyclers within the province and -- and the extent  
8 to which we can -- we can increase the recycled -- the  
9 use of recycled parts as a result of that technology.

10 MS. CANDACE EVERARD: So did the  
11 Corporation conduct a cost benefit analysis with respect  
12 to the computer initiative?

13 MR. WARD KEITH: The -- the initiative --  
14 there is a -- there is a computer system currently in use  
15 that -- that, by all accounts, is -- is not particularly  
16 useful with respect to the number of recyclers that are  
17 participating and their access to this computer system,  
18 and therefore our ability in order to canvass recyclers  
19 for available recycled parts is compromised.

20 So that was really the driving force  
21 behind -- behind redoing this computer -- this computer  
22 system.

23 MS. CANDACE EVERARD: All right. I am  
24 now a couple of pages hence past where I was before, so  
25 we're at the Dauphin hailstorm section.

1 I note in the news release that was filed  
2 yesterday as MPI Exhibit 11, the result of the recent  
3 Dauphin hailstorm was about thirteen thousand (13,000)  
4 claims with an estimated value of \$50 million; is that  
5 right?

6 MR. DON PALMER: That's correct.

7 MS. CANDACE EVERARD: And the release  
8 also indicates that the real exposure to the Corporation  
9 is \$10 million.

10 Is that the anticipated cost?

11 MR. DON PALMER: That's the retention on  
12 our rate insurance.

13 Just let me correct the record. We call  
14 it "the Dauphin hailstorm" but in fact it was Dauphin and  
15 then the storm track that went through the interlake and  
16 into Northern Winnipeg and into Selkirk. So of those  
17 thirteen thousand (13,000) claims about half of those  
18 would be in Dauphin.

19 MS. CANDACE EVERARD: Thank you for  
20 clarifying that. And with respect to the -- the thirteen  
21 thousand (13,000) claims filed are -- I would imagine  
22 that they're comprised of glass claims and what we  
23 commonly call "tin claims"?

24 And can you give a rough breakdown of how  
25 much would be in each of those categories.

1 MR. OTTMAR KRAMER: If it's got glass  
2 damage, it's going to have tin damage and so we don't  
3 break it down between the two (2) components.

4 MS. CANDACE EVERARD: Thank you. Can you  
5 confirm the -- the details of the reinsurance coverage  
6 that's available to the Corporation to offset the costs  
7 on this issue?

8 MR. DON PALMER: We have a reinsurance  
9 program in place which has a retention of \$10 million, so  
10 we're responsible for the first \$10 million. That  
11 coverage goes up to a total of \$200 million in various  
12 layers.

13 We also are responsible for what's called  
14 a "reinstatement premium" which is of \$4 million to  
15 reinstate the coverage after we've had a claim.

16

17 (BRIEF PAUSE)

18

19 MS. CANDACE EVERARD: Okay. So if I  
20 understand you correctly the cost to the Corporation's  
21 about 14 million, comprised of the retention and the  
22 other \$4 million fee that you just mentioned.

23 And has there been any issue with the  
24 reinsurance in terms of collection or providing coverage,  
25 any kind of complaints in that department?

1 MR. DON PALMER: No.

2 MS. CANDACE EVERARD: And is the -- the  
3 \$4 million fee that you just mentioned, is that  
4 ultimately recorded in the current year or is that  
5 incoming for the year of the application?

6 MR. DON PALMER: It's in the current  
7 year. It's included in the quarterly that we filed.

8

9 (BRIEF PAUSE)

10

11 MS. CANDACE EVERARD: All right. I just  
12 have a -- a couple of questions on what we commonly refer  
13 to as "loss transfer."

14 Can you characterize what the in -- or the  
15 impact has been of the cost allocation changes that were  
16 ordered by the Board, and how specifically those  
17 allocation provisions have impacted the -- the current  
18 GRA that's before the Board at this time?

19 MR. DON PALMER: In broad terms the --  
20 first the -- the PIPP cost allocation that was  
21 specifically ordered by the Board after our loss transfer  
22 hearing of 2005, with any multi-vehicle claim involving  
23 two (2) parties, regardless of fault, 50 percent of the  
24 total cost of the injury claims was allocated to the  
25 classification buckets of the two (2) involved vehicles.

1 Or more -- more than that. And then there's specific  
2 rules on single vehicle accidents or -- or accidents  
3 involving pedestrians as well, in terms of allocation to  
4 the pool as a whole and whatnot.

5 The -- the bottom line of that allocation  
6 was to increase the expected costs on commercial vehicles  
7 because they're large, and decrease the expected costs on  
8 motorcycles because they are more susceptible to injury,  
9 and really no effect on the other classifications.

10 In terms of the extension of that  
11 methodology into this year for collision claims, which  
12 has not been specifically ordered by the Board, the  
13 indication from the ruling last year, was that that  
14 should be extended for collision claims as well, which  
15 really is not feasible from a -- in terms of a workload.

16 So we have done an estimate of -- of the  
17 effect only for motorcycle claims, because they are the -  
18 - the ones that are most impacted by the cost allocation  
19 methodology.

20 And what we did is we said, Okay, single -  
21 - we have the record of single vehicle claims. We said,  
22 For all the collision costs from those collision claims  
23 for motorcycles, we're going to keep in the collision  
24 pool. For any collision costs that are -- for multi-  
25 vehicle we are going to assign half of those to the

1 motorcycle class, and the rest into the -- the pool at  
2 large, so to speak.

3 So that decreased the expected claims cost  
4 on motorcycles in total by about 3 percent.

5 MS. CANDACE EVERARD: Thank you. That  
6 concludes that broad area. I'm now going to be moving to  
7 the broad topic of basic expenses. So a little bit on  
8 claims expenses, operating expenses, trend analysis,  
9 capital expenditures, et cetera.

10 So we'll start at TI-7.

11

12 (BRIEF PAUSE)

13

14 MS. CANDACE EVERARD: And in particular,  
15 TI-7(b) is where I'm going to begin.

16

17 (BRIEF PAUSE)

18

19 MS. CANDACE EVERARD: And looking at the  
20 -- the first box, top left, it's entitled, "Claims  
21 Expenses".

22 Can you confirm for the record what claims  
23 expenses include.

24

25 (BRIEF PAUSE)

1 MR. OTTMAR KRAMER: Claims expenses  
2 include the cost to adjust the claims, the compensation,  
3 and you know, other various expenses associated with  
4 those adjusters.

5 MS. CANDACE EVERARD: Thank you. And  
6 looking at the detail in the claim's expenses box on TI-  
7 7(b), I notice that from 2004/2005 and -- and moving into  
8 the outlook period for the compensation line, which is  
9 the first line on the table, the expenses are projected  
10 to increase from about 48 million in '04/'05 to 55.2  
11 million in the year of the application, '08/'09, to 61.3  
12 million in 2011/'12.

13 Is that right?

14 MR. OTTMAR KRAMER: Yes, that's correct.

15 MS. CANDACE EVERARD: And similarly the  
16 data processing costs are also set to increase somewhat,  
17 from 4.2 million in '04/'05, to four point seven (4.7) in  
18 '08/'09, to five point seven (5.7) in '11/'12 --  
19 2011/'12.

20 Is that right?

21 MR. OTTMAR KRAMER: Yes, that's correct.

22 MS. CANDACE EVERARD: And then if we look  
23 at the total line for this particular table, the -- the  
24 overall claims expenses are set to increase from sixty-  
25 five point two (65.2) in '04/'05, to seventy-three point

1 eight (73.8) in '08/'09, to eighty-one point one (81.1)  
2 in 2001/'12.

3 Is that right?

4 MR. OTTMAR KRAMER: Yes, that's correct.

5 MS. CANDACE EVERARD: Okay, if you can  
6 just flip the page, we're going to go back to TI-7 and  
7 talk about operating expenses for a few minutes.

8

9 (BRIEF PAUSE)

10

11 MS. CANDACE EVERARD: It would appear  
12 from this table -- and I appreciate that this is op --  
13 entitled, "Operating and Claims Expenses" -- the -- the  
14 most significant piece or the majority of the expenses  
15 relates to compensation. For the year of the  
16 application, the projected compensation amount is 83.3  
17 million out of a total for Basic of 142.9 million.

18 Is that right?

19 MR. OTTMAR KRAMER: Yes, that's correct.

20 MS. CANDACE EVERARD: And we will come  
21 back and talk about staffing levels and -- and such a  
22 little bit later on.

23 But continuing with this chart for the  
24 moment and looking at the second line on the chart which  
25 is data processing, I note that there was a fairly

1 significant increase from the year that just finished,  
2 '06/'07, of 6.3 million to a forecast for the current  
3 year of 2007/2008 of 9.7 million, which is probably an  
4 increase of about 50 percent.

5 Can you indicate for the record the reason  
6 behind the increase there.

7

8 (BRIEF PAUSE)

9

10 MR. OTTMAR KRAMER: The data processing  
11 is -- is mainly due to the CARS and AOL system support  
12 that we have that's ongoing.

13 MS. CANDACE EVERARD: I'm sorry you said  
14 "the CARS"; like C-A-R-S?

15 MR. OTTMAR KRAMER: CARS. It's -- it's  
16 one of the systems that we have; CARS and AOL.

17 MS. CANDACE EVERARD: And AOL. And what  
18 those are -- what -- do you know what CARS stands for?  
19 Is that an acronym for something?

20 MR. BARRY GALENZOSKI: It's the claims  
21 systems, so it's a -- it's a Claims Administration and  
22 Reporting System, I believe is the acronym.

23 MS. CANDACE EVERARD: And those systems  
24 have in place -- have been in place for a number of  
25 years, I take it?

1 MR. OTTMAR KRAMER: Yes.

2 MS. CANDACE EVERARD: So sorry, what's  
3 the -- the reason for the increase? They're being  
4 upgraded?

5

6 (BRIEF PAUSE)

7

8 MR. OTTMAR KRAMER: There's continual  
9 upgrades in '06/'07 which you're looking as a -- as a  
10 jumping off point, it -- it tends to be a little lower  
11 than some of the other years. So in '06/'07 we didn't  
12 have quite as -- as high expenditures, but we're just  
13 continuing to do upgrades, et cetera. We've also  
14 included in data processing is what -- workstation...and  
15 that's also driving up some of our data processing  
16 expenses.

17 MS. CANDACE EVERARD: And what is the --  
18 the detail of the work station refresh program? Is it  
19 simply a replacement of computers or is there more to it  
20 than that?

21 MR. OTTMAR KRAMER: It's a replacement of  
22 computers and printers, some printers, monitors, et  
23 cetera, to -- to make sure that we're all working on the  
24 same operating system, have the same software, and  
25 everything is compatible.

1 MS. CANDACE EVERARD: Can you just  
2 explain for the record the other acronym that you used,  
3 AOL.

4 MR. OTTMAR KRAMER: That's a system  
5 called Autopac Online.

6 MS. CANDACE EVERARD: Okay. And what is  
7 that for?

8 MR. OTTMAR KRAMER: That is what the --  
9 the brokers use. Being my first year, I believe that's  
10 what the brokers use to submit and transmit data to us.

11 MS. CANDACE EVERARD: Okay, continuing on  
12 in TI-7(a). Or rather, actually one of the IR's that was  
13 asked by CMMG in the first round, and it's not in the  
14 book of documents. It's Information Request T or --  
15 pardon me Information Request 26.8 asked by CMMG, and it  
16 relates to TI-7(a).

17 And I'm looking specifically at the  
18 attachment to that IR response. This is a -- a schedule  
19 of the special services expenses.

20 And I note about halfway down the list  
21 there's an entry or a line item entitled, "Special  
22 Services - PIPP Studies".

23 Are you with me?

24 MR. OTTMAR KRAMER: Yes.

25 MS. CANDACE EVERARD: And there are three

1 (3) dollar amounts referenced between 2005/2006 and  
2 2007/2008 which by my calculation total about 1.88  
3 million.

4 Are these expenses related to the PIPP  
5 review that has been mentioned already in evidence or  
6 something else?

7 MR. OTTMAR KRAMER: No, you're -- you're  
8 correct, they're related to the PIPP review.

9 MS. MARILYN MCLAREN: Sorry, Ms. Everard,  
10 just for point of clarification, somewhere along the line  
11 we -- I'm not sure it was we, but somewhere along the  
12 line we started talking about a PIPP review.

13 I'm not sure where that switch happened.  
14 But when we started talking about this during the '05 GRA  
15 in the Fall of '04, what we were talking about is making  
16 some changes to our ability to manage PIPP into the long  
17 term.

18 We talked about a PIPP infrastructure  
19 study. As a matter of fact during the '05 GRA we shared  
20 an RFP with you that was labelled "PIPP Infrastructure".

21 So I -- I really don't want some  
22 misunderstanding to take hold that we are somehow  
23 reviewing the PIPP program. That -- that's not what  
24 we're doing. There is work going on to sort of better  
25 enable us to manage the PIPP program into the long term.

1 (BRIEF PAUSE)

2

3 MS. MARILYN MCLAREN: I'm sorry, that was  
4 in 2005. As part of our submission in the '06 GRA we did  
5 file that RFP.

6 MS. CANDACE EVERARD: Okay. And I -- I  
7 appreciate that semantics are important.

8 What about benchmarking? Is that part of  
9 what the Corporation is -- is looking at at the moment in  
10 a benchmarking study?

11 MS. MARILYN MCLAREN: Yes, that's  
12 definitely part of it. And again, last year as part of  
13 the '07 GRA we filed as part of our additional  
14 information, our claims handling PIPP and cost benchmark  
15 documents during those proceedings. We do plan to  
16 establish a framework of benchmarks.

17 But what we all need to remind ourselves  
18 of is that that's not something you can just buy a  
19 package of benchmarks, install it and flip a switch. We  
20 need to start to accumulate data that will allow us to  
21 benchmark ourselves. Right now the vast majority of  
22 important informative data about individual PIPP claims  
23 are in paper PIPP files.

24 We have the claims administration  
25 reporting system that enables us to place reserves, make

1 payments and at a very, very rudimentary level administer  
2 PIPP claims. But what we need is a much enhanced tool  
3 for our case managers to manage PIPP claims. It will  
4 also enable us to get more information and more data.

5           One of the examples I would give you is  
6 that we plan to introduce the international standard of  
7 categorizing injuries. And we will be categorizing PIPP  
8 injuries according to this international standard so that  
9 we can in fact benchmark ourselves against others. Right  
10 now we can't do that, and that's clearly something we're  
11 working hard towards as part of the PIPP refresh.

12           MS. CANDACE EVERARD: So I -- if I asked  
13 you to give me a list or a breakdown of the PIPP studies  
14 that are referenced in the CMMG attachment, are you able  
15 to -- to do that or -- I mean we -- we've covered a  
16 couple of different subject areas in the answer that you  
17 just gave, but maybe can you summarize them, just so we  
18 have a -- a clear picture of where these funds are being  
19 allocated?

20           MS. MARILYN MCLAREN: What we've been  
21 doing to this point is planning. The RFP that we shared  
22 with you two (2) years ago was really a document that was  
23 going to help us plan to plan.

24           So we've concluded that work and we are  
25 now planning the rest of the work. So we could probably

1 provide a little bit more information but there is  
2 nothing substantive in terms of projects underway to  
3 implement anything that tangible yet.

4           So I think what -- what -- and that's why  
5 we referenced -- I think it was in my pre-filed testimony  
6 -- that the work that we're doing on PIPP will take a  
7 long time to come to fruition. It is a very long-term  
8 initiative, and you need to really create the base before  
9 you can start implementing real changes.

10           One of the other things that we think  
11 would be very important to do to make the process better  
12 for our claimants, but also more efficient for our case  
13 managers, is to move to a system where, for example, a  
14 chiropractor would be able to say, I believe this  
15 individual will need twenty-two (22) chiropractic  
16 treatments. The case manager would say, Okay. And then,  
17 until the twenty-two (22) is hit, there is an automated  
18 system of reimbursement that doesn't take any particular  
19 effort on anyone's part.

20           So that is now in our plan, but it's not  
21 something that we are spending money on and doing work to  
22 create yet.

23           MS. CANDACE EVERARD: Okay. I -- I think  
24 I understand. You said a moment ago that it will take a  
25 long time to implement the -- the changes that the

1 Corporation is looking at. And I think yesterday you said  
2 that it would hopefully be completed by about 2012; was  
3 that -- was that about right?

4 MS. MARILYN MCLAREN: Yes. Yes. Once we  
5 -- once we make our final decisions about how we intend  
6 to create the base and then start the tangible work, we  
7 will have a road map -- a game plan -- to establish which  
8 project -- which sub-projects -- will be done in which  
9 order, and when the last ones would be concluded.

10 Right now, with the information we have  
11 available, I would guess that it would be around 2011 --  
12 2012 that we would finish the last one.

13 MS. CANDACE EVERARD: Okay. So again,  
14 just coming back to the schedule and the IR -- the CMMG  
15 IR-26.8 where there's the 1.88 million set out; if I  
16 understand you correctly, those funds that have been  
17 expended over the last three (3) years relate to the  
18 planning and the gathering stages more so than -- than  
19 implementation?

20 MS. MARILYN MCLAREN: Absolutely.  
21 Completely. Yes, no implementation has been begun.

22 MS. CANDACE EVERARD: And -- and my next  
23 question is, looking at, again, this IR response under  
24 that line item of special services PIPP studies there's  
25 nothing -- no dollar amounts forecasted through the year

1 of the application or the outlook period.

2                   Should I be looking at a different  
3 document, or does that mean that there's no money set  
4 aside for this in the next four (4) years?

5                   MR. BARRY GALENZOSKI: I can maybe help  
6 with that a little bit. This -- these items have been  
7 expensed and, in the future, those costs will be put  
8 together and they'll be amortized as a deferred  
9 development cost and then they'd show up in an  
10 amortization expense.

11                   MS. CANDACE EVERARD: Okay. So right  
12 now, with the information that we have before us, the  
13 fund aren't reflected.

14                   Is that -- is that what you're saying?

15                   MR. BARRY GALENZOSKI: They're not  
16 reflected here because this is an expense statement for  
17 special services that you're looking at. So the --  
18 what's going to happen is when there -- there's a project  
19 going forward, those costs are accumulated and they go  
20 into a deferred development cost which is then amortized  
21 over a five (5) year timeframe.

22                   So that will show up as an amortization  
23 expense at that point in time. But the -- the costs are  
24 basically capitalized and then amortized after that. So  
25 they wouldn't -- they're not showing up here because

1 they're not -- they're going to be accounted for  
2 differently. So right now those -- those numbers are  
3 included in our capital expenditures going forward.

4 MS. CANDACE EVERARD: Okay. Thank you.

5

6 (BRIEF PAUSE)

7

8 MS. CANDACE EVERARD: Can you explain the  
9 rationale for why the -- the planning expenditures were  
10 not capitalized?

11 MR. BARRY GALENZOSKI: Yes. We tried not  
12 to -- to just defer costs and build up a lot of  
13 deferments for amortization at later times, until you're  
14 more certain that a project is going to go forward. So  
15 smaller costs, like these, are -- are expensed in the  
16 year that they're incurred rather than deferred to some  
17 future time period.

18 You can imagine that a long -- a long  
19 project like this, you could spend a bunch of money over  
20 a number of years and then you'd have this big deferment  
21 for -- that would be put against future periods.

22 Until we get to the point of actually  
23 saying we are -- we've got a project that we can go ahead  
24 with and implement, we wouldn't start deferring any of  
25 those costs. We would expense those costs.

1 (BRIEF PAUSE)

2

3 MS. CANDACE EVERARD: So, just to  
4 summarize and just to get a -- a clear picture, does the  
5 Corporation have a sense of any specific projects that  
6 it's going to undertake on this issue? And, if so, is  
7 there any idea of what the cost is going to be that are  
8 associated with those?

9 MS. MARILYN MCLAREN: We do expect to  
10 either purchase or enhance our car systems to, in effect,  
11 provide the better tool that I keep referencing. We need  
12 that better tool for our case managers, and a better  
13 ability to collect important information for management.  
14 We do expect to do that.

15 In terms of the costs; we don't have  
16 anything firm at all, but what we've always been doing as  
17 part of the planning process, and will continue to do  
18 before we make a decision on expending money, is really  
19 look at the cost/benefit, so to speak, and that's clearly  
20 a part of the process that we will use.

21 But it's really also important to keep in  
22 mind that part of the cost/benefit considerations for the  
23 corporation go well beyond: If we spend money are we  
24 going to save money? We don't believe there is any  
25 overriding need for the Corporation to be trying to

1 reduce its payments to victims of automobile injuries.

2                   So we need to think in terms of: How can  
3 we better help claimants; how can we better support our  
4 case managers in helping claimants? There's a lot of  
5 softer considerations in terms of considering that the --  
6 the benefit of the expenditures. It's really a business  
7 case. Does it make sense to spend this money as opposed  
8 to: If we spend five dollars (\$5) will we save seven  
9 dollars (\$7)?

10                   So it's really not a financial  
11 cost/benefit that we're -- we're looking at this. And  
12 when you look at some of the information that you've just  
13 been reviewing with Mr. Palmer, in terms of our annual  
14 PIP costs, and certainly our growing PIP liabilities over  
15 the long term; any costs related to putting the  
16 infrastructure in place will be a tiny, tiny percentage  
17 of annual PIP expenses; PIP incurred.

18                   MS. CANDACE EVERARD: So, at this point  
19 in time, you aren't in a position to give a ballpark  
20 estimate of what the cost would be; is that correct?

21                   MS. MARILYN MCLAREN: I would really not.  
22 It would be really ballpark out of my mind, and I -- that  
23 -- that wouldn't be any sort of basis to put something on  
24 the public record.

25                   MS. CANDACE EVERARD: All right. Still

1 looking at the CMMG response to 26.8, but moving down to  
2 another line item, I note that about a third from the  
3 bottom of the page, there's a line item MPI/MTA --  
4 Professional Driver Funding Agreement. I take it that's  
5 the agreement between the Corporation and the Manitoba  
6 Truckers' Association; is that right?

7 MS. MARILYN MCLAREN: Yes, that's fully  
8 funded by SRE.

9

10 (BRIEF PAUSE)

11

12 MS. CANDACE EVERARD: Okay. I would next  
13 ask you to refer to Question 32 posed by the Board in the  
14 first round. It's not in the book.

15

16 (BRIEF PAUSE)

17

18 MS. CANDACE EVERARD: This IR refers to  
19 information technology costs. And if I'm reading this  
20 correctly, it would appear that IT expenditures -- the --  
21 the total IT expenditures reflected about halfway down  
22 the page are set to increase in the current year to 32.6  
23 million over twenty-two point (22.) -- pardon me, 24.2  
24 million in the '06/'07 fiscal year, so an increase of  
25 about eight point four (8.4).

1 Does that look right?

2 MR. OTTMAR KRAMER: Yes.

3 MS. CANDACE EVERARD: Okay, and the data  
4 processing costs under total data processing referenced  
5 about eight (8) lines, in indicates an increase to about  
6 twelve point three (12.3) million for the current year  
7 over eight point seven (8.7) last year. And then the  
8 projected expenditure for the year of the application is  
9 about twelve point four (12.4).

10 I -- I would assume that the reasons for  
11 that increase would be the initiatives that we discussed  
12 a couple of moments ago in terms of the upgrading and the  
13 work-share -- or workstation refresh, et cetera. Or is  
14 there anything in addition to -- to add to that?

15 MR. OTTMAR KRAMER: No -- no that -- that  
16 would be correct.

17

18 (BRIEF PAUSE)

19

20 MS. CANDACE EVERARD: And the -- the line  
21 item for license charges which forms part of the total  
22 data processing -- this is the -- the second line of  
23 numbers -- there's indicated from last year, '06/'07, of  
24 1.9 million, a fairly substantial increase through the  
25 outlook period to about 3.4 million.

1                   Again, are -- are these licensing charges  
2 related to the upgrades and the -- the workstation  
3 refresh, or is there some other force behind them?

4                   MR. OTTMAR KRAMER:   No, you're -- you --  
5 you would be correct.  It's the -- the just a general  
6 license and the workstation refresh would also have an  
7 impact; numerous software, increase, some of the  
8 increased licensing charge for the software.

9

10   (BRIEF PAUSE)

11

12                   MS. CANDACE EVERARD:   Thank you.  Turning  
13 to the book of documents, Tab 23, which is the response  
14 to question 29 posed by the Board in the first round; my  
15 first question is whether you can confirm where these  
16 expenses relating to sponsorships and grants and  
17 donations are reflected in the GRA filing.

18                                   Would -- would they be part of TI-7?

19

20   (BRIEF PAUSE)

21

22                   MR. OTTMAR KRAMER:   Yes, those -- those  
23 expenses would be contained in our income statement for  
24 the year.

25

1 (BRIEF PAUSE)

2

3 MS. CANDACE EVERARD: There was an IR  
4 asked in the second round by the Board following on  
5 number 29 at Tab 23, and that was number 14. Maybe you  
6 could turn to IR2-14 asked by the Board in the second  
7 round.

8 The question was:

9 "What criteria are applied to determine  
10 when and to whom sponsorships, grants,  
11 and donations are made?"

12 And the answer, I -- I suppose, is self-  
13 evident, but perhaps could be read in for the record.

14 MR. WARD KEITH: I can answer that. The  
15 question is -- the question was:

16 "What criteria are applied to determine  
17 when and to whom sponsorships, grants  
18 and donations are made?"

19 And the response is:

20 "Refer to the 2006 general rate  
21 application first round information  
22 request, CAC/MSOS [MPI-1-40]."

23 MS. CANDACE EVERARD: Would it be  
24 possible for the Corporation to file that response as an  
25 exhibit in this proceeding?

1                   MR. KEVIN MCCULLOCH:    Yes, we can take  
2 care of that.

3  
4    --- UNDERTAKING NO. 7:           MPI to file for Board, the  
5                                        response to question asked by  
6                                        Board in IR-2-14, first  
7                                        round: "What criteria are  
8                                        applied to determine when and  
9                                        to whom sponsorships, grants  
10                                      and donations are made?"

11  
12 CONTINUED BY MS. CANDACE EVERARD:

13                   MS. CANDACE EVERARD:    Thank you.  And  
14 turning back for a moment to number 29 which was the  
15 first question asked on this topic that -- that gave rise  
16 to the IR that we just looked at.

17                                        We note on reviewing the various  
18 expenditures made that the -- the majority of them relate  
19 to what can probably be characterized as automobile-  
20 related issues such as safety, collision repair, accident  
21 prevention; that kind of thing.  We also noted that there  
22 were -- there are a couple of expenditures.

23                                        And I'm looking at the 2007 schedule, so  
24 the first one related to what could be characterized as  
25 ethnic activities, or ethnic entities.  For example, on -

1 - on the first page there's -- there was a sponsorship or  
2 a donation to the Rady Jewish Community Centre.

3                   Also on the first page, the Jewish  
4 National Fund of Canada, and then on the second page  
5 there's one to the New Iceland Heritage Museum and the  
6 Italian Canadian League of Manitoba.

7                   And I guess our -- our questions following  
8 on noting those details are why or how the Corporation  
9 chooses these specific ethnic groups as opposed to  
10 others, and whether there's a view in the Corporation  
11 that it's not preferable for there to be perceived  
12 preferences among the various groups.

13                   So perhaps one of you can speak to those  
14 issues?

15                   MR. DON PALMER:    There's sort of two (2)  
16 overriding guidelines to -- to our policies regarding  
17 sponsorships.

18                   The first one, and you -- and you touched  
19 on that, was anything that's specifically automobile or  
20 road safety-related. On the other side of that is -- is  
21 one that more identifies us with our Corporate  
22 citizenship and our involvement in -- in the community,  
23 and part of the fabric of Manitoba, so to speak.

24                   So, it's more along those guidelines that  
25 the latter expenses would be -- would be used. We do

1 have very strict criteria as to how those expenses are  
2 approved. Anything over five thousand dollars (\$5,000)  
3 goes directly to our Board of Directors, for instance.

4                   Amounts under five thousand dollars  
5 (\$5,000) are, in fact, approved by the CEO. So there --  
6 there are some very strict guidelines and governance  
7 procedures regarding those types of ex -- expenditures.

8                   MS. MARILYN MCLAREN: Further to that  
9 point, I would just go on to say that we're very  
10 sensitive to the -- to the issue that -- that you raised.  
11 We tend not to contribute very often to what you would  
12 categorize as ethnic events or -- or endeavours.

13                   And I can go back and check, but it seems  
14 to me that with the ones that you -- you won't see them  
15 in multiple years; some of the ones that you pointed in  
16 the '07 year. And there would be something specific  
17 about what they were doing that time that did bring it  
18 closer to the core business of MPI that would make us  
19 more likely to provide support on a one-off kind of  
20 basis.

21

22                   (BRIEF PAUSE)

23

24                   MS. CANDACE EVERARD: So, Ms. McLaren,  
25 based on that answer, I take it that you would agree that

1 the focus of these kinds of expenditures by the  
2 Corporation, particularly as a Crown Corporation, would  
3 be related to automobile issues and safety and all of  
4 those kinds of things rather than a focus being put on  
5 non-automobile-related ethnic entities or -- or events?

6 MS. MARILYN MCLAREN: Yes, definitely.

7

8 (BRIEF PAUSE)

9

10 MS. CANDACE EVERARD: I have a short  
11 section on staffing levels that I think we can cover off  
12 in ten (10) minutes, so we'll do that and then,  
13 presumably, break for lunch, Mr. Chairman? I -- I have a  
14 short section that I think I can finish by 12:00.

15 Is that okay?

16 So this relates to staffing levels, as I  
17 indicated. I would ask that you turn to Tab 37 of the  
18 book of documents which is response given to a CMMG IR  
19 and particularly Number 28. And this attachment is a re-  
20 filing of TI-9 with the removal of any non-basic  
21 employees.

22 And if we look at -- if we look at the  
23 comparison between 2006 and 2007 -- so I'm on pages 2 and  
24 3 -- 2006 which is the lower table on page 2, and 2007  
25 which is the -- the upper table on page 3; it would

1 appear that, overall, the staffing level for the  
2 Corporation increased from 2006 to 2007 from about  
3 fourteen hundred and three (1,403) employees to fifteen  
4 hundred and thirteen (1,513).

5 Is that right?

6 MR. DON PALMER: That's what this table  
7 provides, but if -- if you look at the -- the question it  
8 -- it asked us to provide staffing levels with DVL --  
9 driver's licencing Autopac extension and SRE removed.

10 The issue that arose in the preparation or  
11 -- or in this document is to remove the DVL employees.  
12 As we are integrating them throughout the Corporation, we  
13 do not have the same number of direct DVL-related  
14 employees where they're 100 percent DVL. And that's the  
15 only amounts that -- or only numbers that we removed off  
16 this -- this table from the one that we had initially  
17 filed in our rate application.

18 As we continue to integrate the DVL  
19 operations within MPI, the 100 percent direct DVL  
20 employee count is reducing. From an allocation basis, we  
21 are still continuing to allocate the correct cost to DVL,  
22 but staff members that are truly 100 percent DVL-related  
23 are -- are being reduced and they're being integrated  
24 into our Corporation.

25 Therefore, the increase from '06 to '07 is

1 -- is related to that factor; that as we integrate them  
2 into the Corporation, they're not treated as direct DVL  
3 and are now included in that count. Nothing much has  
4 changed except they're not identified as direct DVL  
5 anymore.

6

7 (BRIEF PAUSE)

8

9 MS. CANDACE EVERARD: Is the integration  
10 of the -- the staff that you've mentioned pursuant or due  
11 to the business process review or no?

12 MR. DON PALMER: Yes, it is.

13

14 (BRIEF PAUSE)

15

16 MS. CANDACE EVERARD: Okay. And looking  
17 at a comparison between 2007 and 2008, which are both on  
18 page 3; the staffing level for Basic is set to increase  
19 from fifteen hundred and thirteen (1,513) to about  
20 fifteen hundred and forty-five (1,545). And it would  
21 appear that that increase is due to an increase under the  
22 insurance operations and finance divisions, offset by a  
23 decrease in claims operations.

24 Is that about right?

25 MR. OTTMAR KRAMER: The numbers appear

1 that -- but due to internal reorganizations, a lot of  
2 that is just some reshuffling of some departments and --  
3 and moving of some responsibility with -- between finance  
4 claims and insurance operations.

5 MS. CANDACE EVERARD: Okay. But the --  
6 the overall number for basic has increased or will -- is  
7 set to increase from fifteen thirteen (1513) to fifteen  
8 forty-five (1545)?

9 MR. OTTMAR KRAMER: That would be  
10 correct.

11 MS. CANDACE EVERARD: And just on the  
12 issue of the reallocation that you just mentioned,  
13 particularly in the Finance Department, this table is  
14 correct that the Finance Department would be growing from  
15 about a hundred and eleven (111) to a hundred and fifty-  
16 one (151)?

17 MR. OTTMAR KRAMER: That -- from '07 to  
18 '08, that's the movement of a department into Finance  
19 Special -- Special Investigation Unit, and that's what  
20 the budget had -- or -- or the forecast had had  
21 happening. In reality we've had a reorganization since,  
22 that has been moved out of Finance, so the numbers are a  
23 little dated.

24 But there's reorganizations in any  
25 corporation all the time, and -- and those movements are

1 -- are what you see here.

2 MS. CANDACE EVERARD: So, into which  
3 division has Special Investigations been moved, from  
4 Finance? Is it one of the other ones shown on the table?

5 MR. OTTMAR KRAMER: Yes, it's moved into  
6 Claims. But -- but that doesn't appear on this document  
7 yet.

8 MS. CANDACE EVERARD: Fair enough.

9 Okay. Mr. Chairman, I'm about to move  
10 into a new area so perhaps it's time for lunch?

11 THE CHAIRPERSON: Yes, it is probably  
12 good to have a break. So will come back at 1:15 all  
13 refreshed. Thank you.

14

15 --- Upon recessing at 11:56 a.m.

16 --- Upon resuming at 1:16 p.m.

17

18 THE CHAIRPERSON: All the front seats  
19 seem all occupied, also to the right, so we are ready to  
20 go, Ms. Everard.

21

22 CONTINUED BY MS. CANDACE EVERARD:

23 MS. CANDACE EVERARD: Thank you, Mr.  
24 Chairman.

25 I just want to go back for a couple of

1 minutes to the line of questioning dealing with the PIPP  
2 bench-marking, and I appreciate we've covered off the  
3 studies and all of that -- that kind of thing.

4                   The question that I have is, or -- or I --  
5 what I would ask the Panel to explain is how the  
6 Corporation is managing its PIPP claims up to this point  
7 if it doesn't have statistical analysis, including  
8 categorization, just at a high level.

9                   MS. MARILYN MCLAREN:    Back as part of the  
10 2006 GRA proceedings, we filed a report on PIPP costs.  
11 And we have a lot of information -- there's a lot of  
12 information as part of this Hearing -- in terms of PIPP  
13 costs, PIPP experience, our projections, our forecasts.

14                   We, at the program level -- at the PIPP  
15 Program level, we have significant confidence in our  
16 financial information and our cost information based on  
17 the ongoing operation based on our -- our past  
18 experience.

19                   What we're talking about is a level of  
20 detail.  And it's not so much the financial information  
21 as it is information about how best to serve the clients,  
22 and how best to understand how the demographic changes  
23 and those kinds of changes, going forward over the long  
24 term, are likely to affect the operation of the program.

25                   So it's not that we have a shortage of

1 program financial understanding.

2

3

(BRIEF PAUSE)

4

5

MS. CANDACE EVERARD: So, on a -- on a  
6 case-by-case basis, the -- the individual adjuster or  
7 counsellor or whoever the -- the person is, are they  
8 really making decisions on a case-by-case basis or -- or  
9 is there something more specific that directs them?

10

MS. MARILYN MCLAREN: They are making  
11 decisions on a case-by-case basis based on their  
12 experience and based on the resources they have available  
13 to them which would include access to the healthcare  
14 services team as well as their management, their  
15 supervisors.

16

There is not a structur -- a structural  
17 systemic way to facilitate some of those decisions of  
18 theirs. But they make the decisions in the best  
19 interests of the claimant according to the program that  
20 exists.

21

And a lot of the decisions that they're  
22 making and, therefore, a lot of the corporate knowledge  
23 about how the PIPP Plan is administered, are sitting in  
24 paper files, not in a readily accessible format.

25

MS. CANDACE EVERARD: So, does the

1 Corporation evaluate the individual decisions that are  
2 being made from time to time and, if so, how does it --  
3 how is it able to do that without -- without specific  
4 bench-marking?

5 Or are you saying that it, as a whole,  
6 relies on the experience and the other information that -  
7 - that you mentioned?

8 MS. MARILYN MCLAREN: The latter. And,  
9 you know, there are training programs for case managers.  
10 There are performance evaluations for case managers.  
11 There is significant policies, procedures,  
12 documentation, claims manuals, available to the case  
13 managers.

14 Those all form the basis of how we assess  
15 the performance of individual case managers and, to a  
16 certain extent, the program as a whole.

17 MS. CANDACE EVERARD: Thank you. And I  
18 just had one (1) other follow-up question from an area  
19 that -- that I covered this morning which was dealing  
20 with the staffing levels, and the IR that we looked at  
21 that was a -- a recasting of TI-9 with Basic only.

22 And -- and I know I asked the question  
23 about the transfer of certain of the DVL employees into  
24 Basic being a result of the business process review. And  
25 -- and I know that -- I think it was Mr. Kramer who gave

1 an answer dealing with the costs associated with that,  
2 and I'm just -- I'm not 100 percent clear on -- on what's  
3 been said and so I -- I want to clarify it.

4           If -- if the overall number of staff in  
5 Basic has increased due to DV -- the transfer in, I  
6 guess, of DVL staff, is it the case that there are  
7 savings accruing to Basic, or is it the case that there  
8 are additional costs accruing to Basic as a result?

9           MR. OTTMAR KRAMER:   First I'd like to  
10 clarify. This isn't a Basic staffing. It is our  
11 corporate staffing with direct DVL Extension and SRE  
12 removed. Some of it is Basic, but there is also  
13 allocatable people in -- in these -- in these counts that  
14 are allocated to DVL, allocated to SRE and Extension, but  
15 just not on a full-time basis.

16           So these are not Basic staff; these are  
17 what's remaining in -- in the corporate after some direct  
18 deductions.

19           MS. CANDACE EVERARD:   Okay. So what  
20 you're saying is you took the -- the number for the  
21 corporate staffing overall, you removed whichever  
22 individuals were 100 percent allocated --

23           MR. OTTMAR KRAMER:   Correct.

24           MS. CANDACE EVERARD:   -- to the other  
25 lines of business, and any individual that was even

1 partially in Basic, was left in?

2 MR. OTTMAR KRAMER: Partially in Basic,  
3 partially in DVL, partially in Extension, partially in  
4 SRE. So you -- you -- this -- this is not Basic. It  
5 still is corporate, just with the direct removals.

6 MS. CANDACE EVERARD: Do you have the --  
7 the pure Basic numbers available?

8 MR. OTTMAR KRAMER: No, we can't do that  
9 because -- if I give an example -- I've got accounts  
10 payable -- Accounts Payable Department. I took on an  
11 additional DVL person. We now have additional accounts  
12 payable because of DVL, but that person doesn't handle  
13 DVL payables, so we have to do an allocation.

14 And I don't have a direct person doing DVL  
15 payables, but it's -- it's now a department. And so you  
16 -- we -- we have not -- that person would have been in  
17 the DVL staff count two (2) years ago now is not in the  
18 DVL staff count anymore, and would still remain in this -  
19 - on this corporate basis.

20 MS. MARILYN MCLAREN: And further to  
21 that, the -- we -- we have a very good handle on the work  
22 associated with doing accounts payable for DVL functions.  
23 And DVL will pay for those even though they're done by a  
24 person not fully dedicated to DVL.

25 Call Centre would be another example. In

1 the 2006 stats that you have before you, there were a  
2 number of staff working within the DVL division answering  
3 phone calls about driver licenses. Now those staff --  
4 that work is being done in the Insurance Operations Call  
5 Centre.

6 And we categorize every call that comes  
7 into the call centre, so we know exactly how many calls  
8 are being handled on driver license questions, but they  
9 are now imbedded in this -- not a 100 percent allocated  
10 to DVL anymore, but they're still tracked and the costs  
11 are out assigned to DVL.

12

13 (BRIEF PAUSE)

14

15 MS. CANDACE EVERARD: Okay, thank you.  
16 Proceeding then to some questions dealing with the trend  
17 analysis at TI-5. I'd ask you to turn to that particular  
18 document.

19

20 (BRIEF PAUSE)

21

22 MS. MARILYN MCLAREN: While they're  
23 looking for that, I'm wondering if it would be possible  
24 for someone to partially close those two (2) blinds there  
25 to Mr. Barron's right.

1 (BRIEF PAUSE)

2

3 MS. CANDACE EVERARD: Okay, so TI-5. Can  
4 you confirm whether the analysis set out on this schedule  
5 is inclusive of -- of employees where employees are  
6 mentioned of DVL extension and SRE, or is this a Basic  
7 only document?

8 MR. OTTMAR KRAMER: This is a corporate  
9 document, so it's on a consolidated basis.

10

11 (BRIEF PAUSE)

12

13 MS. CANDACE EVERARD: Is this something  
14 that you would have readily available dealing with Basic  
15 only?

16 MR. DON PALMER: There was a pre-asked  
17 question that asked us to remove the DVL staff, and that  
18 will likely be filed tomorrow.

19

20 (BRIEF PAUSE)

21

22 MR. DON PALMER: It's essentially the  
23 same basis as we did your staff count. It's just with  
24 the -- well, even before DVL, there are a number of --  
25 as -- as explained by -- by Ms. McLaren and -- and Mr.

1 Kramer, that staff aren't necessarily exclusively Basic  
2 staff, or Extension staff, or DVL staff.

3 MS. CANDACE EVERARD: Thank you. Looking  
4 at line 3 of TI-5 which deals with the operating expense  
5 ratio, and before we -- we get into the numbers that  
6 appear here, perhaps you can just confirm for the record  
7 what this particular ratio represents and how it's  
8 calculated.

9

10 (BRIEF PAUSE)

11

12 MR. DON PALMER: The operating expense  
13 ratio, which I believe you're referring to, is -- is the  
14 operating expense over the net revenue excluding  
15 investment income.

16

17 (BRIEF PAUSE)

18

19 MS. CANDACE EVERARD: Okay, thank you.  
20 Looking at the figures on line 3 for the operating  
21 expense ratio, I note that there is an increase from 2005  
22 at seven point nine (7.9) to 2006 at ten point twenty  
23 (10.20). Can you explain the reasons for that increase?

24

25 (BRIEF PAUSE)

1 MR. OTTMAR KRAMER: That -- those  
2 increases are attributable to the DVL operation that was  
3 included into MPI.

4 MS. CANDACE EVERARD: Does the  
5 Corporation prepare a projection of this analysis through  
6 the outlook period, or no?

7 MR. OTTMAR KRAMER: No, we don't.

8 MS. CANDACE EVERARD: All right. Turning  
9 to line 4, the claims expense ratio; it would appear,  
10 looking at the -- the numbers across the board from 1994  
11 through to 2007, that there hasn't been a lot of  
12 fluctuation. Does that appear correct?

13 MR. OTTMAR KRAMER: Could you repeat the  
14 time period you were looking at?

15 MS. CANDACE EVERARD: Across the board.  
16 For line 4, in 1994 it's at 11, then it does go down to  
17 10 in '98, up to 12 in '99, stays in and around 12 until  
18 '04, goes back down to 11 and then back up to 12. So  
19 just the -- the upshot being that there's not a lot of  
20 variation there over that thirteen (13) year period.

21 MR. OTTMAR KRAMER: Yes, I would tend to  
22 agree with that. It goes between ten (10) and almost  
23 thirteen (13).

24 MS. CANDACE EVERARD: Okay. Line 5, the  
25 next line down, operating expense per policy. Well,

1 actually, perhaps you could just first confirm that that  
2 is what line 5 represents.

3 MR. OTTMAR KRAMER: Confirmed.

4 MS. CANDACE EVERARD: And I note from  
5 2005 to 2006 there's an increase from sixty-seven dollars  
6 and fifty cents (\$67.50) to ninety dollars and seventy-  
7 one cents (\$90.71), an increase of about 34 percent.

8 Is that due to DVL as well, or was there  
9 some other explanation?

10 MR. OTTMAR KRAMER: You're correct. That  
11 would be the DVL impact.

12 MS. CANDACE EVERARD: Okay. Line 7 of  
13 the trend analysis is policy/support employee. Can you  
14 just confirm for the record what that represents?

15 MR. OTTMAR KRAMER: That would be the  
16 number of policies divided by the employee base.

17 MS. CANDACE EVERARD: Okay, and noting on  
18 that line moving across the board, there's a fairly  
19 significant fluctuation. In 1994 the number was sixteen  
20 hundred and twenty-seven (1,627). Across to 2007, its  
21 decreased to nine hundred and twenty (920).

22 Is that due to an increase in the number  
23 of support employees, or does it have to do with -- with  
24 DVL or something else?

25 MR. OTTMAR KRAMER: If you -- if you look

1 at 2005, there was a -- there was a sharp decrease and  
2 that's due to the DVL employees coming on-stream; the  
3 one-time impact of all the employees coming on.

4 MS. CANDACE EVERARD: Okay. Line 8 is  
5 claims/claims employee. What does that represent?

6 MR. OTTMAR KRAMER: That's the number of  
7 claims divided by the number of claims employees.

8 MS. CANDACE EVERARD: Okay. And in 1994,  
9 again, the number is two hundred and eighty-five (285)  
10 and through 2007 it's three hundred and thirty-three  
11 (333).

12 So does that mean that there's now fewer  
13 employees processing more claims?

14 MR. OTTMAR KRAMER: That would be more  
15 claims that the number employees will have increased, but  
16 the -- the volumes of claims have increased even greater  
17 than the number of employees.

18 MS. CANDACE EVERARD: And does the  
19 business process review, or will it include a review, of  
20 how claims are processed, or no?

21 MR. OTTMAR KRAMER: No, the business  
22 process reviews is DVL initiative.

23

24

(BRIEF PAUSE)

25

1 MS. CANDACE EVERARD: I'm next going to  
2 turn to question 7, asked by the Board in the second  
3 round, which is not in the book.

4

5 (BRIEF PAUSE)

6

7 MS. CANDACE EVERARD: Sorry, that is  
8 actually not the -- the one that I was looking for. I am  
9 just going to continue and we'll -- we'll come back to --  
10 to that line of questioning when I get the right  
11 reference.

12 I'm going to ask you to turn to number 26,  
13 asked by the Board in the first round, and this has to do  
14 with allocation of costs.

15 And as I think is clear, or has been  
16 clearly set out on the record, the Corporation in  
17 connection with acquiring DVL has undertaken a review of  
18 its costs allocation to ensure a fair allocation among  
19 the lines of business.

20 Would that be fair to say?

21 MR. OTTMAR KRAMER: Yes.

22 MS. CANDACE EVERARD: Looking at this IR,  
23 it's noted that the -- one of the changes to the  
24 allocation for 2007/2008 deals with the allocation of  
25 expenses from the Call Management Centre and the Fair

1 Practises Customer Relations Department, as in -- that  
2 those allocations now include amounts to DVL.

3 Is that right?

4 MR. OTTMAR KRAMER: Yes, that's correct.

5 MS. CANDACE EVERARD: And maybe just for  
6 the purposes of the record, you can explain what the Fair  
7 Practises Customer Relations Department is and what it  
8 deals with.

9 MR. DON PALMER: Customer Relations  
10 Department deals with individual customer issues that  
11 come up from -- from time-to-time and in many areas of  
12 the corporation; in some ways the complaint department  
13 may be a little more than that, but that's a lot of what  
14 they do. Fair Practises is more looking at some of our  
15 policies and procedures in terms of whether they're --  
16 they're always fair.

17 MS. CANDACE EVERARD: Thank you. Now,  
18 it's -- it's evident in TI-6 that 10 percent of the costs  
19 related to the Fair Practises Customer and Relations  
20 Department are to be allocated to DVL; that's on page 2  
21 of TI-6.

22 My question is: How was that 10 percent  
23 allocation determined?

24

25

(BRIEF PAUSE)

1 MR. OTTMAR KRAMER: That was based on the  
2 time spent on claims and policy issues, where we looked  
3 at the issues and -- and, you know, the complaints that -  
4 - that were flowing through that department.

5 MS. CANDACE EVERARD: So was there an --  
6 a time analysis undertaken by an internal person, or how  
7 -- how was it arrived at?

8 MR. OTTMAR KRAMER: That -- that would  
9 have been an analysis done by -- by the manager of -- of  
10 that department.

11 MS. CANDACE EVERARD: The other item  
12 going back to the IR response that was mentioned is the  
13 Call Management Centre. And I believe that Ms. McLaren  
14 testified a moment ago that there is an allocation done  
15 as calls come into that centre, presumably by the  
16 recipient of the call to earmark --

17 THE CHAIRPERSON: We're just going to  
18 pause just for a second.

19

20 (BRIEF PAUSE)

21

22 THE CHAIRPERSON: Okay. We're away  
23 again.

24

25 CONTINUED BY MS. CANDACE EVERARD:

1 MS. CANDACE EVERARD: Okay. So I think  
2 my question was about the Call Management Centre and how  
3 the Corporation knows where the costs should be  
4 allocated. And I think, Ms. McLaren, you had testified  
5 that there's some kind of a system in place as the calls  
6 come in to deal with that?

7 MS. MARILYN MCLAREN: Yes, definitely.  
8 We track the nature of every call, the length of every  
9 call. Those are important pieces of information for us,  
10 not only for allocating our costs properly within the  
11 Company but also understanding where our customer contact  
12 is coming from and for what purpose.

13 MS. CANDACE EVERARD: Okay. So in TI-6  
14 page 3 where it's indicated that 15 percent of the  
15 expenses related to the call centre are allocated to DVL,  
16 that would be coming from the result of the statistics  
17 that are noted?

18 MS. MARILYN MCLAREN: Yes, that's right.  
19 And it would also include for future purposes things like  
20 the example I gave you; if you knew that there were two  
21 thousand (2,000) calls a year, for example, had  
22 previously been answered in the DVL division itself but  
23 that work was moving to the call centre, the calculation  
24 would be based on both what you know will happen once  
25 that change happens as well as the historic numbers.

1 MS. CANDACE EVERARD: Thank you. Going  
2 back for a minute to the -- the reference that I was not  
3 able to find. Mr. Saranchuk has kindly figured it out  
4 for me.

5 It's back in TI-5 -- TI-5, and in  
6 particular the attachments and the -- the various charts.  
7 And I -- I don't want to get into any of this in -- in a  
8 lot of significant detail, other than it would appear,  
9 relating to chart 3 on page 6 that is entitled, "Claims  
10 Expense," that -- and I'm -- I'm specifically looking at  
11 the -- the line with the triangles which is SGI and the  
12 line with the squares which is MPI, that from about 19 --  
13 in -- in about 1999 the claims expense for the two (2)  
14 corporations seemed to be on par, and after that point  
15 both rates appear to have climbed but MPI's seem to have  
16 climbed at a -- a more substantial rate.

17 Is that what this claim -- or what this  
18 chart suggests?

19

20 (BRIEF PAUSE)

21

22 MR. BARRY GALENZOSKI: Again, you have to  
23 understand the source of this information. We're taking  
24 all of this from published information and it's just  
25 exactly how everybody handles -- things can be very

1 different from one (1) to the other. So we're tracking  
2 the expenses they show under their claims expense line as  
3 -- as published in their annual reports, and our numbers  
4 are -- are showing a more significant increase over  
5 theirs, but it -- it all depends on how they're  
6 allocating their costs between their various lines of  
7 business and so on.

8 MS. CANDACE EVERARD: Just following on  
9 that, the -- the chart on page 8 which relates to  
10 operating expenses, shows similar kinds of -- of trends  
11 as between MPI and SGI, and my question is whether or not  
12 MPI plans to look into this issue further or whether it  
13 has or would contact or plans to contact SGI to discuss  
14 some of the differences and to get a -- maybe a better  
15 handle on some of this information than -- than what's  
16 available from the sources at this point?

17 MR. BARRY GALENZOSKI: Yeah, one of the  
18 difficulties with this particular chart is that it starts  
19 off in 1988 as everybody being at a hundred (100). But  
20 that doesn't give you the relativity of everyone at that  
21 point in time.

22 For instance, if you look at the MPI at  
23 three sixty-seven point nine (367.9) for '07, compared to  
24 the industry at two ninety-two point six (292.6), I can  
25 tell you without a shadow of a doubt that we're at about

1 half the operating expense of the industry, when you look  
2 at it from a pure percent of their premium base. Yet  
3 that doesn't reflect in here. This is just measuring the  
4 growth that's occurred over a period of time.

5                   So because there's a -- a starting point,  
6 all you're doing is measuring the growth over that period  
7 of time. It doesn't measure the relative value of what -  
8 - how the money is being spent, where it's being spent  
9 and the results that you can achieve as a result of  
10 spending that money.

11                   So there's those types of things that you  
12 have to take into account when you're reading a chart  
13 like this.

14                   MR. OTTMAR KRAMER: I also want to add  
15 that -- that the -- the MPI numbers increase in '06/'07  
16 due to the DVL impact in the operating expenses.

17

18                   (BRIEF PAUSE)

19

20                   MS. CANDACE EVERARD: Just on the -- the  
21 idea or the notion of MPI looking at alternatives in --  
22 in terms of its -- its operations; is that something that  
23 it can undertake as a general rule or is it -- is it open  
24 to researching best practises of other entities for  
25 adoption where -- where that makes sense?

1                   MR. BARRY GALENZOSKI:    I guess again I'll  
2 go back to the -- when we look at comparing ourselves to  
3 others, we're among the lowest operating costs of almost  
4 everybody in the industry.  The more comparable companies  
5 are SGI and ICBC of course.

6                   But, you know, we -- we are always looking  
7 at our practices.  That's part of what the reviews are  
8 and the various projects; how we're going to be dealing  
9 with DVL and the amalgamation in the future.  All of that  
10 is part and parcel as to how we're going to come up with  
11 the best cost scenario going forward.

12

13   (BRIEF PAUSE)

14

15                   MS. CANDACE EVERARD:    Thank you.  I'd ask  
16 you now to turn to Tab 24 in the book of documents, which  
17 relates to capital expenditures.  This is question 31,  
18 posed by the Board in the first round.

19

20   (BRIEF PAUSE)

21

22                   MS. CANDACE EVERARD:    So looking at the  
23 attachment to question 31, it would -- and -- and  
24 specifically looking at the differences between the  
25 actual and the projected capital expenditures year over

1 year, it would appear that in 2002/2003 a figure of 9.8  
2 million was projected and 5.8 million was spent. And a  
3 similar situation, I guess you could call, it occurred in  
4 2003/2004 when 12.2 million was projected and 5.4 million  
5 was spent. And again in 2004/2005 there was about 13.5  
6 million projected and 6.1 spent.

7 Does that appear to be correct?

8 MR. OTTMAR KRAMER: Yes, that is a  
9 correct summary.

10 MS. CANDACE EVERARD: Now in 2005/2006  
11 and 2006/2007 the difference is significantly less. And  
12 in 2005/2006 the ultimate expenditure was actually higher  
13 than the original projection.

14 Does this change in the last couple of  
15 years reflect a difference in MPI's approach to  
16 forecasting? Or how -- how would you explain the change?

17 MR. OTTMAR KRAMER: There -- no there was  
18 no real forecasting difference. In some of the earlier  
19 years there was not the activity that was planned to have  
20 occurred and in the last few years, '05/'06 and '06/'07,  
21 some of the planned activity with regards to DVL  
22 integration and the BPR projects has occurred as -- as  
23 planned.

24 MS. CANDACE EVERARD: Turning to Tab 34  
25 in the book of documents, which is a response given to

1 CAC/MSOS question 56 in the first round.

2 This deals with the fact that at last  
3 years General Rate Application for 2007/2008 the  
4 Corporation indicated a budget for capital expenditures  
5 of just over 15 million or 15 1/2 million. This is in  
6 the -- in the question.

7 And in the current application that  
8 number's been revised to over 28 million. And the  
9 response, of course, explains the -- the components of  
10 that increase. It would appear that the -- the largest  
11 amount giving rise to the increase is the potential land  
12 purchase for just over 8 million, is that correct?

13 MR. OTTMAR KRAMER: Yes, that would be  
14 correct.

15 MS. CANDACE EVERARD: What is the -- the  
16 impact on the revenue requirement as a result of these  
17 changes?

18 MR. OTTMAR KRAMER: The impact on the --  
19 on the revenue requirement is minimal because most of  
20 these expenditures would not hit the income statement.  
21 The land, for example is -- is -- that -- that purchase  
22 would never hit the income statement. The only impact  
23 would be a potential decrease on some investment income.

24 MS. CANDACE EVERARD: So in other words  
25 the Corporation would have about \$8 million less to

1 invest if it spends it on a land purchase?

2 MR. OTTMAR KRAMER: Yes, that would be  
3 correct.

4 MS. CANDACE EVERARD: And will these  
5 expenditures have any effect on depreciation expenses?

6 MR. OTTMAR KRAMER: The largest one that  
7 you're referring to, the land, no that -- that is not  
8 depreciated or amortized at all. The land remains on a -  
9 - on a cost basis and does not get amortized into income.

10

11 (BRIEF PAUSE)

12

13 MS. CANDACE EVERARD: If you could turn  
14 to Tab 28 of the book of documents, it's the response to  
15 question 15 asked by the Board in the second round.

16 Question 'A' was to provide the business  
17 case in support of the budgeted land acquisition. And  
18 the response as you'll see, indicates that the land  
19 acquisition costs are currently a provision.

20 How was the Corporation able to determine  
21 the amount for the -- the provision in question, the 8.1  
22 million?

23 MR. BARRY GALENZOSKI: That provision was  
24 just a general provision. It's similar in nature to the  
25 provision that we put up on an annual basis for deferred

1 development; that's about 8 million also. So the  
2 Corporation put up a -- a general provision at that  
3 stage.

4

5 (BRIEF PAUSE)

6

7 MS. CANDACE EVERARD: Has the land  
8 purchase in question actually been purchased at this  
9 point in time?

10 MR. BARRY GALENZOSKI: No.

11 MS. CANDACE EVERARD: Can you give the  
12 Board an indication of what the purchase is or -- or what  
13 it will relate to.

14 MR. BARRY GALENZOSKI: Not at this stage,  
15 no.

16 MS. CANDACE EVERARD: Why -- why not?

17 MR. BARRY GALENZOSKI: It comes down to -  
18 - you know, public knowledge of what's happening on this  
19 side could interfere with negotiations that are presently  
20 underway.

21

22 (BRIEF PAUSE)

23

24 MS. CANDACE EVERARD: Perhaps before we -  
25 - we move to another document, just one (1) final

1 question on this land acquisition: Is it something that  
2 would ultimately relate to Basic?

3 MR. BARRY GALENZOSKI: Potentially, yes,  
4 as the biggest piece of our business is Basic.

5 MS. CANDACE EVERARD: Okay. If I could  
6 ask you to turn to TI-10, which is in the book of  
7 documents, but I'm -- I'm unfortunately the copy that I  
8 have in my book of documents is -- does not have the  
9 complete filing for TI-10; it just has pages 1 and 2 and  
10 I want to look at page 3. So I'm not sure if everyone  
11 else's book of documents is the same as mine; probably  
12 are, so I -- I apologize for that.

13 But if I could ask you to look at the --  
14 the actual filing for TI-10. Page 3 relates to a  
15 detailing of capital expenditures in the year of the  
16 application and the outlook period. It would appear that  
17 for the year of the application the projected capital  
18 expenditure is about 16 million.

19 Is that correct?

20 MR. OTTMAR KRAMER: Yes, that's correct.

21 MS. CANDACE EVERARD: And that includes  
22 deferred development costs relating to the business  
23 process review of about 3.8 million, is that right?

24 MR. OTTMAR KRAMER: Correct, for those  
25 specific programs identified.

1 MS. CANDACE EVERARD: And for the outlook  
2 period the budget appears to hover right around the --  
3 the \$14 million mark or between 14 and 15 million.

4 How are the projected numbers arrived at  
5 for the outlook period?

6 MR. OTTMAR KRAMER: Could you repeat the  
7 question?

8 MS. CANDACE EVERARD: Sure. In the  
9 outlook period the -- the projections are between \$14 and  
10 \$15 million for each year, and the question was: How  
11 were those budgets determined?

12 MR. OTTMAR KRAMER: Those budgets were  
13 determined looking at the -- the historical spend and --  
14 and seeing what we spend on -- on just normal operations,  
15 and then discussions with our managers on any future  
16 initiatives and any future one-time spends that would --  
17 that would have to happen.

18 MS. CANDACE EVERARD: All right. That  
19 concludes the questioning at this point in time with  
20 respect to capital expenditures, and I just want to ask a  
21 few questions about safety initiatives.

22 This topic was addressed in the --  
23 question 28 that the Board asked in the first round,  
24 which is not in the book of documents but I do want to  
25 refer to it.

1 (BRIEF PAUSE)

2

3 MS. CANDACE EVERARD: I think it's been  
4 put on the record in previous GRAs but I'll just ask that  
5 it be confirmed if it still remains to be the case that  
6 the three (3) main priorities of the Corporation with  
7 respect to safety initiatives, are seat-belt usage or  
8 occupant-restraint usage, impaired driving and unsafe  
9 speed? Is that correct?

10 MR. WARD KEITH: Yes, that's correct.

11 MS. CANDACE EVERARD: Now looking at the  
12 schedule attached to question 1-28, it would appear, with  
13 respect to those three (3) priorities, that there was  
14 about just under \$1 million dollars spent in the year  
15 that just finished in; 2006/2007. That's just adding  
16 together the four fourteen (414), the three seventy-two  
17 (372), and the two-o-three (203).

18 MR. WARD KEITH: Yes.

19 MS. CANDACE EVERARD: Okay. And that  
20 those numbers, with respect to those three (3)  
21 categories, don't change much in the current year or in  
22 the year of the application, for that matter; hovering in  
23 and around the -- the million or just over \$1 million  
24 mark?

25 MR. KEITH WARD: Yes.

1 MS. CANDACE EVERARD: Has the Corporation  
2 been able to gain any indication of the measure of  
3 success that has been reaped from those three (3)  
4 initiatives?

5 MS. MARILYN MCLAREN: Well, as we've  
6 talked about in prior years, those are three (3)  
7 priorities, and there is many initiatives within each  
8 priority. And because we are, when it comes to road  
9 safety, in the business of education and awareness, we  
10 make sure we establish objectives for each individual  
11 program within those three (3) broad categories.

12 And we -- at the conclusion of that  
13 program we revisit the objectives and measure the success  
14 we had in achieving the stated objectives per program.  
15 So we continue to do that as we've talked about in prior  
16 proceedings.

17 MS. CANDACE EVERARD: So looking still at  
18 the attachment to number 28, aside from the -- the auto  
19 crime prevention strategies, which I -- I take it is  
20 basically the anti-theft initiative for the most part,  
21 budgeted at -- for the year of the application thirteen  
22 point eight (13.8) -- that's the 2008/2009 column. It  
23 would appear that the anticipated forecast with respect  
24 to road safety is about 7.9 million or 8 million.

25 So, again, just to clarify; that would be

1 the \$21.7 million dollar total for that year less the  
2 thirteen point eight (13.8) allocated to anti-theft?

3 MR. WARD KEITH: Yes, that's right.

4 MS. CANDACE EVERARD: Now, of that  
5 approximately \$8 million that's being spent, there's  
6 about two point six (2.6) that's allocated as  
7 departmental expenses. Can you explain to the Board what  
8 those entail?

9 MR. OTTMAR KRAMER: The departmental  
10 expenses would be salaries for the people in that  
11 department, telephone, office basics, et cetera,  
12 operating expenses for -- for that department.

13 MS. CANDACE EVERARD: And I note, looking  
14 at this five (5) year schedule, that the -- the  
15 departmental expenses have increased from about 1.7  
16 million in 2004/2005 to about two (2) -- just under two  
17 point seven (2.7) in the year of the application. What  
18 would be the reason for those increases?

19 MR. OTTMAR KRAMER: That would be -- the  
20 primary increase was due to the -- the departmental staff  
21 increase due to the Immobilizer Program.

22 MS. CANDACE EVERARD: All right. Moving  
23 on then. The next section; I just have a few questions  
24 dealing with DVL and the business process review and how  
25 that ties to Basic.



1 projects such as drivers licence, long-  
2 term driver safety rating and service  
3 centres."

4 Can you explain how much of those costs  
5 are included in the claims and operating expenses?

6 MR. OTTMAR KRAMER: I -- I have a  
7 correction to make. That on -- on TI-16 on page 3 the  
8 provision statement that -- that is there that indicates  
9 that BPR projects such as drivers licence and long term  
10 driver safety rating and service centres; that's in  
11 error.

12 The drivers licence long-term nor service  
13 centres are not included in Basic. The driver safety  
14 rating would be and the -- the PIPP Review would be and  
15 those are -- have now been classified also under the BPR  
16 Department.

17 But the -- the drivers licence long-term  
18 and service centres would be treated as -- as non-basic  
19 programs.

20 MS. CANDACE EVERARD: So with that  
21 revision that you've -- that you've advised us, how  
22 should that last bullet read? Can you just confirm that  
23 for the record?

24 MR. OTTMAR KRAMER: I -- I would -- I  
25 would classify it as this:

1 "Includes provisions for costs  
2 associated with various business review  
3 projects such as driver safety rating  
4 and PIPP review."

5 MS. CANDACE EVERARD: Thank you.

6

7 (BRIEF PAUSE)

8

9 MS. CANDACE EVERARD: Okay. Last year  
10 the Corporation advised the Board that the cost of the  
11 BPR would be about 28.8 million. Can you provide an  
12 update as to what is expected to be spent on the BPR?

13

14 (BRIEF PAUSE)

15

16 MS. MARILYN MCLAREN: Since we were here  
17 at this time last year, there's been no substantive  
18 changes in the expected costs of the projects that were  
19 identified as BPR projects at that time.

20 When we were here a year ago, the PIPP  
21 infrastructure work; the PIPP projects were not included  
22 as part of BPR. For project management purposes, they  
23 have now been rolled under that umbrella.

24 So we have yet to recast the overall BPR  
25 cost now that the driver license project is done and PIPP

1 is now included. So that work is not really available --  
2 the -- the results of that work have not yet been done.

3 MS. CANDACE EVERARD: Now, when we were  
4 looking at TI-10 a minute ago, on page 3, and we went  
5 through that the -- there's a deferred development cost  
6 of 3.8 million related to the Business Process Review for  
7 the year of the application.

8 And I note on that schedule that there are  
9 no additional deferred development cost relating to it.  
10 Does that mean that it's the expectation that the BPR  
11 will be completed within the 2008/2009 fiscal year?

12 MR. OTTMAR KRAMER: No. That -- that  
13 wouldn't be correct. We've got a contingency for new  
14 projects also on that which is just below that. The four  
15 point one (4.1) in '08/'09 and then 8 million thereafter.  
16 That would be encompassed in -- that would include any of  
17 the BPR spending also.

18 MS. MARILYN MCLAREN: But the one big DVL  
19 BPR project, being the service centres, is expected to be  
20 done by the end of '09.

21

22 (BRIEF PAUSE)

23

24 MS. CANDACE EVERARD: Okay. If I can ask  
25 you to turn to Tab 32 in the book of documents; this an

1 IR from CAC/MSOS in the first round, number 15, that  
2 deals with the business process review. And, in  
3 particular, there are three (3) projects referenced in  
4 that IR -- the driver safety rating, the service centres  
5 and the PIPP Study. And if we look at the attachment to  
6 the IR, it appears to set out the specific costs that  
7 relate to each of those three projects.

8 So looking first at the driver safety  
9 rating, it's set out under the -- the 2006/2007 column  
10 that the -- the total expenses in that year for that  
11 project were about 1.4 million, is that correct?

12 MR. DON PALMER: That's correct.

13 MS. CANDACE EVERARD: And then looking at  
14 the -- the next page, the forecast in projected costs for  
15 the current year, '07/'08, and the year of the  
16 application, '08/'09, there's an additional 4.9 and 2  
17 million respectively allocated to driver safety rating.  
18 Is that right?

19 MR. DON PALMER: That was the budget that  
20 was cast, yes.

21 MS. CANDACE EVERARD: So have there been  
22 changes to that at this point?

23 MR. DON PALMER: This original budget was  
24 -- was cast with an expectation of -- of DSR  
25 implementation in 2008. That now is not going to be the

1 case. As Ms. McLaren indicated, it likely is in the 2009  
2 timeframe. But we haven't had a -- a budget process  
3 since this, so the -- the numbers will be different. But  
4 we don't have a new budget to present at this time.

5 MS. CANDACE EVERARD: The -- the three  
6 (3) numbers that we've just gone through for this three  
7 (3) year period total about 8.3 million. When you say  
8 that there will be changes, does that mean there will be  
9 a change to that total number, or will there just be a  
10 reallocation in terms of timing of the -- the eight point  
11 three (8.3) itself?

12 MR. DON PALMER: It's likely still in the  
13 ballpark, but with the timing changes, it also cost  
14 changes, so -- but we're close.

15

16 (BRIEF PAUSE)

17

18 MS. CANDACE EVERARD: Just a follow-up  
19 question on what I was asking about TI-10, and the -- the  
20 costs -- the deferred development costs that are set out  
21 there on page 3. And I think my question was there was a  
22 specific amount for the business process review in -- in  
23 the first year shown on the table, and not in the  
24 subsequent, and did that mean that it was going to be  
25 done; and the answer was -- I think from Mr. Kramer --

1 no, but there's money built in there for special projects  
2 or contingencies.

3 Does that mean that the business process  
4 review may not be completed until the last year on that  
5 schedule, being 2011/'12 -- 2011/'12?

6 MS. MARILYN MCLAREN: That wasn't the  
7 intention of the answer at all. As you revisited with us  
8 a little while ago, we used to put about \$8 million aside  
9 as -- as a contingency for projects, knowing that there  
10 are always a number of projects going on. In the past  
11 years that you reviewed, we significantly underspent  
12 that.

13 So I think our expectation, going forward,  
14 is that more likely than not we will continue to need  
15 some level, probably somewhere around \$8 million a year,  
16 for project work in -- in the capital budgets. That  
17 doesn't mean that we have then taken the step to say, oh,  
18 BPR is going to keep on going until 2012 or anything  
19 remotely like that.

20 But remembering that BPR is now more  
21 corporate, it does include PIPP. I told you that PIPP  
22 may very well take until '11 or '12, so that's where some  
23 of that alignment with what Mr. Kramer said, but it  
24 doesn't mean that sort of the DVL-BPR projects are going  
25 to go on that much longer.

1 MS. CANDACE EVERARD: Thank you.  
2 Continuing with the IR at Tab 32 of the book of  
3 documents, which breaks out the -- the costs for three  
4 (3) of the BPR projects; if we could next look at the  
5 service centres lines. The -- the document reflects that  
6 the actual budget, or the actual expenditure for service  
7 centres in 2006/'07 was about 1.9 million. There's  
8 forecasted for 2007 and '8, an additional 6.7 and for the  
9 year of the application, an additional -- additional 5.6;  
10 so a total of about 14.2 million.

11 Is that still the plan?

12 MR. DON PALMER: Yes, that's the plan.

13 MS. CANDACE EVERARD: Okay, and with  
14 respect to the third one -- the PIPP infrastructure --  
15 there was an actual expenditure in 2005/'06 of two  
16 hundred and fifty thousand (250,000), another eight  
17 hundred and thirty-six thousand (836,000) in 2006/'07.  
18 And then there was a -- a forecast for the current year  
19 of about 2 million which would be a total of about 3.1.

20 Now, I appreciate that there was an IR  
21 asked by CAC/MSOS and the Corporation put on the record  
22 that for the -- the current year; and this -- this  
23 provision of 2 million they've actually or you actually  
24 only intend to incur about 1.3.

25 Is that all fair to say?

1 MR. DON PALMER: That's fair to say, yes.

2

3 (BRIEF PAUSE)

4

5 MS. CANDACE EVERARD: Okay, and for each  
6 of these projects listed, there are components for  
7 deferred development costs. Do those include internal  
8 costs as well as expenses paid to external parties?

9 MR. BARRY GALENZOSKI: They -- they  
10 include the external expenses and any internal  
11 incremental expenses that we would have.

12 MS. CANDACE EVERARD: Can you give the --  
13 the Board an idea of what the -- the breakdown would be  
14 between the internal versus external.

15 MR. BARRY GALENZOSKI: The vast majority  
16 is going to be external costs. The -- there may be some  
17 internal incremental costs if you have to have a coup --  
18 some extra people to work on a project for a few years.  
19 Those would be included, and those would be part of the  
20 costs that are amortize.

21 But the Corporation does not -- it tracks  
22 the project costs associated with internal people working  
23 on a project, but it doesn't amortize any of those, so  
24 they don't show up in the capitals schedule.

25 MS. CANDACE EVERARD: How is the

1 Corporation amortizing the deferred development costs?

2 MR. OTTMAR KRAMER: Once the project is  
3 complete and implemented, the deferred development costs  
4 are amortized over five (5) years on a straight-line  
5 basis.

6 MS. CANDACE EVERARD: So what is the  
7 impact on the revenue requirement as result of that?

8

9 (BRIEF PAUSE)

10

11 MR. OTTMAR KRAMER: I'm not sure what  
12 project you're referring to. It -- again, it's -- it's  
13 on a over five (5) years so 20 percent or one-fifth  
14 (1/5th).

15 MS. CANDACE EVERARD: Okay, we'll scratch  
16 that question.

17 Now, with respect to the BPR costs that  
18 we've gone through in the response to CAC/MSOS number 15  
19 in the first round, I take it that there's going to be an  
20 issue of cost allocation or cost sharing. And can you  
21 just, I -- I think it's been said on the record that the  
22 cost of the drivers safety rating is borne by Basic and  
23 the -- can you -- can you just confirm that?

24 MR. OTTMAR KRAMER: Yes I -- I can. The  
25 drivers safety rating would be born by Basic and also the

1 PIPP infrastructure. The service centres is a would --  
2 would be allocated to the DVL line of business.

3 MS. CANDACE EVERARD: Now the Corporation  
4 has put forward some information in AI-9 dealing with the  
5 service centre project. It's advised that the project is  
6 on schedule, that it's on budget, and that there are  
7 anticipated operating expense reductions flowing from it.  
8 To what extent will any of the projected savings accrue  
9 to Basic, or will that not occur?

10 MR. OTTMAR KRAMER: Because the service  
11 centre project is -- is a DVL related project, the  
12 savings would be -- go to the DVL line of business.

13 MS. CANDACE EVERARD: There's been  
14 evidence given over the years about the famous DVL  
15 computer with its field of three (3) digits. And I  
16 appreciate that in AI-9 there's reference to the  
17 decommissioning of that system which is -- it's set out  
18 there that that's in the planning stages and that the  
19 completion is sought by the end of 2010.

20 Which line of business will be bearing the  
21 expenses associated with that project?

22 MR. DON PALMER: Some -- some of that  
23 would be included in the driver safety rating because a  
24 lot of the -- the issues that come up as part of the DVL  
25 driver's system that we're talking about, and -- and the

1 three (3) digits are basic surcharges and -- and of  
2 course part of the driver safety rating. But the  
3 additional costs would be part of the DVL expenditures  
4 and not Basic.

5 MS. CANDACE EVERARD: So I take it that  
6 as the project proceeds, the allocation will be made --  
7 decided upon and made a little bit more specific?

8 MR. DON PALMER: That's correct. Again,  
9 with DSR sort of being the determining factor as whether  
10 the decommissioning is specifically a DSR-related expense  
11 or something else.

12 MS. CANDACE EVERARD: So does the  
13 Corporation have any kind of a system or a guideline in  
14 place to ensure that the costs are allocated fairly  
15 between the two (2) lines?

16 MS. MARILYN MCLAREN: What we would  
17 expect to do is something that we've done for, I guess,  
18 the last several decades -- even before the amalgamation,  
19 the merger took place -- is MPI Basic ratepayers have  
20 always contributed most of the revenue that was run  
21 through the driver licence system. The surcharges and  
22 the Basic premium far exceed the driver licence fees.

23 Any time we needed to change to that  
24 system, they would sort of price out the cost of those  
25 changes and we would pay DVL to make those changes, as

1 they would pay us to make changes on the registration  
2 side of the vehicle administration system.

3 So that would be the same principle that  
4 we would carry forward. Who is it that really needs this  
5 change? Is it the Basic system? Is it the driver safety  
6 rating that needs these changes to take place? If that's  
7 the driving force, then they would pick up the costs.

8 There are other issues related to the  
9 mainframe decommission though. All of the -- for  
10 example, other government agencies and the police access  
11 the mainframe for their record of driver licence records;  
12 that's where that sits right now. So there's certainly  
13 more to mainframe decommissioning than simply the  
14 surcharges and the driver safety rating component. But  
15 we would take same principle that we've used for many  
16 years to figure out where should the costs be allocated.

17 MS. CANDACE EVERARD: Okay. So it would  
18 be fair to say at this point that at the end of the day,  
19 the whole of the costs would not be attributable to Basic  
20 because of that other component that you talked about,  
21 but it's going to be a question of what -- what the  
22 split's going to be?

23 MS. MARILYN MCLAREN: Absolutely, yeah.

24 MS. CANDACE EVERARD: Do you have any  
25 sense of what the overall cost for this is going to be at

1 this point?

2 MS. MARILYN MCLAREN: No. We have not  
3 needed to tackle that mainframe decommissioning yet.  
4 There have been significantly more value-added  
5 initiatives to -- to get underway and to accomplish.  
6 Like, we were able to do the entire driver licence system  
7 -- you know, rejuvenation in the new driver licence  
8 system without decommissioning the mainframe. The  
9 service centres are moving forward so we have not fully  
10 scoped that project at all yet.

11

12 (BRIEF PAUSE)

13

14 MS. CANDACE EVERARD: Is it within the  
15 realm of possibility that the -- that the system would be  
16 moved over to Autopac Online or the CARS System; or will  
17 this be a distinct system?

18 MS. MARILYN MCLAREN: No, it will very  
19 likely be incorporated within Autopac Online. The CARS  
20 System is a claims system. It's highly unlikely that we  
21 would do much more with it. But the driver licence  
22 system that we keep talking about is really not -- the  
23 new driver licence system is not a stand-alone new  
24 system.

25 It is very much new functionality within

1 the umbrella of Autopac Online; this would be, as well.

2

3

(BRIEF PAUSE)

4

5 MS. CANDACE EVERARD: Earlier -- either  
6 this afternoon or this morning, I've already forgotten --  
7 there was evidence given about upgrades to the AOL system  
8 and the costs associated with that. Are any of those  
9 upgrades related to the potential for the -- this DVL  
10 system to be moved, or are those upgrades totally  
11 unrelated to the mainframe decommission issue?

12 MS. MARILYN MCLAREN: No, they're not  
13 related because we haven't scoped that out yet. Likely  
14 that's where it will show up eventually, but certainly  
15 isn't in there now.

16 MS. CANDACE EVERARD: All right. I just  
17 have a couple more questions about the business processor  
18 of you and then I'll be moving to a new area. If I can  
19 ask you to turn back to TI-6, page 4.

20 There's an -- there's an indication that  
21 at item 13 -- it's where the -- the business processor of  
22 you is referenced; is this indicating that there's  
23 actually a BPR office within the Corporation?

24 I -- I just ask that because a lot of the  
25 other departments on the list appear to be departments

1 within the Corporation.

2 MR. OTTMAR KRAMER: Yes, there is a BPR  
3 office now.

4 MS. CANDACE EVERARD: And how many  
5 employees does it have?

6 MS. MARILYN MCLAREN: Five (5) or seven  
7 (7) perhaps, somewhere; certainly less than ten (10).

8 MS. CANDACE EVERARD: And if I'm  
9 understanding the -- the allocation column correctly, doe  
10 -- well, rather than me guessing at what I think it  
11 means, why don't you tell me what it means?

12 MR. OTTMAR KRAMER: Basically, what it's  
13 saying is that the -- the driver safety rating and the --  
14 the PIPP architecture review; those are allocated to  
15 basic. The remaining of the BPR projects are allocated  
16 to DVL at this time.

17 MS. CANDACE EVERARD: Just one (1) other  
18 question and I -- I don't have specific reference at my  
19 fingertips, but it's my recollection or understanding  
20 that one (1) of the other aspects to the BPR -- and this  
21 may be in line with the service centre issue -- is that  
22 some of MPI's facilities would be consolidated and  
23 downsized in terms of staff moving and -- and that kind  
24 of thing.

25 And so my -- my question is, if, whether

1 or not after that process all unfolds, the Corporation  
2 might have some surplus lands sitting around?

3 MS. MARILYN MCLAREN: The -- that is a  
4 service centre project. And what it really entails is  
5 turning all of our claim centres into full service MPI  
6 service centres. So we would expect that -- in the City  
7 of Winnipeg there are three (3) locations for driving  
8 testing.

9 What we would expect at the end of the  
10 business process review is that we would not need those  
11 three (3) facilities any more; that the driving testing,  
12 private passenger driver testing would happen within the  
13 MPI claim centres here in the City of Winnipeg.

14 Those three (3) facilities are rented  
15 facilities. In Portage and in Dauphin, the DVL offices  
16 use a small corner of the Provincial Government  
17 buildings. So there's a different situation in -- and  
18 Thompson; that's true as well.

19 So, no, we're not going to have any extra  
20 building and lands sitting around, but we will certainly  
21 be saving on our rental costs. And the reduced  
22 facilities expenses is part of the overall savings at the  
23 -- which I think is about \$2.5 million a year that we  
24 will save once the service centre project is complete;  
25 the facility savings part of that.

1 MS. CANDACE EVERARD: What about the --  
2 the DVL office at 1075 Portage? Is that going to be  
3 maintained or?

4 MS. MARILYN MCLAREN: What we've said is  
5 our -- our long-term objective would be to be able to  
6 incorporate the staff and the services within our other  
7 facilities at City Place. We would like to make -- you  
8 know, bring those services as -- as part of the MPI Head  
9 Office function. It's not part of the service centre  
10 project, though.

11 The service centre project is focussed on  
12 front-end customer service transactions on the driver  
13 licensing side.

14 MS. CANDACE EVERARD: Just in -- in line  
15 with what you just said about bringing them over to -- to  
16 City Place. Is there room there for that now, or would  
17 that have to be -- would there have to be -- be changes  
18 made or acquisitions of some kind?

19 MS. MARILYN MCLAREN: Oh, not within the  
20 current space. We have absolutely not, no. I think  
21 there's probably a hundred and fifty (150) to two hundred  
22 (200) people currently working at 1075 doing those  
23 functions. No, we would need more space.

24 MS. CANDACE EVERARD: All right. Ms.  
25 McLaren, you can have a break. We're moving to rate-

1 making model TI-2.

2 THE CHAIRPERSON: Then why don't we take  
3 our break now?

4 MS. CANDACE EVERARD: Oh, okay, fair  
5 enough.

6

7 --- Upon recessing at 2:28 p.m.

8 --- Upon resuming at 2:49 p.m.

9

10 THE CHAIRPERSON: Ms. Everard...?

11

12 CONTINUED BY MS. CANDACE EVERARD:

13 MS. CANDACE EVERARD: Thank you, Mr.  
14 Chairman.

15 So, Mr. Palmer, turning to TI-2, what --  
16 what I want to do, sort of in broad terms, is to go  
17 through the construction of the required rate changes  
18 that are set out on this table.

19 So if you could go through each row and  
20 provide -- on page 1 -- and provide a brief commentary on  
21 the nature and basis for each component and, as well, any  
22 unique handling of a particular component by major class.  
23 And then I have a few specific points about certain of  
24 the rows, then I'll just jump in when I need to, okay.

25 MR. BRYON WILLIAMS: Mr. Chairman, I hate

1 to interrupt, but I lost the place of where we were  
2 before cross, so if Ms. -- Ms. Everard could --

3 MS. CANDACE EVERARD: Oh, sorry, Mr.  
4 Williams, --

5 MR. BRYON WILLIAMS: -- could I have  
6 her --

7 MS. CANDACE EVERARD: -- it's TI-2,  
8 page 1.

9 MR. BRYON WILLIAMS: Thank you.

10 MR. DON PALMER: I'll make sure I have  
11 some water ready. This may take a while.

12 The -- the exhibit that we're looking at  
13 is the required rate by major classification; so a  
14 forecast of all the claims cost and other revenue, that  
15 goes into the rate setting by major class. And the --  
16 the major classes are the columns along with the overall  
17 being the first column and the -- the various major  
18 classes along the columns.

19 The '08/'09 units is our projecting --  
20 projection of the number of units of insurance that will  
21 be sold for the '08/'09 policy year. And a unit of  
22 insurance, by and large, is twelve (12) months of -- of  
23 coverage for one (1) vehicle. So, two (2) vehicles that  
24 each have six (6) months of -- of coverage still would be  
25 one (1) unit.

1                   The exception to that would be motorcycles  
2 and ORVs, where one (1) unit essentially is a riding  
3 season; for motorcycles being essentially five (5)  
4 months, and ORVs; snowmobiles also being five (5) months,  
5 I think. Maybe it could be argued ten (10) months in  
6 Manitoba, but we'll leave that.

7                   Claims costs are the -- the cost of -- of  
8 settling claims. And those come from, on an overall  
9 basis, the claims forecast, that we talked about  
10 previously, divided by the projected number of units.  
11 And then we do a calculation for -- by major class to --  
12 to come to that total amount as well. So though -- those  
13 are, looking at past experience, forecasted separately  
14 and then balanced to make sure that we get to the -- the  
15 overall number.

16

17 CONTINUED BY MS. CANDACE EVERARD:

18                   MS. CANDACE EVERARD: And if I can just  
19 ask a specific question about the claims line. Does this  
20 table reflect the results net of the loss-transfer  
21 allocations?

22                   MR. DON PALMER: This is done after the  
23 cost allocation, yes.

24                   Claims expenses is the cost to administer  
25 the claims, as Mr. Kramer indicated, before the cost of

1 running our claims centres and the cost of -- of salaries  
2 for those claims-adjusting staff. That's all allocated  
3 on a percentage basis; percentage of claims incurred.

4 MS. CANDACE EVERARD: And, sorry, just to  
5 stop you there with respect to claims expenses.

6 Does the percentage vary by major class,  
7 or no?

8 MR. DON PALMER: No, it does not.

9 MS. CANDACE EVERARD: And, if you can  
10 just explain to the Board how this allows for differences  
11 between the major classes in the composition of claims by  
12 coverage.

13 MR. DON PALMER: More expensive claims,  
14 in general -- in general, cost more to administer. So  
15 something like a glass claim, which is generally our  
16 cheapest claims, but also our simplest to administer,  
17 would attract low costs.

18 Serious injury claims, which are our most  
19 expensive claims, would have the involvement of claims  
20 adjusting staff for several years and would attract more  
21 costs, so it's on that basis that we allocate on the  
22 basis of claims incurred.

23 MS. CANDACE EVERARD: And it would be the  
24 Corporation's view that that approach is reasonable?

25 MR. DON PALMER: That's correct. The --

1 the road safety costs are the total costs just allocated  
2 on a per-vehicle basis.

3                   The one addition to that is some of the  
4 theft costs in order -- anti-theft costs that are  
5 allocated; those programs are more for the private  
6 passenger vehicle -- vehicles, so you'll see a higher  
7 allocation on road safety for a private passenger than  
8 you would for the other types of vehicles that are not  
9 part of the Immobilizer Program.

10                   You will also notice that we have not  
11 allocated any of our road safety costs to either trailers  
12 or off-road vehicles.

13                   MS. CANDACE EVERARD:    And -- and why is  
14 that?

15                   MR. DON PALMER:    In -- in both of those  
16 cases the owners of those vehicles essentially have other  
17 vehicles. That would be the same logic as the next line  
18 with operating expenses; the cost of administering the  
19 policy.

20                   Now we went through extensive discussions  
21 a few years ago as to allocating the operating expenses  
22 to trailers and off-road vehicles. And, at that time,  
23 even though there is a cost of administering those  
24 policies, with the claims costs of those types of  
25 vehicles being fairly low but still having mandatory

1 insurance, it was deemed not to be fair to force somebody  
2 to buy coverage that gives them -- for off-road vehicles,  
3 for instance, something less than fifteen dollars (\$15) a  
4 policy of coverage, and then charge them in the  
5 neighbourhood of sixty-five dollars (\$65) per policy to  
6 administer that.

7                   There's certainly some unfairness in --  
8 within that. So it was decided by this Board back in  
9 2001, I think, to allocate those costs to vehicles that  
10 were what we called "Highway Traffic Act Power Units."

11                   So that's vehicles registered under the  
12 Highway Traffic Act that can be powered on their own. So  
13 that's essentially excluding trailers and all RV's.

14                   With the road safety costs, it used to be  
15 part of operating costs. We decided that we would  
16 allocate those on the same basis, again, with that  
17 exemption of the anti-theft programs.

18                   Commission costs are the commissions that  
19 we pay the -- our broker force. And that's -- they're  
20 paid based on 5 percent of -- of premium. So that's a  
21 flat -- a flat percentage of the bottom-line premium  
22 that's paid.

23                   Same with premium tax. We pay the  
24 Province of Manitoba 3 percent premium tax and, again,  
25 that's allocated on the basis of total premium across all

1 vehicles.

2 We also pay premium tax on our drivers  
3 policies and, again, we have allocated that only to  
4 vehicles that have licensed drivers so, again, excluding  
5 that allocation from trailers and off-road vehicles.

6 The next two (2) lines refer to our  
7 reinsurance coverage that we -- that we pay for. And the  
8 allocation there -- the casualty that is injury costs; so  
9 the cost of reinsurance for very serious injuries.

10 Again, trailers and off-road vehicles are  
11 excluded from that. The reason off-road vehicles are  
12 excluded is really they don't generally have PIPP  
13 coverage; that's just a third party liability and under-  
14 insured motorist protection, which is limited to two  
15 hundred thousand dollars (\$200,000) under the Basic  
16 program, so there's no reinsurance required there.

17 The catastrophe plan that -- that's  
18 reinsurance mainly for hail -- also could be flood -- and  
19 that's allocated to the vehicles that are susceptible to  
20 that type of damage. Motorcycles are excluded from that  
21 because they are no covered under comprehensive under the  
22 basic Autopac program.

23 MS. CANDACE EVERARD: Mr. Palm -- Palmer,  
24 sorry, just before you move to the next line, I just had  
25 one (1) other question with respect to the reinsurance

1 numbers. If reinsurance is included as a cost, then can  
2 you confirm that the claims above are included net of  
3 reinsurance?

4 MR. DON PALMER: That's correct. Under  
5 fleet rebates, we have a fleet rebate program that our  
6 manual rates do not include that fleet rab -- the fleet  
7 program, unlike the manual rates on the individual merit  
8 discount program are -- are included and built into our  
9 revenue requirement, the fleet rebates are not.

10 We give back more in rema -- bates than we  
11 take in surcharges, so there is an off balance which we  
12 have to collect monies for and that's -- and, again,  
13 there's only certain types of vehicles that eligible for  
14 that fleet rebate program, so that cost is not allocated  
15 to motorcycles, trailers or off-road vehicles. The --

16 MS. CANDACE EVERARD: Sorry, Mr. Palmer,  
17 just -- just one (1) follow-up question on fleet rebates.  
18 Would it be fair to say that the fleets would be equally  
19 common within the three (3) major uses that are listed  
20 here; private passenger, commercial, and public?

21 MR. DON PALMER: On a percentage basis,  
22 there's likely more -- more of the commercial vehicles or  
23 public vehicles as part of the entire fleet that -- that  
24 would be included in fleets. But there are many private  
25 passenger vehicles included, as well.

1 MS. CANDACE EVERARD: Is there any risk  
2 that there is an off-balance in the difference between  
3 the charge- back among the three (3) classes?

4 MR. DON PALMER: There could be. We --  
5 we have looked at that in the past, and -- and fleets  
6 generally are not limited to one (1) -- to one (1)  
7 classification. So, I know that -- that there's been  
8 some discussion about -- I don't know, U-drive fleets for  
9 instance, and -- and that's an example where generally  
10 most of the -- the vehicles in that category are U-  
11 drives, and would be exclusive, and it would be easy to  
12 categorize that.

13 A fleet like Manitoba Hydro would have  
14 many vehicles, like trucks that are -- but would also  
15 have many vehicles that are private passenger vehicles,  
16 as well. The Manitoba Public Insurance fleet has some --  
17 some trucks that are used; some tow trucks within our  
18 compound, but also has private passenger vehicles, as  
19 well.

20 So it's -- it's really difficult to  
21 segregate exactly how much would -- would be allocated to  
22 each major class.

23 Anti-theft discount -- that's the discount  
24 that's applied -- the forty dollar (\$40) discount; and,  
25 again, sort of extra to our rate manual, so is added back





1 is an insurance premium component to the driver charges.  
2 There is also a driver registration fee that goes  
3 complete -- completely to DVL, but this is just the  
4 amount that comes to Manitoba Public Insurance. Just a  
5 correction, that -- that goes to Government, not to DVL.

6 MS. CANDACE EVERARD: And -- and just for  
7 the record, what is that registration fee?

8 MR. DON PALMER: It's twenty (20) --  
9 twenty dollars (\$20).

10 MS. CANDACE EVERARD: Thank you. So the  
11 next line is service fees.

12 MR. DON PALMER: Service fees is extra  
13 charges that we -- that we have. This is -- most of  
14 these charges are our financing fees charged to -- to  
15 motorists who are financing the premium over a -- a  
16 number of payments; either four (4) payments or twelve  
17 (12) payments. This is a -- a flat fee plus a percentage  
18 interest charge. There are some other service fees as  
19 well, but that's certainly the lion's share.

20 Investment income is our total expected  
21 investment income as a percentage of our -- as a  
22 percentage of our motor vehicle premium. So it's just  
23 added in on a percent -- a flat percentage basis much the  
24 same as commissions or premium tax, but the other way.

25 MS. CANDACE EVERARD: Okay, thank you.

1                   MR. DON PALMER:    So you add them all up  
2 and come to the required rate.  Because of some of those  
3 allocations, if you add up all the major classes and --  
4 and add them together to get to the required rate, you  
5 don't quite get there.  So we balance it out in order  
6 that -- that the weighted average of all the major  
7 classes is equal to the total premium from -- on an  
8 overall basis.

9                   So that's the required rate; parenthesis  
10 "bal" (bal), for balanced.

11                   MS. CANDACE EVERARD:   And that's the  
12 seven-fifty point one seven (750.17) that you're  
13 referring to?

14                   MR. DON PALMER:    That's correct.  The  
15 more interesting part is not what we have to charge, but  
16 the -- the increases that will be charged from our  
17 current rates.  So the next part of that calculation is  
18 essentially to calculate what the required increases will  
19 be.

20                   The '07/'08 average rate is what the  
21 current average rate is using '07/'08 rates from our rate  
22 model.  We have a -- an upgrade that we had talked about  
23 in the past with major class drift.

24                   Now, you'll notice that that amount of 6.5  
25 percent is different than the 2.75 percent that we talked

1 about before. In fact this is the drift from the -- the  
2 date that we ran the rate model and the mix of vehicles  
3 at -- as at January or, I think, November 30th of last  
4 year, to the average date of the policy -- the '08/'09  
5 policy.

6 So that's why it's -- it's not just one  
7 (1) year of drift. It's more -- it's more than that.

8 And we have looked at the historical drift  
9 by major class and then prorated it to come up with that  
10 total 6.5 percent. So that's why the -- the drift of  
11 each of those major classes is something different than  
12 the 6.5 percent.

13 So once we apply that drift to the '07/'08  
14 we get the -- what the average rate would be in '08/'09  
15 without any rate changes; just incorporating the current  
16 rate plus the expected drift.

17 MS. CANDACE EVERARD: Okay. And that's  
18 the seven fifty-one point seven seven (751.77)?

19 MR. DON PALMER: That's correct. The  
20 next one is if we did not apply any credibility  
21 weightings, just applied what we needed from that  
22 calculation, the minus .2 percent is just the seventy  
23 fifty-one (751) divided by the seven-o-five sixty-five  
24 (705.65) for each major class.

25 We are not applying for a change of --

1 MS. CANDACE EVERARD: Sorry, Mr. Palmer,  
2 if I can just interject for a minute. You said that the  
3 seven fifty -- no, you said that it was relative to the  
4 '07/'08 average rate of seven-o-five sixty-five (705.65).  
5 Wouldn't it be the case that it's actually related to the  
6 balance required rate of seven-fifty point one seven  
7 (750.17)?

8 MR. DON PALMER: Yes, I'm sorry. I --  
9 it's in fact the seven fifty point one seven (750.17)  
10 divided by the seventy fifty-one seventy-seven (751.77),  
11 so we'll split the difference on that one.

12 For the full credibility required change  
13 or full cred req change, as is indicated on this exhibit,  
14 we are not applying for a decrease of 0.2 percent. We're  
15 saying let's round that to zero.

16 So we prorate all the other major classes  
17 to -- to -- for that .2 percent so, again, the applied-  
18 for change is -- that only is applicable on the overall  
19 basis; that's not really what we're applying for by major  
20 class; just to make that clarification.

21 The next line is the credibility weighting  
22 that we give to -- to this particular required change.  
23 Credibility is a measurement of the believability of the  
24 data. With large classes having more credibility, we --  
25 there's less volatility in results, and smaller classes

1 having less credibility. And I won't go too much into  
2 that credibility formula. We have gone through that in  
3 detail in -- in past hearings.

4 Or I'm hoping you don't want me to.  
5 There's a huge sigh amongst everyone else in the room.

6 The -- and then after the credibility  
7 weighting is the credibility weighted change that -- that  
8 relates into a credibility required rate.

9 Again, we have to balance that because the  
10 credibility weighting doesn't quite get you to the  
11 overall rate that you need which is the credibility  
12 weighted required rate balanced or "cred wght rec rate  
13 bal."

14 And the final line after that credibility  
15 weight is the credibility weighted required change.

16 MS. CANDACE EVERARD: Okay. Thank you,  
17 Mr. Palmer, for that on TI-2. What I'd like to do now is  
18 turn to question 37 asked by the Board in the first  
19 round. It's not in the book.

20

21 (BRIEF PAUSE)

22

23 MR. DON PALMER: I have it.

24 MS. CANDACE EVERARD: Thank you. The IR  
25 relates to differences in the forecasting methodology

1 over last year, and I am going to ask you to walk through  
2 the differences.

3 But before we do that, just so we have  
4 some context, if you could flip to the table -- the  
5 attachment. If I'm reading this correctly, it reflects  
6 that for the 2007 GRA last year the required weight was -  
7 - required rate was seven thirty-three point eighty-three  
8 (733.83)?

9 MR. DON PALMER: Yes.

10 MS. CANDACE EVERARD: And this year it's  
11 seven fifty point one seven (750.17), and that's one (1)  
12 of the same numbers that we saw in TI-2?

13 MR. DON PALMER: That's correct.

14 MS. CANDACE EVERARD: So, with that, if  
15 you could just, at a high level, review the differences  
16 that are reflected in the narrative part of the answer?

17 MR. DON PALMER: The -- the major swings  
18 from last year to this year are road safety expenses  
19 which are increased cost to the Immobilizer Incentive  
20 Program that is now enhanced over what was planned from  
21 last year.

22 Commission rates are -- are higher. There  
23 are some extra costs, besides that flat 5 percent that we  
24 talked about, that are now in -- inflating that number  
25 into the actual commission received to 5.6 percent from

1 5.3.

2 Fleet rebates; that's part of our revenue  
3 forecast stream, and we're expecting rebates to be higher  
4 in the coming years. The anti-theft discount; there's  
5 more vehicles that will be eligible for the anti-theft  
6 discount.

7 Again, that's an offset to the road safe -  
8 - the top road safety expense, so that's higher because  
9 there's more vehicles receiving that forty dollar (\$40)  
10 discount.

11 And the investment income is higher  
12 because we're expecting a higher rate of return. A lot  
13 of that is due to the inclusion of the 1.5 percent equity  
14 risk premium that we talked about previously.

15 MS. CANDACE EVERARD: With respect to the  
16 last bullet point relating to investment income, can you  
17 confirm whether the realized capital gains in the current  
18 year have any bearing?

19 MR. DON PALMER: They do not. It's only  
20 on a going-forward basis and -- and that's where the  
21 equity risk premium comes in.

22 MS. CANDACE EVERARD: Great, thank you.  
23 That concludes the -- the questions on rate-making. I  
24 just want to ask a couple of questions about revenue  
25 adjustments by a major class.



1 the easy one on an -- the bottom overall is zero in both  
2 cases. That's the number that we're -- we're balancing  
3 to, so to speak.

4 To look -- it's pretty difficult to -- to  
5 talk about this on an individual class-by-class basis,  
6 because there are caps in place that are required and --  
7 and whenever you have a cap up -- up or down, it means  
8 that any extra excess or -- excess requirement has to be  
9 allocated amongst the other classes. So -- so the  
10 changes are -- come from an -- an overall balancing  
11 procedure. So -- so for instance, motorcycles, which  
12 show a -- an increase of 16.5 percent, where, because of  
13 the experience rating caps that are in place, we're not  
14 able to -- to get all that 16.5 percent for motorcycles.

15 There are other caps in place; the 20  
16 percent cap for instance. Again we have indications for  
17 some types of motorcycles -- sport bikes, for instance --  
18 and low-value motorcycles that probably need more than a  
19 20 percent rate increase. But we were limited to the --  
20 do that, so we have to balance that -- that shortfall  
21 amongst all other types of vehicles.

22 So that -- that balancing process is what  
23 underline -- lines all the changes from the actual major  
24 class indicators to the actual rate model results, which  
25 are the amalgamation of all of the adjustments that are

1 attached to every single vehicle in our -- our file.

2 Bottom line of that -- all of that -- is  
3 that the indicator from private passenger vehicles, which  
4 was 0.0 percent, goes to a decrease of .1 percent; not  
5 much of a shift there. A commercial vehicle is the  
6 indicator of minus three point four (-3.4) goes to minus  
7 one point two (-1.2). Public vehicles from minus .4  
8 percent to a positive 1.2 percent. Motorcycles from an  
9 indication of positive 16.5 percent to a 9.2 percent.  
10 Tailers for -- from a minus three point six (-3.6) to a  
11 minus four point seven (-4.7). Off-road vehicles is  
12 somewhat of a special case; the indicator based on  
13 experience, minus thirty-eight point four (-38.4), we are  
14 requesting zero. That's because of the addition of the  
15 under-insured motorist coverage.

16 And even though that looks like a huge  
17 shift, we're talking about a -- a rate twenty-eight (28)  
18 bucks. So in -- in pure dollars, it's not that -- that  
19 big.

20 MS. CANDACE EVERARD: Great. Thank you,  
21 Mr. Palmer, for that.

22 I just want to ask a couple of questions  
23 about motorcycles and the rate-line adjustments. So I'd  
24 ask you to turn to number 40 asked by the Board in the  
25 first round. It's not in the book.

1 MR. DON PALMER: I have it.

2 MS. CANDACE EVERARD: First of all, maybe  
3 you can just explain the -- the history of the rate-line  
4 adjustment and then the -- the information on the -- the  
5 table set out at sub (b) of number 40.

6 MR. DON PALMER: The rate-line adjustment  
7 is to match the revenue required by rate group to the  
8 actual premium that's charged for that rate group. For  
9 motorcycles; the largest component of their rate is  
10 injury claims, and as we've seen, this does not really  
11 vary by the value of the motorcycle.

12 The rate groups, in fact, are based on  
13 declared value of the -- the motorcycle. So what --  
14 going back to the old tort days, we're really, the injury  
15 component was not that big because it was all third party  
16 expenses, and when a motorcycle is at fault and hits  
17 something, typically they don't do much damage to the  
18 other vehicle or -- or have injuries in the other  
19 vehicle. So that third party liability component is --  
20 is lower.

21 And the physical damage to the bike is a  
22 much bigger component of the cost, so is very much tied  
23 to declared val -- to declared value of the bike. Once  
24 we changed to the no-fault, that all changed. And there  
25 really is not that much differential from the insurance

1 cos -- required insurance costs based on the value of the  
2 bike, for the reasons that I mentioned.

3                   We started quite a few -- few years --  
4 probably four (4) or five (5) years ago -- to rectify  
5 that situation and bring the rates of the lower-valued  
6 bikes up. What that does in terms of the rate line is,  
7 if you sort of picture a graph and a -- and a line with  
8 the rates for -- the low value vehicles being kind of at  
9 the bottom of line and the line moving upwards -- what  
10 we're doing is pivoting that rate line to bring the  
11 bottom up.

12                   MS. CANDACE EVERARD: We're just -- we're  
13 just -- sorry, we're jus smiling because Mr. Pelley  
14 explained it to me in the exact same way when we were  
15 preparing. It's just kind of like deja vu, but we  
16 weren't laughing at you.

17                   MR. DON PALMER: Actuaries think alike;  
18 what can I say. So tha -- that's been the pro --  
19 process, not only within this rate application, but in  
20 past rate applications.

21                   From a -- an overall results perspective,  
22 it means that the rate group zero is going up 14.8  
23 percent; rate group 1, 5.2 percent, and the rest of the  
24 rate groups really don't have much change at all because  
25 we've, in fact, got them to the -- the right levels over

1 the last number of years.

2 MS. CANDACE EVERARD: Thank you. And I  
3 note, for the record, in terms of the number of vehicles  
4 in each class, that it would appear that rate groups  
5 zero, 4, 5 and 7 all contain over a thousand (1,000)  
6 vehicles compared to the -- the others. Well, although 6  
7 is close to a thousand (1,000), but the -- the rest  
8 appear to be quite a bit less.

9 MR. DON PALMER: That's correct.

10 MS. CANDACE EVERARD: And can you just  
11 give the Board a -- a brief overview of the  
12 characteristics of the vehicles in rate groups zero  
13 through 2 versus 3 through 9?

14 MR. DON PALMER: The -- the declared  
15 value ranges are contained in one (1) of the AI's in --  
16 in Volume III. But the more expensive motorcycles would  
17 go into the higher rate groups. So -- I can't remember  
18 the exact numbers -- but rate group zero would be  
19 motorcycles with a declared value of less than a thousand  
20 dollars (\$1,000).

21 And then it moves up -- one (1) of the  
22 rate groups, I think it's rate group 5, has a value eight  
23 thousand (8,000) to fou -- fourteen thousand (14,000),  
24 which includes a -- a fair number of -- of motorcycles,  
25 so that's why you see a large number in that value range.

1                   And the rate group 9 is those that -- with  
2 a declared value of -- I think it's in the thirty (30) to  
3 forty thousand (\$40,000) range, so there's not many  
4 motorcycles of -- of that value.

5

6   (BRIEF PAUSE)

7

8                   MS. CANDACE EVERARD:    Okay, thank you.  
9 Is the Corporation aware of the Insurance Bureau of  
10 Canada publishing clear or, for the record, Canadian Loss  
11 Experience Automobile Rating for motorcycles?

12                   MR. DON PALMER:    There is no clear  
13 rating, to my knowledge, on motorcycles. The -- the  
14 Insurance Bureau of Canada has issued differentials on  
15 the basis of different body styles, different value  
16 ranges; but a full, clear model, to my knowledge ,has not  
17 been -- been developed over the last number of years.

18                   MS. CANDACE EVERARD:    So is MPI using now  
19 the -- the IBC publication that you just mentioned?

20                   MR. DON PALMER:    We use that as a guide.  
21 I know a few years ago with the -- the body style we --  
22 we tried to use that as a guide to change body style  
23 differentials. Again, I'm going back a number of years -  
24 - years ago, and that was rejected by this Board.

25                   MS. CANDACE EVERARD:    Now, I understand

1 that in the past there have been some discussions between  
2 the Corporation and CMMG with respect to the definition  
3 of "sport bike."

4 Can you give the Board an update as to  
5 that process and those discussions.

6 MR. DON PALMER: We did have discussions  
7 on definition of a sport bike with the CMMG. We compiled  
8 a list. They compiled a list as well. We -- we looked  
9 at the two (2), and I believe in last years rate  
10 application we redefined a number of sport bikes.

11 There were a number of bikes that we  
12 didn't have registered last year that have come on to our  
13 list this year that we have reevaluated, mostly changing  
14 them from the sport bike category to the other motorcycle  
15 category.

16 MS. CANDACE EVERARD: Can you provide a -  
17 - a summary for the Board or an overview of the approach  
18 to sport bikes versus non-sport bike motorcycles for  
19 rating purposes.

20

21 (BRIEF PAUSE)

22

23 MR. DON PALMER: The basis of our study  
24 was horsepower-to-weight ratio. There is also a -- a  
25 difference in configuration of the bike; seating and what

1 not, but the real telling description was -- was the  
2 horsepower-to-weight ratio.

3 MS. CANDACE EVERARD: So what's the  
4 rating differential that the Corporation is using between  
5 the two (2) groups?

6

7 (BRIEF PAUSE)

8

9 MR. DON PALMER: Bear with us for a  
10 second.

11

12 (BRIEF PAUSE)

13

14 MR. DON PALMER: Compared to -- overall  
15 the category, the sport bike is one point six two five  
16 seven (1.6257).

17 MS. CANDACE EVERARD: So, is that a  
18 change over last year?

19 MR. DON PALMER: Yes, it is. The  
20 relativity from last year was one point five three nine  
21 seven (1.5397).

22 MS. CANDACE EVERARD: And does the  
23 Corporation track the experience for the purposes of  
24 testing the differential?

25 MR. DON PALMER: Yes, we do. Those --

1 those -- that change in differential is actually based on  
2 actual experience, yes.

3 MS. CANDACE EVERARD: All right,  
4 excellent. Mr. Palmer, you can take a break now, I  
5 think, because I'm moving on to anti-theft.

6 And this just so everyone knows --

7 MR. DON PALMER: I'm not going anywhere.

8 MS. CANDACE EVERARD: Oh, you're not?  
9 Okay, sorry. Maybe I was trying to do you a favour.

10 This will be -- this is quite a  
11 substantial section from our point of view, but this will  
12 be probably the last one that we'll finish.

13 I think, Mr. Chairman, we're going to sit  
14 till 4:30 today, is that right? Or did you still want to  
15 wrap up at 4:00?

16 THE CHAIRPERSON: We'll go to 4:15, how's  
17 that? Compromise?

18

19 CONTINUED BY MS. CANDACE EVERARD:

20 MS. CANDACE EVERARD: Sure. Okay. So  
21 maybe we'll finish with anti-theft.

22 I'd ask you to turn to SM-8.3, please.  
23 And on the first page of SM-8.3 under the heading "SM-  
24 8.3.1 Auto Theft Statistics", it's reflected that in  
25 2006/2007 there were nine hundred -- or nine thousand two

1 hundred and eight (9,208) vehicles stolen in Manitoba  
2 which was an .7 increase over the previous year of  
3 2005/2006, is that right?

4 MR. WARD KEITH: Yes, that's right.

5 MS. CANDACE EVERARD: And the page over  
6 on page 2, it's reflected that these theft claims cost  
7 the premium payers approximately 33.4 million in physical  
8 damage costs, is that right?

9 MR. WARD KEITH: Yes.

10 MS. CANDACE EVERARD: And in the next  
11 paragraph, it's reflected that about 83 percent of these  
12 claims, or basically the vast majority of the claims,  
13 occurred in Winnipeg.

14 MR. WARD KEITH: Yes.

15 MS. CANDACE EVERARD: Okay and continuing  
16 on in SM-8.3, on page 2 is the first of a number of  
17 initiatives that are reflected in 8.3 with respect to --  
18 to theft. The first being Youth at Risk, the second  
19 being Awareness and the third being Offenders.

20 What I'd ask to -- to have done is just to  
21 have each of the initiatives within those sections  
22 reviewed just at a very high level. And then we'll talk  
23 about the WATSS Program.

24 MR. WARD KEITH: Certainly. Under Youth  
25 at Risk, the Corporation's objectives here primarily are



1 to a -- a program called "Shift to Live" which is --  
2 which is sort of the next evolution of Shifting Gears,  
3 but the same sort of strategies and the same sort of  
4 objectives out of that program exist.

5 Choices is a youth program, again, that --  
6 where the Corporation is involved in targeting students  
7 in high risk areas again who are considered to be at risk  
8 to offend.

9 And, really, this is about talking to  
10 students and youths pro-actively about the various  
11 consequences associated with becoming involved in auto  
12 theft before they -- they may choose to become involved  
13 in auto theft.

14 As well, there is the Victim Impact Panels  
15 which is a panel of a number of different community  
16 stakeholders, including reformed offenders and law  
17 enforcement.

18 And these folks are partnered and do  
19 presentations to various schools in -- in terms of  
20 providing information to at youth risk (sic).

21 And finally a number of various public  
22 presentations, again, through the school system, Winnipeg  
23 One Division primarily, and other community organizations  
24 where we are asked and our partners are asked to come and  
25 do presentations to at-youth risk through community

1 centres and that sort of thing.

2                   So -- so again there, that is -- that is  
3 primarily awareness, and -- and trying to -- trying to  
4 communicate with -- with youth before they become  
5 involved in auto theft about the consequences associated  
6 with that.

7                   Awareness is the second initiative and  
8 Awareness is about raising a general awareness about auto  
9 theft and encouraging Manitobans to participate and  
10 become active participants in solving the auto theft  
11 problem.

12                   So again, this is primarily, almost  
13 exclusively, awareness activities where we participate in  
14 auto theft awareness week, which is one (1) week normally  
15 dedicated each summer to a number of different activities  
16 and public presentations; not just with MPI, but with  
17 other safety stakeholders, in terms of raising awareness  
18 about -- about the auto theft problem.

19                   We also conduct the Vehicle Audit Program  
20 where we -- we have a number of different stakeholders  
21 that we partner with to go and do audits of vehicles in  
22 parking lots. And -- and they fill out a -- a short  
23 report that's left for the vehicle owner that basically  
24 identifies, really, how successful that owner has been in  
25 protecting their vehicles against theft, and some of the

1 other things that maybe they haven't done so well in  
2 terms of avoiding their vehicle becoming a target.

3 In 2006 and '07, we did about forty-eight  
4 thousand (48,000) of those vehicle audits, and this year  
5 in 2007, we're on track too, have done about sixty  
6 thousand (60,000). And we're just in the process of  
7 analysing the results of those audits as well.

8 But the audits are very interesting and  
9 they show some very interesting facts, including the fact  
10 that a number -- a large percentage -- a meaningful  
11 percentage of vehicle owners leave personal valuables in  
12 personal view, leave money in personal view, leave  
13 windows and doors unlocked.

14 Thirty percent of the vehicles that had a  
15 steering wheel club, a steering wheel lock, 30 percent of  
16 those had the steering wheel (sic) tucked away in the  
17 back seat or on the floor or rather than in place on the  
18 -- on the vehicle steering wheel; that sort of thing.

19 Additionally, in 2007, we moved the focus  
20 away slightly -- under the audit program -- away from  
21 strictly auto theft and tried to make it more generally  
22 applicable to other forms of auto crime, vandalism and --  
23 and other types of auto crime that can result from --  
24 from these vehicles becoming targets.

25 We are also involved in a number of

1 advertising campaigns, external presentations, and mall  
2 and community displays. And, really, all of these  
3 initiatives are about raising awareness in general, about  
4 the auto-theft issue in Manitoba and, more specifically,  
5 trying to target awareness of vehicle owners in terms of  
6 the role that each of them can play in -- in protecting  
7 their vehicles and preventing them from becoming the  
8 subject of -- of a total theft.

9           We, in this regard, have partnered in the  
10 past year with Red River College, Kildonan Place; a  
11 number of different community groups and community  
12 centres that have requested that we come out and speak to  
13 community members about auto theft and what they can do  
14 to protect their vehicles.

15           This primarily relates to information  
16 about the Immobilizer Program. And, as well, Garden City  
17 Shopping Centre and, again, presentations in various  
18 schools and that sort of thing.

19           And the third initiative deals with  
20 offenders. So this is, again, within the overall  
21 objective of finding effective ways of dealing with  
22 offenders. So -- so these are primarily youth who have -  
23 - who have actually committed auto crime and auto theft  
24 and, really, to prevent repeat offences. And there are  
25 three (3) initiatives under this category and then, of

1 course, the WATSS Strategy.

2 We continue to fund a specialized auto  
3 theft prosecution team which includes 50 percent of the  
4 cost for a senior Crown prosecutor and 100 percent of the  
5 cost for -- I'm sorry, I had that reversed -- 100 percent  
6 of the costs of a senior prosecutor, and 50 percent of  
7 the cost of two (2) junior Crown prosecutors.

8 Really, the intent here is to ensure that  
9 there is enough -- there is sufficient attention given to  
10 -- to prosecuting auto -- auto crimes -- auto-theft  
11 crimes -- within the system. And, as well, the senior  
12 prosecutor plays a key role in terms of ensuring that the  
13 prosecutors are presenting consistent sentencing  
14 recommendations to -- to the court.

15 We also continue to support the Winnipeg  
16 Police Service, and specifically I'm referring here to  
17 the Stolen Auto Unit within the police service, which we  
18 have funded a portion of that -- of that activity for a  
19 number of years and continue to do so.

20 And what this has really done is  
21 established a dedicated unit within the Winnipeg Police  
22 Service that is fos -- focussed exclusively on dealing  
23 with the issue of auto theft. This is a -- a unit that  
24 is -- has become extremely productive and -- and  
25 extremely effective in terms of auto theft arrests and

1 auto theft charges, and continues to do -- continues to  
2 do very good work.

3 And, finally, we provide support to a  
4 Forensic Fingerprint Unit, and this Unit operates out of  
5 our physical damage centre. And this Unit is used for  
6 doing fingerprint checks on vehicles that are towed to  
7 the compound and have been the subject of auto crime.

8 So, not just auto theft, but also  
9 attempted theft, vandalism; whatever types of auto crime  
10 that -- that are presented and that cause the damage to  
11 the vehicle. And they dust the vehicle for fingerprints,  
12 and -- and where they can lift prints, they then forward  
13 them to the Police Service, and they check their records  
14 in order to identify who -- who the offenders are.

15 And if they do -- if they do find a match  
16 then they then do what's called a "reverse check", and  
17 they go back to past -- past offences and try and link --  
18 try and link previous offences to those same offenders.

19 MS. CANDACE EVERARD: Great, thank you.  
20 Moving to the Winnipeg Auto Theft Suppression Strategy or  
21 WATSS, as we call it, which is referenced at SM-8.3.5.

22 I do have a few questions about this  
23 initiative, and perhaps you can begin by just explaining  
24 very briefly what the features of this program are?

25 MR. KEITH WARD: Yes, the -- the WATSS

1 Strategy -- the Winnipeg Auto Theft Suppression Strategy  
2 -- was developed and implemented in 2005. And this is a  
3 partnership between MPI, between the Corporation, between  
4 Manitoba Justice Corrections and the Winnipeg Police  
5 Service.

6                   And really what this program is about is  
7 targeting those youth you have been involved in auto  
8 theft and who considered a high risk to re-offend. So,  
9 not just repeat offenders, but those who have proven to  
10 be -- to be at a very high risk to re-offend on -- on a  
11 significant basis.

12                   And what the program does is through --  
13 through increasing the number of corrections officers  
14 through probation, it combines intensive curfew checks  
15 and compliance monitoring to the extent that it -- under  
16 this program, it maintains a zero tolerance for youth who  
17 have been released back into the community following an  
18 offence or while on -- while on conditional release or on  
19 bail pending their -- their appearance to make sure that  
20 they're abiding -- strictly abiding -- by the terms of  
21 their -- by the terms of their conditional release or  
22 their bail.

23                   And what this involves is personal contact  
24 with each of these offenders at least once a day. Other  
25 -- other types of contact, normally by telephone, at

1 least three (3) times a day. And -- and so a -- a  
2 regular -- regular, frequent, and -- and consistent  
3 interaction with -- at any time, potentially, one hundred  
4 (100) nor -- or one hun -- sorry, one hundred and fifty  
5 (150) or one hundred and sixty (160) high-level offenders  
6 to make sure they are where they supposed to be and --  
7 and, in fact, they're not out stealing more vehicles.

8 MS. CANDACE EVERARD: Thank you. Now I  
9 understand from the material that the initial expectation  
10 with respect to the WATSS program was that is was a two  
11 (2) year commitment, but that -- that has now been  
12 extended for a third year?

13 MR. KEITH WARD: Yes, that's right.

14 MS. CANDACE EVERARD: And the cost for  
15 the first two (2) years was about nine hundred thousand  
16 dollars (\$900,000). Is that to be the same for the third  
17 year as well?

18 MR. KEITH WARD: That was the cost for  
19 the first two (2) years, and it will be the cost for the  
20 third year.

21 MS. CANDACE EVERARD: And as the material  
22 in SM-8.3.5 reflect, the cost goes towards the addition  
23 of fourteen (14) positions within Manitoba Justice, is  
24 that right?

25 MR. KEITH WARD: Yes.

1 MS. CANDACE EVERARD: And based on what  
2 you've described, I take it that the positions would be  
3 for probation officers, or would there have been other  
4 positions included in that fourteen (14), as well?

5 MR. KEITH WARD: No, it is for the  
6 probation officer who are responsible for doing the --  
7 the compliance monitoring.

8 MS. CANDACE EVERARD: And are these  
9 individuals employed by the Corporation, or are they  
10 Manitoba Justice employees whose salary is effectively  
11 paid by MPI?

12 MR. WARD KEITH: The lat -- the latter.

13 MS. CANDACE EVERARD: And are they  
14 permanent employees or term employees of Justice -- do  
15 you know?

16 MR. WARD KEITH: I -- I don't know that  
17 for certain.

18

19 (BRIEF PAUSE)

20

21 MS. CANDACE EVERARD: In terms of the --  
22 the decision to extend the program, the materials reflect  
23 that -- this in the last paragraph under 8.3.5 -- that  
24 WATSS has resulted in a savings to Manitoba Public  
25 Insurance of approximately six dollars (\$6) for every one

1 dollar (\$1) invested.

2                   Was there a -- a detailed analysis  
3 undertaken to come up with those numbers, or how was that  
4 arrived at?

5                   MR. DON PALMER:    A comparison like that  
6 is -- it was -- it was come up sort of after the fact.  
7 We -- we had some forecasts with regard to the decreases  
8 that we would of expected from a program like this, from  
9 the experience in Regina.

10                   We knew what the -- the costs of this  
11 program were and we divided the two (2).  So, that's an  
12 expectation.  To actually test that with other programs,  
13 you never know what the experience would have been if --  
14 if not for that program.  That's about the -- the amount  
15 based on our trend -- with our previous trend -- without  
16 the WATSS program in place.

17                   MS. CANDACE EVERARD:   And -- and I  
18 appreciate that.  It's a bit difficult to -- to quantify  
19 precisely.  On page 11 of -- of SM-8 under the Section  
20 8.3.12 which is entitled "Effectiveness of the Auto Theft  
21 Suppression Strategies", the Corporation has stated that  
22 the actual results -- this is in the last paragraph of  
23 that section just before the -- the next heading --  
24 states that the actual results show aggregate savings  
25 over the two (2) years totalling 15.1 million.

1                   So would that be just an extrapolation on  
2 the six dollars (\$6) saved for every dollar spent?

3                   MR. DON PALMER:   That's correct, and --  
4 and the basis -- the previous trends.

5                   MS. CANDACE EVERARD:   Now, in response to  
6 one (1) of the questions posed by the Board in the first  
7 round -- it's number 49.  I don't know if you necessarily  
8 need to look at it.  Feel free too if you want to.

9                   It's not in the book of documents, but MPI  
10 indicated that it would be undertaking an analysis at the  
11 end of the current year to determine whether it would go  
12 forward with WATSS into the future beyond the -- the  
13 third (3rd) year.

14                   Can you just elaborate on what kind of an  
15 analysis that would be -- that the Corporation would be  
16 undertaking.

17                   MS. MARILYN MCLAREN:   It'll really be an  
18 analysis of the full auto theft situation at that time.  
19 By the time we complete our third year in the WATSS  
20 program, we will have just about completed our first year  
21 with the Mandatory Immobilizer Program as well.  So there  
22 will be a continuing shift.

23                   You know, we know auto theft is down.  We  
24 know both WATSS and the Immobilizer Programs are working.  
25 At what extent to -- where is the point in time where you

1 really don't need to provide extra funding for a WATSS  
2 program because the immobilizers are now delivering the  
3 benefits. That -- we'll have to find a way to figure  
4 that out.

5 MS. CANDACE EVERARD: That was going to  
6 be one of my next questions -- is what would the tipping  
7 point be in -- on the immobilizations -- immobilization  
8 side that would -- would satisfy the -- the need that  
9 WATSS is fulfilling.

10 MS. MARILYN MCLAREN: Well, I think a  
11 couple of things. You know, clearly we've talked here  
12 for the last couple years that -- about the fact that we  
13 need high, high penetration of immobilizers in these  
14 targeted vehicles. Very high penetration. We're sitting  
15 right now at just about 50 percent of all the most at-  
16 risk vehicles in Winnipeg are already immobilized, which  
17 is great. But that still gives the kids a one (1) out of  
18 two (2) chance of finding one that isn't.

19 So the other thing that we have to  
20 consider is whether or not there's any significant  
21 migration of target vehicles. Are they now targeting  
22 other vehicles now that we've immobilized their choice --  
23 their -- their chosen vehicles right now?

24 So we need to consider the migration, the  
25 extent to which there is a migration, and the extent to

1 which we really have full penetration of immobilizers  
2 within the targeted groups.

3 MS. CANDACE EVERARD: Now, I take it from  
4 the material on the record that the Corporation's  
5 commitment to WATSS is in the nine hundred thousand  
6 (900,000) and that there are no other resources or no  
7 other commitments to it.

8 Is that fair to say or is there another  
9 component to the Corporation's involvement in WATSS than  
10 the money?

11 MS. MARILYN MCLAREN: No, that's our full  
12 commitment to WATSS. You know, I think year 1 -- I think  
13 there was a little bit of money set aside to help put  
14 some monitoring measuring systems in place, things like  
15 that, but it's -- it's largely the fourteen (14) staff  
16 that we can -- the vast, vast majority is the fourteen  
17 (14) staff.

18 We continue to participate on the  
19 provincial Auto Theft Task Force and provide, you know,  
20 participation on these oversight groups and -- and  
21 continue to be part of community efforts but in terms of  
22 specific resources to WATSS it is limited to the money  
23 for the fourteen (14) positions.

24 MS. CANDACE EVERARD: Now, I recall last  
25 year discussions on the record about some operational

1 problems within WATSS, and there's reference in the  
2 materials this year that those have largely been  
3 overcome.

4                   Can you just confirm for the Board what  
5 the issues were that they have now been overcome and  
6 whether there was any specific cost to the Corporation to  
7 overcome the issues?

8                   MS. MARILYN MCLAREN:   First there was no  
9 cost to the Corporation, no. And I don't think the  
10 conversation a year ago was as much around problems  
11 within the WATSS as it was in some of the issues that the  
12 Stolen Auto Unit in the Winnipeg Police Service had  
13 earlier in '06. By the time we were here those problems  
14 had significantly been addressed by that point.

15                   What we talked about is that early in '06  
16 there was almost a wholesale turnover of the resources in  
17 that department, and that made it very difficult for the  
18 staff in the Stolen Auto Unit to -- to do the work that  
19 they had to do.

20                   By the time we were here talking about it  
21 that the group had been together for several months.  
22 There had been a commitment from more senior levels  
23 within the WPS that they did not expect that kind of  
24 turnover and they have -- certainly that has proven to be  
25 true. There was virtually no turnover.

1                   So rather than saying the issues have  
2 largely been addressed, I -- I think they have been fully  
3 addressed and then some.

4                   The Stolen Auto Unit is, I'm told, one of  
5 the attractive places to be assigned within the WPS.  
6 They've had no turnover this year at all. They -- they  
7 have added a second shift to that unit so there is almost  
8 twice as many people on the ground, on the street,  
9 dealing with auto theft for the WPS than there was a year  
10 ago.

11                   And they've had some -- some exceptional  
12 results. I think some of those results were reported  
13 over the last couple of days with respect to the numbers  
14 of arrests and charges, compared to some of the other  
15 locations who've chosen other strategies.

16                   MS. CANDACE EVERARD:    The -- just -- just  
17 with respect to that on the number of arrests, page 11 of  
18 SM-8.3 sets out that in the last -- in the last ten (10)  
19 months of the reporting period -- and I'm not sure from  
20 when until when that would encompass -- but there were  
21 nine hundred and sixty-four (964) arrests with thirty-  
22 four hundred (3,400) charges laid.

23                   So maybe for the record can you just  
24 confirm what ten (10) month period that -- that would be  
25 referring to?

1 MS. MARILYN MCLAREN: Not right minute  
2 but we will, yes.

3  
4 --- UNDERTAKING NO. 8: MPI to confirm for Board what  
5 the ten (10) month period SM-  
6 8.3 is referring to when it  
7 states that nine hundred and  
8 sixty-four (964) arrests were  
9 made with thirty-four  
10 hundred (3,400) charges laid

11 CONTINUED BY MS. CANDACE EVERARD:

12 MS. CANDACE EVERARD: Okay. That would  
13 be the line of questioning in WATSS and I think we can,  
14 in the next fifteen (15) minutes, cover some of the  
15 Immobilizer Program questioning.

16 And what I'd like to do initially is go  
17 through some of the -- the history of the Immobilizer  
18 Program because it seems to have evolved, as it were,  
19 over the last number of years.

20 So in SM-8.3.6, which is on page 6 of SM-  
21 8.3, there's reference to -- or this section which  
22 carries over onto page 7 is -- is with reference to the  
23 initial financial incentive that was offered by the  
24 Corporation.

25 And I'll just maybe read it in or the way

1 that I've -- I've summarized it, is at that point in time  
2 the Corporation offered to a vehicle owner who installed  
3 an after-market immobilizer that the Corporation would  
4 cover half of the cost, which was a hundred and forty  
5 dollars (\$140) out of a hundred and eighty (180), for the  
6 purchase and installation of an immobilizer.

7 This proposal was open to all Manitoba  
8 vehicle owners, that MPI would finance the customer's  
9 share of the hundred and forty (140) -- of the two  
10 hundred and eighty (280), with interest free financing  
11 over five (5) years. And then once the installation was  
12 complete, the owner would qualify for an insurance  
13 discount annually of forty dollars (\$40).

14 Does that about sum up the 2005 offer?

15 MR. WARD KEITH: Yes.

16 MS. CANDACE EVERARD: And as the  
17 materials reflect here on page 7 despite extensive  
18 marketing of that offer on the part of the Corporation,  
19 only 23 percent of vehicles that were considered most-at-  
20 risk at that point actually took up the offer -- or took  
21 up the plan?

22 MR. WARD KEITH: Yes. There were a total  
23 of about ten thousand (10,000) vehicles that participated  
24 in -- in the program at that point, but only 23 percent  
25 of those were the ones that -- that were the primary

1 target; the most- at-risk vehicles.

2 MS. CANDACE EVERARD: Okay. And moving  
3 to the next section, SM-8.3.7. In April of 2006, the  
4 Corporation took the next step of formalizing a list of  
5 vehicles that were statistically at greater risk of being  
6 stolen, which we call the MAR list or the Most at Risk  
7 list.

8 And as is set out in the materials, these  
9 vehicles on the list were about 10 percent of the  
10 vehicles in the Province but accounted for about 62  
11 percent of the total theft claims. Is that --

12 MR. WARD KEITH: Yes, that's right.

13 MS. CANDACE EVERARD: So initially, in  
14 April of 2006, MPI offered to fund the full cost of the  
15 purchase and installation of the immobilizers for the  
16 vehicles on the list. And initially that was for  
17 territories 1 and 5 only, expanded to all territories in  
18 June of the same year.

19 Is that right?

20 MR. WARD KEITH: That's right.

21 MS. CANDACE EVERARD: Plus, in addition  
22 to the financing of the full cost of the immobilizer of  
23 two hundred and eighty dollars (\$280) owners could  
24 finance any additional cost, such as the cost of extra  
25 key fobs or installation together with a remote starter,

1 interest free for five (5) years.

2 Is that right?

3 MR. WARD KEITH: Yes.

4 MS. CANDACE EVERARD: And just for the  
5 purposes of the record, when we're talking about extra  
6 key fobs, we're talking about the little -- what are we  
7 talking about?

8 MR. WARD KEITH: We're -- we're talking  
9 about the little -- no, we're talking about the -- the  
10 device on the key chain that -- that is used to -- to  
11 send the signal to the immobilizer device.

12 MS. CANDACE EVERARD: So the --

13 MR. OTTMAR KRAMER: For illustrative  
14 purposes.

15 MS. CANDACE EVERARD: Thank you. So that  
16 -- that's what the extra key fobs would be. Now the --  
17 the aspect of it that relates to the -- the remote  
18 starter, my understanding is that a remote starter is the  
19 little button that you press to make your car start when  
20 you're not sitting in it.

21 So is it the case -- but -- but that is  
22 not necessarily part of the immobilization process,  
23 correct?

24 MR. WARD KEITH: Correct. But to install  
25 an immobilizer in conjunction with a remote starter is a

1 more complicated installation process, and so there are -  
2 - there were additional costs associated with that.

3 MS. CANDACE EVERARD: And was that the  
4 case if the vehicle had an existing remote starter, or  
5 was it just if the two (2) were being installed together  
6 that that was the case?

7 MR. WARD KEITH: Both.

8 MS. CANDACE EVERARD: So as a result of  
9 that, the Corporation would finance -- well, would the  
10 Corporation be financing the purchase of the remote  
11 starter or just the installation of the remote starter?

12 MR. WARD KEITH: The Corporation didn't  
13 finance the installation of the remote starter. If there  
14 was an immobilizer to be installed along with a remote  
15 starter then they would be prepared to finance the added  
16 cost to properly install the immobilizer so that it  
17 worked in conjunction with the remote starter. And that  
18 added installation cost was about eighty dollars (\$80).

19 MS. CANDACE EVERARD: So in other words  
20 the -- the cost for the supply and install of the remote  
21 starter itself is on the dime of the vehicle owner?

22 MR. WARD KEITH: Yes. This program had  
23 nothing to do with installation or purchase of remote  
24 starters. Only installation of immobilizers so that they  
25 work in conjunction with remote starters, if there was a

1 remote starter in the vehicle.

2 MS. CANDACE EVERARD: Okay. So coming  
3 back to our point in time of 2006, when the offer has  
4 been sweetened, so to speak, at that point in time owners  
5 would also still receive the forty dollar (\$40) discount  
6 to their insurance premium once the immobilization  
7 process was complete?

8 MR. WARD KEITH: Yes.

9 MS. CANDACE EVERARD: Okay. Now, we know  
10 that in August of 2006, the cost to purchase and install  
11 an immobilizer was increased from two hundred and eighty  
12 (\$280) to three hundred dollars (\$300), is that right?

13 MR. WARD KEITH: That's correct.

14 MS. CANDACE EVERARD: And this is  
15 referenced in an IR that the Board asked in the first  
16 round, it's number 47. Here, I am just going to want to  
17 take you to one of the tables there.

18 And -- and just, as well, for the purposes  
19 of the record, the -- the price increase as is reflected  
20 in answer 'B' in this IR, while it ultimately took effect  
21 on August the 1st, the payments were made retroactively  
22 as of March the 1st of 2007.

23 Is that correct?

24 MR. WARD KEITH: I'm sorry, I -- I'm not  
25 sure. Could you repeat what you just said?

1 MS. CANDACE EVERARD: Sure. I -- when I  
2 initially asked the question about the increase in price  
3 from two hundred and eighty (\$280) to three hundred  
4 dollars (\$300), I had tied it to the date of August the  
5 1st of 2006.

6 And I'm just making the clarification as  
7 per answer 'B', that although that is the effective date  
8 ultimately that was put into place on March the 1st of  
9 2007 and then there was a retroactive set of payments  
10 back to August the 1st of 2006.

11 MR. WARD KEITH: Yes, that's right.

12 MS. CANDACE EVERARD: Now, in table 'C'  
13 attached to this IR, which is on the other side of the  
14 page, it's set out that the cost implications of the  
15 increase from two hundred and eighty (\$280) to three  
16 hundred dollars (\$300) is about 1.3 million for 2006/2007  
17 and -- 2007/2008.

18 Is that right?

19 MR. WARD KEITH: Yes.

20 MS. CANDACE EVERARD: Has the Corporation  
21 undertaken a cost estimate of the impact of that price  
22 increase over the life of the program?

23 MR. WARD KEITH: Yes, that additional  
24 cost was included in our projections.

25 MS. CANDACE EVERARD: Okay. So going

1 back to the timeline and where we left off in -- in June  
2 of 2006, when MPI expanded the -- the offer of the free  
3 immobilizer to the province -- and this is set out in,  
4 again SM-8.3 -- as of September 1st of 2006, the  
5 Provincial Government introduced a regulation called "The  
6 -- The Approved Anti-Theft Immobilizer Regulation  
7 167/2006," which required that any MAR vehicle last  
8 registered in another jurisdiction must have an  
9 immobilizer installed before that vehicle could be  
10 registered in Manitoba.

11 Is that right?

12 MR. WARD KEITH: Yes, that's right.

13 MS. CANDACE EVERARD: And as is reflected  
14 on page 9 of SM-8.3, that regulation was amended to  
15 include a provision that any time a MAR vehicle was  
16 stolen and recovered, it had to be immobilized before it  
17 could be put back on the road.

18 Is that right?

19 MR. WARD KEITH: Not quite. The two (2)  
20 -- the two (2) provisions were introduced at the same  
21 time. So when the regula -- this is a regulation of the  
22 Highway Traffic Act, and when it -- when it came  
23 effective on September 1st of 2006, it addressed both of  
24 those situations. They're outlined here separately for  
25 discussion purposes, but they occurred at the same time.

1 MS. CANDACE EVERARD: Thank you for  
2 clarifying that. I think in the word where it says "now  
3 requires that's stolen" I think maybe that threw me off  
4 in terms of the timing, but I appreciate you confirming  
5 that.

6 And I -- I recall that yesterday at some  
7 point Ms. McLaren testified that this provision applies  
8 not only to total thefts but to attempted thefts, as  
9 well.

10 And was that the case from the beginning  
11 or was -- was that a change?

12 MR. WARD KEITH: That was an amendment  
13 that was made as of September 1st of this year, 2007. So  
14 when the initial regulation was implemented, it affected  
15 most-at-risk vehicles coming into the province being  
16 registered in Manitoba for the first time, and existing  
17 most-at-risk vehicles in the province that are the  
18 subject of a total theft.

19 MS. CANDACE EVERARD: Thank you. Now, I  
20 appreciate that, as is set out in the material, the  
21 implementation of this regulation by government was  
22 necessary because of the refusal of some of the MAR  
23 vehicle owners to immobilize the vehicles themselves.

24 Now, as I can see on page 9 of 8 -- SM-8.3  
25 in 2005/2006, the Corporation was doing some tracking

1 with respect to vehicles that had been stolen more than  
2 once.

3                   And my question is whether or not the  
4 Corporation has any statistics beyond that point in time,  
5 with respect to multiple thefts of -- probably at this  
6 point it would be non-MAR vehicles, because any MAR  
7 vehicles, from what I understand at this point that are  
8 stolen, have to be immobilized, so...

9                   THE CHAIRPERSON:    There was a story in  
10 the Winnipeg Free Press a couple of weeks indicated that  
11 his car had been stolen eight (8) times in a period of a  
12 year.

13                   MR. KEITH WARD:    Ergo the regulation  
14 change.

15                   MR. DON PALMER:    We haven't specifically  
16 done that. We could undertake to do so, but it may take  
17 longer than the duration of this Hearing.

18                   MS. MARILYN MCLAREN:   We -- we don't  
19 expect it to be the same kind of problem because the vehi  
20 -- the thefts that take place on the non-most-at-risk  
21 vehicles are really random. You know, like, we're down  
22 now to 5 percent of the vehicles attributing 50 percent  
23 of the thefts.

24                   So if you look at 95 percent of the  
25 vehicles, now accounting for the other 50 percent of the

1 thefts, they're -- they're so disbursed. Just -- it  
2 wouldn't be the same issue that we were dealing with a  
3 year ago.

4                   Somewhat along the same lines though, is  
5 that's exactly the same kind of research we did when we  
6 were studying the attempted thefts. And I don't have the  
7 information right off the top of my head now, but if a  
8 vehicle is the subject of an attempt-theft, the  
9 likelihood that they -- that that same vehicle would be  
10 stolen within one (1) years, two (2) years, three (3)  
11 years is staggering. By the time you get two (2) and  
12 three (3) years out it's almost a guarantee that that  
13 attempted theft vehicle will, in fact, be stolen.

14                   So it's the same kind of analysis that we  
15 did that lead to the government making the decision to  
16 included the attempt-theft vehicles.

17                   MR. KEITH WARD: Just to provide some  
18 additional context to that, with respect to the attempt-  
19 theft analysis. The -- the analysis was done based on  
20 2004 statistics and what it revealed is that if a -- if a  
21 MAR vehicle is the subject of the attempt-theft, there's  
22 a one (1) in thirteen (13) chance that it will be stolen  
23 within another year and that -- that odds of theft went  
24 to one (1) in six (6) within two (2) years.

25

1 CONTINUED BY MS. CANDACE EVERARD:

2 MS. CANDACE EVERARD: Thank you. So  
3 having dealt with all of the -- the 2006 changes,  
4 including the initial introduction of the regulation, as  
5 is set out in -- in SM-8.3.10 in March of this year,  
6 2007, the Corporation introduced an updated list of  
7 vehicles, the new MAR list, I guess, that's -- that  
8 includes any vehicle with odds of theft up to one (1) in  
9 a hundred (100).

10 Is that right?

11 MR. KEITH WARD: That's right.

12 MS. CANDACE EVERARD: And the effect of  
13 the new list has been that the pool of vehicles that now  
14 qualify for a free immobilizer has increased from about a  
15 hundred and two thousand (102,000) to about a hundred and  
16 seventy-two thousand (172,000). And that's at the top of  
17 page 10 or SM-8.3?

18 MR. KEITH WARD: Yes, exactly. The --  
19 the only difference there being that the changes that  
20 were made to the most-at-risk list in March of 2007,  
21 there was not a corresponding made -- change made to the  
22 regula -- regulated list in the immobilizer regulations.  
23 So that's what -- that's where we coined the term  
24 voluntary MAR vehicle.

25 Because while these vehicles weren't

1 subject to the regulatory requirements under the  
2 immobilizer regulation, the vehicle owners nevertheless  
3 were entitled to the full -- to -- to the full cost of  
4 the device, plus a standard installation.

5 MS. CANDACE EVERARD: And now that the  
6 government further amended the regulation, as of  
7 September 1st, to indicate that all MAR vehicles have to  
8 be immobilized before they can be re-registered, does  
9 that wipeout the voluntary -- no, it doesn't. I didn't  
10 think so.

11 MR. KEITH WARD: No, not quite. With --  
12 with the -- yeah -- it the -- with the September 1st  
13 change that was -- was just introduced, that -- that  
14 requires mandatory installation of most-at-risk vehicles  
15 registered in Winnipeg and -- or operated in Winnipeg, so  
16 not the entire province.

17 And -- and the -- the regulated most-at-  
18 risk list was expanded to include approximately an  
19 additional seventeen (17,000) or eighteen thousand  
20 (18,000) vehicles with odds of theft of -- of one (1) in  
21 sixty (60) or greater. But -- but -- but there are still  
22 vehicles within the voluntary MAR list that -- that  
23 aren't covered by the regulation. But nevertheless  
24 vehicle owners qualify for the -- for the full incentive.

25 MS. CANDACE EVERARD: And in terms of the

1 -- the new list, including vehicles with a risk of theft  
2 of up to one (1) in a hundred (100) what was -- why was  
3 the -- the level of odds set at that particular point and  
4 -- and I think there's a -- an IR in the book of  
5 documents that speaks to this at Tab 30.

6

7 (BRIEF PAUSE)

8

9 MS. CANDACE EVERARD: And just to be a  
10 little bit more specific, I'm looking at paragraph...

11

12

13 (BRIEF PAUSE)

14

15 MS. CANDACE EVERARD: It -- it may be  
16 that I haven't given you the -- the correct reference,  
17 but the -- the point is, I -- I know that it's reflected  
18 somewhere, that that particular level of -- of theft risk  
19 was set based on the Corporation's maximum annual  
20 installation capacity.

21 Is that right?

22 MR. DON PALMER: Maybe I can help --  
23 maybe I can help you with that, Ms. Everard. On page 2  
24 of Information Request 2-31, which is Tab 30 of your book  
25 of documents point three (.3) on page 2, Mandatory or

1 Voluntary, the very last sentence:

2 "The cutoff of -- for the man --  
3 mandatory list was selected based on  
4 the Corporation maximum annual  
5 installation capacity."

6 MS. CANDACE EVERARD: Thank you, that was  
7 where I was going and then my eyes lied to me.

8 I just have a few more questions on this  
9 and then we can -- sorry, Mr. Chairman, I'm going a  
10 little bit over. With respect to the --

11 THE CHAIRPERSON: Actually, we have a  
12 couple too --

13 MS. CANDACE EVERARD: Oh, okay.

14 THE CHAIRPERSON: -- past yours, but we  
15 can do ours tomorrow. Carry on.

16 MS. CANDACE EVERARD: Do I -- I can stop  
17 now if you'd like to do yours.

18 THE CHAIRPERSON: Okay. Well, we'll  
19 adjourn now because we've got a few ourselves, and it's a  
20 very interesting topic, obviously.

21 Okay, we'll stand adjourned. We'll see  
22 you all tomorrow. Hope you have a good night.

23

24 (PANEL RETIRES)

25

1 --- Upon adjourning at 4:18 p.m.

2

3

4 Certified Correct,

5

6

7

8

---

9 Rolanda Lokey, Ms.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25