

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA PUBLIC INSURANCE COMPANY (MPI)  
GENERAL RATE APPLICATION  
FOR 2011/12 INSURANCE YEAR

Before Board Panel:

- Graham Lane - Board Chairman
- Len Evans - Board Member

HELD AT:

Public Utilities Board  
400, 330 Portage Avenue  
Winnipeg, Manitoba  
October 7, 2010  
Pages 624 to 812

APPEARANCES

1  
2 Candace Everard ) Board Counsel  
3 Nicole Hamilton )  
4  
5 Kathy Kalinowsky ) MPI  
6  
7 Raymond Oakes ) CMMG  
8  
9 Byron Williams ) CAC/MSOS  
10  
11 Nick Roberts (np) ) MUCDA  
12  
13 Liz Peters ) CAA Manitoba  
14 Jerry Kruk )  
15  
16 Robert Dawson ) CBA/MBA  
17  
18  
19  
20  
21  
22  
23  
24  
25

1	TABLE OF CONTENTS	
2		Page No.
3	List of Exhibits	627
4	List of Undertakings	628
5		
6	MPI PANEL:	
7	MARILYN MCLAREN, Resumed	
8	DON PALMER, Resumed	
9	OTTMAR KRAMER, Resumed	
10	Continued Cross-examination by Ms. Candace Everard	629
11		
12		
13		
14	Certificate of Transcript	812
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1	LIST OF EXHIBITS		
2	EXHIBIT NO.	DESCRIPTION	PAGE NO.
3	PUB/MPI-12	July 31, 2010, runoff estimate of	
4		38 million	756
5	PUB/MPI-11-7	Response to Pre-ask 3-7	788
6	PUB/MPI-11-8	Response to Pre-ask 3-8	788
7	PUB/MPI-11-10	Response to Pre-ask 3-10	788
8	PUB/MPI-11-12	Response to Pre-ask 3-12	788
9			
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1	UNDERTAKINGS		
2	NO.	DESCRIPTION	PAGE NO.
3	6	MPI to provide a breakdown of the	
4		45.4 million between building and land	633
5	7	MPI to provide details of what the	
6		Corporation has put on the public record	
7		regarding its actions to leverage the	
8		opportunities created by the merger,	
9		including details on the public record	
10		about the extent to which the Corporation	
11		has chosen to invest funds for the benefit	
12		of Manitoba drivers and vehicle owners	
13		who register vehicles and hold driver	
14		licences	655
15	8	MPI to provide the discounted Basic total	
16		net PIPP runoff during the first quarter	
17		of fiscal year 2010/'11, including the	
18		effect of a change in the discount rate	
19		of interest	747
20	9	MPI to provide the discounted runoff, to	
21		cover the first half of the current year,	
22		or the first five (5) months	751
23			
24			
25			

1 --- Upon commencing at 9:57 a.m.

2

3 THE CHAIRPERSON: Okay. Good morning  
4 everyone. Ms. Everard, you can continue with your cross-  
5 examination of the MPI panel, at your discretion.

6 MS. CANDACE EVERARD: Thank you, Mr.  
7 Chairman.

8

9 MPI PANEL:

10 DON PALMER, Resumed

11 MARILYN MCLAREN, Resumed

12 OTTMAR KRAMER, Resumed

13

14 CONTINUED CROSS-EXAMINATION BY MS. CANDACE EVERARD:

15 MS. CANDACE EVERARD: We were speaking  
16 yesterday about IFRS and we'll pick up with that  
17 discussion. So I'll ask the -- Mr. Kramer, I guess, to  
18 turn to AI.20.

19

20 (BRIEF PAUSE)

21

22 MS. CANDACE EVERARD: Okay. Yesterday  
23 just before we broke we were looking at page 7, which is  
24 the policy for depreciation of property and equipment.

25 MR. OTTMAR KRAMER: Yes, I'm there.

1 MS. CANDACE EVERARD: I just had a -- a  
2 follow-up question. We were talking about the  
3 determination for residual values that would be required  
4 at the end of each year.

5 And would it be fair to say that depending  
6 on the result of that analysis, once it's done, there may  
7 be an impact on depreciation?

8 MR. OTTMAR KRAMER: Yes, there will be on  
9 a prospective basis, to the extent residual value  
10 increases or decreases that, will impact the future  
11 depreciation expense.

12 MS. CANDACE EVERARD: And is there the  
13 potential that the residual value for Cityplace could be  
14 in a negative?

15 MR. OTTMAR KRAMER: I -- I -- personally,  
16 I don't -- I don't see that, residual value being  
17 negative. Then -- then that's not a residual value then.  
18 Then that would assume that the -- there would be costs  
19 to demolish the building, et cetera, et cetera, that  
20 would be over and above the -- the value of that  
21 property, including the land value. So I -- I don't --  
22 don't see that being an option at all.

23 MS. CANDACE EVERARD: So in your view  
24 that's not a possibility?

25 MR. OTTMAR KRAMER: No, not -- not in my

1 view.

2 MS. CANDACE EVERARD: Thank you. We'll  
3 go to page 10 of the same document, AI.20, Part 1, which  
4 is the policy for the depreciation of investment  
5 property.

6 MR. OTTMAR KRAMER: Yes, I have that.

7 MS. CANDACE EVERARD: Now, I understand  
8 that under IFRS, and this is reflected here in the first  
9 paragraph, there is a requirement to account separately  
10 for the components of Cityplace, given its dual purpose,  
11 that is the investment property and administrative  
12 purposes.

13 Is that right?

14 MR. OTTMAR KRAMER: Yes, that's correct.

15 MS. CANDACE EVERARD: Now if we look at  
16 1-63, posed by the Board, which is not in the book...

17

18 (BRIEF PAUSE)

19

20 MS. CANDACE EVERARD: Are you there? 1-  
21 63(a).

22 MR. OTTMAR KRAMER: Not quite, but  
23 getting there.

24

25 (BRIEF PAUSE)

1 MR. OTTMAR KRAMER: Okay, I've got it.

2 MS. CANDACE EVERARD: Okay. We see in  
3 the answer to (a) that a precise breakdown of the  
4 investment property has not been performed, but based on  
5 a high level estimate, the number would be 37.7 million,  
6 which includes 15.2 million for the external parkade and  
7 parking lots that are already classified as investment  
8 property.

9 Is that right?

10 MR. OTTMAR KRAMER: Yes, that's correct.

11 MS. CANDACE EVERARD: And then it goes on  
12 to read that the administrative portion, including the  
13 land is estimated at 45.4 million.

14 Is that right?

15 MR. OTTMAR KRAMER: Yes, that's correct.

16 MS. CANDACE EVERARD: And is there a  
17 breakdown available of that 45.4 million between building  
18 and land?

19 MR. OTTMAR KRAMER: I don't currently  
20 have that and it's not in the response, but tha -- that  
21 can be obtained.

22 MS. CANDACE EVERARD: If you would take  
23 that as an undertaking, we'd appreciate it.

24 MR. OTTMAR KRAMER: I -- I may be able to  
25 get that fairly quickly.

1

2 --- UNDERTAKING NO. 6: MPI to provide a breakdown of  
3 the 45.4 million between  
4 building and land

5

6 MR. OTTMAR KRAMER: But just -- just as a  
7 discussion point, the -- the land that we allocated based  
8 -- based on the purchase, the price -- purchase price  
9 between land and building, the entire land is deemed to  
10 be a part of the administration or PP&E portion of -- of  
11 the building, so no piece of the land is being allocated  
12 to investment property.

13

14 CONTINUED BY MS. CANDACE EVERARD:

15 MS. CANDACE EVERARD: Can you explain the  
16 rationale for that?

17 MR. OTTMAR KRAMER: The rationale is that  
18 we acquired the building for the office, and the -- the  
19 other parts of it the investment portion was kind of  
20 incidental to the purchase. So the entire portion of the  
21 land would be attributed to the office space, and the  
22 incidental portion, the -- the investment property does  
23 not attribute any of the line cost to it.

24 MS. CANDACE EVERARD: Now, in the answer  
25 to (a) it's provided in the last sentence that the

1 estimate is based on the BMO capital markets report from  
2 December of 2008. Of course, BMO stands for Bank of  
3 Montreal.

4 Is there an update to that, at this point?

5 MR. OTTMAR KRAMER: No, there has been no  
6 update.

7 MS. CANDACE EVERARD: Now, it was on the  
8 record at last year's GRA that the purchase price of the  
9 Cityplace property was 81.5 million.

10 Is that right?

11 MR. OTTMAR KRAMER: Eighty-one point five  
12 (81.5), plus expenses.

13 MS. CANDACE EVERARD: Based on what is  
14 being capitalized and the numbers that we've just  
15 discussed here at 1-63(a), there's the 37.7 million plus  
16 the forty-five point four (45.4), that equals 83.2  
17 million, which is 1.7 million more than -- than was  
18 indicated last year.

19 Is that the expenses that gives rise to  
20 that difference that you mentioned?

21 MR. OTTMAR KRAMER: Yes, that's what  
22 increases it from the eighty-one five (81.5), because the  
23 eighty-one five (81.5) was the purchase price plus  
24 commission, plus legal fees, et cetera, which were  
25 capitalized on purchase.

1 MS. CANDACE EVERARD: And is the  
2 depreciation expense of this asset being impacted due to  
3 the requirement for the separation of accounting of the  
4 assets?

5 MR. OTTMAR KRAMER: I don't understand  
6 that question.

7 MS. CANDACE EVERARD: I'm referring to  
8 the separation of the HVAC system, the escalators, and  
9 there were a couple other categories there as well.

10 MR. OTTMAR KRAMER: Yes, those are  
11 depreciated over a different useful life, so that will  
12 impact the depreciation under IFRS and amortization under  
13 GAAP.

14 MS. CANDACE EVERARD: Thank you. We'll  
15 go back then to AI.20, Part 1, and, in particular, page  
16 12, which is the policy relating to the redesignation of  
17 marketable bonds.

18 Are you with me?

19 MR. OTTMAR KRAMER: Yes, I have that.

20 MS. CANDACE EVERARD: Okay. And we see  
21 in the second paragraph that the Corporation is in the  
22 process of converting its fixed income investments from  
23 available for sale to held for trading.

24 Is that right?

25 MR. OTTMAR KRAMER: Yes, that's correct.

1 MS. CANDACE EVERARD: And what's  
2 reflected here is that upon the initial transition to  
3 IFRS there's this option for the Corporation to do so.  
4 It's also reflected in the policy that -- and -- and I  
5 think this was mentioned in passing already on the record  
6 -- that the designation of held for trading is being  
7 changed to FVTPL because that's clearly more simple,  
8 which stands for Fair Value Through Profit or Loss?

9 MR. OTTMAR KRAMER: Yes, that's correct.  
10 We call it the FVTPL.

11

12 (BRIEF PAUSE)

13

14 MS. CANDACE EVERARD: Next year is going  
15 to be fun.

16 Now, if -- if you can confirm for me, Mr.  
17 Kramer, that the changes in fair market value of the  
18 assets designated as available for sale do not flow  
19 through net income, but rather through comprehensive  
20 income?

21 MR. OTTMAR KRAMER: The unrealized  
22 changes flow through AOCI. Any realized bonds that are -  
23 - are sold, or written down, those flow through net  
24 income.

25 MS. CANDACE EVERARD: And so by this

1 redesignation, the change in fair market value of the  
2 marketable bonds will flow through net income at each  
3 valuation date.

4 Is that right?

5 MR. OTTMAR KRAMER: That's correct. With  
6 -- the bonds are held for trading under GAAP, or fair  
7 value through profit and loss under IFRS. Any realized  
8 and unrealized changes flow through the income statement.

9 MS. CANDACE EVERARD: And as reflected  
10 here on page 12, the board of the Corporation has  
11 approved the policy change to redesignate the marketable  
12 bonds from available for sale to FVTPL?

13 MR. OTTMAR KRAMER: Yes, that's correct.

14 MS. CANDACE EVERARD: And as a result of  
15 this election -- and we've got this on the record already  
16 -- there is an accounting entry in the Corporation's  
17 financial statements that increases retained earnings by  
18 about 21.1 million.

19 MR. OTTMAR KRAMER: From -- from a Basic  
20 standpoint, it's an increase of 21.1 million to the RSR,  
21 and it would be an offset decrease to AOCI.

22 MS. CANDACE EVERARD: Thank you. The  
23 next policy in AI.20, Part 1, is that at page 13, which  
24 relates to the recognition of future actuarial gains and  
25 losses in employee benefits reserves. And it's provided

1 here, this is in the first row, that the Corporation  
2 currently recognizes immediately all gains and losses in  
3 employee benefit reserves to its profit and loss  
4 statement.

5 Is that right?

6 MR. OTTMAR KRAMER: Yes, that's correct.  
7 And I believe we had that discussion yesterday, or the  
8 day before, when we were talking about pensions.

9 MS. CANDACE EVERARD: With respect to  
10 this policy then, the Board has approved that pursuant to  
11 IFRS, this practice will be continued. There won't be a  
12 change to this.

13 MR. OTTMAR KRAMER: That's correct.

14 MS. CANDACE EVERARD: Now, it is  
15 reflected in the chart that's provided on page 13, far  
16 right-hand column, that one (1) of the disadvantages of  
17 this current method that'll be continued is that it  
18 causes the highest degree of earnings volatility?

19 MR. OTTMAR KRAMER: In and of itself,  
20 yes; however, the offset to that volatility is on the  
21 asset side, so to the extent that there is discount rate  
22 changes to the pension liability, which would cause  
23 volatility to the income statement, the offset is -- are  
24 the investment assets are bonds, which would also be  
25 increasing or decreasing. And it's very similar to the

1 immunization strategy that Mr. Palmer discussed, with  
2 regards to our claim liability, which are ten (10) times  
3 the size of the future employee benefits liability.

4

5

(BRIEF PAUSE)

6

7

MS. CANDACE EVERARD: So the Corporation  
8 will group the liabilities together?

9

MR. OTTMAR KRAMER: Not group together,  
10 but they're -- they're -- they -- they operate in a very  
11 consistent manner, and they're -- they're not unlike the  
12 claims liability.

13

No, they're not grouped with the claims  
14 liabilities, but -- but the -- the characteristics of the  
15 discount rate are very similar to the claims liability.

16

MS. CANDACE EVERARD: And I take it that  
17 it's for the reasons that you've described that the  
18 Corporation chose to stick with this option rather than  
19 change over to one (1) of the others.

20

MR. OTTMAR KRAMER: Yes.

21

MS. CANDACE EVERARD: Thank you. Page 14  
22 of AI.20, Part 1 relates to disclosure of the defined  
23 benefit plan, and it's provided that under IFRS more  
24 extensive disclosure is required for pension obligations.

25

That's right?

1 MR. OTTMAR KRAMER: Yes, that's correct.

2 MS. CANDACE EVERARD: And as part of the  
3 IFRS transition there is an option that allows the  
4 Corporation on initial adoption to disclose only two (2)  
5 years of information relating to present value of the  
6 defined benefit obligation, and the experience  
7 adjustment.

8 That's right?

9 MR. OTTMAR KRAMER: Yes, that's correct.

10 MS. CANDACE EVERARD: The other option  
11 would be to disclose five (5) years of that information,  
12 but that would require some fairly significant additional  
13 effort, and as well, the Corporation has noted here that  
14 there would be no effect on its balance sheet or income  
15 statement?

16 MR. OTTMAR KRAMER: Correct. It's --  
17 it's all about disclosure, and we currently, under GAAP,  
18 disclosed the two (2) years, and that's what's we are  
19 proposing to do with IFRS. As time goes on, with regards  
20 to IFRS, that would be then extended to the five (5)  
21 years.

22 MS. CANDACE EVERARD: And that'll be by  
23 way of disclosure of an additional year of information  
24 every year until the Corporation's up to five (5)?

25 MR. OTTMAR KRAMER: That's correct.

1 MS. CANDACE EVERARD: Okay. Page 15, the  
2 next policy relates to disclosure of claims development  
3 information. It's provided for here in the first  
4 paragraph, that:

5 "As part of the IFRS transition,  
6 there's an option that allows on  
7 initial adoption, the Corporation to  
8 only disclose five (5) years of  
9 information relating to claims  
10 development."

11 That's right?

12 MR. OTTMAR KRAMER: Yes, that's correct.

13 MS. CANDACE EVERARD: And if that  
14 election is not taken, then the Corporation would be  
15 required to disclose ten (10) years?

16 MR. OTTMAR KRAMER: Yes.

17 MS. CANDACE EVERARD: And so in this  
18 instance, the board of the Corporation has approved the  
19 election, such that only five (5) years of information  
20 will be disclosed?

21 MR. OTTMAR KRAMER: Yes, that's correct,  
22 in the first five (5) years. Similar to the -- the  
23 discussion on the previous disclosure on the defined  
24 benefit plan, it would be increased by a year every year  
25 thereafter until we've reached the ten (10) year

1 disclosure.

2 MS. CANDACE EVERARD: Thank you. And the  
3 Corporation did provide some information on why this  
4 particular election was made. That was at 1-66(a) posed  
5 by the Board. It's not in the book.

6

7 (BRIEF PAUSE)

8

9 MS. CANDACE EVERARD: When you get there,  
10 PUB/MPI-1-66(a), sets out three (3) reasons that the  
11 Corporation had identified for making this election. If  
12 you could just discuss those at a high level.

13 MR. OTTMAR KRAMER: Okay. I'll just read  
14 the answer on record:

15 "The Corporation chose to limit the  
16 disclosure of claims development  
17 information to five (5) years instead  
18 of ten (10) years for the following  
19 reasons:

20 It is common practice amongst other  
21 corp -- it is the common practice of  
22 other corporations."

23 The add -- number 2:

24 "The additional work effort required."

25 And number 3:

1                    "This is the information currently  
2                    being disclosed under Canadian GAAP."

3

4                    (BRIEF PAUSE)

5

6                    MS. CANDACE EVERARD:    Okay.  Isn't it the  
7 case that the Corporation is already tracking claims  
8 history?

9                    MR. OTTMAR KRAMER:    Yes, we are.

10                   MS. CANDACE EVERARD:    And claims incurred  
11 would be the Corporation's most significant expense?

12                   MR. OTTMAR KRAMER:    Yes, that's correct.

13                   MS. CANDACE EVERARD:    So can you just  
14 give us a little bit more information on how onerous it  
15 would be for the Corporation to provide the additional  
16 information.

17                   MR. DON PALMER:    In -- in terms of this  
18 particular election, again, it -- it's within the context  
19 of the introduction of IFRS.

20                   There is going to be a significant work  
21 effort to implement IFRS.  Within the first year of  
22 implementation we will have the year ending February  
23 28th, 2011, and almost immediately will have the first  
24 quarter of 2012 that has to be completely disclosed under  
25 the new rules of the IFRS.

1           The disclosures under IFRS are way bigger.  
2 We're anticipating that the size of the notes are  
3 probably two (2) to three (3) times what we currently  
4 have as our no -- our notes. The IASB has recognized  
5 that in fir -- first time adopters and given a -- a  
6 couple of transition free passes, if you will, to  
7 decrease the amount of -- of work that is done in that  
8 first -- first set of -- of financials. Given the -- the  
9 real onerous nature of all of those disclosures, every  
10 company that I've talked to is taking advantage of -- of  
11 that, just because.

12           So if it is not much more work, it's still  
13 more work, so any advantage that we can gain just because  
14 -- in order to that first quarter statements out, we are  
15 going to take advantage of it. That doesn't stop us,  
16 within old actuarial reports and -- and whatnot, to still  
17 disclose to the PUB, for instance. I suspect that when  
18 we get to the hear -- hearing that I guess is the 2013  
19 Rate Hearing, that we will be looking at runoff over  
20 maybe a longer year period. And -- and once that crush  
21 of getting all of the disclosures done in the first  
22 quarter, we will have an opportunity to go back and --  
23 and time not being so tight, we'll be happy to disclose  
24 those to the PUB.

25           In terms of just the financial statement,

1 that first quarter, and in the first year, we're taking  
2 the opportunities afforded to us by the ISA -- IASB to --  
3 to lessen some of the administrative work that will go  
4 into the preparation of that statement.

5 MS. CANDACE EVERARD: So basically what  
6 you're saying is whatever advantage there would be to the  
7 reader in having the fuller disclosure is quite  
8 outweighed in the Corporation's view by the extra work  
9 that it would take to get it there, and the -- the  
10 expansion (sic) of resources to do that.

11 MR. DON PALMER: That's absolutely true.  
12 And -- and someone who is that interested in reading  
13 those notes are likely going to look at the PUB  
14 transcripts, and some of the PUB Application materials as  
15 well, so -- so that will be there. It'll still be the  
16 transparent point.

17 MS. CANDACE EVERARD: And, as Mr. Kramer  
18 said, the Corporation will be transitioning from five (5)  
19 to ten (10) years on the same basis as the other policy  
20 that we discussed, of adding one (1) year every -- every  
21 year.

22 MR. DON PALMER: That's correct.

23 MS. CANDACE EVERARD: Okay. I'll ask the  
24 panel to turn to 1-68, posed by the Board. It's not in  
25 the book of documents. This relates to IFRS-9.

1 (BRIEF PAUSE)

2

3 MS. CANDACE EVERARD: So, in this  
4 particular IR, the Board set out what Section 4.2 of  
5 IFRS-9 provides. Maybe Mr. Palmer or Mr. Kramer,  
6 whoever, could read that in.

7 MR. OTTMAR KRAMER: Which part did you  
8 want read in?

9 MS. CANDACE EVERARD: The Section 4.2 at  
10 the top.

11

12 (BRIEF PAUSE)

13

14 MR. OTTMAR KRAMER: Okay, I'll -- I'll  
15 read from IFRS-9. 4.2 states:

16 "A financial asset shall be measured at  
17 amortized cost if both of the following  
18 conditions are met.

19 An -- an asset is held within a  
20 business model whose objective is to  
21 hold assets in accordance to  
22 contractual cash flows, and b) the  
23 contractual terms of the financial  
24 asset give rise on specified dates to  
25 cash flows that are -- that are solely

1                   payments of principal and interest on  
2                   the principal amount outstanding."

3                   And I'll just continue on. And there's a  
4 Section 4.5 that wasn't in here but needs to be read in  
5 to understand the reference to 4.2. 4.5 says:

6                   "Notwithstanding paragraph 4.1 to 4.4,  
7                   [and this is just me. It includes 4.2]  
8 an entity may at initial recognition  
9 designate a financial asset as measured  
10 at fair value through profit loss, if  
11 doing so eliminates or significantly  
12 reduces a measurement or recognition  
13 inconsistency."

14                   MS. CANDACE EVERARD: Okay. The IR 1-68  
15 asks the Corporation to discuss the implications of 4.2.  
16 And if we want to treat that as being read together with  
17 4.5, that's fine:

18                   "Upon this Corporation's strategy of  
19 designating fixed income and  
20 instruments as held for trading, and to  
21 provide a position paper relating to  
22 the exposure draft."

23                   And the Corporation replied that:

24                   "The exposure drafts were a preliminary  
25 step in the development of accounting

1 standards. When the standard was  
2 finalized, then the Corporation would  
3 prepare a position paper."

4 That's right?

5 MR. OTTMAR KRAMER: Yes, that's correct.  
6 We do not have a position paper on this. I was just  
7 reading from the actual IFRS standard 9.

8 MS. CANDACE EVERARD: Yes. Now we asked  
9 a follow-up question to this in the Second Round, which  
10 was 2-33.

11

12 (BRIEF PAUSE)

13

14 MS. CANDACE EVERARD: It's not in the  
15 book of documents. And what the Board asked at 2-33(a)  
16 was to discuss the implications of the new standard upon  
17 the Corporation's strategy. And the -- the Corporation  
18 said at (a):

19 "On initial review, it is not  
20 anticipated that the new IFRS 9  
21 standard will have an impact on the  
22 Corporation's strategy of designating  
23 fixed income instruments as held for  
24 trading."

25 Is that right?

1 MR. OTTMAR KRAMER: Yes, that's correct,  
2 and that's why I just read the reference to 4.5, which  
3 specifically discusses the -- the -- eliminating the  
4 measurement or recognition inconsistency and -- and  
5 that's why I read that in.

6 MS. CANDACE EVERARD: So, is it the  
7 Corporation's position then that its bond portfolio does  
8 not meet the criteria set out in 4.2 and 4.5, or that it  
9 does?

10 MR. OTTMAR KRAMER: It is -- it is the  
11 Corporation's position that 4.5 recognizes the fact that  
12 there may be measurement inconsistencies if -- if those  
13 bonds are held as -- at -- at amortized costs, and by  
14 holding them through fair value in profit and loss, which  
15 is consistent with the Corporation's immunization  
16 strategy, that that -- that -- that the IFRS standards do  
17 allow for that. In fact, they do encourage that to -- to  
18 eliminate the measurement inconsistency, which is the  
19 Corporation's immunization strategy.

20 MS. CANDACE EVERARD: Okay. Thank you.  
21 We'll go then to 1-78, posed by the Board, which is at  
22 Tab 33 of the book of documents.

23

24

(BRIEF PAUSE)

25

1 MR. OTTMAR KRAMER: Did I hear 1-78?

2 MS. CANDACE EVERARD: Yes, it's Tab 33.

3

4 (BRIEF PAUSE)

5

6 MR. DON PALMER: We have it.

7 MS. CANDACE EVERARD: This was an IR  
8 where the Board took some information out of previous  
9 annual reports of the Corporation, with respect to losses  
10 arising from its operation of DDL. And the chart that's  
11 reflected here at 1-78 reflects what the Board believes  
12 are the correct numbers, having been taken from the  
13 annual reports.

14 Does the Corporation disagree with any of  
15 these numbers, that they're accurate from the annual  
16 reports?

17 MR. DON PALMER: We haven't double  
18 checked those figures at all, given that this really is  
19 not germane to the application at hand. We haven't  
20 double-checked it. We haven't done anything with that.

21 MS. CANDACE EVERARD: Well, then I'd ask  
22 you to do one (1) of two (2) things. Either take a look  
23 at it and tell me whether anything jumps out at you as  
24 incorrect, or whether you're prepared to go with it,  
25 subject to check, or if you'd be more comfortable

1 actually checking all the numbers, then that would be the  
2 other option.

3

4

(BRIEF PAUSE)

5

6 MS. MARILYN MCLAREN: Nothing jumps out  
7 at us.

8

9

MS. CANDACE EVERARD: Okay. So the table  
provides --

10

11

THE CHAIRPERSON: Ms. Everard, then we're  
to take it that the table's correct?

12

13

14

15

16

17

MS. MARILYN MCLAREN: Mr. Palmer said we  
haven't done that work. She asked us just to comment on  
whether anything jumped out at us here and now as being  
incorrect. Nothing jumps out as being incorrect, here  
and now, reviewing it.

18

CONTINUED BY MS. CANDACE EVERARD:

19

20

21

22

MS. CANDACE EVERARD: So at a high level  
review, whatever the extent of that has been, either in  
the IR process or sitting here today, the Corporation  
doesn't quarrel with these numbers.

23

Is that fair to say?

24

25

MR. DON PALMER: We wouldn't quarrel  
because we haven't checked it. There -- there's -- just

1 on the cursory review right now that we're looking at  
2 them, it seems reasonable. They're -- they're not  
3 obviously incorrect.

4 MS. CANDACE EVERARD: Let's -- let's deal  
5 with it this way then. I'm going to proceed with my  
6 cross-examination that I have, and if later on the  
7 Corporation does a review and finds something that is  
8 inaccurate, then you'll let me know. And if you choose  
9 not to do that review, that's your business.

10 Fair enough?

11 MR. DON PALMER: That's fair.

12 MS. CANDACE EVERARD: Okay. So according  
13 to the -- the table that's reflected here that was  
14 prepared by the Board based on annual reports, we see in  
15 the year ending February, 2009 and the year ending  
16 February, 2010 a net loss of some 27.6 million per year.

17 Is that right?

18 MS. MARILYN MCLAREN: That's what the  
19 numbers show in this table.

20 MS. CANDACE EVERARD: Now, it's our  
21 understanding that in the same timeframe, that is the  
22 '08/'09 fiscal year and the '09/'10 fiscal year, that  
23 there were some accounting reclassifications of business  
24 process review costs that exacerbated these losses.

25 Is that right?

1                   MR. DON PALMER:    They're disclosed in the  
2 annual report.

3                   MS. CANDACE EVERARD:    So that's right?

4                   MR. DON PALMER:    Yes.

5                   MS. CANDACE EVERARD:    Does the  
6 Corporation agree that an arrangement that it or an  
7 organization may enter into that provides funding that is  
8 less than the cost of operating the op -- the arrangement  
9 poses a financial burden, one that should be recognized  
10 as a provision under IFRS?

11                   MR. DON PALMER:    Not under the Basic  
12 AutoPac Program.

13                   MS. MARILYN MCLAREN:    In a broader sense,  
14 I don't think it's that simple either. We've had the  
15 discussions about whether you're talking about a  
16 financial burden, owner's contract, however you want to  
17 deal with that; it -- it's not that straightforward and  
18 simple. And the Corporation has discussed in a number of  
19 different venues on the public record about the extent to  
20 which the Corporation chose to invest funds for the  
21 benefit of Manitoba drivers and vehicle owners who  
22 register vehicles and hold driver licences, and so on and  
23 so forth, in all kinds of public forums. The standing  
24 committee of the Legislature in the annual report we're  
25 on the public record as saying that that was the

1 Corporation chose to do.

2                   So, for a lot of reasons, I don't think  
3 that that -- notwithstanding that that is -- is not  
4 relevant to the Basic Compulsory AutoPac Program. We're  
5 on the public as saying that it was chosen strategy to  
6 invest funds to improve the system for Manitobans.

7                   MS. CANDACE EVERARD:    And when you say  
8 "it was a chosen strategy," you're talking about the  
9 merger?

10                  MS. MARILYN MCLAREN:    No, I'm talking  
11 about what the Corporation decided to do with respect to  
12 leveraging the opportunities presented by the merger.  
13 The government decided on the merger, the government  
14 changed legislation to create the merger, and the  
15 Corporation decided on -- on how to leverage the  
16 opportunities created by the merger.

17                  There's fair -- fairly substantive  
18 discussion about this in -- in the annual reports for the  
19 last couple years.

20                  MS. CANDACE EVERARD:    When you're talking  
21 about leveraging the opportunities presented by the  
22 merger, you're talking about everything that flowed  
23 through the business review, the idea of synergies and  
24 whatnot?

25                  MS. MARILYN MCLAREN:    That's right.

1 MS. CANDACE EVERARD: Okay. We see at  
2 AI.20, Part --

3 THE CHAIRPERSON: Ms. McLaren, if you  
4 don't mind, you indicated that the Corporation had put on  
5 the public record a lot of commentary related to this  
6 particular topic. Would the Corporation mind making an  
7 undertaking to provide what is on the public record by  
8 the Corporation?

9 MS. MARILYN MCLAREN: Sure. We can  
10 provide links to standing committee; I think, the last  
11 couple of years standing committee of the Legislature on  
12 Crown corporations, as well as the per -- specific  
13 references in our annual report. Those would be the two  
14 (2) that immediately come to mind.

15 THE CHAIRPERSON: That would be helpful.  
16 It would just save on the efficiency of the process.

17 MS. MARILYN MCLAREN: Sure.

18

19 --- UNDERTAKING NO. 7: MPI to provide details of  
20 what the Corporation has put  
21 on the public record  
22 regarding its actions to  
23 leverage the opportunities  
24 created by the merger,  
25 including details on the

1 public record about the  
2 extent to which the  
3 Corporation has chosen to  
4 invest funds for the benefit  
5 of Manitoba drivers and  
6 vehicle owners who register  
7 vehicles and hold driver  
8 licences

9

10 CONTINUED BY MS. CANDACE EVERARD:

11 MS. CANDACE EVERARD: So AI.20, Part 2,  
12 Tab 14, this is -- oh, pardon me, I've given you the  
13 wrong reference. It's actually in the book of documents  
14 at Tab 14. It is at AI.20 as well, but probably a little  
15 easier to go to Tab 14 in the book of documents. So this  
16 is out of AI.20, Part 2, Exhibit 13.

17 And if I ask you to turn to pages 26 and  
18 27, which appear close to the end of the tab, they're the  
19 second last and third last pages a the tab, we see an  
20 appendix to this position paper. And I -- my  
21 understanding that this document, including pages 26 and  
22 27, were drafted by Deloitte.

23 Is that right?

24 MR. OTTMAR KRAMER: Yes, they were  
25 drafted by Deloitte.

1 MS. CANDACE EVERARD: And pages 26 and 27  
2 are entitled, "Appendix A Onerous Contract Analysis."

3 Is that right?

4 MR. OTTMAR KRAMER: Yes, that's correct.

5 MS. CANDACE EVERARD: So I -- I take it  
6 then that this was an issue that was identified to  
7 Deloitte as one that required this type of analysis?

8 MR. OTTMAR KRAMER: It was initially  
9 identified when we had an IFRS review com -- performed by  
10 KPMG, and I'm working on my memory right now, but  
11 probably about two (2) years ago. It was called a Quick  
12 Scan Report that was filed at -- at the Public Utilities  
13 Board, and it was identified as something that needed  
14 additional investigation.

15 MS. CANDACE EVERARD: And so when  
16 Deloitte was getting its work underway, with respect to  
17 these IFRS position papers, it was something that was  
18 carried through, and they were asked to do an analysis  
19 on?

20 MR. OTTMAR KRAMER: Yes. It was one (1)  
21 of the many IFRS issues, or topics, that required  
22 investigation.

23 MS. CANDACE EVERARD: We see on page 26,  
24 near the top of the page, there's a paragraph that reads:

25 "A recent analysis was conducted by MPI

1 to determine the cost of administering  
2 a licensing program. The following was  
3 determined."

4 And then there's a list of financial  
5 components and some numbers.

6 Before we get into the -- the substance of  
7 that, can you tell us who prepared this five (5) line  
8 little analysis. Was it the Corporation, or was it  
9 Deloitte?

10 MR. OTTMAR KRAMER: That was prepared by  
11 Deloitte, and it's a very high-level analysis, as you  
12 see. There's a lot of zeros there, so they took some  
13 liberties with rounding and estimation.

14 MS. CANDACE EVERARD: Sure. So these are  
15 approximate numbers.

16 Is that fair to say?

17 MR. OTTMAR KRAMER: Yes.

18 MS. CANDACE EVERARD: So we see the first  
19 entry on the little table is entitled, "Plan  
20 Administration Revenue." That's listed at 21 million.  
21 And that would be the funds received by the Corporation  
22 from the province.

23 Is that right?

24 MR. OTTMAR KRAMER: Yes, that's correct.

25 MS. CANDACE EVERARD: That's obviously on

1 a yearly basis, or was on a yearly basis?

2 MR. OTTMAR KRAMER: Yeah, that's on an  
3 annual basis.

4 MS. CANDACE EVERARD: And then the second  
5 line reads:

6 "Approximate direct costs, 18 million."

7 So that would be, I guess, exactly what it  
8 says, direct costs to administer the program?

9 MR. OTTMAR KRAMER: Yes. And to be  
10 honest with you, I don't know where they have their split  
11 between direct and overhead allocation, and whether  
12 that's based on old allocation, or proposed allocation  
13 policies.

14 MS. CANDACE EVERARD: Okay. The third  
15 line reads:

16 "Direct margin, 3 million."

17 So that would be, obviously, subtracting  
18 the 18 million from the twenty-one (21)?

19 MR. OTTMAR KRAMER: Yes, eight (8) --  
20 twenty-one (21) subtract eighteen (18) is three (3).

21 MS. CANDACE EVERARD: See, you guys can  
22 count. Just kidding.

23 MR. OTTMAR KRAMER: I'm the accountant.

24 MS. CANDACE EVERARD: Oh, yes, it was Mr.  
25 Palmer who said -- who made that remark the other day.



1 allocation review was done.

2 MS. CANDACE EVERARD: Thank you. And if  
3 we look back at Tab 33 -- and just keep your finger on  
4 page 26 that we were just looking at because we'll go  
5 back there. But if we just go back to Tab 33 for a  
6 moment. That's the table that the Board prepared based  
7 on the annual reports.

8 We see the losses there for the '09 -- the  
9 year ending in '09 was eight point three (8.3). The loss  
10 ending in the year 2010 was nine point two (9.2). So  
11 those are fairly similar to the -- what we see on page  
12 26.

13 That's right?

14 MR. OTTMAR KRAMER: The -- the net result  
15 before project costs, yes, is -- is very similar to the 8  
16 million that's shown in IFRS A.20 (sic), page 26.

17 MS. CANDACE EVERARD: Thank you. Does  
18 the Corporation agree that if it had a contract that was  
19 considered onerous under IFRS, then its present  
20 obligation under the contract should be recognized and  
21 measured under IFRS as a provision?

22

23 (BRIEF PAUSE)

24

25 MR. DON PALMER: If ongoing into

1 perpetuity, the answer's, yes. We do know, and it's on  
2 the record in our annual report, that it has been put on  
3 the record, and this in the outlook session -- section of  
4 the annual report:

5 "Beginning April 1, 2011, the  
6 government will increase its payments  
7 to MPI to \$28 million per year. The  
8 Corporation expects that this will  
9 fully cover the costs of the DVA  
10 administrative operation and also will  
11 allow some contribution to the  
12 repayment of the startup cost for  
13 Manitoba enhanced identification card,  
14 Manitoba enhanced driver's licence, and  
15 Manitoba identification card."

16 So, in terms of -- of this particular  
17 example, those shortfalls will not go into perpetuity.

18 MS. CANDACE EVERARD: And I -- I  
19 appreciate the reference. I was going to come to that,  
20 about the increase in funding, and we will still talk  
21 about that in a moment. And I understand the  
22 Corporation's position with respect to this contract, but  
23 my question was just a more general one, that if there  
24 was an onerous contract, there would have to be a  
25 provision made under IFRS. T

1                   hat's what IFRS provides, right?

2                   MR. DON PALMER:    Yes.

3                   MS. CANDACE EVERARD:   Now, I know what  
4   Deloitte concluded on page 27, and we'll talk about that  
5   in a moment.  I know what the Corporation's position is  
6   with respect to this contract.  But my question is:  Did  
7   either Deloitte or the Corporation determine if this was  
8   an onerous contract, what the provision would be?

9                   MR. OTTMAR KRAMER:    No, we have not done  
10   that.  And you've mentioned Deloitte.  You meant the Corp  
11   -- mentioned the Corporation.  I'd like us all to  
12   reiterate that KPMG reviewed these papers and KPG was  
13   also in agreement with this -- this conclusion.

14                   MS. CANDACE EVERARD:    And did KPMG  
15   determine what the provision would be if it were to be  
16   found an onerous contract?

17                   MR. OTTMAR KRAMER:    No, that work has not  
18   been done.

19                   MS. CANDACE EVERARD:    And the reason for  
20   that work not being done would be the conclusions that  
21   were drawn by the three (3) parties that you've  
22   described, the Corporation, Deloitte, and KPMG?

23                   MR. OTTMAR KRAMER:    Yes.  And that was  
24   just to remind also that the Auditor General had also  
25   received this analysis and was also not in disagreement.

1 MS. CANDACE EVERARD: Now, if we look at  
2 page 27 of Deloitte's analysis, we see under the heading  
3 "Analysis", Deloitte has said:

4 "The fact that the province mandated  
5 through legislation that MPI administer  
6 the licensing program is really not a  
7 contract given that one (1)  
8 counterparty, MPI did not have an  
9 option of whether or not to execute.  
10 This supports that this arrangement is  
11 not a contract, but merely an addition  
12 to operations."

13 That's what they said?

14 MR. OTTMAR KRAMER: Yeah -- yes, that's  
15 what's written on that page.

16 MS. CANDACE EVERARD: Now the Corporation  
17 did sign a contract though with the government in 2004,  
18 when the merger took place, because we've had that filed  
19 in past proceedings?

20 MS. MARILYN MCLAREN: It's an agreement.  
21 It's called the Master Agreement, for the administration  
22 of the Drivers and Vehicles Act.

23 MS. CANDACE EVERARD: And it was signed  
24 by, I guess your predecessor, Ms. McLaren, Mr. Zacharias,  
25 on behalf of the Corporation?

1 MS. MARILYN MCLAREN: I don't remember  
2 exactly when it was signed. It may have been either my  
3 predecessor or I that signed it.

4 MS. CANDACE EVERARD: So can you explain  
5 why if Deloitte is right and it wasn't really a contract,  
6 why was that document produced and signed by both sides?

7 MS. MARILYN MCLAREN: Speaking from  
8 memory, it -- it talks about how -- it -- it actually  
9 served a couple of purposes. It helped to frame the  
10 relationship and clarify government's expectations of MPI  
11 before the Drivers and Vehicles Act was passed. And it  
12 also set out the manner in which we would work with each  
13 other.

14 For example, if the Department of  
15 Infrastructure and Transportation wanted to make some  
16 changes to a program that we were administering, the  
17 Agreement provides that they would have to sort of  
18 specify those requests and -- and schedule the requests  
19 within our normal business planning cycle. Things like  
20 that.

21

22 (BRIEF PAUSE)

23

24 MS. CANDACE EVERARD: Now as Mr. Palmer  
25 read in a moment ago, from the annual report, the

1 government has now agreed to increase the funding, on  
2 account of DVL, to 28 million. I don't know if you  
3 actually read in the dollar amount.

4 But that's correct?

5 MR. DON PALMER: That's correct.

6 MS. CANDACE EVERARD: And will the  
7 Corporation be entering into, or has it entered into an -  
8 - some kind of written agreement or contract on that  
9 detail?

10

11 (BRIEF PAUSE)

12

13 MS. MARILYN MCLAREN: We have that  
14 commitment from the government and that's where it stands  
15 at this point.

16 MS. CANDACE EVERARD: So no, no other  
17 document?

18 MS. MARILYN MCLAREN: We haven't gone  
19 back and modified the Master Agreement or anything like  
20 that. We have the commitment from the government and  
21 that's where it ends.

22 MS. CANDACE EVERARD: So nothing beyond  
23 that?

24 MS. MARILYN MCLAREN: Right.

25 MS. CANDACE EVERARD: Okay. And, Mr.

1 Palmer, as you read in from the annual report, this  
2 increased amount is to be paid on an annual basis to  
3 cover off the DVL operating costs and to reimburse the  
4 Corporation for startup costs relating to the enhanced  
5 identification card, enhanced driver's licence, and  
6 Manitoba identification card?

7 MR. DON PALMER: Yes.

8 MS. CANDACE EVERARD: And do we know what  
9 prompted the increase in funding from the province?

10 MS. MARILYN MCLAREN: Well, as we've put  
11 on the record many times, consultations with government  
12 are confidential. That's not something that we're  
13 prepared to discuss here. The commitment stands on its  
14 face. That's about all I can say at this point.

15 MS. CANDACE EVERARD: And the Corporation  
16 has put on the record that it does not expect any further  
17 losses arising in DVL once the new funding kicks in, and  
18 that's coming in April of 2011.

19 Is that right?

20 MR. DON PALMER: That's correct.

21 MS. CANDACE EVERARD: Okay. Just to, I  
22 think, complete the cross that I have with respect to  
23 IFRS related issues, can the Corporation just summarize  
24 for the Board what its next steps are, just at a high  
25 level, relating to the IFRS conversion.

1 (BRIEF PAUSE)

2

3 MR. OTTMAR KRAMER: The next step is one  
4 of them that we've discussed at length over the last  
5 couple of days is -- one (1) of them is to size the sick  
6 leave provision that requires this, so the 3 million to  
7 firm -- firm that number up. We -- we've done some work  
8 on it. We haven't fully completed that work, and nor has  
9 it gone through any review by -- by our auditors, or --  
10 or Deloitte. So we -- we need to size that up.

11 Then it's -- it's -- to start making the  
12 journal entries that result from the IFRS conversion, to  
13 journalize the -- the 24 million held for trading  
14 adjustment, which relates to 21 million on the Basic line  
15 of business, journalize that sick leave provision to --  
16 currently estimated at \$3 million.

17 The -- a large part of this is then around  
18 disclosure, as -- as Mr. Palmer has already indicated.  
19 There -- there isn't that much of an impact on the  
20 balance sheet, or retained earnings, that require  
21 adjustments from Canadian GAAP, but the disclosure impact  
22 is -- is huge. It could be tripling the -- the size of  
23 our notes.

24 So then a lot of the investigation will be  
25 around the -- the note disclosure, ensuring that we

1 follow up with -- follow the IFRS requirements.

2 So there's -- there's a lot of work around  
3 -- around that.

4 MS. CANDACE EVERARD: Okay. Thank you.

5 THE CHAIRPERSON: Ms. Everard, we're just  
6 going to take a five (5) minute break, and we'll come  
7 right back. No longer than five (5) minutes.

8

9 --- Upon recessing at 10:48 a.m.

10 --- Upon resuming at 10:55 a.m.

11

12 THE CHAIRPERSON: Okay, Ms. Everard.

13 MS. CANDACE EVERARD: Thank you, Mr.  
14 Chairman.

15

16 CONTINUED BY MS. CANDACE EVERARD:

17 MS. CANDACE EVERARD: I am going to move  
18 into a new area. I just have a couple of follow-up  
19 questions on what we were speaking about with respect to  
20 the DVL contract, and whatnot.

21 I appreciate the position of the  
22 Corporation, the conclusion reached by Deloitte, and --  
23 and I know the evidence was that KPMG agreed with it.  
24 What would the Corporation say in response to this  
25 scenario, and I'll give you a bit of background to this.

1                   It's our understanding that in BC, for  
2 example, ICBC is required to contribute funds for road  
3 improvements. And in a situation -- if the province of  
4 Manitoba came to MPI and said, We want 'X' amount of  
5 dollars per year for road improvements, 10 million, or  
6 whatever the number, is that something that the  
7 Corporation would consider an onerous contract under  
8 IFRS, because basically the Corporation wouldn't be  
9 getting any direct revenue in return?

10

11                   (BRIEF PAUSE)

12

13                   MS. MARILYN MCLAREN: I think first of  
14 all, again, it wouldn't be a contract, but I assume as --  
15 as well if -- if we had notice that something was going  
16 to be expected to be added to our cost base going  
17 forward, you know, assuming all within everybody's  
18 legislated authority to sort of make that requirement,  
19 the Corporation would have to build it into our cost  
20 base. And it would be part of our -- so that wouldn't --  
21 that wouldn't qualify that way either, right?

22                   I mean, first of all it's not a contract  
23 if they tell us that we're going to be spending money on  
24 something. And secondly, if we have that kind of notice,  
25 we would have to build it into some sort of a funding

1 framework. I -- I don't know that I can say much more  
2 than that at that point.

3 MS. CANDACE EVERARD: Okay. Ms. McLaren,  
4 you told me when I asked about whether there was anything  
5 in writing from the province about the increase, your  
6 answer was, no, that there wasn't, I -- I believe. You  
7 said that they've committed to it, but I think your  
8 answer at the end of the day was that there was nothing  
9 in writing.

10 Does the Corporation have an assurance  
11 that this increased payment will be in perpetuity, or is  
12 there a risk, in the Corporation's view, that the  
13 province is going to pull that rug out?

14

15 (BRIEF PAUSE)

16

17 MS. MARILYN MCLAREN: I -- I think what I  
18 said is that, you know, there -- there's not a -- we  
19 haven't updated the -- the agreement or anything like  
20 that, right? But, I mean, what we have in writing in  
21 terms of a commitment from the Corporation is the note is  
22 in our annual report, but the annual report committed  
23 from -- committed from the government noted in our annual  
24 report that it's the government's annual report as much  
25 as it's the Corporation's annual report. I think we made

1 that point in a -- in a response to an IR. I mean, that  
2 is the public commitment.

3 It is -- you know, we have a transmittal  
4 letter in the annual report from the Minister to the  
5 Legislature to the Lieutenant Governor in Council.

6 So, I mean, I think in terms of what is in  
7 writing, I think the fact that the Minister has taken,  
8 for the lack of better language, I guess, taken ownership  
9 of that annual report, and it is a public document, it's  
10 on the public record, that is the commitment.

11 MS. CANDACE EVERARD: And what about the  
12 piece about it being in perpetuity; does -- does the  
13 Corporation consider there are risks that -- that the  
14 government's going to make a change at some point in the  
15 foreseeable future?

16 MS. MARILYN MCLAREN: My understanding is  
17 that it's in perpetuity.

18

19 (BRIEF PAUSE)

20

21 MS. CANDACE EVERARD: Okay. As  
22 indicated, I'm going to move into a different area, that  
23 being driver premiums, which we haven't spoken about a  
24 whole lot. We looked at TI.13 earlier this week, and  
25 we'll just go back there to refresh our minds. TI.13 is

1 at Tab 8 of the book of documents.

2 We see under the heading of "Net Premiums  
3 Written," that the Corporation is anticipating, for the  
4 year of the application, revenue of some \$24 million  
5 attributable to driver premiums.

6 Is that right?

7 MR. DON PALMER: That's correct.

8 MS. CANDACE EVERARD: And we went through  
9 the fact that it's about \$10 million than the year  
10 before, and that's because of the surcharges being phased  
11 out, subject to a small offset.

12 Is that right?

13 MR. DON PALMER: Yeah. I'm not sure that  
14 I would use the word "phased out." I would say a little  
15 more definitive than that; "eliminated" is probably a  
16 better word.

17 MS. CANDACE EVERARD: Sure, fair enough.  
18 Because it -- the case is that the DSR program, which  
19 took effect March 1st of 2010 does eliminate all accident  
20 surcharges.

21 That's right?

22 MR. DON PALMER: Und -- under that name,  
23 yes, I -- I would agree with that. I would say that the  
24 driver's surcharges that are come -- coming in, replace  
25 both the conviction surcharges and the accident

1 surcharges, so it's the combination of the two (2) that  
2 combine into the surcharge program.

3 So I don't want to mislead the Board by  
4 saying the accident surcharges are completely eliminated,  
5 because they're built in and rolled in the -- the entire  
6 surcharge premium that includes both accidents and  
7 convictions rolled together into one (1) component and  
8 one (1) program.

9 MS. CANDACE EVERARD: Thank you. And I  
10 just -- nee you to give me a moment.

11

12 (BRIEF PAUSE)

13

14 MS. CANDACE EVERARD: Sorry. Mr. Palmer,  
15 what I wanted to refresh my mind on was SM.3, page 20,  
16 which does have some commentary on these points. So I'll  
17 maybe just ask you to go to that just, so we can dovetail  
18 that information with the evidence that you just gave.

19 MR. DON PALMER: And what page, in  
20 particular?

21 MS. CANDACE EVERARD: Page 20. So page  
22 20 starts with speaking about the introduction of DSR.  
23 At the first bullet there's reference to the elimination  
24 of the accident surcharges, giving rise to a decrease in  
25 premiums. But, as you've stated, it -- while the

1 specific surcharges are eliminated, the idea of the  
2 surcharge is really rolled into DSR.

3 MR. DON PALMER: Yes, that's correct.

4 MS. CANDACE EVERARD: Now, the accident  
5 surcharge amounts that are due for past at-fault  
6 accidents -- so, accidents that occur prior to a driver's  
7 placement on the DSR scale -- will still be collected.

8 That's right?

9 MR. DON PALMER: Yes, that's correct.

10 MS. CANDACE EVERARD: And we had a bit of  
11 evidence on this, I think, on the first day, but the --  
12 the Corporation does anticipate applying for future  
13 increase -- increases to the DSR scale going forward.  
14 And that's, I believe, at Tab 11 of the book of  
15 documents, those numbers.

16 Is that right?

17 MR. DON PALMER: Inc -- increases to the  
18 DSR surcharges, yes.

19 MS. CANDACE EVERARD: And these are the  
20 same ones that the Corporation has originally submitted  
21 to the Board at the time of the DSR hearing.

22 MR. DON PALMER: That's correct.

23 MS. CANDACE EVERARD: And we see on page  
24 20 of SM.3, there's a five (5) year forecast provided for  
25 what the Corporation expects in terms of revenue from

1 driver premiums. So we -- we see the 34 million in the  
2 current year, the 24 million in the year of the  
3 Application. And then we see that figure rebounding, or  
4 expecting to be rebounding up to about a \$41 million  
5 level by 2014/15.

6 Is that right?

7 MR. DON PALMER: That's correct.

8 MS. CANDACE EVERARD: And the drivers  
9 behind the increases are on higher levels of driver  
10 premiums being collected by virtue of anticipated  
11 increases in the scale, but also more drivers.

12 MR. DON PALMER: They're -- they're both  
13 incorporated into that forecast. I would say the -- the  
14 increase from 24 to \$40 million is about 60 percent  
15 increase, so that's not as a result of more drivers. We  
16 don't expect a growth in the number of drivers by 60  
17 percent over that time period -- period, so most of that  
18 growth would be the incorporation and new scale.

19 Changing the surcharges no -- currently,  
20 surcharges don't kick in until DSR level minus six (6),  
21 or six (6) demerits. They will kick in earlier than that  
22 as we roll the scale forward. The amounts at the top of  
23 the scale get increased substantially as well. So, from  
24 that standpoint, more of the increase is because of the -  
25 - the increased level of surcharges than the growth in

1 the number of drivers.

2 MS. CANDACE EVERARD: Okay. But they're  
3 both factors?

4 MR. DON PALMER: One (1) major, one (1)  
5 minor; that's my point.

6 MS. CANDACE EVERARD: Fine. Now, we know  
7 that the -- the Corporation is applying for new driver's  
8 premiums to be installed at DSR levels 11 through 14,  
9 because those are the -- the levels that really haven't  
10 been used up until this point.

11 MR. DON PALMER: That's correct.

12 MS. CANDACE EVERARD: And, in particular,  
13 the Corporation is seeking a twenty dollar (\$20) driver's  
14 premium at each of those DSR levels?

15 MR. DON PALMER: Which would be  
16 consistent with the DSR -- or at that premium with DSR-  
17 10, yes.

18 MS. CANDACE EVERARD: And the Corporation  
19 is also applying to alter the vehicle premium discounts  
20 at levels 11 through 15, so that they will range from 26  
21 to 30 percent, each step on the scale being a 1 percent  
22 increase in discount.

23 MR. DON PALMER: That's correct.

24 MS. CANDACE EVERARD: And I gather that  
25 the -- the logic behind increasing the discount as a

1 driver moves up the scale, is that hopefully each step up  
2 the DSR scale res -- results in a decrease in the risk  
3 associated with that driver, and therefore they should  
4 have a greater discount.

5 Is that fair to say?

6 MR. DON PALMER: Yes. This is consistent  
7 with -- I remember saying it early in the -- even the DSR  
8 hearing, that safe drivers pay less, and higher risk  
9 drivers pay more, and this is very consistent with that.

10 MS. CANDACE EVERARD: Thank you. Now,  
11 I'd like to review with you the numbers that the  
12 Corporation has put on the record, with respect to the  
13 number of drivers that it expects at each of the top five  
14 (5) or six (6) levels on the DSR scale. And I'm just  
15 going to locate the reference, because I have it here in  
16 my notes.

17

18 (BRIEF PAUSE)

19

20 MS. CANDACE EVERARD: Okay. It's SM.3,  
21 page 11. The Corporation's provided a section dealing  
22 with some of the pieces of the Application that we're  
23 speaking about. And on page 11 there's a chart that the  
24 Corporation has provided that reflects what is it -- it  
25 is expecting for the year of the Application, in terms of

1 number of drivers at DSR levels 10 through -- or 11  
2 through 15, I guess.

3 So if I'm reading this correctly we see in  
4 the far left-hand column the level at which the drivers  
5 on this chart would have been in 2010, which would be DSR  
6 level 10.

7 Is that right?

8

9 (BRIEF PAUSE)

10

11 MR. DON PALMER: I'm sorry, Ms. Everard,  
12 could you repeat the question.

13 MS. CANDACE EVERARD: Yeah, for sure.  
14 Page 11 on SM.3 has a chart that reflects, I believe, the  
15 number of drivers that the Corporation is expecting at  
16 DSR levels 11 through 15 in the year of the Application?

17 MR. DON PALMER: Not quite. The -- those  
18 are the number of drivers that are affected by the new  
19 placement rules. So what's missing out of this, we have  
20 a large number of drivers who, in 2010, are at fifteen  
21 (15), will continue to be fifteen (15), and they are not  
22 represented in this chart. We are right now pulling that  
23 number to tell you what that number is, anticipating that  
24 might be your next question.

25

1 (BRIEF PAUSE)

2

3 MS. CANDACE EVERARD: The second column  
4 on the chart -- we'll -- we'll just keep talking about  
5 the chart while -- while you're doing that.

6 The second column in the chart reflects --  
7 it -- it's entitled, "Restated 2010 DSR levels." So if --  
8 - if -- I -- I gather that everyone, or the individuals  
9 that are intended to be referenced in the -- the far left  
10 column are those that were tens on the scale, commencing  
11 in the 2010 year.

12 And -- and what is the difference between  
13 that, and what does the Corporation mean by the heading  
14 in the second column?

15 MR. DON PALMER: In -- in terms of --  
16 going back to the original rules that were -- were put in  
17 for -- for DSR, and there was placement rules that are  
18 set out in regulation, as to how people get into all the  
19 various DSR levels, with the change and -- and the  
20 addition of DSR level 15, it actually could have added  
21 some -- some significant inconsistency with the way that  
22 those rules would have been applied from ten (10) to  
23 fifteen (15), because we -- we would not have had a DSR  
24 level 14.

25 So what we had to do was formulate new

1 rules of what would have happened in 2010 if the new  
2 classification levels, 11 to 14, were introduced at the  
3 outset of the -- the program, and then say, So what would  
4 have been is basically what that restated 2010 DSR level  
5 is at. And then, when we get into 2011, the year of the  
6 Application, they still would have had movement upwards  
7 if they were claims and conviction free, and that's  
8 represented by the 2011 DSR level with clean driving.

9 So the restated 2010 DSR levels, no  
10 drivers were actually at the eleven (11) to fourteen  
11 (14), but we had to sort of make that extra step in order  
12 that we had a fair and equitable movement into the  
13 populating DSR levels 11 to 14.

14 MS. CANDACE EVERARD: So if I understand  
15 you correctly, some of the people that were at ten (10),  
16 originally assigned, are going to end up moving up more  
17 than one (1) on the scale?

18 MR. DON PALMER: That's correct.

19 MS. CANDACE EVERARD: Okay. And so this  
20 chart tells us, of the tens who were -- people that were  
21 originally tens, we're going to end up with a hundred and  
22 twenty-one thousand (121,000) of them at eleven (11),  
23 thirteen thousand (13,000) of them at twelve (12), and so  
24 on?

25 MR. DON PALMER: That's correct.

1 MS. MARILYN MCLAREN: Through the DSR  
2 hearing process, when the PUB wanted the creation of  
3 fifteen (15) early, and with the rules for that, and with  
4 the government agreeing to modify the regulation to be  
5 consistent with that, we then took the position that it  
6 was important for us to continue with that intent as we  
7 introduced eleven (11), twelve (12), thirteen (13), and  
8 fourteen (14).

9 So the regulation has been modified now to  
10 establish DSR 11, 12, 13, 14. You know, we needed to get  
11 that done. It's essential that we have those because of  
12 the way drivers can move through the scale, and what we  
13 will be doing is slotting them into those according to  
14 the same intent that was used to modify the DSR rate, to  
15 create fifteen (15) last year.

16 MS. CANDACE EVERARD: And so how is the  
17 Corporation able to determine which individuals at ten  
18 (10) and up -- as in eleven (11) or twelve (12) or  
19 thirteen (13) or fourteen (14) or fifteen (15) -- what  
20 are the criteria that are being applied?

21 MR. DON PALMER: The -- the criteria was  
22 essentially claims and conviction-free years, just as  
23 that was the criteria for establishing the -- the DSR  
24 level of 15.

25 MS. CANDACE EVERARD: So is it the case,

1 then, that an individual who becomes a twelve (12) on  
2 this table would have to have twelve (12) years of  
3 conviction-free and twelve (12) years of claim-free?

4 MR. DON PALMER: For initial placement,  
5 that -- that's true, yes.

6 MS. CANDACE EVERARD: So what happens to  
7 somebody who has, say, ten (10) years of claims-free and  
8 twelve (12) years of conviction-free, where do they go?

9 MS. MARILYN MCLAREN: Then they have ten  
10 (10) --

11 MR. DON PALMER: Ten (10).

12 MS. MARILYN MCLAREN: -- of conviction  
13 and claim-free years.

14 MS. CANDACE EVERARD: So whatever extra  
15 little credit they have is not -- does not come into  
16 play?

17 MS. MARILYN MCLAREN: Right.

18 MR. DON PALMER: No. And just for your  
19 information, the number of drivers that were at fifteen  
20 (15) for 2010, and then will continue to be fifteen (15)  
21 for 2011, is a hundred and eighty-five thousand four  
22 hundred and forty-two (185,442).

23 MS. CANDACE EVERARD: Okay. So those  
24 individuals, with the ones that will become fifteen (15),  
25 will end up at almost two hundred thousand (200,000)

1 people?

2 MR. DON PALMER: Sorry, that one eighty  
3 five (185) number is inclusive of the thirteen thousand  
4 (13,000), so it's -- so fifteen (15) to fifteen (15)  
5 would be about a hundred and seventy-two thousand  
6 (172,000).

7 MS. CANDACE EVERARD: Okay. Thank you.  
8 Now, it's reflected here on page 11, underneath the chart  
9 in the last paragraph on the page, that the adjustments  
10 are expected to have an impact of an additional overall  
11 percent decrease to a total estimated 2.1 percent  
12 reduction in revenue.

13 Is that right?

14

15 (BRIEF PAUSE)

16

17 MR. DON PALMER: That includes the  
18 anticipated drift during the year of application. So we  
19 had the -- the onetime transition is about 1.64 percent,  
20 that's in the previous paragraph, and then an extra half  
21 point brings it to the two point one (2.1).

22 MS. CANDACE EVERARD: Okay. And just so  
23 that I'm clear with the -- what we've been discussing  
24 with the placement of these various individuals at the  
25 levels, has -- has there been a change required to the

1 regulation, and, if so, has that been done?

2 MS. MARILYN MCLAREN: Yes, and yes.

3

4 (BRIEF PAUSE)

5

6 MS. CANDACE EVERARD: We've heard  
7 evidence so far this week about the 4 percent rate  
8 reduction that the Corporation is proposing and what is -  
9 - that is comprised of, or the split between the  
10 indicated required rate and changes arising from the DSR  
11 scale. Has the Corporation considered applying the whole  
12 of the 4 percent reduction to the DSR scale; in other  
13 words, giving higher percentage discounts to the people  
14 at the top, or close to the top?

15 MR. DON PALMER: That wasn't really a  
16 consideration, given that there's a large number of  
17 classifications that aren't subject to the DSR program:  
18 the commercial vehicles, the public vehicles, there's no  
19 discounts in trailer rates or -- or -- so, from that  
20 standpoint, in order to properly allocate that and fairly  
21 to include the -- the non-DSR rated vehicles, the split  
22 was -- was determined about half from the -- the regular  
23 experience and about half from the -- the DSR.

24 So, fro -- from that stand point, no, that  
25 wasn't really considered.

1 MS. CANDACE EVERARD: Okay. Now, the  
2 Corporation is also applying to the Board to increase  
3 some of the driver premiums at the demerit level, at the  
4 -- the other end of the scale. And the Corporation had -  
5 - or pardon me, not the Corporation. The Board had  
6 actually included a reference to that in its last order.

7 If we just to go SM.5.7, which is on page  
8 6 of the Application, we see the particular reference in  
9 the last order, where the Board asked MPI to:

10 "Undertake and file, on or before the  
11 filing of this GRA, an update on its  
12 plans with respect to continuing to  
13 transition to the higher demerit costs  
14 under DSR."

15 And the Corporation has now come forward  
16 with that, and, as indicated, it's the same as that which  
17 was proposed before.

18 That's right?

19 MR. DON PALMER: That's correct.

20 MS. CANDACE EVERARD: Now, in particular,  
21 we can see the details of what we're speaking about. We  
22 can look at, first of all, the Application, probably the  
23 best place to start, which reflects -- and I'm looking at  
24 AP.1, the third last page. This reflects in bold the  
25 particular driver premiums that the Corporation is

1 seeking to change, and they range from the -- the  
2 negative four (4) on the DSR scale, to the negative  
3 twenty (20) on the DSR scale.

4 Is that right?

5 MR. DON PALMER: That's the total driver  
6 premium for those individuals, yes.

7 MS. CANDACE EVERARD: And this is what  
8 the Corporation is applying for.

9 MR. DON PALMER: Yes.

10 MS. CANDACE EVERARD: Now, if I can ask  
11 you to turn to Tab 35 of the book of documents, which is  
12 the response to question 85 posed by the Board in the  
13 First Round. We see at 'C', Attachment C, the  
14 Corporation was asked to provide a comparative scale  
15 showing what had been applied for at the DSR hearing,  
16 what the Board approved at the DSR hearing, and then what  
17 the Corporation was now proposing.

18 And if we look at that, the -- and in  
19 particular if we look at Attachment C, DSR levels  
20 negative 4 to negative 20, I -- we don't see any change  
21 across the board.

22 Is -- is that correct? Or is -- is there  
23 -- am I missing something, because I -- I was under the  
24 impression that the numbers that we looked at in the  
25 Application were new -- new numbers for those levels.

1 MR. DON PALMER: I guess define "new".  
2 They're -- they're new for 2011; they aren't new from the  
3 transition plan.

4 So we probably -- the table that we say  
5 "Board Approved" is probably not accurate. That's what  
6 we had applied for, and I guess in principle with the --  
7 the DSR program going forward, that was understood that  
8 that's what would have happened in 2011, but Board  
9 approved probably isn't the exact terminology.

10 MS. CANDACE EVERARD: That's what I  
11 surmised from reading this, that probably the -- the  
12 numbers that the Corporation is now applying for may have  
13 been the ones originally applied for, but that in the  
14 middle there was something different.

15 Because those individuals who are at those  
16 levels now wouldn't be paying the premiums that are  
17 listed in the Application in full. They'd be paying some  
18 other number. I think -- I think at -- out of minus four  
19 (4) you'd be paying forty-five (45) bucks, and at a minus  
20 twenty (20), you'd top out at a thousand and forty-four  
21 (1,044), or something like that.

22 MR. DON PALMER: Yes.

23

24

(BRIEF PAUSE)

25

1 MR. DON PALMER: Just for reference  
2 purposes, in Appendix A, of Exhibit 1, of TI.18, we have  
3 the full rundown of all of the driver premium, and -- and  
4 vehicle premium discount levels starting in '10/'11. So  
5 from that standpoint, they have changed from '10/'11,  
6 '11/'12.

7 That particular plan has never changed --  
8 on the driver premium side, has never changed from our  
9 original DSR Application. Of course, the vehicle premium  
10 discount for the upper levels has changed, but for that  
11 particular -- so -- so I think we're just talking in  
12 terms of Information Request 185, Part C, kind of  
13 semantics there, that this is just comparing the 2011  
14 rates right across the board.

15 MS. CANDACE EVERARD: Okay. So at the  
16 end of the day, and -- and just for the purposes of the  
17 record, TI.18, Ex -- Appendix A, Exhibit 1 is at Tab 11  
18 of the Board's book of documents.

19 So when the Board is considering what the  
20 Corporation is requesting for those DSR levels, and --  
21 and comparing what is the current lay of the land versus  
22 what the Corporation's asking for, that's what they want  
23 to look at, because that's going to who them the spread?

24 MR. DON PALMER: That's correct.

25 MS. CANDACE EVERARD: Okay. And while

1 we're looking at that, let's just have a -- a little  
2 gander at what the Corporation is thinking about for  
3 future years. And I appreciate that when next year's GRA  
4 comes, maybe for some reason these would change, so we're  
5 not trying to marry you to them, but we are trying to get  
6 a sense of where the Corporation's coming from.

7                   We see, if we start maybe with level zero,  
8 the Corporation has that -- it -- it's at a forty-five  
9 dollar (\$45) level. It has been -- and the Corporation  
10 appears to intend, at least for the moment, that that  
11 remain, so that someone on -- at a zero pays forty-five  
12 dollars (\$45).

13                   And then we see on the -- everything from  
14 a minus one (1) and down, we see numbers that increase at  
15 some intervals over the next number of years.

16                   Is that right?

17                   MR. DON PALMER:     That's correct.

18                   MS. CANDACE EVERARD:   And the planned  
19 top-out for the DSR negative 20 level is still twenty-  
20 five hundred dollars (\$2,500).

21                   And that was the planned top-out that we  
22 spoke of at the DSR hearing as well?

23                   MR. DON PALMER:     That's correct.

24                   MS. CANDACE EVERARD:   The Corporation  
25 still holds the view, I take it, that anything more than

1 that we get into a situation where having a licence may  
2 be cost prohibitive, and you have unlicensed or suspended  
3 drivers driving around.

4 MR. DON PALMER: Yes, that's the  
5 consideration.

6 MS. CANDACE EVERARD: I take it from what  
7 the Corporation's evidence has been to this point that,  
8 at least at this time, the Corporation doesn't anticipate  
9 any changes to this for next year. But, as I've said, I  
10 -- we understand that that may happen.

11 MR. DON PALMER: Times and revenue  
12 requirements do change over time, but this is the plan as  
13 we know it currently.

14 MS. CANDACE EVERARD: Okay. Thank you.  
15 Let's go back to SM.5, and in particular SM.5.8, where we  
16 see reference -- this is on page 6 of SM.5 -- we see  
17 reference to the previous Board order, where the Board  
18 required that the Corporation undertake and -- to:

19 "Undertake and file with the Board, on  
20 or before the filing of this GRA,  
21 forecasts and supporting assumptions  
22 for goals and implications for accident  
23 frequency and severity, as a result of  
24 the implementation of DSR, such goals  
25 to be defined in numerical terms and be



1 claim or conviction frequencies in  
2 future years."

3 It goes on to say that:

4 "The Corporation is optimistic that the  
5 DSR program will have a positive  
6 impact, but it feels its premature to  
7 make adjustments to the forecast  
8 without any historical experience."

9 Is that right?

10 MR. DON PALMER: That's correct, and even  
11 now we're -- six (6) or -- six (6) or seven (7) -- seven  
12 (7) months into the DSR program, only seven-twelfths  
13 (7/12) of the population is even in the DSR program right  
14 now, with some of them -- I guess one-seventh (1/7) of  
15 those have only been in the DSR program for one month and  
16 -- and so on. So there really is very, very limited  
17 information.

18 Even if we went most current information  
19 available up until September 30th of -- of 2010, there's  
20 really nothing there that we could point to that -- any  
21 kind of a trend. I mean, it's -- it's going to take  
22 probably a couple or three (3) years even to get a --  
23 even a rudimentary idea of -- of the kind of trend or  
24 impact that there could be on -- on crashes and  
25 accidents.

1 MS. CANDACE EVERARD: The Corporation has  
2 stated that, as that experience becomes available, it  
3 will try to incorporate it into its future forecasts.

4 MR. DON PALMER: Yes, we will.

5 MS. CANDACE EVERARD: Now, the  
6 Corporation has stated, just in -- at the end of that  
7 second last paragraph on the section that we're looking  
8 at, that:

9 "Based on current forecasts, every 1  
10 percent reduction in crash frequency  
11 will result in a .9 percent reduction  
12 in total claims costs, and that this  
13 translates to annual claims cost  
14 reduction of \$6 million."

15 MR. DON PALMER: That's correct.

16 MS. CANDACE EVERARD: Okay. Continuing  
17 on on page 7 of SM.5, we have another section, section  
18 SM.5.9, that deals with the division of premium between  
19 drivers and vehicles. And again, we have a -- an excerpt  
20 from last year's order, where the Board ordered the  
21 corporation to research the issue of the division of  
22 premiums between drivers and vehicles, report back to the  
23 Board within this GRA.

24 Is that right?

25 MR. DON PALMER: That's correct.

1 MS. CANDACE EVERARD: And the Corporation  
2 has reflected its response to that order at pages 7 and  
3 on to page 8. The Corporation goes through a narrative  
4 of some historical considerations and sets out its  
5 reasoning, but, at the end of the day -- and I'm looking  
6 at page 9, middle of the page -- the Corporation says  
7 that it believes that the current split between vehicle  
8 and driver premium is both justified and appropriate.  
9 And the Corporation goes on to say it doesn't recommend  
10 any changes.

11 Is that right?

12 MR. DON PALMER: That's correct.

13 MS. CANDACE EVERARD: Just getting into  
14 some of the -- the reasoning that the Corporation has  
15 with respect to that position, and this is contained in  
16 the same section, the Corporation states that it believes  
17 that:

18 "The DSR framework will empower  
19 Manitobans to determine the ultimate  
20 distribution of vehicle and driver  
21 premium through their behaviour."

22 MR. DON PALMER: Yes, that's correct.

23 MS. CANDACE EVERARD: Then the  
24 Corporation lists, at the bottom of page 9, a point that  
25 it considers to be of critical importance, and I'll --

1 I'll paraphrase. One (1) of those points is that any  
2 significant movement towards increasing driver premiums  
3 in order to reduce vehicle premiums would negatively  
4 impact the principle of relatively low rates for new  
5 drivers.

6 MR. DON PALMER: That's correct.

7 MS. CANDACE EVERARD: The Corporation  
8 also states that to do so would contravene the principle  
9 of universality and affordability as a result of  
10 excessive and punitive surcharges.

11 MR. DON PALMER: That's true too, yes.

12 MS. CANDACE EVERARD: The Corporation  
13 also makes reference to surveys or research that it's  
14 done and says that the vehicle premium discount system  
15 is, quote, "virtually insisted upon," end quote, by the  
16 public?

17 MR. DON PALMER: Yes, that's a very  
18 strong indicator of all surveying that we've done.

19 MS. CANDACE EVERARD: In other words, the  
20 Corporation expects that there would be a very strong  
21 resistance to a change dealing with the vehicle premium  
22 discount?

23 MR. DON PALMER: Yes, we believe that to  
24 be true.

25 MS. CANDACE EVERARD: The Corporation has

1 also stated, and this is at (c) on page 10, that 30  
2 percent of drivers do not own or register vehicles for  
3 various reasons, but they -- these individuals are  
4 affected by the DSR scale and so they would pay  
5 surcharges and earn demerits just like anyone else.

6 MR. DON PALMER: Yes.

7 MS. CANDACE EVERARD: In (d) on page 10  
8 the Corporation states as well, that:

9 "17 percent of drivers own more than  
10 one (1) vehicle."

11 And the Corporation states:

12 "This is a personal choice on behalf of  
13 these individuals, and there's no basis  
14 to the notion that they should be  
15 paying less."

16 MR. DON PALMER: That's correct.

17 MS. CANDACE EVERARD: So at the end of  
18 the day the way that I read this section, is MPI is  
19 saying that in its view, the most favourable split,  
20 ultimately, between vehicle premium and driver premium  
21 will be the equilibrium that would be achieved through  
22 the natural evolution of the DSR system, and the  
23 Corporation makes the suggestion that the PUB stay that  
24 course.

25 MR. DON PALMER: That sums up the

1 Corporation's belief, yes.

2 MS. CANDACE EVERARD: And I gather, as  
3 well, the Corporation would consider it relevant to this  
4 discussion that the driver premiums on the demerit side  
5 are expected to increase over time, or hopefully will be  
6 increasing over time, and that's a -- a factor as well?

7 MR. DON PALMER: That's a -- a given, as  
8 part of the assumptions underlying this particular  
9 analysis, yes.

10 MS. CANDACE EVERARD: Okay. I'm going to  
11 ask you to look at Tab 36 of the book of documents. This  
12 is the question and answer at 1-87, posed by the Board.  
13 And if we look at the answer at (a) -- I'll first just  
14 read in the question.

15 The Board -- or the Corporation was asked  
16 by the Board to provide a table summarizing the actual  
17 and forecast relative contributions to net premium,  
18 arising from vehicle premiums versus driver premiums from  
19 '06/'07 through to 2014/15.

20 And the Corporation has provided that  
21 table, that's right?

22 MR. DON PALMER: Yes, we have.

23 MS. CANDACE EVERARD: And so if we look  
24 at that, we see for the 2005/06 year line that at that  
25 time the percentage of driver and vehicle premium was

1 94.39 percent. Sorry, that -- that's the percentage of  
2 the total held by the vehicle component.

3 Is that right?

4 MR. DON PALMER: That's correct.

5 MS. CANDACE EVERARD: And for the same  
6 year, the percentage of the total held by the driver  
7 licence -- or the driver premium side was 5.61 percent?

8 MR. DON PALMER: Yes.

9 MS. CANDACE EVERARD: And that number is  
10 fairly representative of what we see throughout the whole  
11 of the table under "driver premium." It -- it dips as  
12 low as 3.11 percent, but goes no higher than five point  
13 six one (5.61) for this timeframe.

14 Is that right?

15 MR. DON PALMER: And -- and, yes, the  
16 three point one one (3.11) is reflective of the -- the  
17 elimination of the Charge 2 accident surcharges that we  
18 talked about previously, so that's kind of a shock to  
19 this particular trend. But we're -- with the movement on  
20 the -- anticipated movement on the DSR scale and the  
21 higher surcharges, that will go back up, we anticipate,  
22 to sort of those historical levels within three (3)  
23 years.

24 MS. CANDACE EVERARD: And I'd just like  
25 to speak about that a little bit more. We see the

1 projection for 2014/'15 as four point five five (4.55),  
2 which is less than every other percentage up until  
3 2010/'11. So I appreciate the -- the Corporation's  
4 talking about the natural evolution and -- and we've  
5 looked at the numbers, the absolute numbers and the  
6 proposed twenty-five hundred dollar (\$125) surcharge at  
7 the minus twenty (20) level, but is -- is this sort of  
8 the extent of the -- the evolution that the Corporation  
9 is referring to, or do we expect more beyond?

10 MR. DON PALMER: There would be some  
11 evolution beyond that.

12 MS. CANDACE EVERARD: But, as discussed,  
13 the Corp -- as discussed though, the Corporation doesn't  
14 anticipate seeking DSR driver premium at the -- the  
15 negative levels any higher than what we looked at?

16 MR. DON PALMER: No, this particular  
17 table do -- does get us to the point where we've  
18 completely implemented the scale as we've set out to  
19 '14/'15, so -- so we're there, yes.

20 MS. CANDACE EVERARD: But -- but the  
21 relativity is still -- I mean, the -- the overall  
22 percentage of the total that's contributed to you by a  
23 driver premium is still less than any of the first five  
24 (5) years shown on the table.

25 MR. DON PALMER: That's true, yes. And,

1 again, subject to many other factors we have seen in that  
2 time period from five six (56) to eight nine (89), our  
3 Charge 1 premiums, which is for conviction surcharges,  
4 went very low. There was a decrease in the number of  
5 convictions, traffic convictions, over that time period.  
6 That has rebounded somewhat over the last couple years.

7                   So there -- there's more factors than --  
8 weather related factors. Of course, if you have a bad --  
9 bad winter one year, that will mean more accidents, which  
10 means higher surcharges the following year. So there --  
11 there's a number of factors that are sort of built in to  
12 -- to these particular absolutes. It's -- it's not  
13 necessarily just the scale.

14                   MS. CANDACE EVERARD: And just so that I  
15 understand your point about the traffic enforcement, the  
16 -- if -- if there was less traffic enforcement for the  
17 five (5) year period that you talked about, and I know  
18 that that's been an issue that's been discussed, wouldn't  
19 that give rise to less, not more, in terms of driver  
20 premium?

21                   MR. DON PALMER: It could, but there  
22 wasn't really any -- any growth in that either for  
23 population or anything like that. But, yes -- yes, you  
24 make a valid point.

25                   MS. CANDACE EVERARD: Okay. If we

1 continue to 1-87(c), which we find on page 6 of this  
2 particular answer, we see a question that was posed  
3 asking for a:

4 "Ten (10) year history of frequency,  
5 severity, and incurred loss history for  
6 drivers with no registered vehicle,  
7 with accompanying earned driver,  
8 unearned driver premium statistics."

9 And then commentary on the appropriateness  
10 of using this data as a basis to separate -- or to test  
11 the separation between driver and vehicle licences.

12 So on page 6 there's a chart with -- with  
13 some information. I personally find the graph on the  
14 next page to be a little bit more easy to look at.

15 This reflects frequency of at-fault claims  
16 for drivers with vehicle policies who are represented by  
17 the -- the diamond and veh -- drivers with no vehicle  
18 policy, which are represented by the square.

19 Is that right?

20 MR. DON PALMER: That's correct. And  
21 this particular graph is really useful in a -- in a  
22 couple of ways. First of all, it really demonstrates  
23 that as we move along in fact down the DSR levels from --  
24 from merits to less merits, and into the demerits scale,  
25 and higher demerits, that there really is a higher risk

1 associated with -- as you move along that scale.

2                   So again, this is a graph that we had at  
3 the -- in the DSR hearing, and -- and this was really  
4 proof that the DSR schedule works, as a -- as is  
5 reflective of risk, so that -- that's the first thing.

6                   The second thing, the -- whether drivers  
7 have vehicles or not, there really is a very distinct,  
8 relative movement of those two (2) groups of drivers.  
9 They stay very close, and -- and pretty much move in sync  
10 with each other.

11                   We get a little bit of what we would refer  
12 to as noise at the -- at the upper end of the demerit  
13 scale, because there -- thankfully there's not many  
14 drivers up there, and they -- and the experience is --  
15 accident experience is a little -- a little bit sparse.  
16 But still, there's very much -- I can still tell there is  
17 an upward trend, despite the -- the bit of fluctuation  
18 from year to year.

19                   And the third point I'd like to make with  
20 this particular graph is -- is that the drivers with no  
21 vehicle policy have a little bit better experience than  
22 those with. I think that dispels the rumour that ever --  
23 or the belief that everybody that has an accident who has  
24 a vehicle gets -- gets rid of it, and that the no vehicle  
25 policy people would be worse. In fact, they're a little

1 better, and -- and that's just reflective of the fact  
2 that they don't own a car, and they probably just don't  
3 drive as much.

4                   So from -- from that standpoint, I think  
5 this -- this particular graph is -- is very interesting,  
6 from all three (3) of those perspectives.

7                   MS. CANDACE EVERARD:    And -- thank you  
8 for providing that commentary.

9                   The Corporation would agree though that  
10 the current level of driver premiums that are collected  
11 are insufficient to cover off the claims costs incurred  
12 by individuals who do not have a vehicle insured?

13                   MR. DON PALMER:    Insured in their name.  
14 I would say that there's always implied vehicle ownership  
15 for all of those vehicles, that full premium is -- is  
16 attached to the vehicle regardless of who drives it.  So  
17 any risk that those drivers bring to bear, from the  
18 vehicle perspective, is caught in the vehicle -- vehicle  
19 premium.  There's no attempt to say that every -- every  
20 accident that is incurred by a driver who doesn't own a  
21 vehicle would be captured in the -- in the driver  
22 premium.  That's never -- never the intent.

23                   MS. MARILYN MCLAREN:   More specifically,  
24 it's definitely not the intent.  That's absolutely not  
25 the intention of the way the plan is structured.

1 MS. CANDACE EVERARD: It -- it's not the  
2 intention, but it's also not the case? The -- that --

3 MS. MARILYN MCLAREN: Purposefully, yes.

4 MS. CANDACE EVERARD: Okay. If we look  
5 at 1-87(d), this was a question wherein the Corporation  
6 was asked to provide a table comparing the proposed  
7 driver premium scale for the year of the Application,  
8 with that which would result from a rebalancing if driver  
9 premiums were set at 5 percent of total vehicle premiums.

10

11 And we find the answer, that table,  
12 reflected at page 8. So we have in the left-hand side  
13 column the driver premiums that the Corporation's apply  
14 for by DSR level, and then we have, in the right-hand  
15 column, the -- what those premiums would have to be to be  
16 5 percent of vehicle premiums.

17 Is that right?

18 MR. DON PALMER: That's the immediate  
19 impact of a -- essentially would be a 60 percent increase  
20 in driver premium. We have applied that on a pro rata  
21 basis across all DSR levels. Really, I suppose, that  
22 there's a number of ways that you -- that we could have  
23 done that. A lot of assumptions underlying.

24 The fact is that the safest drivers at the  
25 top of the DSR scale, that's most of the drivers. So in

1 order to get -- to get enough revenue to get up to that 5  
2 percent you -- you do have to have significant increases  
3 for the safest drivers.

4 MS. CANDACE EVERARD: Some of the changes  
5 though, aren't that different from what the Corporation  
6 is ultimately proposing. Now, I appreciate the  
7 Corporation is proposing a gradual shift, but I'm  
8 looking, as an example, at minus twenty (20), which we're  
9 hoping to end up at twenty-five hundred (2,500), or the  
10 Corporation is expecting to end up there at some point,  
11 and here it's twenty-four hundred (2,400) and change.

12 So it's -- I -- I appreciate the -- the  
13 graduality versus the -- the sudden, but it -- it does  
14 seem that some of these numbers are similar to where  
15 we'll probably end up.

16 MR. DON PALMER: It -- it gets similar at  
17 the top end of the scale, and then -- and of course I  
18 would -- would again remind -- remind you, Ms. Everard,  
19 that there are very few drivers at that minus fifteen  
20 (15) to -- to minus twenty (20). So even if you did give  
21 these drivers a 60 percent or 80 percent or 100 percent  
22 increase in their driver's premium, you still don't get  
23 enough accumulated revenue to get anywhere close to the 5  
24 percent PUB target, if I can use that termin -- PUB  
25 target for this particular question. Or suggested target

1 may -- maybe.

2 MS. CANDACE EVERARD: For the purposes of  
3 this analysis, yeah. That's -- that's all that it is.

4

5 (BRIEF PAUSE)

6

7 MS. CANDACE EVERARD: Just one (1) more  
8 question with resp -- with respect to this response.  
9 Underneath the table the Corporation's given some  
10 commentary. It says it -- it disagrees with the approach  
11 taken in the table, and then it says if the PUB were to  
12 mandate something like this, then driver premium rates  
13 would have to increase every year to match the growth in  
14 vehicle premiums that come from the volume growth.

15 That's right?

16 MR. DON PALMER: That's correct.

17 MS. CANDACE EVERARD: And although the  
18 Corporation is expecting to apply for increases to at  
19 least some of the DSR levels over the next number of  
20 years, there'll likely be a point in time where that  
21 doesn't occur any further?

22 MR. DON PALMER: In -- in terms of the  
23 analysis of the -- the driver premium, we have, over the  
24 last number of years, not looked at that very  
25 substantively over -- prior to the -- the application of

1 -- of DSR. We have held the line on driver premiums for  
2 a fairly significant amount of time.

3 I think now with -- with DSR and the way  
4 it's constructed, once we get out to 2014/15, we'll  
5 continue to take a look at and do an analysis on  
6 appropriate driver -- driver premium. That will be part  
7 of our ongoing review. So apart from that, I can't  
8 really comment too much more. This is the plan up until  
9 '14/15. We haven't itemized the plan any further than  
10 that.

11 We'll likely be status quo. It'll be  
12 close to that, but we'll continue reviewing it.

13 MS. CANDACE EVERARD: And I'm -- wasn't  
14 asking for anything specific beyond that. I was mostly  
15 thinking about the -- the idea of the difficulty with  
16 increasing the surcharges, in the Corporation's view,  
17 that it gets to a point where people just can't afford it  
18 and then there are other problems that come.

19 MR. DON PALMER: Yes, absolutely.

20 MS. CANDACE EVERARD: Okay. If we go  
21 back to SM.5, I'd ask you to go to SM.5.11.15. This was  
22 a -- deals with a recommendation that the Board made in  
23 its last order with respect to new Manitobans, or  
24 individuals moving into our province from other places.  
25 And in particular, the Board had recommended that:

1 "No new driver or driver/owner from a  
2 different jurisdiction should receive a  
3 DSR merit rating higher than five (5).  
4 Obviously, the initial transition  
5 allows for a maximum of ten (10), given  
6 Manitoba's weather and road conditions  
7 may be considerable different from  
8 those previously experienced by these  
9 new registrants, and Manitoba driving  
10 experience should be required to reach  
11 higher merit levels."

12 And the Corporation's response to that is  
13 that:

14 "Placement of new drivers and drivers  
15 from a different jurisdiction is  
16 regulated under the [I think that  
17 should be driver safety rating  
18 regulation, or maybe it's driver rating  
19 system] which has been registered by  
20 the Province of Manitoba."

21 MR. DON PALMER: That's correct.

22 MS. CANDACE EVERARD: And is that the end  
23 of the matter from the Corporation's perspective, or does  
24 it intend to consider or pursue that type of issue  
25 further?

1                   MR. DON PALMER:    No, that's the end of  
2 the matter.  These are set in regulation set by  
3 government.

4                   MS. MARILYN MCLAREN:   It -- it's very  
5 clearly a matter of government policy.  I can tell you,  
6 as administers of the legislation, this is an area that  
7 gets a lot of attention when new people come to Manitoba.  
8 It's -- it's an issue that in various public ways has  
9 been on various governments' radar.  It's something that  
10 they take complete ownership and responsibility for, and  
11 it really is in their hands.

12                   You know, some -- through time, there's  
13 been conversations about, you know, some of the more  
14 frequent, regularly in and out movement in the province,  
15 that's related to military and RCMP, that gets a lot of  
16 attention.  The HTA used to have a specific provision for  
17 a more generous treatment of individuals from those two  
18 (2) organizations when they would come into the province.

19                   So clearly it is -- it is in the  
20 legislation for a reason.  It's something the government  
21 takes responsibility for.  And this is really just  
22 intended to elaborate on Mr. Palmer's shorter response,  
23 that this is it from the Corporation's perspective.

24                   MS. CANDACE EVERARD:    I -- I appreciate  
25 the -- the interplay between the government and the

1 Corporation, and that the government makes the recu --  
2 regulation, but I'm also fairly confident that if the  
3 Corporation had a very different view, that the  
4 government would at least hear it. And what you're  
5 telling me, I think, is that the Corporation doesn't  
6 agree with the recommendation that the Public Utilities  
7 Board has made and doesn't intend to take any steps.

8 MS. MARILYN MCLAREN: No, that's not what  
9 I'm saying. I'm saying that any consultations or advice  
10 to government wou -- would be confidential. We say that  
11 a lot. And at this point the regulation is what it is.

12 You know, so whether or not we agree with  
13 the PUB, disagree with the government, would think the  
14 government maybe should do something different, all of  
15 that is entirely speculative. And -- and if the  
16 Corporation thought it would do something, it -- it knows  
17 how to do it and would do it confidentially, and there's  
18 nothing else really the Corporation can say at this  
19 point.

20 MS. CANDACE EVERARD: So, at this point,  
21 the Corporation isn't prepared to say whether it agrees  
22 or disagrees with this recommendation?

23 MS. MARILYN MCLAREN: True.

24 MS. CANDACE EVERARD: Mr. Chairman, it's  
25 five (5) to 12:00. I have a short section that I can

1 probably cover off in five (5) minutes. Should I keep  
2 going?

3 Okay, we have evidence on the record from  
4 the Corporation with respect to its corporate goals, and  
5 I want to ask some questions about one (1) of them.

6 There -- the goals appear in, obviously, a  
7 number of different places throughout the record. One  
8 (1) of the places that they appear that I happen to have  
9 in my notes is in, Ms. McLaren, your pre-filed testimony  
10 on page 2. It's the second bullet -- or the second goal  
11 that appears on the list, that is that the Corporation  
12 have rates that are lower than those charged by private  
13 insurance companies for comparable coverage.

14 MS. MARILYN MCLAREN: Yes.

15 MS. CANDACE EVERARD: And the Board asked  
16 a question on this topic at Question 2-1 of the IR  
17 process, which is not in the book of documents.

18

19 (BRIEF PAUSE)

20

21 MS. CANDACE EVERARD: This followed on an  
22 earlier IR, which was 1-3, that we don't necessarily need  
23 to go to.

24 The question at 2-1(a) was to indicate if  
25 and, if applicable, how the driver and vehicle

1 characteristics used in this jurisdictional comparison  
2 were updated from year to year. And so the Corporation  
3 has provided a narrative response, and then has provided  
4 a chart listing the vehicle's selected over the last four  
5 (4) years for this comparative analysis.

6                   We see -- if I direct your attention  
7 firstly to the first year reflected on the table, which  
8 is 2010, we see that there is a list of eight (8)  
9 vehicles that were selected. The newest one is the third  
10 one, the 2008 Ford Escape, and that's the only 2008  
11 vehicle on the list, and there's none from any more  
12 recent model years, and none from 2007 either.

13                   Is there a particular reason why the  
14 Corporation uses the mix of year models that it does, and  
15 that there aren't newer ones there?

16                   MS. MARILYN MCLAREN: I'll -- I'll let  
17 Mr. Palmer answer, but -- but the -- the concept is that  
18 we're really trying to provide typical examples. If I  
19 was to say anything about this list, I'd say it's -- it's  
20 too heavily weighted to newer vehicles in its entirety.  
21 The average vehicle in Manitoba is still about nine (9)  
22 years old.

23                   So the typical vehicle is nine (9) years  
24 old in Manitoba, so his is very weighted towards new  
25 ones.

1                   Why we wouldn't have any newer than '08;  
2 because they're simply few of them in the fleet, and  
3 we're really trying to do something that's  
4 representative.

5                   MR. DON PALMER:    I will just add to what  
6 Ms. McLaren said regarding the -- the inclusion of -- of  
7 older vehicles.  In some cases some of the older  
8 vehicles, average being nine (9) -- nine (9) years old,  
9 it's difficult to get comparative data from other  
10 jurisdictions.  We have a certain coverage profile that -  
11 - that we're using because the Basic Compulsory program  
12 in Manitoba has a five hundred dollar (\$500) deductible  
13 on collision and comprehensive.

14                   In some cases there are, for older  
15 vehicles, specific -- anything older -- fifteen (15)  
16 years in some cases, that it's difficult to get a quote  
17 to -- to compare for a -- an older vehicle from a -- an  
18 apples to apples comparison.

19                   So -- so these are sort of typical  
20 vehicles.  We go through the numbers, the -- the counts  
21 of vehicles that we have in our fleet.  We -- we look at  
22 the common ones, and -- and chose the -- the vehicles on  
23 that basis.

24                   MS. CANDACE EVERARD:    So the vehicles are  
25 chosen.  And this is an analysis done by the Corporation;

1 it's not sourced out to a third party?

2 MR. DON PALMER: The Corporation choses  
3 the vehicles, and then there's a third party that goes  
4 and surveys, and -- and gets all the data from other  
5 jurisdictions.

6 MS. CANDACE EVERARD: And I take it when  
7 the -- the panel is giving evidence about the oldest  
8 vehicle, or the average vehicle being nine (9) years old,  
9 that that's some -- the result of an analysis that the  
10 Corporation has done?

11 MR. DON PALMER: We -- we do a count of  
12 vehicles by model year, and -- and that's the average.  
13 Has been that for -- it's been pretty stable over the  
14 last fifteen (15) years, anyway.

15 MS. CANDACE EVERARD: Do you know if --  
16 when the -- the third party is -- is doing the -- the  
17 surveys in the other jurisdictions, are they getting any  
18 information about what the cross-section of vehicles is  
19 like there relative to our province?

20 MR. DON PALMER: No. There -- we give  
21 them a list of the vehicles, and the profiles, and say,  
22 We'd like the comparative rates. That -- that's the  
23 instructions that are given.

24 MS. CANDACE EVERARD: And do we have a  
25 sense of whether the -- the typical cross-sections, as

1 you've stated, that are selected here by the Corporation  
2 are similar to what a cross-section might be like in  
3 another province?

4 Does the Corporation have that kind of  
5 information?

6 MR. DON PALMER: We -- we don't have that  
7 information. We suspect that the age of vehicles in  
8 Manitoba is probably on the older end in jurisdictions of  
9 -- across Canada. Certainly the population of vehicles  
10 that have collision and comprehensive coverage would  
11 definitely be on the older end of -- of that scale, but  
12 we don't have any specific information in that regard.

13 MS. MARILYN MCLAREN: Give you one (1)  
14 example. There's only one (1) truck on this list in  
15 2010. Manitobans have a far higher preponderance to buy  
16 half-tonnes than people in the rest of the country.  
17 There was a story a little while ago in the news that  
18 sales of half-tonnes in the company -- in the country  
19 have really accelerated over the last period of time.  
20 Manitobans been way out on the lead on that -- on that  
21 particular purchasing practice, so.

22 I mean, I think it's -- it's largely  
23 rural, big spaces, lots of farming, probably not far off  
24 Saskatchewan, but some of the other centres would not  
25 have as many half-tonnes, particularly, as Manitoba. But

1 generally, because we have tilted this towards newer  
2 vehicles, there -- there's no reason to think that this  
3 is anything but reasonably representative of the rest of  
4 the country.

5 MS. CANDACE EVERARD: Okay. I'll ask you  
6 to go to Tab 43 of the book of documents, which is an IR  
7 that was posed by Mr. Williams, on behalf of his client.  
8 This 1-120.

9 And this was a question about a rate  
10 comparison study involving ten (10) Canadian cities. And  
11 the Corporation has provided a series of charts that  
12 compare insurance premiums in Winnipeg with other  
13 Canadian cities, and then it tells us, in the far right-  
14 hand column, where MPI ranks relative to the other  
15 centres.

16 Is that fair to say?

17 MR. DON PALMER: Yes, that's fair.

18 MS. CANDACE EVERARD: Now, as -- Mr.  
19 Palmer, you've made reference to -- there are coverage  
20 differences across jurisdictions, and I -- I appreciate  
21 that those are reflected in AI.2.

22 How does the Corporation address those  
23 nuances in this type of analysis?

24 MR. DON PALMER: We set, as best we can,  
25 close comparison as -- as we can do. So from a

1 deductible perspective -- that's the obvious one -- we  
2 make sure that the same deductible is applied for each of  
3 these profiles.

4           What we can't do is necessarily compare  
5 mandatory coverage. The personal injury protection plan  
6 is different than seven (7) of the other jurisdictions  
7 that were -- were doing a comparison, so -- so it's --  
8 it's very difficult to compare that.

9           There are -- all of the various  
10 jurisdictions have different rules, programs. Some have  
11 threshold no-fault systems, some have just very  
12 rudimentary add-on systems. There's injury caps, there's  
13 all kinds of other limitations that have been put on  
14 policies in -- in other jurisdictions.

15           We do the best we can, in terms of the --  
16 the compulsory coverage, plus the additional of -- of all  
17 perils with the applicable deductibles, but from that  
18 standpoint it -- it -- it is very difficult to make any  
19 kind of cross-country comparison.

20           MS. MARILYN MCLAREN: It's not  
21 comparable. When it comes to first party injury  
22 coverage, it's not comparable. Certainly it's comparable  
23 with Quebec, Saskatchewan. Ontario, until recently their  
24 threshold no-fault system benefits were -- were certainly  
25 comparable to Manitoba. Even BC, which is a tort

1 jurisdiction, but the first party accident benefits are  
2 significantly greater there than they are in some of the  
3 other jurisdictions. But there's absolutely no  
4 comparison to the no-fault benefits available in the  
5 Maritimes, Newfoundland, and in Alberta. They're --  
6 they're not comparable at all.

7           At one point, we tried to see if there's a  
8 way we could even do a price -- a price comparison, a  
9 premium comparison, if we bought extra accident benefits  
10 in those jurisdictions, to somehow get closer to the  
11 comprehensive benefits available here. That -- that  
12 wasn't possible. It just wasn't feasible.

13           So this is definitely comparable for  
14 Ontario, Quebec, Saskatchewan, pretty close for BC, but  
15 the rest of the country really isn't at all, in terms of  
16 the accident-benefit cost component.

17           MS. CANDACE EVERARD: So how does that  
18 tie back to the corporate goal of providing lower  
19 premiums for comparable coverage, if there are so many  
20 difficulties with the coverage being comparable?

21           MS. MARILYN MCLAREN: Well, I think it's  
22 something that we look at, in terms of -- from a -- from  
23 a very broad, conceptual -- conceptual perspective. That  
24 was a goal established by the Automobile Insurance  
25 Committee before the Corporation was established. We

1 have had no desire to shelve the goal. It's critically  
2 important that we continue to pay attention to it, and  
3 where there are differences to understand the  
4 differences.

5                   So that's really what it comes down to in  
6 terms of -- and there -- there is comparable coverage in  
7 -- you know, in -- in enough jurisdictions in this  
8 country that that gives us a -- a comfort level that we  
9 understand what we're doing, that we understand the  
10 benchmark, and that we are reasonably priced in relation  
11 to the jurisdictions where there is the best comparison.

12                   MS. CANDACE EVERARD: And I take it from  
13 the evidence that's been given, that population densities  
14 in other centres isn't something that is taken into  
15 consideration in the analysis?

16                   MR. DON PALMER: It -- it's just a  
17 grouping of ten (10) Canadian cities, with -- with no --  
18 that -- no adjustment for those kind of density  
19 calculations.

20                   MS. CANDACE EVERARD: Okay. Thank you.

21                   Mr. Chairman, that completes my subsection  
22 that I was examining on, so if we want to take the lunch  
23 hour.

24                   THE CHAIRPERSON: Sure. Just one (1)  
25 quick question on this, out of pure curiosity perhaps.

1 The anomaly, when you look across, and just from a number  
2 perspective, is Toronto. Is the premium -- the size of  
3 the premium reflective of Hamilton or Ottawa or London,  
4 Ontario, or other centres? Or is it just -- are these  
5 fairly incredible premiums reflective just of Toronto?

6 MR. DON PALMER: I'm not sure exactly how  
7 Toronto is defined. We just -- with our instructions to  
8 the third party that does this analysis, Toronto was that  
9 -- I don't know how big that metropolitan area is. I  
10 don't know the -- the territorial class plans of specific  
11 companies and how they might vary amongst the different  
12 metropolitan areas.

13 THE CHAIRPERSON: I just note that  
14 there's a tremendous difference between Toronto and  
15 Montreal, and they're both huge urban centres. And your  
16 very first one off the top has Toronto at three and a  
17 half (3 1/2) times that of Montreal. And I realize that  
18 the SAAQ plan fits into it.

19 But, anyway, you don't know the -- the  
20 premium comparisons for a different location in Ontario,  
21 just to note whether or not Toronto is an anomaly in  
22 itself?

23 MS. MARILYN MCLAREN: I think, to a  
24 certain extent, that that's -- that's true, but I -- but  
25 I know that the issues that they've had and the price

1 pressures that they've had across the province of Ontario  
2 has not been limited to Toronto. So the -- the -- the  
3 extreme differences may very well be a Toronto factor,  
4 but the fact that it is more costly there -- and,  
5 anecdotally, I can tell you people in Kenora occasionally  
6 think that maybe the border should move to help them out  
7 with auto insurance.

8                   So I think there -- again, you know --  
9 and, on the other side of it, we could probably be  
10 comparing Regina to our Territory 2 rates, because it's  
11 probably, you know, as close to the size of Brandon as it  
12 is to the size of Winnipeg. They have one flat  
13 territorial rate for the Province of Saskatchewan. Many,  
14 many smaller centres as opposed to Winnipeg's unusual  
15 demographic of one really big one.

16                   So, you know, it is just a -- a scan of a  
17 particular profile across the country.

18                   THE CHAIRPERSON: Thank you. Okay.  
19 We'll be back at 1:15.

20

21 --- Upon recessing at 12:10 p.m.

22 --- Upon resuming at 1:17 p.m.

23

24                   THE CHAIRPERSON: Okay. Welcome back,  
25 everyone. Ms. Everard, whenever you're ready.

1 MS. CANDACE EVERARD: Thank you, Mr.  
2 Chairman.

3 MS. KATHY KALINOWSKY: Sorry, Ms.  
4 Everard, I'd just like to say that you'd asked an  
5 undertaking prior to the lunch break, and we do have the  
6 response to it, which Mr. Kramer is prepared just to give  
7 orally.

8 THE CHAIRPERSON: Mr. Kramer...?

9 MR. OTTMAR KRAMER: During the  
10 questioning the -- the question was how much of the land  
11 is included in the PUB -- the response to PUB-1-63, the  
12 \$45.4 million. Nine point five (9.5) is related to the  
13 Cityplace or -- yeah, Cityplace, the land, and thirty-  
14 five point nine (35.9) is building.

15 THE CHAIRPERSON: Thank you.

16 MS. CANDACE EVERARD: Thank you.

17

18 (BRIEF PAUSE)

19

20 MS. CANDACE EVERARD: Thank you, Mr.  
21 Chairman.

22

23 CONTINUED BY MS. CANDACE EVERARD:

24 MS. CANDACE EVERARD: We -- when we went  
25 through the Application on the first day, we talked at a

1 high level about the details of the Corporation's  
2 Application and the various issues that it's asking the  
3 Board to decide. I just want to speak a little bit about  
4 the late payment fee piece. And so we'll -- we'll start  
5 maybe with SM.5.10, where the -- the Board had commented  
6 on this issue in its last order.

7

8

(BRIEF PAUSE)

9

10 MS. CANDACE EVERARD: So this was the  
11 order that the Board made following on an application to  
12 review and vary last year's GRA order. And as is  
13 provided at SM.5.10, the Board in Order 19/10 stated:

14 "The Corporation is to carefully review  
15 its proposed customer based late fee  
16 approach from a variety of perspectives  
17 and provide their results of its  
18 analyses including the pros and cons of  
19 options in its 2011 GRA filing."

20 And the Corporation has replied that  
21 information on this topic is found at AI.14.

22 Is that right?

23 MR. DON PALMER: That's correct.

24 MS. CANDACE EVERARD: So let's turn then  
25 to AI.14.

1 (BRIEF PAUSE)

2

3 MS. CANDACE EVERARD: Which is not in the  
4 book, so we'll go to Volume III.

5

6 (BRIEF PAUSE)

7

8 MS. CANDACE EVERARD: Now, we see from  
9 looking at page 1 of AI.14, that the Corporation has  
10 stated after -- or sorry, in its application in the  
11 review and vary motion, suggested that the late fee  
12 matter should be considered from a number of  
13 perspectives.

14 And tho -- there were four (4) of them  
15 listed here. Is that right?

16 MR. DON PALMER: That's correct.

17 MS. CANDACE EVERARD: And the third one,  
18 the Corporation identifies as being still relevant in its  
19 view, and that is the item that relates to the Four Pay  
20 Plan, which I gather represents policy holders paying  
21 their insurance in four (4) installments over the year?

22 MR. DON PALMER: Quart -- quarterly time  
23 payment we also refer it as, yes.

24 MS. CANDACE EVERARD: Sorry?

25 MR. DON PALMER: Quarterly time payments,

1 as well.

2 MS. CANDACE EVERARD: So the Four Pay  
3 Plan is something different than quarterly payments?

4 MR. DON PALMER: It's the same thing.

5 MS. CANDACE EVERARD: Okay. That's what  
6 I thought.

7 Now, the Corporation has reflected here  
8 that certain customers chose the -- the quarterly time  
9 payment plan for a variety of options, some of them  
10 because they don't want to provide banking information,  
11 some because they don't have bank accounts or credit  
12 cards.

13 And the Corporation states in the first  
14 full paragraph of page 2 that it also takes the position  
15 that what is relevant is the amount that's outstanding.

16 That's right?

17 MR. DON PALMER: Yes, that's correct.

18 MS. CANDACE EVERARD: And the Corporation  
19 is applying, and this is in the third full paragraph 2:

20 "To change the late fee charge to  
21 customers who fail to pay their  
22 quarterly time payment on time, as of  
23 March 1st, of 2012."

24 That's right?

25 MR. DON PALMER: Yes, that's correct.

1 MS. CANDACE EVERARD: And, in  
2 particularly, what the Corporation is looking to do is  
3 apply a late interest charge of 1.5 percent per month to  
4 be compounded daily, and to be charged on late quarterly  
5 time payments?

6 MR. DON PALMER: Yes, that's correct.

7 MS. CANDACE EVERARD: And that's in  
8 addition to the initial quarterly time payment financing  
9 charge of prime plus 2 percent?

10 MR. DON PALMER: Yes, that's correct.

11 MS. CANDACE EVERARD: And can you confirm  
12 what the annualized interest rate would be, relative to  
13 the 1.5 percent per month.

14

15 (BRIEF PAUSE)

16

17 MR. DON PALMER: It's nin -- about 19 1/2  
18 percent.

19 MS. CANDACE EVERARD: And I understand  
20 that if granted, and this is reflected near the bottom of  
21 page 2, that this change to the proposed interest rate  
22 would result in an annual decrease of service fee revenue  
23 of about \$1.1 million, and that would, of course,  
24 commence in 2012/'13, when this would take effect.

25 MR. DON PALMER: That's correct.

1 MS. CANDACE EVERARD: Now, one (1) aspect  
2 of this that I -- I want to be clear on is: The  
3 application is specific to the quarterly time payments,  
4 as we've been discussing?

5 MR. DON PALMER: Yes.

6 MS. CANDACE EVERARD: But the public also  
7 has the option of paying monthly, right, in monthly  
8 installments for their premiums?

9 MR. DON PALMER: Yes.

10 MS. CANDACE EVERARD: So, I gather that  
11 the Corporation isn't proposing any change in the late  
12 payment fees with respect to monthly installments.

13 MS. MARILYN MCLAREN: That's right.  
14 There really aren't late payments with monthly. It ends  
15 up being treated as a NSF, not sufficient funds, because  
16 they -- it is -- is withdrawals. This is an  
17 administrative process where we send bills, they have to  
18 pay by a certain date. Monthly payments are completely  
19 different from that; it's an automatic withdrawal  
20 process.

21 MS. CANDACE EVERARD: And what happens if  
22 somebody bounces an automatic withdrawal?

23 MS. MARILYN MCLAREN: There's an -- the  
24 first thing that happens is there's a second attempt.  
25 And if the second attempt fails, then there's an

1 insufficient funds charge, and then suspension of the  
2 registration and insurance is triggered as well.

3 MS. CANDACE EVERARD: And what happens in  
4 -- in what I gather would be a third scenario, if a  
5 person's not paying monthly, they're not paying  
6 quarterly, that probably means that they're paying their  
7 full shot on the renewal date. What if there's a problem  
8 with that payment, if there's a bounced cheque or  
9 something of that nature?

10 Is it treated similar to the monthly  
11 installment issue that you just described?

12 MS. MARILYN MCLAREN: Yes, it is.

13 MS. CANDACE EVERARD: Okay. I'm  
14 wondering if the Corporation is aware of orders that the  
15 Board has issued in other utilities, specifically water  
16 and sewer, prescribing for late payment charges at 1 1/4  
17 percent?

18 MR. DON PALMER: I'm not familiar with  
19 that, no.

20 MS. MARILYN MCLAREN: There was in IR, I  
21 think, asking where we came up with the one point five  
22 (1.5), and we compared it to Hydro, and MTS, and other  
23 service organizations like them.

24 MS. CANDACE EVERARD: Okay. Those are  
25 the questions with respect to that issue. I'm going to

1 move then to some questions in the actuarial area. And  
2 I'll -- I just mention that because I know there may be  
3 some seating changes.

4 I would ask, Mr. Palmer, for you to take a  
5 look at PUB/MPI-1-9.

6

7 (BRIEF PAUSE)

8

9 MR. DON PALMER: Yes, I have it.

10

11 (BRIEF PAUSE)

12

13 MS. CANDACE EVERARD: Okay. Thank you,  
14 Mr. Palmer. So 1-9.

15 I would firstly ask for you to confirm  
16 that the undiscounted Basic total net PIPP run-off during  
17 the fiscal year 2009/'10 was favourable for each  
18 insurance year from '94/'95 to 2008/'09, aggregating to  
19 about 87.4 million. And I think that detail will be  
20 found at the attachment at 1-9(c).

21 MR. DON PALMER: Yes, I'll confirm that.

22 MS. CANDACE EVERARD: Thank you. And can  
23 you advise of how this quantity of 87.4 million is  
24 affected by the indexation of certain categories of  
25 coverage benefits?

1                   MR. DON PALMER:    It's really not affected  
2 by the indexation. For comparison purposes, we bring  
3 prior years up to current benefit levels, so it is a  
4 valid apples-to-apples com -- comparison.

5                   MS. CANDACE EVERARD:   And what about an  
6 affect by coverage benefit changes?

7

8                                       (BRIEF PAUSE)

9

10                   MR. DON PALMER:    We're just going to  
11 double check that the -- some of the improvements to  
12 benefits are included in these numbers. I believe they  
13 are, again, for the valid apples-to-apples comparison,  
14 but we're just double checking that.

15

16                                       (BRIEF PAUSE)

17

18                   MS. CANDACE EVERARD:   Maybe I'll just  
19 keep going while -- while he's looking for that.

20                   My next question would be with respect to  
21 this 87.4 million, whether this level of favourable Basic  
22 runoff is consistent with the level of conservatism  
23 adopted by the Corporation in its Basic valuation, or  
24 whether this goes beyond what might otherwise have been  
25 expected.

1 MR. DON PALMER: This would be beyond  
2 what would normally be expected.

3 MS. CANDACE EVERARD: And is this level  
4 of Basic runoff in a fiscal year, that is the 87.4  
5 million, whether favourable or unfavourable, in any way  
6 extraordinary or alarming to the Corporation, in the  
7 context of the actual variation -- valuation, pardon me,  
8 of Basic claims liabilities?

9 MR. DON PALMER: I think when you get a  
10 runoff that's of this magnitude then you all -- always  
11 have to take a sober second look at your assumptions  
12 underlying that. That's what we've -- we've always done.

13

14 Again, these numbers tend to get, as you  
15 aggregate a number of -- of loss years, that -- this is  
16 spread over I think fifteen (15) loss years -- that  
17 compared to the total liability for a 1996 -- that may be  
18 on a total incurred of some 2 or \$300 million dollars.  
19 So an adjustment of -- of 1 percent for any given loss  
20 year isn't that significant.

21 When you aggregate them all together and  
22 then appie -- ply them in your operating statement,  
23 because they're all -- hit your operating statement at  
24 one (1) time, it becomes more significant. But in terms  
25 of being necessarily alarmed by one (1) year of positive

1 or negative development, I wouldn't use the word  
2 "alarmed" or "alarming".

3 MS. CANDACE EVERARD: Okay. So you -- if  
4 I understand you correctly, you've said that the -- the  
5 runoff for each of these insurance years on their own,  
6 you know, are fairly, relatively less significant and --  
7 but I -- I think my question was more directed at the  
8 total, the eighty-seven point four (87.4) that's  
9 applicable to this year's financials.

10 MR. DON PALMER: And -- and they  
11 aggregate together yes, into one (1) larger impact, yes.  
12 I will agree with that.

13 MS. CANDACE EVERARD: And that was the  
14 part that you said may give rise to just having another  
15 look at assumptions to see if there's anything that could  
16 or should be changed?

17 MR. DON PALMER: Yes.

18

19 (BRIEF PAUSE)

20

21 MR. DON PALMER: Just -- just in answer  
22 to your question on the release, whether they include  
23 benefit enh -- enhancements, and the answer is, yes, they  
24 -- that adjustment has been put in. The benefit enhan --  
25 enhancements were incorporated into all accident years.

1 So from -- and they were in the valuation as at February  
2 28th, 2009. They're in there for 2010. So they're  
3 included in -- in all of the accident years.

4

5 (BRIEF PAUSE)

6

7 MS. CANDACE EVERARD: Now, we know that  
8 the Corporation did make a change in its estimate of the  
9 effect of those benefit changes, so are those changes  
10 incorporated into the eighty-seven point four (87.4)?

11 MR. DON PALMER: Yes, they are.

12 MS. CANDACE EVERARD: Okay. Thank you.  
13 My next question would be -- and this is with reference  
14 back to 1-9(b) -- that the Corporation confirmed that the  
15 accumulative, undiscounted Basic total net PIPP runoff  
16 during fiscal years 2005/06 to 2009/10 has been  
17 favourable for each insurance year and aggregates to  
18 about \$403.4 million?

19 MR. DON PALMER: Yes, we've confirmed  
20 that in answer to (b), yes.

21 MS. CANDACE EVERARD: In carrying out  
22 successive Basic valuations over the last five (5) fiscal  
23 years, what steps has the Corporation and/or Mr.  
24 Christie, as the appointed actuary, taken in response to  
25 these recurring levels of Basic favourable runoff, and

1 that is beyond simply adding consideration of the latest  
2 year's experience in the selection of the valuation  
3 assumptions?

4 MR. DON PALMER: There has been a  
5 decrease in the loss development factors in each of those  
6 successive valuations.

7

8 (BRIEF PAUSE)

9

10 MR. DON PALMER: Which -- which also  
11 contributes to the -- the negative runoff. So you -- you  
12 take a look at where you were at, you adjust your factors  
13 to -- to get a new valuation, which in fact exacerbates  
14 the positive runoff so to speak, or negative runoff.

15

16 (BRIEF PAUSE)

17

18 MS. CANDACE EVERARD: So just to clarify,  
19 is the approach to the selection of factor is changing or  
20 is it just being done in response to the results year-  
21 over-year?

22 MR. DON PALMER: It's done in response to  
23 the aggregate of a -- a number of -- of -- of years.  
24 It's emerging experience, which -- but the factors are  
25 based on past experience, so you get a new data point,

1 and at that point in time you -- you make a judgment as  
2 to the effect of that on the loss development factor.

3 And this has been going on for, as you'll  
4 note, four (4) or five (5) years, that we did change  
5 significantly our case reserving methodology. That has  
6 an impact on your ongoing incurred development and the  
7 amount of your incurred on a year-by-year basis.

8 So the first year it happens and you get  
9 an abnormal or -- or a different loss development factor  
10 -- let's -- let's use that word -- and you say, Okay, is  
11 that really part of a -- a trend, or is that part of an  
12 aberration because we changed the -- the case reserving  
13 methodology? And then, each year, you add another year  
14 of experience, and essentially say, Well, is this the new  
15 norm, or do we still take into consideration some of the  
16 old development factors as -- as well?

17 That continues, and finally, after seeing  
18 that positive development for, I think, three (3) or -- I  
19 think -- I think it was the fourth year that we really  
20 took a -- a major look at the loss development factors,  
21 brought them down significantly, that was a positive  
22 development. I -- I think it was about \$150 million in -  
23 - in one (1) year, and that was as a result of really  
24 taking a -- a hard look after two (2) or three (3) years  
25 of continued positive experience, and then you get the

1 one (1) big hit.

2 And we're -- so we're still seeing some  
3 positive devel -- development. We're still looking at  
4 it, but we think each successive year will likely be  
5 less, because we have taken that really hard look at the  
6 development factors, I think, two (2) years ago.

7 MS. CANDACE EVERARD: Thank you.

8 Continuing to review the answer at 1-9, we looked at the  
9 table that's provided as part of the answer to (c), and  
10 with reference to that, and as well to the table at (e)  
11 with als -- which also deals with this issue, can you  
12 discuss for the Board the division of the \$87.4 million  
13 of runoff into the portions attributable to changes in  
14 experience, versus changes in valuation assumptions.

15 MR. DON PALMER: So -- so just to define  
16 what we -- what's meant by -- as I understand your  
17 questions, if we didn't change any factors, just said,  
18 Okay, we're not going to change any factors going  
19 forward, just run through with the -- the new -- the new  
20 data, but same loss development factors, what do you get?  
21 And that's what we call experience. And that change, as  
22 outlined in 1.9(e), is \$51 million.

23 Changing the loss development factors, as  
24 I -- I described previously, would be the additional  
25 differ -- or the difference between the fifty-one (51)

1 and the eight-seven (87), or about thirty-six (36).

2

3

(BRIEF PAUSE)

4

5 MS. CANDACE EVERARD: Thank you. Still  
6 with reference to these two tables, 1-9(c) and I-9(e),  
7 can you elaborate on the runoff associated with the  
8 2004/05 insurance year in particular, and discuss the  
9 basis of selection of the expected loss ratios generally  
10 used in the Bornhuetter-Ferguson method.

11

12

(BRIEF PAUSE)

13

14

15

16

17

18

MR. DON PALMER: There's -- there's  
essentially two (2) sources of -- of ways that we can  
aggregate the data. One (1) is incurred losses that's  
based on paid development and -- and, also, change in  
reserves.

19

20

21

22

23

24

25

On more recent years, we have most -- we  
haven't paid out a lot of dollars, so there is case  
reserves -- more case reserves than paid. But they --  
there is uncertainty in -- in those cases -- case  
estimates. So it's better to use paid, but if you don't  
have all the data or it's more variable, then it's hard  
to use them as the basis of your valuation.

1                   In the methodology that we currently have,  
2 we use incurred development for the last five (5) years  
3 and paid development for previous years, and that --  
4 sorry, that's incorporating the Bornhuetter-Ferguson  
5 method that you've identified. We do make a flip in that  
6 sort of fifth year back, with an assumption on what the -  
7 - the incurred loss -- or the loss ratio will be.

8                   In the last few years there has been a  
9 real release of reserves when you make that flip from the  
10 incurred method to the paid method. So that would  
11 indicate that maybe the initial estimate is too high in  
12 the loss ration, and, again, that would be reviewed in  
13 each subsequent valuation.

14                   MS. CANDACE EVERARD:    Can you comment on  
15 how the loss ratios are picked or selected?

16

17   (BRIEF PAUSE)

18

19                   MR. DON PALMER:    I'm not sure in what  
20 kind of detail you'd like me to sub...

21                   MS. CANDACE EVERARD:    High level.

22                   MR. DON PALMER:    High level detail. It  
23 is described, or shown, in page 9 of each appendix, but  
24 it essentially takes the loss development approach from  
25 previous years, and then takes a -- and then takes an

1 overall average to come to a selection of the loss ratio.

2                   The -- there's some weighting, in terms of  
3 less weight is giv -- given to more recent years and more  
4 weight is giving to more developed years, but those are  
5 sort of details rather than high level.

6                   MS. CANDACE EVERARD: Can you tell us if  
7 the selection of the expected loss ratios in the  
8 Bornhuetter-Ferguson method are sig -- I think I  
9 misspoke. Let me start over.

10                   Is the selection of the expected loss  
11 ratios for the Bornhuetter-Ferguson method a significant  
12 source of the conservatism adopted by the Corporation in  
13 its Basic valuation?

14

15                   (BRIEF PAUSE)

16

17                   MR. DON PALMER: Ultimately, that  
18 ultimate loss -- or selected loss ratio could be part of  
19 the -- the conservatism that's in there, but the  
20 selection of that is fairly mechanistic -- mechanistic, so  
21 we -- we don't look at past -- the past emerging loss --  
22 loss ratios, and then pick something different. I mean,  
23 these -- these are actually what has been observed over  
24 time. But as you bring down your loss development, that  
25 would in turn bring down the historical loss ratios,

1 which in dou -- in turn would bring down your selected  
2 loss ratio.

3                   So -- so in -- to somehow imply that  
4 there's some conservative judgment in the selection of  
5 that initial loss ration of Bornhuetter-Ferguson method,  
6 that's not quite true.

7                   It's more the -- the incurred development  
8 factors that cause that.

9                   MS. CANDACE EVERARD:    Can you tell us,  
10 Mr. Palmer, whether the level of valuation conservatism  
11 is generally kept consistent from one (1) valuation to  
12 the next, and if so, how does the Corporation accomplish  
13 that?

14

15   (BRIEF PAUSE)

16

17                   MR. DON PALMER:    I -- I don't necessarily  
18 think that there is a conscious level of conservatism, as  
19 -- as you have portrayed it.  That's -- it would be  
20 inaccurate to -- to term it that.

21                   I will say that as we have an emerging  
22 experience when we had the new reserving calculator, we  
23 were careful with the results that were initially coming  
24 out of that calc -- that calculator because they were  
25 quite different, and saying again is this an aberration,

1 or is it a trend. Now, if that carefulness is -- is  
2 conservatism, that would be your judgment, not mine, but  
3 I -- I don't think that there is a level of conservatism  
4 that's necessarily built into this aspect of -- of the  
5 valuation.

6 As we continued to see favourable years,  
7 then -- then at that point in time you say, Okay, yes, we  
8 have a new trend here, and pick those loss development  
9 factors, more based on the more recent years than -- than  
10 more historical years.

11 MS. CANDACE EVERARD: We'll be coming  
12 back to a discussion on conservatism a little later on,  
13 but thank you for that.

14 I'll ask you to go, Mr. Palmer, to Tab 23  
15 of the book of documents. This is where we find the  
16 question and answer at 1-41 posed by the Board.

17 Do you have it?

18

19 (BRIEF PAUSE)

20

21 MR. DON PALMER: Yes, I do.

22 MS. CANDACE EVERARD: Thank you. We see  
23 in response to 'A', there is a table provided. What I'd  
24 ask you to do is explain that table, and discuss any  
25 implications for the claims incurred forecast in both the

1 previous GRA, and the current GRA before the Board.

2 MR. DON PALMER: If I've got your  
3 reference correctly, this is with regard to the estimate  
4 of the PIPP enhancements?

5 MS. CANDACE EVERARD: Yes.

6 MR. DON PALMER: As at February 28th of  
7 2009, that was our first estimate of the PIPP  
8 enhancements. Those levels would have been brought to --  
9 to future years, trended to future years. That's the --  
10 essentially the basis of the forecast; for future  
11 accident years, which is the basis of our rate making  
12 methodology.

13 As we move forward to April 30th, we had --  
14 - that estimate goes up a little bit, and that's not so  
15 much because there's any change in assumptions; that's  
16 because essentially you've added another third of a year  
17 to the -- to the estimate. There was no change in -- in  
18 assumptions to get from the ninety point eight (90.8) to  
19 the ninety-four point one (94.1); that's just passage of  
20 time with more years. And, again -- so those same  
21 estimates would have been brought forward into our rate  
22 setting years.

23 As at October 30th, we changed those  
24 assumptions. We had the opportunity of -- of looking at  
25 a more detailed level on the effect of the PIPP

1 enhancements. That estimate goes to \$77 million, and  
2 then a further -- as -- as we've looked at emerging  
3 experience to the end of the year, that was further  
4 changed for all years of \$74.6 million, as the ultimate  
5 costs of those PIPP enhancements. Those then, in turn,  
6 get projected in the future and affect the future years.

7                   So, in fact, when you have a decrease in  
8 the estimate from \$90 million of -- up to \$75 million, it  
9 not only affects your results on a past basis, so you  
10 have a release of reserves, but it also decrease your  
11 forecast for the -- for the future years, and that will  
12 bring your forecast for future accident years down.

13

14                   (BRIEF PAUSE)

15

16                   MS. CANDACE EVERARD: So for last year's  
17 GRA then, was it the February or the April '09 column  
18 that was the best reflection of the estimate?

19                   MR. DON PALMER: It would have been the  
20 February '09 column.

21                   MS. CANDACE EVERARD: And for the  
22 purposes of the pending GRA, it would be the February  
23 2010 column?

24                   MR. DON PALMER: That's correct.

25                   MS. CANDACE EVERARD: And just for the

1 purposes of the record, I will have some further cross-  
2 examination on this IR, but with a different bent to it,  
3 so when we come back to it it won't be deja vu.

4 I'll ask you to go to Tab 40 of the book  
5 of documents. This is where we find an IR with respect  
6 to runoff posed by the Board. It's Question 2-5. And  
7 the Corporation has provided a table as an attachment.

8

9 (BRIEF PAUSE)

10

11 MR. DON PALMER: Yes, I have it. Go  
12 ahead.

13 MS. CANDACE EVERARD: And if we look on  
14 the table, I believe that there are sixteen (16)  
15 insurance years reflected?

16 MR. DON PALMER: That would be correct,  
17 yes.

18 MS. CANDACE EVERARD: And can you confirm  
19 for me that the undiscounted Basic total, net PIPP runoff  
20 during the first quarter, or maybe more properly, the  
21 first two (2) months of the first quarter of fiscal  
22 2010/11, was favourable for eleven (11) of these sixteen  
23 (16) insurance years?

24 MR. DON PALMER: That looks about right,  
25 yes.

1 MS. CANDACE EVERARD: And the aggregate  
2 favourable runoff is about 32 1/2 million?

3 MR. DON PALMER: Yes, that's correct.  
4 That's -- as at the end of April that's true, yes.

5 MS. CANDACE EVERARD: Yes. Can you tell  
6 us what types of changes in valuation assumptions are  
7 relevant as a source for this 2010/11 first quarter  
8 runoff?

9 MR. DON PALMER: The only change in  
10 assumption would be the flip from the incurred method to  
11 the paid method in that fifth year. You will see that  
12 for the '05/06 year there's a -- a negative -- or  
13 favourable development of \$16.7 million.

14 So that's because of that -- that change.  
15 We haven't -- other than that methodological change, we  
16 haven't changed any factors, we haven't changed any other  
17 loss ratios. We've just moved the -- moved the  
18 methodology forward one (1) year.

19 MS. CANDACE EVERARD: Can you tell us if  
20 this type of change in valuation assumption has happened  
21 fairly routinely in the first quarter valuation?

22 MR. DON PALMER: Yes.

23 MS. CANDACE EVERARD: And do you recall  
24 if there was meaningful favourable runoff comparable to  
25 this years 32 1/2 million during the first quarter of

1 last fiscal year? So '09/10.

2 MR. DON PALMER: We don't have that with  
3 us, but there likely was.

4 MS. CANDACE EVERARD: Thank you. Do you  
5 recall if a lot of last year's first quarter runoff was  
6 attributable to the same type of change in valuation  
7 assumption?

8 MR. DON PALMER: It would have been very  
9 similar, yes.

10 MS. CANDACE EVERARD: And can you tell  
11 us, or undertake to tell us, if you prefer, the  
12 discounted Basic total net PIPP runoff during the first  
13 quarter of fiscal year 2010/'11, the current year, i.e.,  
14 the runoff, including the effect of a change in the  
15 discount rate of interest?

16 MR. DON PALMER: For -- for the first  
17 quarter of -- of 2010/'11 --

18 MS. CANDACE EVERARD: Yes.

19 MR. DON PALMER: -- that's what you're  
20 asking? We -- we have that fairly handy, but we will  
21 have to take that as an undertaking. Probably be able to  
22 get to it after the break.

23 MS. CANDACE EVERARD: Thank you.

24

25 --- UNDERTAKING NO. 8: MPI to provide the discounted

1 Basic total net PIPP runoff  
2 during the first quarter of  
3 fiscal year 2010/'11,  
4 including the effect of a  
5 change in the discount rate  
6 of interest  
7

8 CONTINUED BY MS. CANDACE EVERARD:

9 MS. CANDACE EVERARD: And to clarify for  
10 the record, and I know that there was some evidence on  
11 this topic earlier, but just -- just so that we're clear,  
12 can you explain how this runoff amount is different from  
13 the 71 million in runoff that was referenced in the  
14 Corporation's first quarter report.

15 MR. DON PALMER: Sure, I -- I'd be happy  
16 to do that.

17 This favourable runoff that we've been  
18 talking about on the chart for 2-5 is a comparison of our  
19 ultimate estimate of -- that we said last year brought --  
20 brought forward compared to what we think those same  
21 policy years are at this year, without consideration for  
22 any interest rate changes.

23 The \$71 million reflected in our year-  
24 over-year operating results, for -- in our quarterly  
25 reports, all the comparisons that we make are the actual

1 fiscal incurred: what happened last year, what happened  
2 this year.

3                   So las -- last year we did have some  
4 favourable undiscounted development, as we've described,  
5 but we had very unfavourable interest rate development.  
6 The interest rates went -- went down and pretty much  
7 offset any favourable undiscounted development.

8                   So, if I recall, we may have even had that  
9 interest rate change being greater than the undiscounted  
10 favourable development, so the reserve estimates went up.  
11 So, in fact, from a prior year adjustment perspective, it  
12 was probably positive.

13                   The -- this year, we have that favourable  
14 development, and then, also, some interest rate movement,  
15 interest rates going up a little bit in the first  
16 quarter, so there -- there's -- that's a positive to the  
17 bottom line. The -- the -- that positive to the bottom  
18 line plus the favourable development, compared to last  
19 year's favourable development, but unfavourable interest  
20 rate change, the -- those differences are \$71 million.  
21 And I'm getting a really quizzical look, but we're good.

22                   MS. CANDACE EVERARD: Oh, no, no.

23

24   (BRIEF PAUSE)

25

1 MS. CANDACE EVERARD: Just to clarify, I  
2 think you said that the interest rate change was  
3 favourable to the bottom line; but wouldn't that be  
4 offset by the immunization strategy?

5 MR. DON PALMER: Not completely. When --  
6 when we get to the full immunized, we're about 80 percent  
7 immunized. We're not there yet, so you take 80 percent,  
8 but the -- but there's also a factor that we're not fully  
9 converted to the held -- held for trading as yet, so  
10 there is an additional amount there. So -- so the answer  
11 is, no.

12 MS. CANDACE EVERARD: Okay, thank you.  
13 Now, you'll probably want to answer this by way of  
14 undertaking, but let me tell you what we're looking for.  
15 We're looking for an undiscounted runoff exhibit,  
16 comparable to that provided in response to 2-5, but now  
17 to cover the first half of the current year, or the first  
18 five (5) months, and provide the corresponding total  
19 discounted runoff amount.

20 MR. DON PALMER: Again, I think, from  
21 time to time, I am in your head, Ms. Everard. We have  
22 actually done that analysis, and we're ready to file that  
23 now.

24 MS. CANDACE EVERARD: You're actually in  
25 Mr. Pelly's head, but -- and Mr. Pelly just wants to

1 ensure that you heard that it was the total undiscounted  
2 number.

3 MR. DON PALMER: Total undiscounted, yes.

4 MS. CANDACE EVERARD: Oh, corresponding  
5 total. Okay. This is the total discounted runoff as  
6 well as the undiscounted piece?

7 MR. DON PALMER: This is just the  
8 undiscounted piece. We don't have the corresponding  
9 handy.

10 MS. CANDACE EVERARD: Can you get that?

11 MR. DON PALMER: Yes, we can.

12 MS. CANDACE EVERARD: Okay.

13

14 --- UNDERTAKING NO. 9: MPI to provide the discounted  
15 runoff, to cover the first  
16 half of the current year, or  
17 the first five (5) months

18

19 MS. CANDACE EVERARD: So I see Ms.  
20 Kalinowsky has an exhibit. Perhaps we can just enter  
21 that right now on the record, and then Mr. Pelly I'm sure  
22 will review it and see if we have any further questions.

23

24 (BRIEF PAUSE)

25

1 MS. CANDACE EVERARD: Okay. I think Mr.  
2 Gaudreau's just working on the entering of the exhibit.

3 THE CHAIRPERSON: We're just waiting to  
4 get a copy.

5 MS. CANDACE EVERARD: Oh. That would be  
6 good if you had it.

7 THE CHAIRPERSON: We have it now.

8

9 CONTINUED BY MS. CANDACE EVERARD:

10 MS. CANDACE EVERARD: Mr. Gaudreau will  
11 get us a -- an exhibit number for this in a moment, but  
12 just while we all have the -- the document, Mr. Palmer --  
13 and -- and I thank you for providing this -- we see that,  
14 with the effluxion of time from April 30th to July 31st,  
15 we now have a change in the total amount of runoff  
16 reflected here. It's gone from 32 1/2 to just over 38  
17 million.

18 Is that right?

19 MR. DON PALMER: That's correct, over the  
20 last five (5) months, yes -- four (4) months. Three (3)  
21 months.

22 MS. CANDACE EVERARD: Yeah. I think it  
23 would be three (3) months, right, from the end of April  
24 to the end of July?

25 MR. DON PALMER: Yes.

1 MS. CANDACE EVERARD: And would you say  
2 that what we've seen now as this new exhibit, yet to be  
3 numbered, reflects the latest basic prudent best  
4 estimate, with respect to runoff?

5 MR. DON PALMER: The current best  
6 estimate, yes.

7

8 (BRIEF PAUSE)

9

10 MS. CANDACE EVERARD: Okay. Does the  
11 Corporation have at this point in time any reason to  
12 expect a reversal of the favourable runoff over the  
13 balance of the current fiscal year?

14

15 (BRIEF PAUSE)

16

17 MR. DON PALMER: We wouldn't expect a  
18 reversal of that one large 2005/'06 year. That's  
19 approximately half of the -- the total.

20 In terms of the 2010 year, that really is  
21 the most uncertain, so that could -- could move the other  
22 way. The further back you go in time, there could be  
23 some pluses or minuses.

24 Would I -- so would I expect this to be  
25 completely rev -- reversed because of that large entry of

1 minus \$17 million? No. Is it possible that that minus  
2 ten (10) could decrease by the end of the year?  
3 Absolutely.

4                   So, at this point in time, I think \$17  
5 million is kind of the -- the bot -- the bottom, the  
6 floor, of -- of what we would think that estimate to be,  
7 but it -- I don't think it would go lower than that.

8                   THE CHAIRPERSON: Mr. Palmer, is it the  
9 norm for private insurers that stock companies that  
10 report on the stock exchange, and market values for the  
11 shares, is it normal to have such significant  
12 fluctuations in a consistent manner year after year after  
13 year? Because we note that, you know, a stock misses its  
14 earning per share by a cent, and you read the next day,  
15 stock plummets by 20 percent, or stock goes up by 20  
16 percent.

17                   I'm just trying to put this in some form  
18 of context.

19                   MR. DON PALMER: And again, you're --  
20 you're looking at undiscounted numbers, so there's --  
21 there's really -- the discounted numbers would be very  
22 different from this.

23                   I really can't comment on whether  
24 companies of our size would have the same kind of  
25 fluctuations in reserves or not. I do know that it's the



1 then that your answer would be the same for whether the  
2 Corporation has a reason to expect growth in the runoff?  
3 We've been talking about a reversal; now I'm shifting to  
4 the opposite: growth.

5 MR. DON PALMER: Yeah, we would -- our  
6 expectation would be that the future runoff would be  
7 zero, which would indicate that it's the best estimate.

8 MS. CANDACE EVERARD: Okay. And just for  
9 the record, Mr. Gaudreau has assigned an exhibit number  
10 to this document provided. It's PUB/MPI-1-12 (sic).  
11 This is the July 31st, 2010, runoff estimate of 38  
12 million.

13

14 --- EXHIBIT NO. PUB/MPI-12:

15 July 31, 2010, runoff estimate of 38  
16 million

17

18 CONTINUED BY MS. CANDACE EVERARD:

19 MS. CANDACE EVERARD: Okay. So I'd ask  
20 you, Mr. Palmer, to stay at Tab 40, but also we'll have  
21 reference again to 1-9, okay, but you probably don't need  
22 to look at it.

23 The question is: Has the full extent of  
24 the favourable Basic runoff experienced in fiscal  
25 2009/'10, so the year that just ended, been reflected in

1 the current GRA forecast for claims incurred for the  
2 current year and the year of the Application?

3 MR. DON PALMER: Yes, it has.

4 MS. CANDACE EVERARD: Now in broad terms,  
5 can you discuss how, and to what extent, the GRA forecast  
6 for claims incurred for each of the current year and the  
7 year of the Application, would have been affected if the  
8 current year fiscal first quarter runoff -- okay, second  
9 quarter had instead been fully recognized in '09/'10.

10

11 (BRIEF PAUSE)

12

13 MR. DON PALMER: If the estimate of the  
14 pri -- all the prior year's ultimates were -- would have  
15 been less by the \$38 million in aggregate, then you -- if  
16 we had the same trending, our estimate for the current  
17 year and the subsequent years would likely have been less  
18 as well.

19 In -- in terms of how much, that's 30 --  
20 \$38 million spread over sixteen (16) years; round  
21 numbers, that's about \$2 million a year. So that could  
22 have adjusted the ultimates on a going forward basis  
23 probably between 2 and \$3 million.

24 MS. CANDACE EVERARD: And does the GRA  
25 forecast of claims incurred give equal weight to all of

1 the sixteen (16) years, or is there more weight on the  
2 more recent years?

3 MR. DON PALMER: There would be more on -  
4 - on more recent years.

5 MS. CANDACE EVERARD: Thank you. I'll  
6 ask you to go, Mr. Palmer, to PUB/MPI-1-13, which is not  
7 in the book.

8

9 (BRIEF PAUSE)

10

11 THE CHAIRPERSON: Ms. Everard, would you  
12 repeat that. What number was it?

13 MS. CANDACE EVERARD: Sure. 1-13, Mr.  
14 Chairman.

15 THE CHAIRPERSON: Thank you.

16

17 (BRIEF PAUSE)

18

19 CONTINUED BY MS. CANDACE EVERARD:

20 MS. CANDACE EVERARD: Mr. Palmer, I'm  
21 going to come back to a phrase that I had used a few  
22 minutes ago, when I was asking you about the second  
23 quarter valuation results and whether they reflected the  
24 latest Basic prudent, best estimate. And I think your  
25 answer gave back to me the words "best estimate," but not

1 the word "prudent," so we just want to get our head  
2 around that. And 1-13 is a line of questions that  
3 relates to this language, best -- best estimate;  
4 prudently conservative; prudent, best estimate.

5 So can you confirm for the Board whether  
6 the phrase "prudent, best estimate" is descriptive of the  
7 Corporation's reserving philosophy.

8 MR. DON PALMER: I think using the term  
9 "best estimate" is probably better. We -- we do have a  
10 description of -- of maybe some areas of prudence in Part  
11 B of that question.

12 If you have a real change in trend, as I  
13 have indicated, as we had with the change of reserving  
14 methodology, you've got a point -- a data point that is  
15 different from the others. And the question is whether  
16 you give that full weight or if you think something is  
17 maybe, I'll use the word "aberrant", with that point when  
18 it's some new methodology and you don't really know how  
19 things are going -- going to evolve. So, from that, how  
20 you treat that data point, with some skepticism, that, I  
21 suppose, could be a degree of prudence.

22 So, I -- I wouldn't put too fine a point  
23 on if there's a difference between prudent best estimate  
24 or best estimate. Our overall reserving and rate making  
25 phi -- philosophy over the years really hasn't changed.

1 MS. CANDACE EVERARD: Okay. Can you  
2 confirm that for the Corporation's valuation purposes the  
3 phrase "best estimate" is intended to equate to the mean  
4 estimate, or the average point in the aggregate  
5 distribution of claims liabilities?

6 MR. DON PALMER: Yes.

7 MS. CANDACE EVERARD: Can you also  
8 confirm that the Corporation believes that its aggregate  
9 distribution of claims liabilities is skewed, such that  
10 the mean estimate is higher than the median estimate, or  
11 the 50th percentile within the distribution?

12 MR. DON PALMER: Yes, that -- that's  
13 true. We have a num -- number of -- that would typically  
14 be the -- be true if you have a -- a small number of  
15 claims that would be significant in incurred dollars. We  
16 have a large number of -- well, a number of very large  
17 PIPP claims in a given year. They could average 2 or \$3  
18 million. That number of -- that we get in a given year  
19 could vary by amount of ten (10) from -- from year to  
20 year.

21 Well, all of a sudden you're looking at a  
22 difference in \$20 million, so -- so that will tend to --  
23 to skew the -- the estimate somewhat, and -- and give  
24 very high incurred values for a low number of years.

25 I guess the other example of that, which

1 we've seen in the past few years, is -- is hail. Our --  
2 have a tendency either to get hit with a lot of hail, or  
3 not much; not much in the sort of an average amount. So  
4 -- so from an aver -- if you just take all of -- all of  
5 the years, divide -- for hail for the last ten (10)  
6 years, divided by the total hail costs, you won't have  
7 half of the years greater than that number, and half of  
8 the years less than that number.

9 So, that's essentially what's meant by the  
10 skewed distribution.

11 MS. CANDACE EVERARD: Can you give us a  
12 sense of at approximately what percentile within this  
13 distribution is the mean, or the best estimate?

14 MR. DON PALMER: I -- I don't want to  
15 speculate on what that -- that number is.

16 MS. CANDACE EVERARD: Okay. I'm going to  
17 ask you to turn, Mr. Palmer, to Question 32 posed by the  
18 Board in the First Round: 1-32. This is a question that  
19 deals with the concept of scotac -- I knew I was going to  
20 say it wrong -- stochastic modelling.

21 Can you confirm that stochastic modelling  
22 is not current employed by the Corporation in the Basic  
23 claims incurred forecasting process?

24 MR. DON PALMER: I can confirm that, yes.

25 MS. CANDACE EVERARD: Can you comment on

1 benefits that may arise from the use of stochastic  
2 modelling in this process?

3 MR. DON PALMER: What stochastic  
4 modelling will give you, sort of a sense of is the -- a  
5 likely range of estimates. So whether -- whether we have  
6 skewness, or -- or we're very sure of an estimate because  
7 it happens every year, we see that on something like  
8 collision claims. I mean, our collision estimates are  
9 very close year after year, because it's -- that's --  
10 there's some weather related changes. But if you look at  
11 our summertime collisions, they're very steady from year  
12 to year.

13 So stochastic modelling would give you  
14 some sense of -- of how you might expect that estimate to  
15 -- to change from year to year. So the stochastic  
16 modelling would -- would bring that and -- and be quite  
17 different than in PIPP claims, where you would have a  
18 wider band that you expect your claims to fall in.

19 MS. CANDACE EVERARD: If we go back, for  
20 a moment, to the question that I asked just a few minutes  
21 ago about whether you could give me the percentile within  
22 the -- the distribution that was the mean or the best  
23 estimate, and you didn't have that available, would  
24 stochastic modelling enable the Corporation to better  
25 produce that information?

1 MR. DON PALMER: Yes, it would give you a  
2 better sense of that.

3 MS. CANDACE EVERARD: Now, I asked you  
4 about benefits that might arise from the use of  
5 stochastic modelling. Can you tell us if, in the  
6 Corporation's view, there are downsides or potential  
7 risks in that process?

8 MR. DON PALMER: I don't know about  
9 potential risks. Stochastic modelling tend -- sort of  
10 gives you a -- a range of -- and how you might expect to  
11 be within that range.

12 The end of the day, our -- our claims  
13 forecast has to be a point estimate. We are setting  
14 rates based on a point estimate. So -- so I guess it's  
15 not any downside in -- in doing it. I mean, we -- we do  
16 include some stochastic modelling in our -- in our  
17 dynamic capital adequacy tests to find the 95th  
18 percentile as prescribed by the actuarial standards.

19 So -- so there isn't really a downside  
20 from that perspective. It's -- it's essentially the  
21 understanding of the users that -- that sometimes may  
22 lead to some -- some issues.

23 At the end of the day, we are here to give  
24 a point estimate of our pro formas and a -- and a point  
25 estimate of our rate indicator to say -- to come to this

1 Board and -- and say, you know, our average rate change  
2 for 2011/'12, we'd like something between 3 and 4 percent  
3 decrease. That's not -- not really something that --  
4 that could be contemplated by the Corporation to -- to do  
5 that.

6 So in answer to your question: downside,  
7 not really. It's -- and it -- and we don't use it for  
8 other purposes, so.

9 MS. CANDACE EVERARD: So is the  
10 Corporation giving any consideration to introducing  
11 stochastic modelling into the claims incurred forecasting  
12 process?

13 MR. DON PALMER: As we become more  
14 sophisticated in our claims forecasting approach, and the  
15 fact that we do have some models within the Corporation,  
16 in DCAT, to have stochastic modelling, there may be some  
17 consideration at some point in time, but -- but again,  
18 the exact value and how it would be incorporated into the  
19 -- this exercise, I can't comment on that.

20 MS. CANDACE EVERARD: So it's not  
21 currently on your list of things to do?

22 MR. DON PALMER: It's not one of my top  
23 10, no.

24 MS. CANDACE EVERARD: Okay. Mr. Palmer -  
25 - Palmer, I'll ask you to go then to 1-35, posed by the

1 Board. And we see here an IR in three (3) parts. There  
2 is an Attachment A, which relates to (a).

3 What we'd ask you to do is explain the  
4 information that we see here in the page 4, which is  
5 Attachment A.

6 MR. DON PALMER: Sure, I'd be happy to do  
7 that. We have essentially three (3) methods of -- of --  
8 or three (3) forecasts that we employ. The financial  
9 forecast, which we've talked about at great length, which  
10 rely on for our pro forma forecasts of the Corporation,  
11 that is done by the Claims Forecast Committee, made up of  
12 people from various parts of the Corporation, both from  
13 the -- the actuarial pricing and eco -- economics finance  
14 perspective, but also from the field perspective, who  
15 will give us some -- some view on current trends within  
16 the marketplace, whether it be cost of repair or -- or  
17 different mechanical components of -- of cars that may be  
18 more costly to repair, et cetera.

19 So that -- that really gives you some real  
20 quantitative data, but also some qualitative data, in  
21 terms of catching some turning points, changes in trends,  
22 and -- and whatnot.

23 We also have two (2), again, more  
24 mechanistic approaches, sort of standard actuarial  
25 techniques, of -- of linear trends and exponential

1 trends. A linear trend is -- is that your trend line is  
2 -- follows a straight line, which would be tantamount to  
3 saying if you've got an amount of claim that it increases  
4 by 'X' dollars per year. So if you had a claim that cost  
5 a hundred -- hundred dollars this year and you expect it  
6 to increase by five dollars (\$5) a year, so next year  
7 it'd be a hundred and five (105), and the year after it'd  
8 be a hundred and ten (110), the year after, a hundred and  
9 fifteen (115), and so on, that's a linear trend. So --  
10 so we fit a straight line to our historical data.

11 An exponential trend is that that would  
12 change by an amount, a percentage amount, every year. So  
13 from my first example, this year's -- if it's a 5 percent  
14 trend this year, a hundred dollars would be a hundred and  
15 five dollars (\$105), and then a hundred and five (105)  
16 plus 5 percent, which is a little over a hundred and ten  
17 dollars (\$110) and -- and go on through time, so it's a  
18 percentage increase.

19 What the chart at MPI-35 shows is the  
20 difference between those three (3) forecasting  
21 methodologies on both the frequency, that's the -- the  
22 number of claims, count of the number of claims;  
23 severity, which is an average size of claim; and the loss  
24 cost, which means the total loss costs for each of those  
25 coverage types.

1                   The trend in '10/'11 that's shown for  
2 again for each coverage type, is the difference between  
3 our '10/'11 forecast and that -- the number that was  
4 actually observed in '09/'10. So, to that, if '09/'10  
5 was an unusually large year or an unusually small year,  
6 you could get some real fluctuation in -- in those  
7 numbers from year to year.

8                   The trend on '11/'12 shows the difference  
9 between the anticipated '11/'12 frequency, severity, and  
10 loss cost over the estimate for '10/'11. So that's sort  
11 of a smoother change fro -- year over year.

12                   MS. CANDACE EVERARD:    So you would  
13 describe that as normal to normal?

14                   MR. DON PALMER:    I would describe that as  
15 normal to normal, yes.

16                   MS. CANDACE EVERARD:    Okay. I'd ask you  
17 to direct your attention to the fourth section of this  
18 attachment that -- that you've been describing. It's the  
19 one entitled, "Accident Benefits Other Indexed."

20                   MR. DON PALMER:    Yes?

21                   MS. CANDACE EVERARD:    Can you explain why  
22 the financial forecast loss costs trend for 2011/12 falls  
23 above the corresponding estimates for the linear and  
24 exponential approaches? And I'm -- I'm looking at the --  
25 the 2 percent at the far right bottom of the chart, as

1 compared with the point five (.5) and the point 34 (.34).

2 MR. DON PALMER: Sure, I'd be happy to do  
3 that.

4 We have seen some fluctuation in the -- in  
5 the trend in the -- in the PIPP costs over the last  
6 number of years. They are subject to a -- a fair degree  
7 of fluctuation year-over-year. I know that our last  
8 couple of years have been a lot smaller, in terms of  
9 serious losses. We think that's random, a random event,  
10 but it will still affect your -- your mechanistic trend.

11 The PIPP costs are subject to inflation.  
12 They are -- if you have more vehicles on the road, you  
13 expect those people to have accidents, and unfortunately,  
14 have injuries, so there should -- all else being equal, a  
15 growth in both the severity and frequency of your PIPP  
16 claims.

17 We are saying that we -- that's what we  
18 expect. That's what our claims forecast shows. The  
19 actual data because of that fluctuation has shown that  
20 there has been, in the last few years, a -- a decreasing  
21 trend.

22

23 (BRIEF PAUSE)

24

25 MS. CANDACE EVERARD: I wanted to ask you

1 about a couple of other pieces of the chart, and I'll  
2 tell you in turn which ones they are, and then maybe you  
3 can just tell us if a similar explanation applies, or if  
4 there are other factors.

5                   The second one would be in the -- the next  
6 chart down, which is entitled "Accident Benefits Other  
7 Non-Indexed," but the same line, the loss costs for, in  
8 this case it's 2009/10.

9                   Oh, that must be mislabeled. Yeah,  
10 because everything else is '11/12 on there.

11                   So let's assume -- if I'm wrong, tell me,  
12 but I assume that that should be '11/'12. And again,  
13 it's the loss costs, far right, last row. It's the 2  
14 percent that's shown under "Financial Forecast Approach,"  
15 compared with three and three-quarters (3 3/4) under  
16 "Exponential Trend," and 2.85 percent for linear.

17                   MR. DON PALMER: And the -- the non-  
18 indexed costs that are referred to there would be death  
19 benefits and impairment benefits. So, again, a little  
20 lower frequency, but high severity events. So a --  
21 again, you may get more fluctuation in the historical  
22 trend.

23                   Again, we -- we don't see any reason to  
24 forecast a growth on those type of claims, different than  
25 the indexed claims. The actual experience ha -- has

1 shown, for whatever reason, that there is -- is some  
2 growth historically that's shown, so that would be a -- a  
3 flip that sometimes the data just has randomness in it,  
4 random elements.

5 MS. CANDACE EVERARD: And the last  
6 example would be in the very bottom table of the document  
7 entitled "Comprehensive". We see the financial forecast,  
8 loss cost trends again being below, at 3.97 percent. The  
9 corresponding estimates under "Linear" and "Exponential",  
10 with -- which are both over 4 percent.

11 MR. DON PALMER: Over the last couple of  
12 years that frequency would largely be driven by hail. So  
13 -- so again, we're anticipating kind of normal hail years  
14 from a financial forecast perspective. Actual hail  
15 experience would be embedded in these numbers.

16 THE CHAIRPERSON: Ms. Everard, we're  
17 going to take the mid-afternoon break now, if it's all  
18 right.

19  
20 --- Upon recessing at 2:36 p.m.

21 --- Upon resuming at 3:00 p.m.

22

23 THE CHAIRPERSON: Okay. Welcome back  
24 everyone.

25 Ms. Everard...?

1 MS. CANDACE EVERARD: Thank you, Mr.  
2 Chairman.

3

4 CONTINUED BY MS. CANDACE EVERARD:

5 MS. CANDACE EVERARD: Mr. Palmer, I'd  
6 like you to go to 2-61 posed by the Board.

7

8 (BRIEF PAUSE)

9

10 MS. CANDACE EVERARD: And in particular  
11 I'm looking at 2-61(a). This as an IR where the  
12 Corporation was asked to document the derivation of  
13 TI.15.A, forecasted Basic net claims incurred for a  
14 period of five (5) years from the TI.17 summary of  
15 forecasted Basic claims incurred, and the Corporation's  
16 given us a -- a table there at sub (a).

17 MR. DON PALMER: Yes, that's correct.

18 MS. CANDACE EVERARD: Can you go through  
19 the table, please, for the Board, and explain the purpose  
20 of each of the row entries, which represent the  
21 adjustments applied to the decisions of the claims  
22 forecasting committee in order to produce the GRA's  
23 forecast of claims incurred?

24 MR. DON PALMER: Sure, I can do that.

25 The claims forecasts are done on the basis of

1 undiscounted total dollars. So -- and these forecasts  
2 are also meant to be entries in a pro -- pro forma  
3 operating statement. So it's just essentially the  
4 conversion of that undiscounted total dollar estimate  
5 into more of a pro forma estimate. That's -- essentially  
6 that's all of these together.

7           The effect of discounting, and -- and the  
8 provision for adverse deviation, we do discount our  
9 claims liabilities. The change in discount, and the  
10 change in -- in PFAD each year goes through our operating  
11 statement. So that's these amounts that are added to the  
12 Basic ultimate claims. So that's the -- the first entry,  
13 the effect of discounting in PFAD.

14           The next row, the BPR-PIPP claims  
15 reductions, we are anticipating some claim savings as a  
16 result of our PIPP BI3 initiative, and they -- those were  
17 estimated separately, so they are taken off the net  
18 forecast, where there was no adjustment for -- or the  
19 total forecast, there was no adjustment for those process  
20 improvements.

21           The claims paid expenses, those are  
22 additional cost, not by file -- file by file basis, but  
23 expenses that are on an aggregate basis. Things like  
24 towing charges would fall in that claims paid expen --  
25 expenses bucket. The provision that we give to Manitoba

1 Health is -- is in that number, as well.

2 In the internal claims adjusting cost,  
3 that's in -- in fact, not the -- the cost of internal  
4 claims but the reserve for in -- internal claims  
5 adjusting costs. So we have a reserve for those costs  
6 that changes every year, and that's the annual provision.

7 And the premium deficiency DPAC write-  
8 down, we do post based on actuarial standards, a premium  
9 def -- deficiency. We -- we do that at each year end.  
10 We essentially replicate what we think that calculation  
11 will be at each subsequent year end, but it's not a  
12 significant entry.

13

14 (BRIEF PAUSE)

15

16 MS. CANDACE EVERARD: Can you tell us if  
17 the second, or I guess the third line item technically,  
18 the one entitled "BPR-PIPP Claims Reductions," that's  
19 something that the forecasting committee is likely to  
20 start building into their forecast?

21 MR. DON PALMER: Yes.

22 MS. CANDACE EVERARD: Thank you. Let's  
23 turn then to 1-31 posed by the Board.

24

25 (BRIEF PAUSE)

1 MS. CANDACE EVERARD: So we have at 1-31  
2 a number of exhibits filed in reply to the questions  
3 posed.

4

5 (BRIEF PAUSE)

6

7 MS. CANDACE EVERARD: So we'll be looking  
8 at some of these charts that have similar layout. What  
9 I'd ask you to do first is, with respect to chart A, the  
10 PUB/MPI-1-31A, if you can just describe in -- in general  
11 terms what's shown here, and then we'll get into some  
12 specifics.

13 MR. OTTMAR KRAMER: PUB-1-31A is the  
14 claims frequency, and we've got it for approximately ten  
15 (10) years, about ten (10) years, showing the -- the  
16 actual frequency that had occurred, the -- the original  
17 projected amount, and the revised forecast based on  
18 filing.

19 MS. CANDACE EVERARD: The -- the  
20 attachment makes reference at the top -- and this is seen  
21 throughout this IR -- to insurance year. There's  
22 reference to insurance year ended February 28th or 29th.  
23 That's the same as the Corporation's fiscal year, is that  
24 right?

25 MR. OTTMAR KRAMER: Yes.

1 MS. CANDACE EVERARD: And can you confirm  
2 that the columns that are entitled "Original Projected"  
3 represent sort of a first estimate made at the time of  
4 the GRA for that particular year? So for right now, in  
5 the 2011 GRA, that would be the numbers for the '11/'12  
6 fiscal year that have been put forward in the filing?

7 MR. OTTMAR KRAMER: Yeah. Just looking  
8 at the '10/'11, the original projected would have been --  
9 at the GRA, the revised forecast is what we currently  
10 have, and the actual, we don't have that yet.

11 MS. CANDACE EVERARD: Right.

12 MR. DON PALMER: So the original forecast  
13 is the original GRA filing; the revised forecast is one  
14 (1) year into -- after the -- the filing in the middle of  
15 that year; and the actual is the actual.

16 MS. CANDACE EVERARD: Right. Okay.  
17 Yeah. If we look at chart A, which relates to  
18 frequencies, can you discuss for us the forecasting  
19 accuracy for each of the coverages shown?

20

21 (BRIEF PAUSE)

22

23 MR. OTTMAR KRAMER: There is a degree of  
24 variability, but just looking at it, the -- the -- I'm  
25 looking at the totals, the -- some of them are higher

1 than the original projected, some of them are lower, so  
2 there is a degree of variability.

3 MS. CANDACE EVERARD: Would you say that  
4 there is any reflection of systemic bias in the  
5 forecasting of claims frequencies?

6 MR. OTTMAR KRAMER: No, I wouldn't say  
7 that.

8 MS. CANDACE EVERARD: If we look then at  
9 table D, 1-31 sub D, which relates to claims incurred,  
10 it's a chart of a very similar structure. Can you again  
11 comment on the forecasting accuracy that's shown?

12

13 (BRIEF PAUSE)

14

15 MR. OTTMAR KRAMER: Again, as my previous  
16 comment, just looking at the year's original projected to  
17 the actual, I see it going both ways, some where the  
18 actual's higher, some where the actual is lower.

19 MS. CANDACE EVERARD: And if we look in  
20 particular at the line entitled "PIPP," which is the  
21 second line for each of the charts, would it be fair to  
22 say that we see a fairly significant degree of  
23 variability on that line?

24 MR. OTTMAR KRAMER: Yes, I see -- I see  
25 some variability. I don't know if I would call it

1 significant, but there is variability.

2 MS. CANDACE EVERARD: Most recently, we  
3 see an overstatement in the original forecast. If we  
4 look at the '09/'10 year as well as the '08/'09 year, the  
5 original projected to actual is very significant, as well  
6 as '07/'08. Do you agree?

7 MR. DON PALMER: And I'd just like to  
8 add, on those original forecast actuals, this -- the  
9 actuals reflect two (2) things. They reflect the current  
10 year forecast, so how much claims that we've had in -- in  
11 the current year. They also include a release from prior  
12 years, or a change from prior years.

13 We have discussed just before the break  
14 that we have had releases in the last four (4) or five  
15 (5) years, so those are incorporated into these.

16 At the original projected number, as we've  
17 talked about, those IBNR estimates or those ultimate --  
18 past ultimates or best estimate, you wouldn't expect any  
19 favourable or unfavourable release. We got some, and  
20 that will be the -- the cause of -- of the -- the  
21 variance.

22 So I wouldn't necessarily portray it as a  
23 forecasting error, as -- as you had -- as indicated, or  
24 forecasting accuracy. It's -- this is the -- the  
25 variance, and it's caused by a release from prior years.

1                   MR. OTTMAR KRAMER:    And if I -- if I can  
2 just add, it also is impacted by discounts rates, and the  
3 -- the discount rates and interest rate environment has  
4 been on a downward trend in the last three (3) years, and  
5 that is also impacting the -- the net claims incurred  
6 expense.

7

8   (BRIEF PAUSE)

9

10                   MS. CANDACE EVERARD:    Can you tell us how  
11 this exhibit is affected by the latest PIPP benefit  
12 enhancements? That is the enhancements for catastrophic  
13 injury victims.

14                   MR. OTTMAR KRAMER:    These -- these  
15 attachments include the PIPP enhancements on a go forward  
16 basis.

17                   MS. CANDACE EVERARD:    And is it the  
18 Corporation's view that there's any evidence of systemic  
19 bias in the forecasting of claims incurred, as reflected  
20 here?

21                   MR. DON PALMER:    A stys -- a systemic  
22 bias, no. Again, if you have a separa -- consider  
23 separately the -- the release from prior years. And  
24 there has been some release from prior years. I don't  
25 know I would call that a -- a systemic bias, per se.

1 That has certainly influenced the results that we see  
2 here, more than actually the current year claims.

3 MS. CANDACE EVERARD: But you would  
4 agree, as per this table, certainly from '04/05 to the  
5 last year completed, which would be '09/10, the original  
6 projected figures for PIPP were fairly significantly  
7 higher than the actual?

8 MR. DON PALMER: And that's because of  
9 the release from prior years, not because of a systemic  
10 bias in forecasting methodology.

11 MS. CANDACE EVERARD: Can you tell us  
12 with respect to the current year, now that we have the  
13 second quarter results, whether the gap between original  
14 projected and revised forecasts for claims incurred is  
15 tending to narrow or to widen?

16 MR. OTTMAR KRAMER: I believe in the --

17 MS. CANDACE EVERARD: That's for the  
18 current year.

19 MR. OTTMAR KRAMER: I believe what we  
20 handed out earlier in this proceeding -- I'm just looking  
21 through it -- showed -- showed the -- the net claims  
22 incurred to be at \$620.6 million. That's based on Q2.  
23 And the initial, what we filed with -- in -- early on in  
24 the GRA was 618 million, if my memory serves me correct -  
25 - 619.2, so about a 1 1/2 to \$2 million change from

1 initial application, this GRA to Q2.

2 MS. CANDACE EVERARD: Yes, and that is on  
3 the record.

4 MR. OTTMAR KRAMER: Yes.

5

6 (BRIEF PAUSE)

7

8 MS. CANDACE EVERARD: All right. I'm  
9 going to move into a -- a different area then. I'll ask  
10 the panel to turn to SM.5.11.6.

11

12 (BRIEF PAUSE)

13

14 MR. DON PALMER: Yes, I have it.

15 MS. CANDACE EVERARD: Okay. This is a  
16 reflection of a recommendation that the Board put in its  
17 last order following on the last GRA with respect to  
18 improvements to Basic coverage. And that recommendation  
19 was that:

20 "The Corporation list and consider  
21 potential improvements to Basic  
22 coverage with comparisons to coverage  
23 in other jurisdictions and develop  
24 analyses providing the premium and cost  
25 implications of options and the

1 potential impact on extension and SRE  
2 for discussion at the 2011 GRA. The  
3 basic segment of MPI is intended to  
4 provide what is deemed to be necessary  
5 Basic coverage, and MPI should  
6 regularly compare Basic coverage with  
7 the expressed general needs of Basic  
8 hol -- Basic policy holders as  
9 demonstrated by their purchases of  
10 extension coverage. This review should  
11 be done on a strictly prospective  
12 basis."

13 That's what the Board recommended?

14 MR. DON PALMER: Yes.

15 MS. CANDACE EVERARD: And the Corporation  
16 has stated just below that, on page 17, that:

17 "Expanding Basic AutoPac coverage is  
18 within the exclusive purview of the  
19 Legislature through amendments to the  
20 MPIC Act and it's also advised that a  
21 comparison of Basic coverage in other  
22 jurisdictions is provided at AI.2."

23 Yes?

24 MR. DON PALMER: Yes, that was our  
25 response.

1 MS. CANDACE EVERARD: While we're  
2 speaking about benefit changes, I note that the  
3 government released a press release in mid-September with  
4 respect to some amendments to the MPI regulation to  
5 recognize and provide for benefits administered by nurse  
6 practitioners, physician assistants and clinical  
7 assistants.

8 So I'm just going to grab that and we'll  
9 have some questions about it.

10

11 (BRIEF PAUSE)

12

13 MS. CANDACE EVERARD: I assume that the  
14 Corporation is familiar with the -- the press release and  
15 its contents?

16 MS. MARILYN MCLAREN: Yes, I don't -- we  
17 don't have it in front of us right now, but we're  
18 certainly familiar with it.

19 MS. CANDACE EVERARD: I'm -- I'm happy to  
20 share my copy if -- if anyone would like to see it. I  
21 don't know if -- if that will be needed.

22 As indicated, the -- the government has  
23 put in amendments to the regulation to recognize these  
24 three pac -- practitioner groups, being the nurse  
25 practitioners, physician assistants and clinical

1 assistants, for the purposes of ad -- administering  
2 benefits under PIPP. That's right?

3 MS. MARILYN MCLAREN: Yes.

4 MS. CANDACE EVERARD: The amendment will  
5 further allow for reimbursement for orthoses and  
6 prostheses prescribed by occupational therapists. Is  
7 that right?

8 MS. MARILYN MCLAREN: Yes.

9 MS. CANDACE EVERARD: The press release  
10 reflects that these amendments, obviously in the view of  
11 the government, will have benefit to individuals, to  
12 Manitobans, but it also provides that there will be no  
13 financial impact on the Corporation flowing from the  
14 amendments.

15 Can -- is -- is that correct?

16 MS. MARILYN MCLAREN: Yes. Any -- any  
17 financial impact would be really marginal. There may be  
18 a small reduction in costs on an individual file basis.  
19 If by having a nurse practitioner be able to approve  
20 reimbursement of an expense in a remote community that  
21 ser -- that saves that claimant from having to travel to  
22 a larger community, we would pay the travel expenses. So  
23 there may be some very limited savings, but it -- it's  
24 really minimal.

25 MS. CANDACE EVERARD: Okay, thank you.

1 There was an IR posed by the Board with respect to  
2 whether the Corporation knew of any pending or potential  
3 benefit enhancements to come and the -- the Corporation  
4 had stated at PUB/MPI-2-12(c) -- and go there if you  
5 wish, but I don't know that -- that you need to -- but it  
6 expected to file a letter with the Board with respect to  
7 that issue on a confidential basis.

8 Is there an indication of when that may be  
9 provided?

10 MS. MARILYN MCLAREN: I would say if not  
11 next week, we would certainly come back and let you know.  
12 But I -- I would expect there should be no issue with  
13 doing that next week.

14 MS. CANDACE EVERARD: Thank you.

15 THE CHAIRPERSON: Ms. McLaren, I  
16 understand that the basic coverage is set by legislation.  
17 I think everybody understands that. The program was  
18 implemented by government.

19 But in your answer to Ms. Everard, are you  
20 saying that the Corporation doesn't prepare a list of  
21 possible improvements to the Basic program with the  
22 implications that are associated with them?

23 We understand that it's your position that  
24 your advice to government is privileged, but with respect  
25 to the work that you do yourself, like any normal

1 corporation, are you saying that MPI doesn't explore what  
2 the options are from time to time or on a regular annual  
3 basis?

4 MS. MARILYN MCLAREN: No, we don't,  
5 really, not on spec, you know. I mean --

6 THE CHAIRPERSON: So if the government  
7 doesn't come up with an idea or an opposition member or,  
8 I don't know, a talk show host, MPI would wait until the  
9 government approached it with a specific idea even though  
10 the Corporation has a mandatory monopoly over Basic  
11 insurance and, presumably, would be in a position to  
12 understand how its program compared with other  
13 jurisdictions?

14 MS. MARILYN MCLAREN: We work hard to  
15 understand where we sit with other auto insurance  
16 schemes, for sure. And -- I mean, I -- it's just  
17 difficult for me to know how to articulate this.

18 We -- we don't sit back and wait for talk  
19 show hosts to make a suggestion that the government might  
20 pick up on and then the government would ask us. It --  
21 it -- it -- in practice, I think it's fair for the people  
22 in these proceedings to assume that things like that  
23 would go both ways.

24 But as soon as we start to talk about  
25 that, we're -- we're talking about what is privileged and

1 -- and confidential, those kinds of discussions with the  
2 Corporation and with the government.

3 THE CHAIRPERSON: I wasn't talking about  
4 --

5 MS. MARILYN MCLAREN: Yeah.

6 THE CHAIRPERSON: -- discussions with the  
7 government, just to be clear. The -- I was talking about  
8 whether or not the Corporation would analyse its own  
9 portfolio benefits and develop a list of potential  
10 improvements over time that could or could not occur.  
11 Whether you shared it with the government or not is -- I  
12 wasn't asking.

13 MS. MARILYN MCLAREN: I guess the thing  
14 I'm struggling with is that's the only basis that such  
15 work would have value, right? I mean, we have no control  
16 over coverage whatsoever in the Corporation, so the way  
17 we think about things, it comes back to, you know, we --  
18 our thinking process always starts with the legislative  
19 framework, and we don't spend the resources to sort of  
20 blue sky about what we might do differently and -- and  
21 how much it might cost and what people might like and  
22 what they might not like just for our own interest.  
23 So...

24 THE CHAIRPERSON: At one time, you had a  
25 business development department or something like that.

1 That's -- didn't it do that type of thought process?

2 MS. MARILYN MCLAREN: We have a -- sure,  
3 we have a department that is -- where staff are focussed  
4 on the Basic as much as, you know, whatever other lines  
5 of business, for sure.

6 And I -- I guess all I'm trying to say is  
7 that any significant -- not even significant -- any real  
8 effort we would spend on things like this would be within  
9 a context of whether or not it -- it would result in --  
10 you know, likely to result in changes to the legislation.

11 THE CHAIRPERSON: I didn't mean to make  
12 it difficult for you. I was just...

13 Anyway, Ms. Everard...?

14

15 (BRIEF PAUSE)

16

17 MS. CANDACE EVERARD: Thank you, Mr.  
18 Chairman. Just before I recommence, we have the exhibit  
19 numbers for the last bundle that Ms. Kalinowsky provided.  
20 And I should also probably say that I -- I misspoke on  
21 the record earlier when I said that the last exhibit  
22 entered, which was the runoff up to July 31st of 2010,  
23 was PUB/MPI Exhibit 1-12. It's, in fact, just Exhibit  
24 12.

25 What we now have are a series of responses

1 to pre-asked questions. There are four (4) of them, and  
2 these are all pre-asked questions posed by the Board to  
3 the Corporation, pre-asks 3-7, 3-8, 3-10 and 3-12. And  
4 we have exhibit numbers assigned as follows: PUB/MPI-11-  
5 7, 11-8, 11-10 and 11-12, respectively.

6

7 --- EXHIBIT NO. PUB/MPI-11-7:

8 Response to Pre-ask 3-7

9

10 --- EXHIBIT NO. PUB/MPI-11-8:

11 Response to Pre-ask 3-8

12

13 --- EXHIBIT NO. PUB/MPI-11-10:

14 Response to Pre-ask 3-10

15

16 --- EXHIBIT NO. PUB/MPI-11-12:

17 Response to Pre-ask 3-12

18

19 CONTINUED BY MS. CANDACE EVERARD:

20 MS. CANDACE EVERARD: Continuing on then,  
21 Tab 23 of the book of documents is the question and  
22 answer at 1-41 posed by the Board, and we looked at this  
23 a little bit earlier, Mr. Palmer, with respect to the --  
24 some actuarial details.

25 This was the table that the Corporation

1 was asked to provide with respect to the estimate of cost  
2 associated with the benefit enhancements for catastrophic  
3 injury victims, the Bill 36 stuff. And we went through  
4 in a little bit of detail the variability that the  
5 Corporation has shown in that estimate. Originally, it  
6 was a \$90.8 million estimate, which was revised up a bit  
7 to 94 million, and then down to seventy-seven (77), and  
8 then ultimately to seventy-four and a half (74 1/2), is  
9 that right?

10 MR. DON PALMER: And, again, I -- I  
11 apologize. What was the reference?

12 MS. CANDACE EVERARD: Oh, sorry. Tab 23,  
13 book of documents, 1-41. Probably should have made sure  
14 you had it before I started talking.

15 MR. DON PALMER: Yes, I have it.

16 MS. CANDACE EVERARD: Okay. So all --  
17 all I had said was we looked at this a little bit before.  
18 This is the -- a historical listing of the estimates that  
19 the Corporation had for the cost of the benefit  
20 enhancements flowing from Bill 36?

21 MR. DON PALMER: Yes.

22 MS. CANDACE EVERARD: And so we see that  
23 the -- the numbers shifted somewhat over time, but, at  
24 the end of the day, the estimate started out at about 90  
25 million, and ended up around 75 million?

1 MR. DON PALMER: Close enough, yes.

2 MS. CANDACE EVERARD: Now we see on page  
3 2 of that IR response the Corporation's explanation in  
4 the first paragraph at the top of page 2, that there were  
5 some decreases in the ultimate costs for income  
6 replacement indemnity, or IRI, as well as permanent  
7 impairment, and that those decreases were there because  
8 there was an estimated -- or there was a decrease in the  
9 estimated number of claimants eligible to receive the  
10 benefits. That's what it states?

11 MR. DON PALMER: Yes.

12 MS. CANDACE EVERARD: And then the last  
13 sentence of that first paragraph says that:

14 "The decreases in the number of  
15 eligible claimants stem from the  
16 definition of catastrophically injured  
17 claimants as passed in Bill 36."

18 MR. DON PALMER: Yes.

19 MS. CANDACE EVERARD: Now in the second  
20 round the Board asked a follow-up question on that IR,  
21 which is 2-24.

22

23 (BRIEF PAUSE)

24

25 MS. CANDACE EVERARD: Do you have 2-24?

1 MR. DON PALMER: Yes, I do.

2 MS. CANDACE EVERARD: At that IR, sub  
3 (a), the Board asked the Corporation to confirm that the  
4 definition of catastrophically injured claimant had  
5 changed between the bill as originally drafted and the  
6 legislation as passed, as we thought was implied by the  
7 response.

8 And the Corporation has advised and they  
9 answered at sub (a) that there were no changes made to  
10 the definition between the bill as originally drafted and  
11 the legislation as passed. That's right?

12 MR. DON PALMER: Yes, that's correct.

13 MS. CANDACE EVERARD: And the Corporation  
14 further stated that the original estimate, so I take it  
15 that would be the 90 million, was based on an overall  
16 estimate of -- of catastrophically injured claimants  
17 without completing an exhaustive case by case review.  
18 That's right?

19 MR. DON PALMER: Yes, that's correct.

20 MS. CANDACE EVERARD: So, I -- I  
21 appreciate the -- the comment that it wasn't an -- an  
22 exhaustive case by case review that was done at that  
23 early stage, but at -- at the end of the day was -- did  
24 the number of -- of eligible claimants change because  
25 people passed away, or was it just that out in terms of

1 accuracy?

2

3

(BRIEF PAUSE)

4

5 MR. DON PALMER: I would say neither of  
6 those would be true. When we had the -- the definition  
7 of catastrophically injured, and we have computer files  
8 and some criteria base, but the -- the definition of  
9 catastrophically injured is -- is very specific and --  
10 and really does need a -- an extensive file by file  
11 review.

12 We had an estimate based on some basic  
13 systemic -- systematic criteria of who would be subject  
14 to that -- that ex -- enhanced benefits under PIPP and  
15 who -- who would not be. But that was just done by a --  
16 electronic criteria. We -- we did a -- we did a search  
17 on -- on our claims files and had -- without going --  
18 have case managers file by file. It was an actuarial  
19 exercise to come up with the files that we believed at  
20 that time were enhanced benefits.

21 Once -- and that was done just as part of  
22 the 2008/'09 year end valuation. Once we got further in  
23 -- into it -- and then it's -- it's time to pass over for  
24 -- to the case managers and do the really in-depth file  
25 by file review, whether a claimant is eligible or not

1 eligible and that's the final determination of -- of the  
2 ones that were eligible.

3 MS. CANDACE EVERARD: Okay. So the --  
4 the actuarial review that was done in connection with  
5 year end gave rise to the \$90 million figure, and then  
6 the case by case review done by the case managers knocked  
7 it down eventually to seventy-five (75)?

8 MR. DON PALMER: Yes.

9 MS. CANDACE EVERARD: And we see in the  
10 reply to 2-24(c), some actual numbers in terms of the --  
11 the number of people, and that provides that there are  
12 eighty-five (85) individuals in receipt of the enhanced  
13 benefits on the IRI side, and a hundred and seventy-nine  
14 (179) on permanent impairment?

15 MR. DON PALMER: Yes.

16 MS. CANDACE EVERARD: And do we know what  
17 those numbers would have been under the original  
18 actuarial review that was done that gave rise to the 90  
19 million?

20

21 (BRIEF PAUSE)

22

23 MS. MARILYN MCLAREN: Most of the change  
24 was in terms of the incurred, the dollars. There's very  
25 little change in terms of the actual numbers of claimants

1 that we expected to be affected. The initial estimate  
2 was about a hundred and thirty (130). And when the  
3 legislation was enacted and -- and we had to go through  
4 the files and -- the -- the first thing we had to do was  
5 issue cheques for the top-up enhanced permanent  
6 impairment, and we sent out more than a hundred and  
7 twenty (120) cheques.

8 So in terms of the numbers of people  
9 affected, there's very -- very little change.

10 MS. CANDACE EVERARD: I -- I understand  
11 what you're saying, and I -- I guess from our point of  
12 view we were going with the answer that was given to 1-  
13 41(a) -- or pardon me, sub (b), which said that the  
14 dollar reductions reflected decreases in the estimated  
15 number of claimants.

16 So I don't know that a whole lot turns on  
17 it other than we're -- I just want to make sure that the  
18 Board understands what occurred basically. So I -- I  
19 gather that what you're saying, Ms. McLaren, is a little  
20 bit different than what's in this IR response?

21 MS. MARILYN MCLAREN: And that's what we  
22 were trying to clarify and straighten up in the response  
23 to -- to Round Two. So it was just -- that the -- the  
24 answer in Round One was not good. It didn't get caught.  
25 If we had done a -- if we had caught it through the

1 review process for the Round One responses, it would have  
2 changed at that point.

3 MS. CANDACE EVERARD: Now we see that the  
4 -- the dollar amount, going back to the original \$90  
5 million estimate, which was revised down to seventy-five  
6 (75), that -- those dollar reductions are driven in the  
7 main, certainly by the IRI and the permanent impairment  
8 components.

9 In fact, the personal care and the death  
10 benefit components went up between February '09 and  
11 February of 2010. Is that right?

12 MS. MARILYN MCLAREN: The reference for  
13 that?

14 MS. CANDACE EVERARD: Oh, that's 1-41(a).  
15 It's the table that shows the breakout of the -- how you  
16 get from the 90 million to the seventy-five (75).

17

18 (BRIEF PAUSE)

19

20 MR. DON PALMER: Yes, the -- the big  
21 decrease was in the permanent impairment awards.

22 MS. CANDACE EVERARD: And the IRI was  
23 also a decrease of about 7 million or seven (7) and  
24 change, whereas personal care and death benefits actually  
25 increased in each -- each of those categories?

1 MR. DON PALMER: Yes, that's -- that's  
2 correct.

3 MS. CANDACE EVERARD: So the bottom line  
4 is that at the end of the day the cost of the Bill 36  
5 enhancements to the Corporation is about 74 1/2 million?

6 MR. DON PALMER: Yeah, the retrospective  
7 component, as we estimate it now, yes. On a going-  
8 forward basis, I think it was about \$7 million a year.

9 MS. CANDACE EVERARD: Understood.  
10

11 (BRIEF PAUSE)

12

13 MS. CANDACE EVERARD: Okay. Now the  
14 original estimate of the 90 million appeared in the  
15 Corporation's annual report for '08/'09?

16 MR. DON PALMER: Yes.

17 MS. CANDACE EVERARD: Do you recall that?

18

19 MR. DON PALMER: Yes, I do.

20 MS. CANDACE EVERARD: Can you tell us  
21 what working papers were provided to the external auditor  
22 in support of the journal entry regarding that original  
23 number?

24 MR. DON PALMER: They -- they had the  
25 actuarial review for the estimate of that. There was

1 also -- there was also a Board minute that confirmed that  
2 the -- that the government had accepted the Bill 36  
3 changes.

4

5

(BRIEF PAUSE)

6

7 MS. CANDACE EVERARD: The actuarial  
8 review that was provided by the Corporation to the  
9 external auditor, is that something that's on the record  
10 with the Board?

11 MR. DON PALMER: Yes, it is. It -- it's  
12 the -- it's the appointed actuary's report as at February  
13 of -- 28th, 2009. It would have been filed as part of  
14 the evidence last year.

15 MS. CANDACE EVERARD: And has the  
16 Corporation reviewed the change in estimate from February  
17 of '09 to February of this year with its external  
18 auditor?

19 MR. DON PALMER: Yes, that was -- would  
20 have been part of the year-end audit, so subject to all  
21 of the audit review and including the auditing guideline  
22 43 of review by an actuarial special -- specialist.

23 MS. CANDACE EVERARD: Can you advise us  
24 of what explanation and analysis was given to KPMG when  
25 the adjustment was made?

1 MR. DON PALMER: The actuarial --  
2 appointed actuary's report.

3 MS. CANDACE EVERARD: And is that  
4 something that can be provided to the Board?

5 MR. DON PALMER: The Board has it, has  
6 both the appointed actuary's review as at October 31 of  
7 2009 and February 28th of 2010 as AI.18, I'm guessing,  
8 but I think that's it.

9 MS. CANDACE EVERARD: And can you confirm  
10 that this adjustment was treated as a material change  
11 adjustment by the Corporation, as a material journal  
12 entry?

13 MR. DON PALMER: It -- it wasn't a -- a  
14 separate entry. It was part of the actuarial review.  
15 Individual claim files would have been changed as case  
16 reserve sometime this year.

17 MS. CANDACE EVERARD: And did KPMG  
18 express any concern with respect to the change from the  
19 ninety (90) down to the seventy-five (75)?

20 MR. DON PALMER: Not specifically, no.

21

22 (BRIEF PAUSE)

23

24 MR. DON PALMER: Just let -- let me  
25 reiterate that they expressed no concern.

1 MS. CANDACE EVERARD: Okay. Let's go  
2 back to Volume I then, and particularly S -- oh, hang on.

3

4 (BRIEF PAUSE)

5

6 MS. CANDACE EVERARD: I'm -- just before  
7 we leave this topic and go to a new one, Mr. Pelly has  
8 just pulled up AI.17(b) from last year's filing, which is  
9 the external actuary's report, Ernst & Young, from  
10 February of 2009. And there's a paragraph there in the  
11 covering letter -- this is on page 4 -- that reads:

12 "In February 2009, the Minister  
13 responsible for MPI submitted to  
14 Cabinet a proposal which would enhance  
15 PIPP benefits for catastrophically  
16 injured claimants. The proposed  
17 enhancements impact past and future  
18 claims and, if enacted, would  
19 significantly increase our estimate of  
20 policy liabilities. We have relied on  
21 MPI actuaries to quantify the proposed  
22 PIPP enhancements. We have reviewed  
23 their analysis for reasonableness. An  
24 MPI report describing the proposed  
25 changes and their impacts is provided

1 in Exhibit J."

2 Does that sound about right?

3 MR. DON PALMER: Yes, that's accurate.

4 MS. CANDACE EVERARD: It sounds like Mr.  
5 Christie didn't do any independent analysis, that he  
6 relied on the Corporation. Do you take the same from  
7 that paragraph?

8 MR. DON PALMER: It -- it depends on what  
9 you mean by study for reasonableness. It's still -- it  
10 does -- or, if that's not the -- quite the exact words,  
11 but --

12 MS. CANDACE EVERARD: He -- he said he  
13 reviewed the analysis for reasonableness.

14 MR. DON PALMER: Yes. He -- it's the  
15 same data. It still comprised part of his appointed  
16 actuary's report. So in terms of that test of  
17 thoroughness, it still was included in his report on  
18 liabilities.

19

20 (BRIEF PAUSE)

21

22 MS. CANDACE EVERARD: Does the  
23 Corporation take significance from the phrase "relied"  
24 being used by Ernst & Young, where it says, "We have  
25 relied on MPI's actuaries to quantify," rather than

1 saying, "We have used information obtained from MPI's  
2 actuaries"?

3 MR. DON PALMER: I -- I don't think  
4 there's specific significance in that, no.

5

6 (BRIEF PAUSE)

7

8 MS. CANDACE EVERARD: Okay. So we have  
9 about ten (10) minutes left before four o'clock, Mr.  
10 Chairman, and I'm sure that I can cover some more ground.

11 If we go to SM.2.4.B. No, that's an  
12 incorrect reference. My apologies.

13

14 (BRIEF PAUSE)

15

16 MS. CANDACE EVERARD: Sorry, that is the  
17 right reference, SM.2.4.B. I just didn't put my fingers  
18 on it. That's page 6 of SM.2. This is a section within  
19 the filing that deals with glass claims costs, which I'd  
20 like to review.

21 The Corporation provides here in these  
22 couple of short paragraphs that it monitors glass pricing  
23 and discount trends in the industry on an ongoing basis,  
24 is that right?

25 MS. MARILYN MCLAREN: Yes.

1 MS. CANDACE EVERARD: The Corporation  
2 negotiates discounts for windshields and tempered glass  
3 with the trades, and, at present, those are a 10 percent  
4 discount for each?

5 MS. MARILYN MCLAREN: Yes.

6 MS. CANDACE EVERARD: And the Corporation  
7 saves as much as eight hundred thousand dollars  
8 (\$800,000) annually by virtue of these negotiated  
9 discounts?

10 MS. MARILYN MCLAREN: Yes.

11 MS. CANDACE EVERARD: Does the  
12 Corporation have a belief or a view on whether the rates  
13 that it's paying for glass claims costs are competitive  
14 as compared with other jurisdictions?

15 MS. MARILYN MCLAREN: Yes, we believe  
16 they are, definitely. Yes, they are, as far as we can  
17 tell. We do monitor them.

18 MS. CANDACE EVERARD: So the  
19 Corporation's understanding is that it's not paying more  
20 than would be paid in other provinces?

21 MS. MARILYN MCLAREN: By institutional  
22 payers, like in -- insurers, for sure, yeah. I mean,  
23 there -- there are changes. There is a national auto  
24 glass price database. It's a national association, for  
25 lack of a better phrase, that we deal with. It's very --

1 they're very aggressive. It's very competitive. But as  
2 -- as best we can, we monitor it. And we believe that  
3 we're getting a good price.

4 MS. CANDACE EVERARD: And does the  
5 Corporation have any other negotiated terms with these  
6 service providers?

7 MS. MARILYN MCLAREN: Specifically  
8 related to glass? I mean, the -- the price we pay for  
9 glass tends, for the most part -- most body shop, most  
10 repair shops also do glass. So, in some fashion, it is  
11 part of the overall agreement.

12 But for the -- it's -- specifically  
13 related to glass, this is really the bulk of the  
14 negotiation. There may be some other small prices and  
15 fees we negotiate about whether it's, you know, sealant  
16 or stripping or something like that, but this is really  
17 the bulk of it.

18 MS. CANDACE EVERARD: And is this  
19 pursuant to an agreement that has a specific term, number  
20 of years?

21 MS. MARILYN MCLAREN: I believe it does,  
22 yes. Definitely, yeah.

23 MS. CANDACE EVERARD: Do you know what  
24 the term is or when it might be?

25 MS. MARILYN MCLAREN: Not off the top of

1 my head, no.

2 MS. CANDACE EVERARD: I'd like to then  
3 turn to pre-ask 3-11, which is MPI -- or PUB/MPI Exhibit  
4 11-11.

5

6 (BRIEF PAUSE)

7

8 MS. CANDACE EVERARD: This was a pre-ask  
9 question wherein the Board then asked the Corporation, in  
10 what circumstances does an insured incur cost, including  
11 for his or her deductible, in a physical damage claim  
12 involving a windshield stone chip and no other damage,  
13 what is the Corporation's policy in this regard?

14 And the Corporation has said:

15 "If the repair cost does not exceed the  
16 insured's Basic deductible, the insured  
17 would be responsible for the cost of  
18 the repair. If the repair cost exceeds  
19 the insured's Basic deductible, the  
20 insured would be responsible for  
21 payment of the deductible with the  
22 Corporation being responsible for the  
23 amount of repair costs in excess of the  
24 deductible."

25 That's right?

1 MS. MARILYN MCLAREN: That's the answer,  
2 yes.

3 MS. CANDACE EVERARD: That's basically  
4 the way that most claims work?

5 MS. MARILYN MCLAREN: Pretty much, yeah.

6 MS. CANDACE EVERARD: Where there's a  
7 situation involving a claim that is less than the  
8 deductible as reflected here, the insured would be  
9 responsible for the cost of the repair.  
10 So that would be like being self insured  
11 as we spoke of earlier?

12 MR. DON PALMER: Yes.

13 MS. CANDACE EVERARD: Are there  
14 situations or claims for windshield chips wherein the  
15 Corporation does not levy a deductible on the insured?  
16 And -- and I'm not talking about the ones where the  
17 person is being self insured. I'm talking about ones  
18 where the -- the Corporation would actually be paying  
19 something out on the claim.

20 MR. DON PALMER: Not under the Basic  
21 Autopac program, no.

22 MS. CANDACE EVERARD: Is there something  
23 like that available under -- is that like a product that  
24 you could buy under Extension?

25 MS. MARILYN MCLAREN: I actually have to

1 look that up on the MPI website, if you want to give me a  
2 minute. I don't have it off the top of my head whether  
3 that's a provision of Extension coverage or not, but it's  
4 certainly not -- windshield chip repair would -- would  
5 not be applicable to Basic.

6 I'm -- we probably have something to say  
7 about it on the public website.

8 THE CHAIRPERSON: Well, just from direct  
9 experience, when you get a windshield chip and it could  
10 be replaced by what they call the Novus, MPI, when the  
11 claim comes in, they pay the whole claim. Must be  
12 through the Extension, I suppose.

13 MS. MARILYN MCLAREN: I'll take your word  
14 for it. I just don't remember off the top of my head.

15 MS. CANDACE EVERARD: I -- I think that's  
16 okay. You probably don't have to look it up. We -- we  
17 could look it up, as well. If we want to ask any more  
18 questions, we'll do that or -- or otherwise let you know.

19  
20 THE CHAIRPERSON: The only thing in  
21 following that up then, based on your answer, that would  
22 mean in a sense, the alternative to having the chip  
23 replaced or fixed -- they put a resin in it, as you know,  
24 and they bring it down -- would be for the insured to pay  
25 the deductible and get the whole windshield replaced.

1                   And if that was done, presumably, there  
2 would be a significant cost to Basic, correct?

3                   So Basic, in a sense, is being bailed out  
4 by Extension.

5                   MS. MARILYN MCLAREN:   That's probably  
6 fair in -- in this instance.  And -- and, you know,  
7 there's probably people that get chips that don't deal  
8 with them and then they have to end up getting the whole  
9 windshield repaired.

10                  And I guess, you know, the only reason I  
11 was hesitating at all is -- is, you know, in terms of the  
12 extent to which the cost is significant.

13                  I know on -- on newer vehicles,  
14 windshields can be quite expensive and Basic would pay,  
15 you know, a good, good chunk of that.  Older vehicles, I  
16 think, it's not uncommon for the customer to be getting a  
17 windshield for less than the five hundred dollar (\$500)  
18 deductible.

19                  THE CHAIRPERSON:   It's just an  
20 interesting interplay because direct experience, we had a  
21 windshield chip occur when we were driving on the  
22 Perimeter, and they had a little Novus stand in the mall  
23 that we just happened to drive by and they faxed off  
24 something to MPI and it came back and there was no cost  
25 to us whatsoever.  But if Basic didn't pay it, that would

1 have meant, presumably, that Extension did because there  
2 was no charge to the customer.

3                   But the alternative to that, of course,  
4 would be if they hadn't been able to fix the chip, then  
5 the whole windshield would have had to have been replaced  
6 and that would have been very expensive. So I guess it  
7 does show, to some degree, a bit of interplay between the  
8 programs -- cross-subsidisation, I suppose. I'm not  
9 saying it was intentional; it's the way the program  
10 works.

11                   MS. MARILYN MCLAREN: No deductible glass  
12 repair would be a feature, you know, the way we're  
13 talking about it here, as an Extension product that we  
14 would do sort of on a competitive basis.

15                   So no matter where, it's definitely --  
16 whether somebody decides to pay it themselves and avoid  
17 their five hundred dollar (\$500) deductible, whether we  
18 offer it as part of our extension, whether a competitor  
19 offers it as part of the extension, anytime somebody gets  
20 a chip repaired, Basic wins.

21                   THE CHAIRPERSON: Yes. The -- the  
22 interesting part in -- in the interest of information  
23 sharing, the experience we had, I remember the repair  
24 bill that was paid for -- didn't pay much attention at  
25 the time, but I guess it was being paid by Extension --

1 was about eighty-five dollars (\$85) or something like  
2 that. And the interesting part was when we were in -- in  
3 Calgary, our daughter got a windshield in her car and  
4 took it in, and there, the exact same outfit with exact  
5 little tent in the mall charged twenty-five bucks (\$25).  
6 So it just seemed to be dramatically different.

7 MS. MARILYN MCLAREN: Well, I think, for  
8 the most part, that comes down to who's paying. You  
9 know, we've had conversations in this forum through time  
10 that if people can get their -- you know, their dented  
11 fender fixed for much lower than the hourly labour rate  
12 that we pay, and I think that's standard across the  
13 country, is that insurers tend to pay more than  
14 individuals coming in off the street. And -- and I know  
15 in Alberta, there's virtually no glass coverage for  
16 automobiles whatsoever. It's a hugely expensive add-on  
17 to a comprehensive policy/

18 THE CHAIRPERSON: But just following on -  
19 -

20 MS. MARILYN MCLAREN: It's an  
21 endorsement.

22 THE CHAIRPERSON: -- in the discourse,  
23 the -- the alternative that exists -- at least my  
24 understanding is, you could perhaps correct it, but it  
25 helps the panel to understand some of the general

1 background -- when we take our car into the dealer to  
2 have it -- you know, a mechanical part repaired, I think  
3 the customer generally pays an awful lot more than MPI  
4 does. Because you negotiate on a blanket basis with the  
5 entire trade association, do you not?

6 MS. MARILYN MCLAREN: Right, but I  
7 believe it's also true that mechanical rates are higher  
8 than the body shop rates.

9 THE CHAIRPERSON: Interesting. Thank  
10 you.

11 MS. CANDACE EVERARD: Thank you, Mr.  
12 Chairman. Just one (1) follow-up question on this topic.

13

14 CONTINUED BY MS. CANDACE EVERARD:

15 MS. CANDACE EVERARD: Is there any  
16 different treatment in these types of claims if they  
17 arise within Manitoba or in another jurisdiction, or are  
18 they treated the same across the board, regardless?

19 MS. MARILYN MCLAREN: No. If somebody  
20 had a policy and got their chip repaired outside of  
21 Manitoba, they could seek reimbursement. I mean, the way  
22 it works in Manitoba generally is the -- the policyholder  
23 doesn't have to pay up front and get reimbursed. That  
24 would be different, but other than that, I mean, it's  
25 certainly not exclusive to damage inside Manitoba.

1 MS. CANDACE EVERARD: Thank you, Mr.  
2 Chairman.

3

4 (PANEL RETIRES)

5

6 THE CHAIRPERSON: All right. Thank you,  
7 very much. So we'll resume again on -- I don't believe  
8 we sit on Monday.

9 MS. CANDACE EVERARD: No. We -- we don't  
10 sit tomorrow, Monday's Thanksgiving Day, and then we sit  
11 Tuesday at 9:00 a.m., which will be the 12th --

12 THE CHAIRPERSON: Right.

13 MS. CANDACE EVERARD: -- and that'll be  
14 the panel, and then our first outside witness comes on  
15 Wednesday.

16 THE CHAIRPERSON: So on Monday we can go  
17 and watch and see if the Bombers finally win a game or  
18 not. Anyway, we'll see you all Tuesday at 9:00.

19 Oh, by the way, if you want to leave your  
20 stuff here, it's fine. It'll all be locked up and  
21 secure.

22

23 --- Upon adjourning at 4:02 p.m.

24

25

1 Certified Correct,

2

3

4

5

6

---

7 Cheryl Lavigne, Ms.

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25