

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MANITOBA PUBLIC UTILITIES BOARD

Re: 2004 MPI RATE APPLICATION

Before Board Panel:

- Graham Lane - Board Chairman
- Denyse Cote - Board Member
- Eric Jorgensen - Board Member

HELD AT:

Public Utilities Board
400, 330 Portage Avenue
Winnipeg, Manitoba
October 13th, 2004

Pages 216 to 418
Volume II

APPEARANCES

1
 2
 3 Walter Saranchuk) Board Counsel
 4 Brian Pelly)
 5 Roger Cathcart)
 6 Candace Everard)
 7
 8 Kevin McCulloch) MPI
 9 Marilyn McLaren)
 10 Barry Galenzoski)
 11 Wilf Bedard)
 12
 13 Raymond Oakes) CMMG
 14 Byron Williams) CAC/MSOS
 15
 16 Nick Roberts) MUCDA
 17 Jerry Kruk) CAA
 18
 19 Margaret Scurfield) IBAM
 20 George Miller (np))
 21
 22 Robert Dawson) CBA/MBA
 23 Claudio Sousa (np)) SM
 24
 25 Carol Wilkinson) Court Reporter

	TABLE OF CONTENTS	
		Page No.
1		
2		
3	List of Exhibits	219
4	List of Undertakings	220
5		
6	Panel Resumes	
7		
8	Continued Cross-Examination by	
9	Mr. Walter Saranchuk	221
10		
11		
12		
13	Certificate of Transcript	425
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1	LIST OF EXHIBITS		
2	Exhibit No.	Description	Page No.
3	MPI-5	Evidence by Ms. Marilyn	
4		McLaren Response to	
5		discussion of credibility.	339
6	CAC/MSOS-MPI-3.1		
7		Response to Pre-Ask 1.	340
8	CAC/MSOS-MPI-3.2		
9		Response to Pre-Ask 2.	340
10	CAC/MSOS-MPI-3.3		
11		Response to Pre-Ask 3.	341
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1		LIST OF UNDERTAKINGS	
2	No.	Description	Page No.
3	2	To provide a breakdown of	
4		investment income for one	
5		(1) year, five (5) years and	
6		ten (10) years in the money	
7		market, bonds, Canadian equities,	
8		US equities and comparing them	
9		to the industry.	222
10	3	A summary of Mercer's	
11		recommendations.	228
12	4	Average purchased yield on new	
13		non-provincial Manitoba bonds	
14		on purchases in 2003 and	
15		2004 to-date.	229
16	5	To provide full details of how	
17		the formula for investment	
18		management fees is calculated.	232
19			
20			
21			
22			
23			
24			
25			

1 --- Upon commencing at 8:03 a.m.

2

3 THE CHAIRPERSON: Good morning, we're all
4 eager to get going. Mr. Saranchuk...?

5 MR. WALTER SARANCHUK: Thank you, sir. I
6 want to begin, Mr. Chairman, and Panel Members, with some
7 additional questions with regard to investment income.

8

9 (PANEL RESUMES)

10

11 CONTINUED CROSS-EXAMINATION BY MR. WALTER SARANCHUK:

12 MR. WALTER SARANCHUK: I appreciate that we
13 were in the matter of the upgrade factor yesterday, when we
14 adjourned, but just to clean up some of the issues relative
15 to the investment portfolio, I wonder if I can put on the
16 record, a request that the Corporation provide a schedule of,
17 or summary, or table, of its overall return on the investment
18 portfolio for one (1) year, five (5) years and ten (10)
19 years, broken down into the following categories, and
20 comparing them with the industry.

21 Firstly, money market, secondly, bonds, third,
22 Canadian equities, fourthly, US equities, and fifthly,
23 balanced portfolio.

24 Would you be able to do that, Mr. Galenzoski?

25 MR. BARRY GALENZOSKI: Yes, I'm not sure what

1 you mean by balanced portfolio.

2 MR. WALTER SARANCHUK: Let's then stop at US
3 equities, and forget about the balanced portfolio aspect of
4 it.

5 MR. BARRY GALENZOSKI: Okay. And if I said I
6 don't know what you mean by US equities, can we drop that one
7 (1) off too.

8 MR. WALTER SARANCHUK: That's where we draw
9 the line.

10

11 --- UNDERTAKING NO. 2: To provide a breakdown of
12 investment income for one (1)
13 year, five (5) years and ten (10)
14 years in the money market, bonds,
15 Canadian equities, US equities
16 and comparing them to the
17 industry.

18

19

20 CONTINUED BY MR. WALTER SARANCHUK:

21 MR. WALTER SARANCHUK: And yesterday you
22 indicated that the Corporation really isn't interested in
23 providing an international component to its portfolio.
24 What's the reasoning behind that?

25 MR. BARRY GALENZOSKI: There's several

1 reasons, the first one (1) is we don't know much about it. I
2 think that's a big concern.

3 Second, when we've done our asset liability
4 reviews, that didn't come up as one (1) of the assets that
5 would help us to any great degree over and above the asset
6 mix that we've selected.

7 Third, there would still be the concerns that
8 we have about foreign exchange or the currency exposure, and
9 that would -- that would be just as great on that side, with
10 most of that being in the Euro at this stage.

11 So, that -- that would be a significant
12 concern with respect to where we are today on our investment
13 portfolio.

14 MR. WALTER SARANCHUK: And who actually makes
15 that final decision, not to enter that market?

16 MR. BARRY GALENZOSKI: Well, the decision as
17 to which markets we did enter was -- was a fairly involved
18 process, where we did the asset liability reviews, using
19 external consultants to assist us in that. We've -- we've
20 done, I believe, three (3) of those over the last five (5) or
21 six (6) years.

22 And using those studies, that tells you where
23 your efficient frontiers are with respect to the type of
24 asset mix that you should have in your portfolio, and what
25 you're really looking for is what is the best combination of

1 working group, was it that level where the decision was made
2 or is it something that the Investment Committee management
3 would decide?

4 MR. BARRY GALENZOSKI: Well, that would --
5 that would have been decided at the asset liability review
6 stage. In other words, we would look at the -- at the
7 available asset classes, to determine whether or not that
8 should be included or not. And in the three (3) studies that
9 we've done, that the EAFE was not considered in the asset
10 liability review. So, it came -- it was right at the very
11 beginning of the whole process.

12 MR. WALTER SARANCHUK: And when you refer to
13 EAFE, for the record, what do you mean?

14 MR. BARRY GALENZOSKI: I'm not sure what the
15 acronym stands for, but it's -- it's the European
16 investments, there's a -- it's like the S&P 500. It's an
17 index of the European countries, and you can invest in that
18 pool of funds. You'd -- you'd invest in individual
19 securities, but it's part of an overall index.

20 MR. WALTER SARANCHUK: I'm advised by a
21 little voice in the background -- I guess he's not as sure
22 about it as he thought it was in terms of what the acronym
23 was, but in any event --

24 MR. BARRY GALENZOSKI: It -- it stands for
25 Europe, Asia and Far East, I'm told, yes.

1 MR. WALTER SARANCHUK: Thank you. When was
2 the last review conducted. You talked about three (3) of
3 them?

4
5 (BRIEF PAUSE)

6
7 MR. BARRY GALENZOSKI: It's been
8 approximately a year ago.

9 MR. WALTER SARANCHUK: Is that part of a
10 regular process, or is this something that's on occasionally
11 reviewed, if you will?

12 MR. BARRY GALENZOSKI: It's something that we
13 probably undertake about every five (5) years. We've done, I
14 believe two (2) for sure. We might have done the third one
15 (1), but we primarily would do it for very specific reasons.
16 We want -- when we're doing a major review of our Investment
17 Policy Statement.

18 The first one (1) was done when we actually
19 started to do other investments other than bonds and that
20 helped us to determine a couple of things. It helped us to
21 determine both the asset classes that we'd be invested in as
22 well as the amount that we would invest in each of those
23 asset classes.

24 So, that was an important review when we first
25 got started in the equity-type investments and that would

1 have been approximately five (5) or six (6) years ago. And
2 then we repeated that exercise about a year ago, again to
3 confirm what we should be recommending to the Board with
4 respect to the asset mix that the portfolio should contain.

5 MR. WALTER SARANCHUK: Is there any
6 involvement of an independent outside consultant?

7 MR. BARRY GALENZOSKI: Yes, I believe I
8 mentioned that we use an outside consultant to assist us with
9 the asset liability review in the last one that was conducted
10 by -- with using the assistance of Mercers.

11 MR. WALTER SARANCHUK: And do you have a copy
12 of that review, sir?

13 MR. BARRY GALENZOSKI: I don't have a copy of
14 it here.

15 MR. WALTER SARANCHUK: Can you produce it
16 within the next couple of weeks?

17 MR. BARRY GALENZOSKI: I'm not sure we're
18 going to be able to produce it. That was -- there is some --
19 I guess -- commercially confidential material in there with
20 respect to the process that Mercers use and that report would
21 have been done with some confidentiality obviously attached
22 to it.

23 So, I think we would have to check with them
24 before we'd be prepared to -- to file that.

25 MR. WALTER SARANCHUK: How about a summary of

1 the recommendations? Is that available?

2 MR. BARRY GALENZOSKI: Well, we can provide
3 you with a summary of the recommendations, because we did
4 things along that line with our Board and certainly we can --
5 we can do that for you if you'd like if you make that an
6 undertaking.

7

8 MR. WALTER SARANCHUK: If you wouldn't mind.
9 Thank you very much.

10

11 --- UNDERTAKING NO. 3: A summary of Mercer's
12 recommendations.

13

14 CONTINUED BY MR. WALTER SARANCHUK:

15 MR. WALTER SARANCHUK: In light of the
16 possibility of your being able to disclose the full report, I
17 just would draw your attention to the fact that it can be
18 accepted by the Board in confidence, so you might want to
19 give that some consideration as well, please.

20 MR. BARRY GALENZOSKI: Yes, we can -- we'll
21 do that.

22 MR. WALTER SARANCHUK: Thank you very much.
23 Now, can you, perhaps, give us some indication of the average
24 purchased yield on new non-provincial Manitoba bonds of
25 purchases in 2003 and 2004? Can you do that offhand with

1 reference to some of the information that you have from the
2 back row or is that something that you'd have to delve into?

3 MR. BARRY GALENZOSKI: Yeah, we'll have to
4 come with that as an undertaking, also. We wouldn't have had
5 that level of detail here.

6 MR. WALTER SARANCHUK: And what we're looking
7 for is the average purchased yield on new non-provincial
8 Manitoba bonds on purchases in 2003 and 2004 to-date by the
9 following categories: Short; if any, mid-term and long
10 bonds.

11 MR. BARRY GALENZOSKI: Yes, we can do that.
12 I doubt if there'd be any short in there, but certainly we
13 can do that.

14 MR. WALTER SARANCHUK: Thank you very much.

15
16 --- UNDERTAKING NO. 4: Average purchased yield on new
17 non- provincial Manitoba bonds on
18 purchases in 2003 and 2004 to-
19 date.

20

21 MR. BARRY GALENZOSKI: Could we get a copy of
22 that so that we can begin writing or working on that right
23 away? Other -- other than that we'd have to wait for the
24 transcript.

25 MR. WALTER SARANCHUK: Yes, I'll dictate it

1 to somebody.

2

3 CONTINUED BY MR. WALTER SARANCHUK:

4 MR. WALTER SARANCHUK: And as a I recall,
5 sir, there was some overall assessment of the Corporation's
6 investment approach, if you will, not too long ago. In fact,
7 I think something was filed before this Board in the recent
8 past.

9 When was it, if you would please refresh my
10 memory, as -- that there was this analysis or assessment and
11 by whom?

12 MR. BARRY GALENZOSKI: I'm not sure what
13 you're referring to exactly there. If you're -- we do
14 assessments of the portfolio on a regular basis. We have
15 reviews done on a quarterly basis with outside consultants
16 that compare our results, obtained to both our -- our
17 indexes, we're comparing ourselves against, as well as to the
18 P&C industry in Canada.

19 And I believe that's what you're referring to
20 where we ended up showing you this chart that indicated our
21 results averaged over four (4) years compared to others that
22 are investing in a similar port -- portfolio than MPI would
23 be in, this would be other P&C companies in Canada. And we
24 would have that information if you'd be interested in seeing
25 that?

1 MR. WALTER SARANCHUK: Yes, if you wouldn't
2 mind, indeed, in the first undertaking, talking about the
3 overall return for one (1) year, five (5) years and ten (10)
4 years, broken down into the categories that I had mentioned,
5 there was a reference to the request of comparison against
6 the industry benchmark in each case there.

7 So, bearing that in mind, perhaps in this
8 particular instance you can give us some idea about how the
9 overall portfolio result stands up against the industry in
10 general too?

11 MR. BARRY GALENZOSKI: Yes, we can provide
12 that. Just one (1) thing, we have not been investing in
13 equities for ten (10) years. So we will not be able to give
14 you a comparison going back that far, but we will be able to
15 tell you the yield in our portfolio, as it existed ten (10)
16 years ago.

17 MR. WALTER SARANCHUK: All right. And thank
18 you, sir, if you wouldn't mind doing that.

19 Does the Department of Finance charge an
20 investment management fee to the Corporation?

21 MR. BARRY GALENZOSKI: Yes, they do.

22 MR. WALTER SARANCHUK: And how is that fee
23 calculated or is that something documented by agreement?

24 MR. BARRY GALENZOSKI: They've got a -- a
25 small percentage that they're -- they're charging against the

1 acronym that I'm not familiar with, I think it was MUSH; what
2 is that?

3 MR. BARRY GALENZOSKI: That's going to be an
4 extra fee to tell you about that one (1), but that's the
5 Municipal Hospitals and School Bonds that we have in our
6 portfolio, that's the non-marketable portion of the
7 portfolio, with respect to bonds.

8 MR. WALTER SARANCHUK: Thank you, sir.

9

10 (BRIEF PAUSE)

11

12 MR. WALTER SARANCHUK: Has the Corporation in
13 its experience, been required to top up pension
14 contributions, as a result of insufficient investment
15 returns?

16 MR. BARRY GALENZOSKI: No. The -- as I said
17 to you before, the Corporation does not have segregated funds
18 with respect to its liability regarding employee's pension.

19 So, irregardless of what the portfolio does,
20 we provide the pension fund with what we believe the -- the
21 going forward interest rate is for that particular liability.
22 And it's credited with -- with an amount that comes out of
23 the overall investment income pool, before that pool is
24 distributed to the other lines of business.

25 MR. WALTER SARANCHUK: Thank you, Mr.

1 Galenzoski. Unless there are any further questions from the
2 Panel, relative to investment income, I was intending to
3 return to the area where we broke yesterday, namely premium
4 upgrade?

5 THE CHAIRPERSON: I have one (1). With
6 respect to your last answer, Mr. Galenzoski, are you saying
7 that the -- the term and actuarial rate on the pension is
8 independent of the actual return on the investments?

9 MR. BARRY GALENZOSKI: That's what I'm
10 saying, yes.

11 THE CHAIRPERSON: So, they're either in
12 excess or a deficiency, relative to the investment earnings?

13 MR. BARRY GALENZOSKI: It could be that, or
14 it could be right on. But generally speaking, there's been
15 an excess or -- I don't believe we've ever been in a deficit
16 on that side.

17 THE CHAIRPERSON: Thank you.

18

19 CONTINUED BY MR. WALTER SARANCHUK:

20 MR. WALTER SARANCHUK: Now, Mr. Galenzoski,
21 I'd ask you to refer to Tab 9 in the Book of Documents filed,
22 sir. That refers to the Corporation's responses to question
23 number 2, posed by the Public Utilities Board in the 1st
24 Round of Interrogatories.

25 And in Part D of that question there was a

1 request for refiling of Documents TI-17 AND TI-17(a) with
2 accompanying RSR Schedules each reflecting a 4.5 percent and
3 4 percent premium upgrade factor for 2005/'06 and subsequent
4 years. And indeed the Corporation did that refiling.

5 And so just at the high level that I ask you
6 to review with me the impacts on the RSR relative to the
7 various vehicle upgrade factors namely 4 percent and 4.5
8 percent.

9 First of all for the record perhaps we can
10 have you confirm that indeed the upgrade factor or the level
11 of it does have rather significant impact on results, the
12 operating results.

13 MR. BARRY GALENZOSKI: Yes, it will.

14 MR. WALTER SARANCHUK: And looking at the
15 filing or refiling of TI-17(a) utilizing a 4 percent upgrade
16 -- this is the 5th page in to the answer.

17 With reference to the net income, what can you
18 tell us about the results or the impact of a 4 percent
19 upgrade rather than a 3.5 percent upgrade which you are
20 intending on using, on the bottom line, if you will for
21 2005/'06 and next, the year thereafter?

22 MR. BARRY GALENZOSKI: This shows that the
23 bottom line has improved from about a half a million dollar
24 net loss to a positive net income of \$2.3 million.

25 MR. WALTER SARANCHUK: Yes, and for 2006/'07

1 my understanding is and look -- you can quickly at Tab 6 for
2 the outlook period of 2006/'07 and the Statement of
3 Operations filed as TI-17(a) there where the projection is
4 three hundred and ninety five thousand dollars (\$395,000) net
5 income. If a 4 percent upgrade were to be utilized, that
6 improves to some \$6.2 million; is that correct?

7 MR. BARRY GALENZOSKI: Yes, that's correct.

8 MR. WALTER SARANCHUK: So, can it be said
9 that for over a two (2) year period, the impact of a half a
10 percent change in the upgrade factors approximately \$9
11 million?

12 MR. BARRY GALENZOSKI: Well that's a half a
13 percent compounded over two (2) years so it adds up to the --
14 and then adding accumulatively, so yes, it would be
15 approximately that.

16 MR. WALTER SARANCHUK: Thank you. And
17 looking at the next page in -- the answer in Tab 9, namely
18 the impact of 4 percent upgrade on the RSR, the Rate
19 Stabilization Reserve.

20 We know that with the Application, the
21 projection for the RSR for 2005/'06 is approximately \$79
22 million. In terms of the impact of a 4 percent upgrade for
23 2005/'06 and to '06/'07, what do we read into the bottom line
24 so to speak for the RSR?

25 MR. BARRY GALENZOSKI: Well, it's just the

1 arithmetic with respect to the difference between the
2 previous projection and this revised one. And they're both
3 improved. The first one by about \$3 million and then the
4 next one by about \$9 million in total.

5 MR. WALTER SARANCHUK: So, just for the
6 record, the projection for 2005/'06 would improve to \$81.7
7 million and for 2006/'07 it would improve to \$101.8 million?

8 MR. BARRY GALENZOSKI: Yes, that's correct.

9 MR. WALTER SARANCHUK: And indeed utilization
10 of that extra half percent upgrade for the balance of the
11 outlook period, we would then be looking at the RSR balance
12 for 2007/'08 at \$129.3 million and 2008/'09 at \$162.8
13 million; is that correct, sir?

14 MR. BARRY GALENZOSKI: Yes.

15 MR. WALTER SARANCHUK: Now, with reference to
16 the refiling of TI-17(a), if you move over to the next page,
17 utilizing a 4.5 percent upgrade, we see that the improvement
18 on the bottom line for the statement of operations, is to
19 result in a \$5 million net income; is that correct?

20 MR. BARRY GALENZOSKI: That's correct.

21 MR. WALTER SARANCHUK: And in 2006/'07, in
22 that outlook period, where we would then be looking at
23 approximately \$12.1 million as net income, versus the three
24 hundred and ninety-five thousand dollars (\$395,000) forecast
25 earlier?

1 MR. BARRY GALENZOSKI: That's also correct.

2

3

(BRIEF PAUSE)

4

5

6 MR. WALTER SARANCHUK: And then turning over
7 to the next page, again dealing with the impact of the
8 improved upgrade factor of 4.5 percent, on the Rate
9 Stabilization Reserve or RSR projected balance for 2005/'06,
10 we would be looking at \$84.5 million; is that correct?

11

MR. BARRY GALENZOSKI: Yes.

12

13 MR. WALTER SARANCHUK: And for the outlook
14 period, for 2006/'07, the \$110.5 million, for 2007/'08,
15 \$147.5 million and 2008/'09, a \$194.6 million?

16

MR. BARRY GALENZOSKI: Yes.

17

18 MR. WALTER SARANCHUK: Does the change in the
19 upgrade factor impact other areas of the Application, other
20 than vehicle premium revenues?

21

22 MR. BARRY GALENZOSKI: Well, it would impact
23 the -- the amounts of earned premiums, obviously. It would
24 impact the amount of service fees indirectly, because there'd
25 be higher premiums to be financed over time. And it would
26 impact the -- both the premium taxes and commissions that are
27 paid.

28

MR. WALTER SARANCHUK: Thank you, sir.

29

1 (BRIEF PAUSE)

2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. WALTER SARANCHUK: Now, another factor to be considered in -- with regard to MPI's overall Application, is the volume factor. I wonder if you would just describe what that is, sir?

MR. BARRY GALENZOSKI: Volume factor relates to the number of insured units on an average twelve (12) months. It would -- in our case, we're suggesting that that is going to increase year over year, as more vehicles are registered and insured in the Province.

MR. WALTER SARANCHUK: And so we're talking about the size of the fleet in general?

MR. BARRY GALENZOSKI: That's correct.

MR. WALTER SARANCHUK: And in determining the appropriate volume factor in its Application, does the Corporation take into account the difference in the improvement of the -- the fleet, if you will, numbers wise, for each major class separately, or how is it done?

MR. BARRY GALENZOSKI: No, it's more -- because it's such a small increase, 1 percent, it's mainly just an overall increase in the fleet.

MR. WALTER SARANCHUK: So, in other words, let me ask you, would a half a percent increase in the volume factor, have the same impact as a half a percent increase in

1 the vehicle upgrade factor?

2 MR. BARRY GALENZOSKI: Yes.

3 MR. WALTER SARANCHUK: Now, with reference to
4 Tab 9 again...

5

6

(BRIEF PAUSE)

7

8 MR. WALTER SARANCHUK: Let me begin by asking
9 you to confirm that the volume factor, implicit in the
10 Application is 1.5 percent; is that correct?

11 MR. BARRY GALENZOSKI: That's correct.

12 MR. WALTER SARANCHUK: Now, looking at page 4
13 of the Response in Tab 9, being again PUB/MPI question number
14 2 on the 1st Round, I wonder if you would just explain what
15 the information is as given in that particular table with
16 particular reference, say, to the last four (4) or five (5)
17 lines?

18 MR. BARRY GALENZOSKI: This table is
19 attempting to indicate the year-over-year change in the size
20 of the fleet overall and it provides it to -- by -- by
21 insurance year and then it comes down to the last five (5)
22 year average and the last ten (10) year average for
23 information purposes.

24 MR. WALTER SARANCHUK: And what is the
25 difference between the year-over-year change and the selected

1 volume change factors?

2

3

(BRIEF PAUSE)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. BARRY GALENZOSKI: So, the year-over-year is -- is really the historic factor that's on an actual basis and the selected is what we put into the Application.

MR. WALTER SARANCHUK: Thank you, sir. Now, I would refer you to AI-15 Part 2 pages 2, 3 and 4. This, of course, appears in Volume III, Part 2.

(BRIEF PAUSE)

MR. WALTER SARANCHUK: So, this is Part 2 of AI-15 beginning with the page entitled, "Review and Analysis of Total Vehicle Population Changes." It's about half-way into the document itself.

MR. BARRY GALENZOSKI: Could you say that again, please?

MR. WALTER SARANCHUK: I'm saying that I'm referring to Part 2 of AI-15 beginning with the document entitled, "Review and Analysis of Total Vehicle Population Changes" --

MR. BARRY GALENZOSKI: We have that.

MR. WALTER SARANCHUK: -- which is about

1 half-way into the document. Thank you, sir.

2 I wonder if you'd be good enough to review the
3 information provided as a ten (10) year history on page 2 and
4 in partic -- this is at a high level, in particular the --
5 say the two (2) -- last three (3) insurance years referred to
6 and then a summary of the statistics along with, again, and
7 at a high level, a summary of the analysis of the trends
8 shown on pages 3 and 4.

9 MR. BARRY GALENZOSKI: Yes, the chart on page
10 2 is a little bit more detailed compared to the -- the
11 previous one that we looked at showing the fiscal year
12 accounts of earned units and the year-over-year change as a
13 percent. And in particular, for the last three (3) fiscal
14 years it's showing that the -- the accounts have gone up by
15 one point seven (1.7), one point nine (1.9) and 1.5 percent.
16 It then shows a summary of the last five years, standard
17 deviation, the last ten (10) years with a standard deviation.

18 We then move into the analysis of trends and I
19 haven't read this over in the last few days, so we'll just
20 simply go through it. It -- it's a -- a simple analysis of
21 the data in Table 1. It just shows what the overall earned
22 vehicles have increased by over the last number of years; it
23 chooses a ten (10) year number. This is a compounded annual
24 increase of 1 percent per year, it's talking about.

25 The highest annual change was 2.2 percent

1 experienced during the '97/'98 year. Then it talks about a
2 five (5) year comparison and the -- and the analysis
3 associated with that and then it -- the data was -- the above
4 data analysis as a supplement was simple linear aggression
5 techniques, two (2) estimated regressions as shown in
6 Appendix A and B were considered, the first was based on the
7 last ten (10) years' data, while the second was also based on
8 the same data -- on the -- on the same -- simple fits; the
9 data into the exponential trend model.

10 So, it's basically our -- our methodology for
11 looking at the trends that we see coming out of the increases
12 and what we expect to see in the number of vehicles going
13 forward.

14 MR. WALTER SARANCHUK: And if you'd turn over
15 the page to page 4, there is a reference to Appendix C,
16 showing the historical data on policies in force, and
17 associated summary statistics.

18 I wonder if you would if you would just turn
19 to Part C, which is at page 10 of Part 2 of AI-15. And the
20 table is entitled, "Policies in Force as -- at End of
21 February 28/29" -- for each of the insurance years, I guess
22 for some ten (10) years, ending with the last insurance year,
23 2003/'04, along with the statistics for five (5) year average
24 and eight (8) year average.

25 Can you comment on the results then please?

1 MR. BARRY GALENZOSKI: Yes, these are results
2 that are as at a point in time. In this particular case it's
3 as at the end of our fiscal year, February 28th or 29th of
4 any given year, and it shows the actual policy count that we
5 had at that particular time, in a similar format to the
6 previous table that we looked at, and it then shows the year
7 over year change in percentages, providing both the last five
8 (5) years, and in this case, the last eight (8) year
9 averages.

10
11 (BRIEF PAUSE)

12
13 MR. BARRY GALENZOSKI: The previous table,
14 just for clarification, was on earned units. This is on an
15 as at time period.

16 MR. WALTER SARANCHUK: The previous table
17 being the one (1) on page 2?

18 MR. BARRY GALENZOSKI: Yes, that's correct.

19
20 (BRIEF PAUSE)

21
22 MR. WALTER SARANCHUK: Now, the question of
23 the volume factor and the accuracy of the Corporation in its
24 forecast, with regard to it, was addressed in an
25 Interrogatory on the 1st Round, Number 27, posed by CAC/MSOS,

1 which appears at Tab 40 in the Book of Documents.

2

3

(BRIEF PAUSE)

4

5

6

7

8

9

MR. WALTER SARANCHUK: Since we are dealing with a volume factor, let's deal with it first, because the schedule provided on the last page of that Response, deals with both the forecast for the vehicle upgrade factor and the volume factor.

10

11

12

13

14

15

Looking at the volume factor, in terms of the forecast as shown in the extreme left hand column for volume factor, and the actual result shown in the extreme right hand column for volume factor, what can you tell us about the comparisons, for example, for the years 2002/'03, and then 2003/'04?

16

17

18

MR. BARRY GALENZOSKI: In both cases the -- the suggested volume factor in the approved Rate Application was low.

19

20

21

MR. WALTER SARANCHUK: Yes, and that would, as you mentioned, impact the overall statement of operations, would it not?

22

23

24

25

MR. BARRY GALENZOSKI: Not to the same extent that the increase in the upgrading would, mainly because it's also -- these factors are also used in the claims forecasting process. And so if you underestimate the number of units in

1 your revenue side, you're underestimating the number of units
2 on your claims side, and obviously there's going to be a cost
3 factor that you're missing that would offset a lot of the
4 revenue factor that's going to come in if you have a higher
5 revenue factor.

6 MR. WALTER SARANCHUK: Now, I note for the
7 insurance years 2000/2001 and 2001/2002, there was nothing
8 shown in the extreme left hand column for the initial
9 forecast, and then there was a change or at least there was a
10 forecast as revised, shown at 1.4 percent and 1.2 percent
11 respectively. Is there a particular reason for that?

12 MR. BARRY GALENZOSKI: Well, I think this is
13 our -- when we were attempting to get a little bit closer
14 with respect to our forecasts on premium growth, related to
15 both the upgrading and volume factors in the previous years
16 we did see some fairly significant differences between what
17 we had projected and what the actuals were.

18 This is one (1) of -- these things are -- are
19 not easy to project, based on a lot of the economic
20 circumstances within the Province, and so there was a --
21 there was a revision put forward, that added some volume
22 factor, compared to none being in the original estimate.

23 MR. WALTER SARANCHUK: Yes. And can you
24 explain at a high level, just what are the factors that are
25 taken into account, and how is it done? Does the Corporation

1 have a department that deal -- that consults with or checks
2 with DDVL to see how many registrations there are, or is
3 there a question of the vehicle sales data that's taken from
4 the dealerships, or how does this -- how is this done?

5 MR. BARRY GALENZOSKI: Well, a lot of it
6 would be taken from our own data. We -- we handle the
7 registration side as well as the insurance side so, we have a
8 lot of our own historical data with respect to the number of
9 earned units, the number of units as at a point in time, as
10 we've demonstrated in both of the schedules that we've just
11 talked about.

12 Other than that, we would use some Statistics
13 Canada data, we would look at what the expectations were for
14 growth on that side of the industry, before we -- we come up
15 with the final number.

16 MR. WALTER SARANCHUK: And who -- actually
17 not necessarily by name, but who is it or what department is
18 it, what group is it that makes the final assessment?

19 MR. BARRY GALENZOSKI: We have a Revenue
20 Forecasting Committee that's similar in make up to the Claims
21 Forecasting Committee. They're responsible for coming up
22 with the revenue or projections for the Corporation, in a
23 similar manner to the -- what we do with the claims side.
24 And each line of business, being basic extension and SRE
25 would conduct a similar exercise.

1 (BRIEF PAUSE)

2
3 MR. WALTER SARANCHUK: Does extension in SRE
4 use basically the same result as the basic?

5 MR. BARRY GALENZOSKI: No, not necessarily.
6 They would look at their own lines of business and make their
7 own projections for instance, on the extension line of
8 business, they would not only be concerned about how many
9 basic units were registered, they'd be concerned about the
10 take up on their product.

11 They would be concerned about some of the new
12 products that have been introduced over the last several
13 years, and the impact that that would have on their forecast.
14 On the SRE side, they would have similar concerns.

15 Many of their customers are not covered by the
16 basic plan, so it would be -- they would be looking at the
17 growth in the trucking fleets in Manitoba, competition in
18 their -- in their geographical area. So, the likelihood of
19 them retaining or getting new business, those factors would
20 be taken into account.

21 MR. WALTER SARANCHUK: And that would pertain
22 not only to the vehicle upgrade factor, but also -- I'm
23 sorry, to the volume factor, but to the vehicle upgrade
24 factor as well?

25 MR. BARRY GALENZOSKI: Yes, and you know, I

1 think one (1) of the things you, you know, just looking at
2 this chart that we're looking at right at the moment, when
3 you start to look at the -- the two (2) factors together, the
4 upgrade and the volume, and you start to add the two (2)
5 together, you're going to find that they're generally closer
6 together, compared to the estimate then if you look at them
7 individually.

8 And you know, for instance, if we look at
9 '03/'04, we were looking at initial approved Rate
10 Application, a 4 1/2 percent upgrade, 1 percent volume, so
11 that's 5 1/2 percent. The revised forecast left it at that,
12 and we ended up with 5.8 percent or 5.9 percent when you'd
13 add the two (2) up on the actual side.

14 So, you know, there's -- there's some of this
15 trade off that's going to happen on that side of it too,
16 where you may be over or under on one (1), but there's
17 sometimes an offset on the other one (1).

18 MR. WALTER SARANCHUK: And just as a final
19 look at this chart, dealing with the upgrade factor alone in
20 -- what can you tell us about 2001/'02 and 2000 -- let's put
21 it this way, 2000 -- 2000/2001, and then the insurance year
22 2001/2002?

23 MR. BARRY GALENZOSKI: Well again, that was
24 in the time period where we were experiencing larger growth
25 on that side than we had experienced in -- historically in

1 the past. And we had underestimated in our Application as to
2 the impact that then flowed through our income statements and
3 we either made more money or -- or lost a little bit more --
4 more money, if we hadn't predicted the right number.

5 And you'll see for those two (2) years that
6 you're talking about, that we initially had suggested that
7 that number would be 3 percent for each of those two (2)
8 years. And when you look at the actuals, the -- they were in
9 the five point five/five point six (5.5/5.6) range. And add
10 that to the volume, and you had a fairly significant change
11 in the numbers, and therefore we had pretty significant
12 variances in our projected premiums written and earned
13 compared to the Application or to the actuals that actually
14 occurred.

15 That has largely been taken out of the
16 applications in the last couple of years. We're -- we're
17 very much closer to our expected values on the total premiums
18 written for our Book of Business now on basic compared to the
19 previous years when we look back.

20 MR. WALTER SARANCHUK: And just finally, with
21 regard to that table, there was trend change in the last
22 couple of insurance years; is that correct?

23 MR. BARRY GALENZOSKI: Well, the upgrade
24 factor is coming down. There are several reasons. I think
25 Ms. McLaren reflected on one (1) of those being the -- the

1 size -- the differentials on our tables where there's less
2 premium income coming in as a result of that and we're also
3 seeing the upgrade factor go down over the last several
4 years.

5 MR. WALTER SARANCHUK: Yes, unless the Panel
6 has some additional questions, I intend to move on to another
7 area.

8 I'll now deal briefly with drivers' premiums
9 and I will be referring to the interrogatories filed by the
10 Public Utilities Board as questions Number 49 on the 1st
11 Round and Number 19 in the 2nd Round. These are at Tab 30
12 and 36, respectively in the Book of Documents.

13 At the outset, in Tab 4, which deals with
14 current Application TI-15, reveals that the drivers' premium
15 is to be in the order of \$34.3 million; is that correct?

16 MR. BARRY GALENZOSKI: Yes, that is.

17 MR. WALTER SARANCHUK: And in terms of the
18 composition of the drivers' premiums, there's a schedule to
19 TI-15 in Tab 4 that sets out the makeup. And if you wouldn't
20 mind looking at that Schedule 2, entitled, "The Drivers's
21 Premium Variance Analysis for TI-15"; could you give us a
22 breakdown of the total?

23 MR. BARRY GALENZOSKI: Yes, for the period
24 March 1 to February '05 -- again this is a -- a forecast, the
25 basic transactions, we're looking at seven hundred and

1 seventy-seven thousand eight hundred and seventeen (777,817),
2 total premiums twenty-one million four hundred and thirty-
3 five (21,435,000), with the average being twenty-seven
4 dollars and fifty-six cents (\$27.56) per transaction.

5 The Charge 1 demerit point premiums -- there's
6 expected to be nine thousand seven hundred and two (9,702)
7 for a total premium of one million five hundred and ninety-
8 eight thousand (1,598,000), an average of a hundred and
9 sixty-four dollars and seventy-one cents (\$164.71).

10 And for Charge 2 accident surcharges, we're
11 looking at just under forty-thousand (40,000) on those with
12 eleven thousand one hundred and -- or eleven million one
13 hundred and twenty-eight thousand dollars (\$11,128,000) in
14 premium income for an average of two hundred and seventy-
15 eight dollars and twenty-one cents (\$278.21) per transaction.

16 Overall, we're looking at eight hundred and
17 twenty-seven thousand five hundred and seventeen (827,517)
18 transactions totalling thirty-four million one hundred and
19 sixty-one thousand (34,161,000) in premiums, average forty-
20 one dollars and twenty-eight cents (\$41.28) each.

21 MR. WALTER SARANCHUK: And for the year with
22 which we're concerned in this Application, sir?

23 MR. BARRY GALENZOSKI: For the year that
24 we're concerned within this Application, the overall revenue
25 is staying fairly flat at thirty-four million two hundred and

1 ninety-three thousand dollars (\$34,293,000). The average is
2 actually going down slightly from forty-one dollars and
3 twenty-eight cents (\$41.28) to forty-one dollars and nineteen
4 cents (\$41.19) per transaction.

5 MR. WALTER SARANCHUK: Yes, and when one
6 looks at the basic line where there's an average of twenty-
7 seven dollars and some fifty cents (\$27.50), if you will,
8 what does that constitute? Is that part -- is that MPI's
9 part of the lice -- the driver's license fee charged by DDVL
10 or what is that?

11 MS. MARILYN MCLAREN: The basic premium
12 refers to the MPI revenue. It -- it's all MPI revenue, it's
13 not any portion of the driver licensing fees. All Manitoba
14 driver licenses have a registration fee that goes to the
15 Government as well as basic insurance premium.

16 The premium will vary between -- the basic
17 premium varies between -- what is it, forty-five dollars
18 (\$45.00) now, but you can pay as little as twenty (20) if you
19 have five (5) merit points. So the average of twenty-seven
20 (27) would indicate that most people are paying closer to the
21 twenty (20) than to the forty-five (45) because of the merit
22 points that they've accumulated through time.

23 MR. WALTER SARANCHUK: And has that forty-
24 five dollars (\$45) been increased of late?

25 MS. MARILYN MCLAREN: Four (4) years, five

1 (5) years ago, perhaps, I'm not sure, I'll have to double
2 check that.

3 MR. WALTER SARANCHUK: In other words --

4 MS. MARILYN MCLAREN: Not very recently, no.

5 MR. WALTER SARANCHUK: At least basic share
6 hasn't increased of any -- to any extent? I mean it has but
7 to a very minor extent, a matter of cents?

8 MS. MARILYN MCLAREN: The basic premium
9 hasn't increased in the last two (2), three (3), four (4),
10 five (5) years. All of these the basic premium, the charge
11 one and the charge two are all revenues that flow into the
12 basic compulsory insurance program.

13 MR. WALTER SARANCHUK: Yes. Now, turning to
14 Tab 30, just for the record, the demerit point premiums and
15 the accident surcharges that were mentioned in the analysis
16 that you gave Mr. Galenzoski, those referred to the -- a
17 couple of the aspects or the Bonus/Malus System; is that
18 correct?

19 MS. MARILYN MCLAREN: Yes, that's correct.

20 MR. WALTER SARANCHUK: And again just very
21 quickly for the record, the demerit point premiums are what
22 as compared to the accident surcharges?

23 MS. MARILYN MCLAREN: Demerit point
24 additional premiums are charged to anyone who has at least
25 six (6) demerit points on their driver's license. The

1 accident surcharges are charged to people who have at-fault
2 accidents.

3 MR. WALTER SARANCHUK: And looking at page 7
4 of Tab 30, named as being the Corporation's response to PUB
5 question 49 on the 1st Round, there is a table for the
6 driver's license demerit point additional premiums.

7 And I note that for demerit points zero to
8 five (5), six (6), seven (7) and eight (8), looking at the
9 extreme right hand top columns, 1988 to 2000 and 2001 to
10 present, there was an increase of fifty dollars (\$50) for
11 those in 2001; is that correct?

12 MS. MARILYN MCLAREN: Yes, that's correct.

13 MR. WALTER SARANCHUK: As matter of fact that
14 -- that continues right on down the line right up to number -
15 - demerit point twenty (2); is that correct?

16 MS. MARILYN MCLAREN: Yes, that's correct.

17 MR. WALTER SARANCHUK: And demerit point
18 twenty-one (21) column increased by some twenty-four dollars
19 (\$24) in 2001 while anything twenty-two -- anyone with
20 twenty-two (22) or more demerit points are still looking at
21 nine hundred and ninety-nine (\$999)?

22 MS. MARILYN MCLAREN: Yes, they are.

23

24 (BRIEF PAUSE)

25

1 MR. WALTER SARANCHUK: Now, is there a reason
2 why those at twenty-two (22) or more demerit points didn't
3 move up and lock step with everybody else?

4 MS. MARILYN MCLAREN: Yes and I think we
5 referred to that in the Response at Tab 36 in the response to
6 question 19 in the 2nd Round of the PUB. The driver license
7 system really has a limit of three (3) characters in that
8 field.

9 MR. WALTER SARANCHUK: And how long has that
10 been the situation?

11 MS. MARILYN MCLAREN: I'm not exactly sure
12 the year that that system was built, but I believe it was in
13 the 60's -- 1960's.

14 MR. WALTER SARANCHUK: And with the
15 integration of DDVL is that going to be addressed?

16 MS. MARILYN MCLAREN: I think that's just one
17 of the limitations that DVL (sic) has been operating with
18 over the last many years. And certainly something that we're
19 going to want to look at over time, is the -- you know, the
20 redundancy that the lack of efficacy with that driver's
21 license system.

22 Mr. Saranchuk, with respect to one (1) of the
23 -- I guess it was Question B at the tab we looked at just a
24 minute ago, we talked about there being no impact on the
25 Bonus/Malus related to the amalgamation. What we were --

1 what we intended with that answer is that there is -- is no
2 automatic instant forced impact on the Corporation, because
3 of the amalgamation. We will be able to continue to operate
4 as we have for -- for many years.

5 We did not intend to suggest that we don't see
6 any need for upgrades in the future, or any need to
7 reconsider how some of these things operate and some of the
8 systems that they're using.

9 MR. WALTER SARANCHUK: Yes, I think you're
10 referring to Part B of the Question Number 49 of the Public
11 Utilities Board on the 1st Round, and that's at Tab 30; is
12 that correct?

13 MS. MARILYN MCLAREN: Yes, that's right.

14 MR. WALTER SARANCHUK: Now, in terms of
15 timelines, I mean, would you not agree that it's high time
16 that that particular situation were addressed? Is there
17 going to be some fast tracking here, or is it at the bottom
18 of the list of priorities?

19 MS. MARILYN MCLAREN: It's not our intention
20 to look at this one (1) very specific issue narrowly, and
21 find a way to address that. I don't think there's much
22 appetite for devoting the resources to change a system that's
23 forty (40) years old, to simply create a fourth field in that
24 particular -- a fourth character in that particular field.

25 The issues of the driver license system has

1 some urgency associated with it. The issue of the Province's
2 photo licensing cameras has some urgency associated with it.

3 So, no, we're not going to fast track the fact
4 that people with twenty-one (21) or more demerits can only be
5 charged nine hundred and ninety-nine dollars (\$999), but the
6 issues around the driver licensing system will certainly get
7 early attention.

8 MR. WALTER SARANCHUK: Just for the record,
9 and to put things into perspective, if we take a look at the
10 second page of Tab 36, we aren't talking about very many
11 drivers are we, with over twenty (20) demerit points, when
12 you take a look at the active drivers being fifty-two (52)
13 and suspended being five hundred and sixty-nine (569) for a
14 total of six hundred and twenty-one (621)?

15 MS. MARILYN MCLAREN: Well, that's right,
16 particularly when you consider the only people paying those
17 premiums are the fifty-two (52).

18 MR. WALTER SARANCHUK: Yes.

19

20

(BRIEF PAUSE)

21

22 MR. WALTER SARANCHUK: But, by way of
23 comparison if we go back to Tab 30, and page 27 -- sorry,
24 there is no page 27 -- page 21, and look at the proposed
25 premiums based on the -- again, proposed Bonus/Malus system,

1 if you will, in New Brunswick, there is a significant change
2 or at least significantly higher penalty under that proposed
3 system, would you agree?

4 MS. MARILYN MCLAREN: Well, if we looked at
5 somebody with twenty-one (21) demerit points, they'd pay nine
6 hundred and ninety-nine dollars (\$999) here, they'd pay
7 sixteen fifty (16.50) there, so you know, six hundred and
8 fifty-one dollar (\$651) difference.

9 If -- I'm not sure what the profile of those
10 fifty-two (52) drivers, driving beyond twenty-one (21),
11 twenty-two (2) and so far I -- it -- at some point there
12 would be a very, very significant difference, but you'd
13 probably be talking about two (2) or three (3) or four (4)
14 people.

15 MR. WALTER SARANCHUK: And in general, how
16 does Manitoba's system stack up against the other public
17 insurers?

18 MS. MARILYN MCLAREN: They're very similar,
19 with the exception of the SAC in Quebec. Quebec has -- it
20 does the same kinds of things, demerit point, additional
21 premiums and -- and variable premiums on vehicles and -- and
22 drivers depending on their history, depending on the class of
23 vehicle, but it tends to be flatter than the three (3)
24 western provinces.

25 B.C., Saskatchewan, Manitoba have very similar

1 systems. Saskatchewan provides much smaller discounts at
2 this point in time. They're working on expanding the bonus
3 component of their program. B.C. probably has a more
4 punitive Malus component that Manitoba does, but they're --
5 they're similar.

6 MR. WALTER SARANCHUK: Is there some
7 collaboration amongst the public insurers in respect of this
8 Bonus/Malus plan, if you will? Do you compare notes? Do you
9 meet annually? Do you determine what might be reasonable and
10 what might not be, what warrants change and what doesn't?

11 MS. MARILYN MCLAREN: Certainly we do meet
12 and -- and stay in touch. There's -- particularly, there's
13 consultation when one (1) province will move in -- you know -
14 - in a -- in a more or different direction. Saskatchewan
15 consulted with us as they introduced -- they -- they really
16 just introduced the merit discount, the bonus component, in
17 the last couple of years and then they were -- announced that
18 they're expanding it over the next year or two (2), so
19 certainly we -- we talk with each, we communicate with each
20 other.

21 But in -- as in all other aspects of the
22 insurance programs, they all have features very specific to
23 their environment and something that would be acceptable in
24 B.C. may not play as well here in Manitoba, so we would never
25 expect that they're going to be identical. There certainly

1 is communication and there certainly is, you know, comparison
2 and analysis of the different programs that are in place.

3 MR. WALTER SARANCHUK: But when you get down
4 to the point of safe driving, I mean, how much different can
5 the obligation of a driver in B.C. be from a driver in
6 Manitoba when you talk about regional differences? I mean,
7 aren't we looking at basically the same kind of
8 considerations?

9 MS. MARILYN MCLAREN: Certainly and that's
10 why all three (3) have programs to reward claim-free safe
11 drivers and programs to charge higher rates to those who --
12 who are higher risk. Absolutely, the principles are -- are
13 fundamental.

14 MR. WALTER SARANCHUK: I'm particularly
15 concerned about the driver license aspect of the Bonus/ Malus
16 plan and the demerit points there. We're talking about bad
17 drivers in every province and I don't understand your answer
18 when you say there are different regional considerations that
19 have to given in reviewing the demerit plan.

20 MS. MARILYN MCLAREN: With respect to the
21 driver license component and the demerit point additional
22 premiums, certainly we're talking about bad drivers.

23 The extent to which the different provinces
24 have systems and structures in place that make higher
25 premiums affordable to keep people in the game -- I think if

1 you look at that table that we talked about before there are
2 a number of people with very high demerit points who aren't
3 suspended, but they don't bother to renew their license.
4 That's a huge issue.

5 It's a huge issue anywhere and I think one (1)
6 of the things that would be a priority for Manitoba Public
7 Insurance as we start to think about the driver licensing
8 system, is to make sure that there's the same kind of highly
9 effective time payment options for people as we have on the
10 vehicle side.

11 If you're going to charge people very high
12 premiums based on their behaviour, you want them to stay in
13 the game and you want to make sure that they are going to pay
14 the premiums and they're going to stay insured, they're going
15 to stay registered.

16 So, I think there's a lot of considerations
17 and if -- one (1) of the considerations for me, personally,
18 is -- is that I believe if we're going to really sort of push
19 that envelope beyond the nine hundred and ninety-nine dollars
20 (\$999.00), you'd better have some pretty effective payment
21 plans for people so that they're likely to stay engaged,
22 they're likely not to be opting out of the system. So, there
23 are considerations that -- that we have to keep front and
24 center.

25 MR. WALTER SARANCHUK: Let me just ask you

1 the pat answer -- I don't mean to dwell on this unduly, but -
2 - the pat answer from the Corporation over the years has been
3 we have to be very careful on this question, because we will
4 have too many people driving around without licenses. Isn't
5 that the case that seems to be the answer over the years and
6 I think it still is?

7 MS. MARILYN MCLAREN: That's certainly a
8 consideration.

9 MR. WALTER SARANCHUK: Now, with the no-fault
10 plan, isn't that less of a concern for this reason: If we
11 were talking about somebody who didn't drive with a -- who
12 drove with no license under the torte system then of course
13 you've got limitations insofar as his coverage -- that
14 motorist coverage go for third party liability purposes under
15 the first party system, what we're really concerned about.
16 Under the PIPP plan, where's the concern?

17 If somebody drives without a license,
18 obviously that individual himself will suffer the
19 consequences but where else is there a problem?

20 MS. MARILYN MCLAREN: Well I guess a part of
21 the issue is that that individual will suffer some
22 consequences that could potentially be limited to some sort
23 of fine for driving without a license. They are unlikely,
24 and there's very limited situations where people will lose
25 their own right to compensation.

1 you'll have coverage whether you have extension or not.

2 MR. WALTER SARANCHUK: Right.

3 MS. MARILYN MCLAREN: If your vehicle is
4 damaged, there is a provision that you will -- that the
5 extension will cover the loss and the basic program won't
6 incur that loss, yes, that's true.

7 MR. WALTER SARANCHUK: And if I'm driving out
8 of province without a license my third party liability under
9 the extension side still in force?

10 MS. MARILYN MCLAREN: Yes, that's right.

11 MR. WALTER SARANCHUK: So, that's what I'm
12 getting at. When we talk about yes, the integrity of the
13 system and this pat answer of people driving without a
14 license, I can appreciate where you're coming from. All I'm
15 saying is that perhaps it's time for the Corporation to pay a
16 little less attention to that answer and to start looking to
17 giving some priority to the overall revision or at least
18 reconsideration of the Bonus/Malus system pertaining to bad
19 drivers.

20 MS. MARILYN MCLAREN: I -- I think there's a
21 number of things that -- that need to be reconsidered with
22 respect to this whole issue. I certainly wouldn't disagree
23 with that at all. I think there's a question to be asked,
24 you know, at -- at what point does somebody with some number
25 of demerit points really give up the right to hold a driver

1 license? You know, I mean maybe they shouldn't be on the
2 road anymore. Those are issues as well.

3 You accumulate more than -- than twenty-one
4 (21) points and we've still got fifty-two (52) people out
5 there driving. You know, I mean -- I have questions about
6 that. So, I think we certainly have the opportunity now
7 through the amalgamation to look at these issues. We
8 certainly have an interest in looking at these issues.
9 Absolutely.

10 MR. WALTER SARANCHUK: So, really, that's all
11 we're -- we're looking for. I think it can be said at this
12 stage that there perhaps be some additional priority given to
13 this -- given the fact that the time is -- has now come where
14 with -- you do not really have the impediment of dealing with
15 a separate department namely the DDVL and that perhaps you
16 can now look at the overall Bonus/Malus system a little more
17 closely.

18 We're going to deal with impact of red light
19 cameras and this type of thing a little later in the cross-
20 examination but given the PIPP experience, which is another
21 matter we're going to be dealing with, what we're really
22 looking for is some concerted effort on the part of the -- on
23 the part of the Corporation to review this closely.

24 MS. MARILYN MCLAREN: Absolutely. We have
25 opportunities we have not had before and we expect to

1 maximize them.

2 MR. WALTER SARANCHUK: Thank you very much.
3 Now, in terms of the extension of the Bonus/Malus system to
4 include artisan trucks and common carrier trucks, dealing
5 with this very briefly, what kind of units are we talking
6 about?

7 MS. MARILYN MCLAREN: Light trucks, vans,
8 those -- those type of vehicles. They're in the private
9 passenger general category of vehicles but tend not to be
10 sedans and so on. They -- they will either be vans or light
11 trucks, for the most part.

12 MR. WALTER SARANCHUK: And as I understand
13 it, the reason for the extension of the Bonus/Malus plan to
14 those vehicles is because now there's a stronger relationship
15 or linkage between the drivers and the owners of those
16 vehicles?

17 MS. MARILYN MCLAREN: Yes, that's right.

18 MR. WALTER SARANCHUK: And we're talking
19 approximately eight hundred and ninety-three (893) vehicles?

20 MS. MARILYN MCLAREN: Yes.

21 MR. WALTER SARANCHUK: And a premium decrease
22 of approximately a hundred and twenty thousand dollars
23 (\$120,000)?

24 MS. MARILYN MCLAREN: Yes.

25 MR. WALTER SARANCHUK: Yes, thank you. I now

1 intend to move on to a completely different area, Mr.
2 Chairman, I don't know whether you want to take up this
3 opportunity to call on the mid-morning break or not?

4 THE CHAIRPERSON: Okay then, we'll adjourn
5 until 10:25. Thank you.

6

7 --- Upon recessing at 10:09 a.m.

8 --- Upon resuming at 10:30 a.m.

9

10 THE CHAIRPERSON: Okay. Welcome back. Do
11 you want to start again, Mr. Saranchuk?

12 MR. WALTER SARANCHUK: Yes, thank you, sir.

13 THE CHAIRPERSON: By the way, it appears we
14 have another presenter, someone who was unable to come
15 yesterday and -- so we're going to do this right away at
16 1:30.

17

18 CONTINUED BY MR. WALTER SARANCHUK:

19 MR. WALTER SARANCHUK: Yes, I'd like to now
20 proceed with the question of claims incurred and start with
21 the overall claims experience of the Corporation and in
22 particular, deal with the Corporation's response in Question
23 Number 16 of the Public Utilities Board 1st Round
24 Interrogatories as appears in Tab 13 of the Book of
25 Documents.

1 (BRIEF PAUSE)

2
3 MR. WALTER SARANCHUK: And, dealing with the
4 claims incurred experience, since 2002, as shown in the re-
5 filed TI-6, with that Response, I wonder if you would, Mr.
6 Galenzoski, review what is depicted or reflected in that
7 table on a bottom line basis for starters right through to
8 the projection for next year?

9 MR. BARRY GALENZOSKI: Yes, when you just
10 look at the bottom line, this is on the -- the basic claims
11 incurred showing the breakdowns, obviously, between the
12 accident benefits, the pre-PIPP, the PIPP, collision, Comp,
13 property damage, public liability, which is again the pre-
14 March '94 and the post March '94, to a total of claims
15 incurred for a given year -- or a given fiscal year, I should
16 talk about.

17 And you'll see in 2002 that we had total
18 claims incurred of four hundred and thirty-three million
19 eight hundred and seventy-three thousand dollars
20 (\$433,873,000).

21 In the following year ending February of 2003,
22 that number increased by \$33.8 million to \$467 million. 2004
23 the number went up another \$45.8 million to \$513.5 million
24 and forecast -- that's the forecast for '05. And the
25 projection for '06 is that it'll go up another \$24 million

1 approximately to \$537.2 million.

2 MR. WALTER SARANCHUK: Yes, so that, on quick
3 calculations, it would appear that claims incurred has
4 increased by over \$100 million over that five (5) year
5 period.

6 MR. BARRY GALENZOSKI: Yes, on a projected
7 basis.

8 MR. WALTER SARANCHUK: And, in terms of the
9 comparisons between the projection of 2006 to -- what was the
10 case in 2002. As I advised -- note, the difference in the
11 PIPP claims is some \$31.75 million with 182.3 million
12 compared to 214 million being projected for next year; is
13 that correct?

14 MR. BARRY GALENZOSKI: Yes, over that five
15 (5) year period.

16 MR. WALTER SARANCHUK: And collision -- the
17 difference shows some \$53.6 million arrived at by subtracting
18 \$167.4 million in 2002 from the projected \$221 million in
19 2006?

20 MR. BARRY GALENZOSKI: That's correct.

21 MR. WALTER SARANCHUK: And in general terms,
22 before we get actually to the PIPP experience, can you give
23 us some idea as to the reason for the collision cost
24 component increase of some \$53 million over that five (5)
25 year period? What are some of the reasons there?

1 MR. BARRY GALENZOSKI: Certainly. Some of
2 the reasons would involve just the increase in the cost of
3 repairs, whether that be for labour rate of whether that be
4 for part pricing, so there's definitely an increase there.

5 It would also relate to the fact that vehicles
6 have become a little bit more sophisticated. There's now
7 more airbags in the average vehicle, even the ones that just
8 had front airbags now have side curtains. So, there's a -- a
9 lot more damage caused, even for low impact collision so your
10 average is going to go up as a result of that.

11 Another factor is the fact that there are more
12 vehicles in the fleet and that the fleet has been constantly
13 renewing itself through the upgrade that we've been talking
14 about this morning earlier. So, those would be some of the
15 major factors involved in -- in that particular side of that.

16 MS. MARILYN MCLAREN: I guess maybe to put
17 some of that in the language that we were using earlier this
18 morning when we talked about vehicle upgrade in addition to
19 the volume factor, this is a reflection of vehicle upgrade.

20 MR. WALTER SARANCHUK: Yes, thank you. Now
21 turning to the PIPP line in this re-filed TI-6, we talked
22 about a \$31.8 million difference between 2002 and 2006, when
23 comparing, however, the 2002 results to the results last year
24 where the incurred on the PIPP was \$229 million, we are
25 looking at about another \$15 million over and above the one

1 hundred (100) and -- I'm sorry -- the \$31.75 million that I
2 referred to earlier, aren't we, Mr. Galenzoski?

3 MR. BARRY GALENZOSKI: Yes, the difference is
4 about \$47 million between 2002 and 2004.

5 MR. WALTER SARANCHUK: And in terms of the
6 breakdown of -- of that experience, I would refer to Tab 11,
7 which is the Corporation's response to Question number 13,
8 posed by the Public Utilities Board in the 1st Round of
9 Interrogatories.

10 And just looking at the components of the PIPP
11 Plan, if you will, Mr. Galenzoski, could you just explain
12 what those are?

13 MR. BARRY GALENZOSKI: Yes, those are the
14 major heads of coverage that we would be providing, income
15 replacement, death benefits, permanent impairment, personal
16 care, expenses and rehab costs. It's shown by year, and the
17 percent that that particular head of damage or benefit makes
18 up of the total to add up to a 100 percent.

19 MR. WALTER SARANCHUK: Yes, and with
20 reference to the first line, namely the income replacement, I
21 guess that's also known as the RIR (sic), Income Replacement
22 Indemnity, there appears to be a rather significant increase,
23 namely from \$23 million in 1995 through to 112.5 million,
24 some ten (10) years later.

25 The overall growth and income replacement as a

1 percentage of all PIPP claims in 1995, when the experience
2 was \$23.3 million, was 25.8 percent. While in 2004, when the
3 experience was a \$125.5 million, the overall percentage was
4 53.8 percent.

5 What are some of the reasons for that?

6 MR. BARRY GALENZOSKI: Well obviously some of
7 the reasons for that would be that 1995 would be a year that
8 had not developed with respect to the direct claims costs
9 that we would have incurred. There would be claims that
10 would have been -- remember, the plan started in March 1 of
11 '94, so we had an incomplete -- well, we would have had a
12 full year with respect to that year, but it would have been
13 undeveloped with respect to the reserve set aside for
14 particular claims. So that would be one (1) of the prime
15 reasons why you'd see some differences.

16 MR. WALTER SARANCHUK: All right, and is
17 there an indexing factor that also enters into the picture?

18 MR. BARRY GALENZOSKI: Yes, most of the --
19 the benefits under the PIPP are indexed, so on an annual
20 basis, beginning on March 1 of every year, they are
21 automatically indexed.

22 MR. WALTER SARANCHUK: And then looking at
23 the death benefits line, I'm sure there's a reason why there
24 seems to be a trend in the opposite direction where they
25 comprised 7.8 percent, granted on the smaller number in 1995,

1 to 3.9 percent in 2004.

2 Is the answer basically because of the overall
3 increase in costs?

4 MR. BARRY GALENZOSKI: Well, that would
5 primarily be increase in costs. Death claims are relatively
6 stable across many years. So you're not going to see --
7 you're not expecting any real growth on that side, with
8 respect to overall cost.

9 The percent is lower because there's just a
10 bigger denominator, that's the only reason, the overall
11 dollars are slightly more.

12 MR. WALTER SARANCHUK: And if we just look at
13 the line 4, Personal Care, there seems to be again, a
14 decrease in the -- the trend of the makeup of the impairment
15 -- sorry, the Personal Care expenses, comprised to the
16 expenses overall. Is there a particular reason for that?

17 MR. BARRY GALENZOSKI: Well, this would be
18 one (1) of those expenses where indexation would have a big
19 factor to play each year they're indexed, the Manitoba CPI.
20 The personal care grids have changed slightly over the years,
21 and so there would be some impact associated with that.

22 And primarily it's just the -- the demands
23 placed on the system from -- from claimants.

24 MR. WALTER SARANCHUK: And what about the
25 expense line, the second last line, 17.5 percent in 1995,

1 going to some 34 percent in 1996, and then on an annual
2 basis, decreasing to 8.4 percent in 2004.

3 First of all, what kind of expenses are we
4 talking about there?

5 MR. BARRY GALENZOSKI: These are primarily
6 medical expenses.

7 MR. WALTER SARANCHUK: And is there a reason
8 for the decrease?

9 MR. BARRY GALENZOSKI: Well, again, you're
10 looking at the denominator being larger. The overall dollars
11 are higher, when you get out -- you look at -- medical
12 expenses were \$15.8 million in '95 and they're down to 17.6
13 for 2004. But the year before that they were 24 million, the
14 year before that they were 32 million. So it -- it comes
15 down to the fact that the reserves were adequately put up in
16 those prior years and so we're at a more normal state going
17 forward.

18 MR. WALTER SARANCHUK: And then of course as
19 you pointed out they did get as high as \$32.3 million in
20 2002. Is that just a blip?

21 MR. BARRY GALENZOSKI: I -- I wouldn't call
22 it a blip, I would suggest there that it was the reserving
23 practices, they -- they were strengthened so you -- you may
24 have had a little bit of catch-up for one particular year.

25 We'd have to go back and take a look, there

1 may have been some financial factors that crept into that
2 that caused us to put more dollars up on that particular head
3 of damage. And then once we get back to a more normal
4 situation that's where we think we're at right now.

5 MR. WALTER SARANCHUK: Is there -- and I'll
6 touch on this later, but is there an agreement with Manitoba
7 Health that enters into the picture insofar as these expenses
8 go?

9 MR. BARRY GALENZOSKI: Well not on a claim by
10 claim basis. But on an overall basis we have an agreement
11 that sees us compensate the Manitoba Health system for some
12 monies. That was -- that agreement was put in place in 1994
13 when we went to the no-fault plan and that's still in place
14 today.

15 MR. WALTER SARANCHUK: Yes, and can we say
16 then that there was an impact in terms of what MPI paid out
17 to Manitoba Health say in 2002 compared to let's say 2004
18 when the overall exposure for expenses was approximately
19 half?

20 MR. BARRY GALENZOSKI: No, there wouldn't be
21 any impact as a result of that in these numbers. So I -- I
22 wouldn't think there's anything in here whatsoever for that.

23 MR. WALTER SARANCHUK: And in terms of the
24 rehab line, the very bottom line. The corporation I recall
25 the evidence in recent past, has placed an emphasis on the

1 rehabilitation area of its operation and I note that there
2 seems to have been a decline to 4.5 percent of the overall
3 for those expenses in 2004.

4 What's the reason behind that?

5 MR. BARRY GALENZOSKI: Again, I think you're
6 looking at some volatility within that line but when you look
7 at overall dollars compared to '95 they're up by 50 percent
8 from 6.6 million to 9.5 million. The -- when you look at
9 that percent it's because the denominator being much higher
10 in the 2004 year compared to the 1995 year.

11 MR. WALTER SARANCHUK: Okay then let's take a
12 look where the denominator is not quite as high in the base
13 year and look at 2001 where the rehab expenses were some 13.4
14 percent at \$18.8 million and at 9.4 million in 2004, they're
15 only at 4.5 percent.

16 Is that reflective of some trend in the
17 approach to rehab?

18 MR. BARRY GALENZOSKI: No. I think that's
19 reflective of the reserving practices. Primarily there was
20 just more money put up at that time for that particular type
21 of -- of injury or benefit. And those have been refined over
22 the years to the point where we believe we can use less money
23 on that side and still retain -- get the results that we
24 would like to get.

25 MR. WALTER SARANCHUK: And if we just again

1 look at the line above that on the expenses compared to the
2 overall, for 2001 they comprise some 16.9 percent of the
3 overall while there's now half of that expended for these
4 expenses in 2004.

5 Is there a particular reason for that?

6 MR. BARRY GALENZOSKI: Well it's a fair bit
7 more than half. It's from 23 million down to 17 million. So
8 that would be more than half. And again it would be on the
9 same -- same scenario with respect to reserving practices,
10 how much money was put aside at that particular time compared
11 to what we think we need on a going forward basis today.

12 MR. WALTER SARANCHUK: So is it a question
13 then of an adjustment in the IBNR at that juncture?

14 MR. BARRY GALENZOSKI: It could be two (2)
15 factors. It could be the financial provisions that are set
16 aside but it also more directly would be the case reserves on
17 all the files preceding that.

18 You've got to remember when you see claims
19 incurred for a given year, it isn't just claims reported for
20 that year. It's the change in the incurred for all claims
21 that have -- that have actually -- that are on our books from
22 inception of the plan until that date.

23 MR. WALTER SARANCHUK: And just for the
24 record, IBNR is the acronym for what?

25 MR. BARRY GALENZOSKI: That's Incurred But

1 Not Reported, and I guess one (1) thing I should point out to
2 you that this is just direct claims incurred that we're
3 looking at here, so the financial provisions are not included
4 in this particular schedule.

5 MR. WALTER SARANCHUK: So now --

6 MR. BARRY GALENZOSKI: These -- these are
7 reserves that are just in the individual claim files that we
8 set up on a person by person basis.

9 MR. WALTER SARANCHUK: Yes, thank you for
10 that clarification.

11 At Tab 12, there is a breakdown of the PIPP
12 experience, in terms of the actual types of injuries. This
13 is information provided by the Corporation in response to
14 Question number 14 by the Public Utilities Board in the 1st
15 Round. And I'd draw your attention to the third line item
16 for brain damage.

17 There appears to have been a significant
18 increase for 2004, over the prior years. Is that the
19 information that you were referring to earlier, sir, when we
20 talked about the exceptional number of those types of severe
21 injuries experienced?

22 MR. BARRY GALENZOSKI: Yes, that's
23 specifically it.

24 MR. WALTER SARANCHUK: Is that just a
25 question of -- and I don't mean to minimize it, but is it a

1 question then of more accidents involving these more
2 catastrophic injuries, is that what it is?

3 MR. BARRY GALENZOSKI: Yes, we did do a
4 review on that and determined, to our best knowledge, that
5 this looks like it was an abnormal situation, not expected to
6 repeat in the future, and therefore we took it out of our
7 going forward exposures.

8 MR. WALTER SARANCHUK: Now, we'll all recall
9 that one (1) of the reasons put forth by many, as I recall,
10 who were proponents of the total no fault system, the reason
11 for introduction of it was to try to eliminate the lesser
12 char -- lesser claims, and all the costs that are associated
13 with them, particularly those involving whiplash injuries.

14 And yet when I look at the third last line on
15 this particular schedule, we see that whiplash injuries have
16 increased to a point where they are now to some -- over
17 twelve thousand (12,000) of them for 2004, compared to, for
18 example, sixty-five hundred (6500) in 1998 and even nine
19 thousand four hundred and twenty-five (9,425) in 2003.

20 Is there a reason for that?

21 MR. BARRY GALENZOSKI: There's several
22 reasons for that. I'll just -- if we look at 1996, you'll
23 see that there was nine thousand one hundred and ninety-three
24 (9,193) whiplash claims, that represented about 65.8 percent
25 of the total claims.

1 If we go jump ahead to 2002, you'll see there
2 was eight thousand seven hundred and forty-nine (8,749), that
3 represents about 61 percent of the overall number of claims.
4 And then when you look at 2004, twelve thousand two forty-
5 nine (12,249) represents 78 percent of the overall claims.

6 But there's a factor on 2004 that you'll
7 notice that the other category has dropped off quite a bit,
8 it was in the previous year, 2003, four thousand four hundred
9 and thirty-two (4,432) claims, now dropped down to one
10 thousand four forty-nine (1,449).

11 There was a component of coding as to where
12 these other claims should have been put, and there was a
13 concentrated effort in the last year to more accurately put
14 these things to the -- instead of into a catch all other
15 category, into the most predominant injury that was
16 associated with the claim, and that resulted in some movement
17 of the numbers into the other categories. And I think the
18 majority of that went into the whiplash side, and that's why
19 we've seen that jump up.

20 And so whiplash claims are still a lot of
21 them. They're not terribly expensive claims, if you want to
22 look at it from the dollar point of view, they're more minor
23 in nature, they would involve some potential -- some medical
24 treatments, medication, this type of thing, maybe a little
25 bit of income replacement.

1 But there -- there's still a good portion of
2 them, and somewhat in line with what we saw even in the early
3 days of -- of PIPP, the number I referred to in 1996, was
4 there was some six hundred (600) -- or 65.8 percent of the
5 overall claims reported, related to whiplash.

6 There was still a fairly high component of
7 others and I rather suspect that we would have gone back and
8 re-coded those so there are more significant injury. Some of
9 those would have ended up in whiplash and you'd still be
10 looking at about three-quarters (3/4) of the claims coming in
11 being in the whiplash category.

12 MR. WALTER SARANCHUK: So it wouldn't appear
13 that much has changed from pre-PIPP --

14 MR. BARRY GALENZOSKI: Well --

15 MR. WALTER SARANCHUK: -- to the current.

16 MR. BARRY GALENZOSKI: I -- I think what's
17 really changed is that we're about -- we're still about half
18 what we would have experienced on the numbers of claims
19 coming in compared to 1993.

20 And I have to suspect that even though the
21 numbers have risen over the -- the many years from fourteen
22 thousand one thirty-four (14,134) the first year to fifteen
23 thousand six ninety-three (15,693) this year, that without
24 the no-fault, we'd probably have been looking at over thirty
25 thousand (30,000) claims or more from injuries associated

1 with automobile accidents.

2 MR. WILF BEDARD: If I could just add, Mr.
3 Saranchuk, the last full year of Tort being 1993 -- physical
4 of 1993 -- we had about twenty-three thousand (23,000) injury
5 claims reported under the old Tort system the last year so,
6 again, ten (10) years of PIPP, we're still only at -- at
7 fifteen six (15,6).

8 MR. WALTER SARANCHUK: Do you recall what it
9 was in the two (2) years prior to PIPP?

10 MR. BARRY GALENZOSKI: It was rising.

11 MR. WALTER SARANCHUK: So it -- you don't
12 agree with the suggestion that you're back to stage 1 under
13 the PIPP plan vis-a-vis the pre-PIPP experience for whiplash
14 injuries?

15 MR. WILF BEDARD: No, definitely not. We're
16 not back to nearly what we were taking ten (10) years ago.
17 If -- if we had that Tort in existence today and followed
18 that trend line, we probably would be somewhere double what
19 we're taking today.

20 MR. WALTER SARANCHUK: Has there been any
21 study conducted by the Corporation during the PIPP era, if
22 you will, for the last ten (10) years to determine whether,
23 indeed, there have been or that there's -- the incidence of
24 whiplash injuries overall is less, by reason of the accident
25 experience as opposed to other factors which perhaps were

1 considered in the introduction of the PIPP plan?

2 MR. WILF BEDARD: No, I'm not aware of any
3 study being done, but we do know that with the design of
4 vehicles today, safety equipment in cars, road safety
5 initiatives, all of those things have had an impact on the
6 number of injury claims.

7 A lot more attention to design and
8 positioning of head restraints as well has had a lot of
9 impact on the frequency of injury resulting in rear end
10 collisions. So those are anecdotally some of the things that
11 have impacted the number of injury claims as well, but to --
12 to answer your question more specifically, no we have not
13 conducted any formal study in that way.

14 MR. WALTER SARANCHUK: There is no concern on
15 the part of the Corporation that its PIPP plan is looked at
16 more as a social welfare type of a situation that people can
17 take advantage of compared to, say, the Tort experience?

18 And I'm looking at particularly whiplash
19 claims. I know that the concern in the past prior to the
20 PIPP introduction was, if you will, everybody and his dog --
21 to use the vernacular -- with a minor whiplash injury would
22 go run to a lawyer and make a claim.

23 I'm wondering whether anything has really
24 changed, given the PIPP experience and the relatively
25 generous benefits that are available on a no-fault basis --

1 first party basis -- where anything has changed or whether,
2 indeed, everybody and his dog, again, is now running to the
3 Corporation for some benefits.

4 Can you comment on that? Is that outlandish?

5 MS. MARILYN MCLAREN: The context has changed
6 significantly. You -- you and your dog would -- would run
7 and often not even have to bother going to -- to a lawyer,
8 you know. I mean settlements were made based on precedent
9 and so on, so not everyone -- probably the minority -- went
10 to a lawyer back in those last few years of Tort and what --

11 MR. WALTER SARANCHUK: I wish you would have
12 raised -- raised that earlier --

13 MS. MARILYN MCLAREN: -- and what they
14 received -- the heart of the issue at that time -- what they
15 received was a cash windfall. It didn't bear any
16 relationship to what their economic loss had been.

17 So, if someone, without their dog, comes to
18 us now they're looking for compensation for an expense,
19 that's the difference.

20 And I think some of the other societal things
21 that have changed over the last ten (10) years, people have a
22 growing interest and perhaps ownership in terms of their own
23 health and well being, people are much more inclined to see
24 physiotherapists and chiropractors, then they were
25 ten/fifteen (10/15) years ago, and there's compensation

1 available for those sorts of treatments.

2 But what's not available any longer, is you
3 know, in addition to potentially some lost income, or
4 reimbursement for an expense for treatment, they received
5 several thousand dollars of cash payment, they don't get that
6 anymore.

7 So, no, there's a fundamentally different
8 context. We're not anywhere near heading back to square one
9 (1), and are not concerned that people just see this no fault
10 program as some sort of cash cow.

11 MR. WALTER SARANCHUK: Thank you, Ms.
12 McLaren. I now refer to the Corporation's Response to
13 Interrogatory Number 9 in the 1st Round, this is not in the
14 Book of Documents, this is still dealing with claims
15 incurred, and from a more in depth, and I guess actuarial
16 perspective.

17

18 (BRIEF PAUSE)

19

20 MR. WALTER SARANCHUK: And I'm looking at the
21 narrative provided in response to Part A, where under the
22 third party liability and bodily injury cover, it is
23 indicated that there's favourable development attributed to
24 both the pre-PIPP and PIPP run off, and claims are being
25 settled at a lower level than expected.

1 And then under accident benefits, there's a
2 notation that for the more current years there has been a
3 deterioration noticed, but not observed since more adequate
4 reserves are now being posted up front.

5 Initially there was indication, according to
6 that answer, that a large deterioration in reserves was
7 exhibited for the older years. That was a result of both of
8 the continuing review of the Corporation of its older PIPP
9 claims, as well as the larger RD&R provisions, in light of
10 the growth in the number of serious loss incidents.

11 So, now looking at the first three (3) pages,
12 namely of the attachment, and dealing with third party
13 liability -- well, first of all, just before we hone in on
14 that.

15 Dealing with the first three (3) exhibit
16 pages, as I understand it, the exhibits reflect the
17 redundancy or deficiency in the undiscounted, unpaid claims
18 provision, at the end of fiscal 2002/03, as evidenced by the
19 emerged experience during fiscal 2003/04, is that correct?

20 MR. BARRY GALENZOSKI: Yes.

21 MR. WALTER SARANCHUK: And now just to review
22 the exhibits, while looking into the changes by coverage,
23 implied by the forecast, in terms of the information
24 presented in the -- in these exhibits, in these pages being
25 attached or constituting the attachment, what is in general

1 terms, the information presented.

2 Can you give us a description, for example, of
3 the first page of page 1 of 3, what are we looking at there?

4 MR. BARRY GALENZOSKI: Yes, what you're
5 looking at is just a -- showing you by the experience, by
6 accident year, and showing you the beginning claims, unpaid
7 claims, as at the end of the previous fiscal year. So, if
8 you look at '02/03, you'll see the undiscounted, unpaid
9 claims, as at February 28th, 2003, for \$6,690,000.

10 MR. WALTER SARANCHUK: This is for third
11 party liability, bodily injury, right?

12 MR. BARRY GALENZOSKI: That's correct, net of
13 MHSC payments. They show you what the paid were in the
14 fiscal year '03/04, which is the year following that date
15 that we just talked about.

16 And then they show you what the undiscounted,
17 unpaid claims are at the end of the fiscal period, and
18 whether there's a redundancy or deficiency in the -- in that
19 particular year.

20 And that's done by -- for the year '02/03,
21 '01/02, '00/01, '99/00, and all prior years. And the far
22 right hand column is the total. And you'll see that overall
23 there was a redundancy of about \$3 million in that particular
24 type of reserve.

25 MR. WALTER SARANCHUK: And in layman's terms,

1 what is a redundancy?

2 MR. BARRY GALENZOSKI: It means you had too
3 much.

4 MR. WALTER SARANCHUK: Obviously the
5 deficiency speaks for itself. But when you take a look at a
6 third party liability as you have already, can you comment on
7 the redundancies spanning the last four (4) accident years?
8 So, that we're looking at a total of some \$3.2 million on
9 \$16.5 billion; and that's subject to check of course.

10 What has led to the claims being settled at a
11 lower level than expected?

12 MR. BARRY GALENZOSKI: These aren't
13 necessarily all settled. You'll notice that the paids are
14 quite small in -- in the current year '02/'03 there were only
15 four hundred and eleven thousand dollars (\$411,000) out of
16 the \$6.7 million in the beginning claims provisions or
17 reserves.

18 And it really comes down to the review as to
19 what's left in those files. And if you take the reserves
20 that you start the year with less the paids, that isn't going
21 to come up with \$4.3 million for instance for '02/'03. So
22 something else had to happen. And what else happened was a
23 reduction in -- in claims reserves.

24 So there was another review or ongoing review
25 of these particular claims where reserves have been set up in

1 the previous year or years and a reassessment as to what the
2 current level of reserve needed for those particular heads of
3 damage were going to be and when you add that all up at the
4 end of the day, it said for '02/'03 files, those are claims
5 that actually happened during that fiscal period, then there
6 was too much in those reserves by almost \$2 million.

7 MR. WALTER SARANCHUK: Yes. I guess what I
8 was referring to was your response in the first paragraph to
9 Part A of that question where under third party liability
10 bodily injury, the -- the response was:

11 "This coverage continues to show favourable
12 development attributed to both the pre PIPP
13 and PIPP runoff, claims are being settled
14 at a lower level than expected."

15 But you say there's an additional factor now?

16 MR. BARRY GALENZOSKI: No, I'm not saying
17 that. I'm saying that what has happened is that the
18 difference between the beginning reserve, and let's just look
19 at '02/'03. You start off with \$6.690 million dollars in --
20 in reserves. You pay for that year four hundred and eleven
21 thousand dollars (\$411,000) but you end up with \$4.3 million
22 dollars in reserves.

23 So what has happened is that although you only
24 paid four hundred and eleven thousand dollars (\$411,000)
25 you've removed \$1,970,000 worth of reserves. And that tells

1 you that the adjusters looking at it on a file by file basis
2 are deciding that the money they originally setup that --
3 what they thought the claim was going to cost at an early
4 part in the claim's history was more than what was required
5 at the point of -- of review at this point in time.

6 So the result is, is that the reserves come
7 down. And it's not based on the paid, it's based on their
8 expectation, based on the development of the claimant and --
9 and what they're now presenting to us based on subsequent
10 review. And that's quite typically what happens for all the
11 claims that we have under our administration.

12 You're always looking at them as to the
13 adequacy of the reserve that you have set aside for that
14 claim and whether that's going to be sufficient or not to see
15 that claimant through to the end of the claim whenever that
16 might be.

17 MR. WALTER SARANCHUK: And so has this
18 experience been recognized in the claims forecast brought to
19 this application?

20 MR. BARRY GALENZOSKI: Yes, it would be, yes.

21 MR. WALTER SARANCHUK: Turning to the next
22 page of the response of the attachment. Dealing with the
23 comprehensive coverage, what gives rise to the level of the
24 redundancy in the accident year of 2002/'03 when we're
25 talking about \$1.5 million on a total of 10.1?

1 MR. BARRY GALENZOSKI: Well it's the very
2 same reasons with respect to those types of claims. You're
3 -- you're always reassessing the level of your claims
4 reserve.

5 You'll notice that there was a high degree of
6 paid for that particular year. You started off with ten
7 million one hundred and forty thousand dollars (\$10,140,000)
8 worth of reserves. These are short tail claims. They're
9 usually paid in a relatively small time period and so six
10 million six hundred and sixty-one thousand dollars
11 (\$6,661,000) was paid during that year that -- that was
12 associated with claims that actually happened during that
13 fiscal period and we ended up with a redundancy of one
14 million four hundred and eighty-eight thousand (1,488,000).

15 So, when the claim was paid, in most cases
16 these are -- are full and complete claims, they're paid,
17 they're done with, and you would have set up a reserve, let's
18 say, of a thousand dollars (\$1,000) for a particular claim,
19 but it finally ended up the repair bills came in, whatever
20 the costs were, eight hundred dollars (\$800), you'd remove
21 the thousand dollars (\$1,000) off the claim reserve, even
22 though you only paid the eight hundred (800).

23 And so that cumulatively comes together to the
24 redundancy that you're seeing there.

25 MR. WALTER SARANCHUK: But it shouldn't take

1 long to settle these comprehensive claims. I mean, why is
2 it, at least on the face of it, taking so long?

3 MR. BARRY GALENZOSKI: Well it doesn't take
4 very long, and that's why I -- as I pointed out, of the \$10
5 million, \$6.7 million is paid right away, and then there was
6 a big redundancy, so you're down to only 1,991,000, and
7 there's sever factors that influence that.

8 One (1) is the -- the aggressiveness that the
9 claimant themselves would seek to get the repair done,
10 because we don't pay until the repair is done. And so that
11 may have some impact on their pocket book, because they have
12 to pay the deductible or some sort. So, some people delay
13 that process.

14 The other thing that comes into account here
15 is that glass claims are usually claims that take much longer
16 to report. And I'm talking about those chips in your window,
17 the little crack going across the corner of your windshield,
18 are not necessarily going to become an issue with you, until
19 you're ready to dispose of that vehicle, or that little crack
20 suddenly goes all the way across the windshield, and you just
21 can't stand it any longer, so you get it repaired.

22 And our experience has been that those mount
23 over the years, and -- and whenever we've had a change in
24 deductible, for instance, one (1) of the first impacts we
25 always see is a lot of old glass claims coming to the

1 forefront. So, we hold a little bit of money for that, just
2 in that eventuality happening again.

3 MR. WALTER SARANCHUK: So, this experience
4 for 2002/'03 is on the face of it, an exception to the -- to
5 the rule, to have that -- to have the redundancy to that
6 extent, is that correct?

7 MR. BARRY GALENZOSKI: No, I would expect
8 that for the first year out, there -- it's lesser for other
9 years, but remember, this is all for -- this is all regarding
10 one (1) year, so that the total comes out to what we're
11 looking at on the far right hand side.

12 So we're -- this is broken out by accident
13 year. So, this is telling you what's happening for each of
14 the years. But you expect in most -- on this particular type
15 of damage, I would expect the majority of the movement to
16 occur right after the first year, so you're going to find out
17 more redundancy, or more deficiency in the very first year,
18 for comprehensive type claims.

19 MR. WALTER SARANCHUK: Are there some aspects
20 of a claim that lead to a comprehensive claim remaining
21 unsettled for a number of years?

22 MR. BARRY GALENZOSKI: Well, as I explained,
23 that would be unsettled if the person came in, got an
24 estimate and then just didn't deal with it. Didn't do
25 anything with it, kept it in their pocket for one (1) or two

1 (2) years.

2 MR. WALTER SARANCHUK: And that happens that
3 often?

4 MR. BARRY GALENZOSKI: That happens a fair
5 bit. Not to any great dollar value. For instance, when we
6 had hail losses, the big hail losses we had in '96 and the
7 one (1) we had in 2001, those particular losses, there's
8 still people out there that haven't got those repairs done.

9 You know, so subsequently if they come in to
10 get those repairs made at a -- at a subsequent date, we may
11 have to take other actions, because the car may be written
12 off by this stage as far as -- you know, you're not going to
13 necessarily -- if there was four thousand dollars (\$4,000)
14 damage done due to hail, and the person waits long enough,
15 and now the car's only worth a thousand dollars (\$1,000),
16 you're not going to put four thousand dollars (\$4,000) into
17 repairing it. And so then we would call that car back in and
18 do something else with it.

19 But there are -- there are procrastinators out
20 there. They have maybe the best intentions until they find
21 out how much the damage is, and then after a few weeks they
22 don't even see it anymore, and it kind of gets hidden under
23 the dust.

24 MR. WALTER SARANCHUK: Turning to the next
25 page and the cover Accident Benefits Other, can you comment

1 on the redundancy in 2002/'03, and some 13.3 million on a 106
2 million, in contrast to the deficiency in the prior accident
3 years, namely 33.2 million on 322.7 million?

4

5

(BRIEF PAUSE)

6

7

MR. BARRY GALENZOSKI: Yeah, the Accident
8 Benefits Other is -- is all heads of damage other than income
9 replacement and RIB, Retirement Income Benefit, and what I
10 think we're seeing here is there's -- we're more aggressive
11 in putting the reserves up for what we believe the costs are
12 associated with a particular loss compared to what we did in
13 -- in prior years and that's why you're seeing deficiencies
14 for the prior years compared to redundancy for the current
15 years.

16

17

18

19

20

21

22

When -- when the actuarial review is occurring
they're looking at paid and -- and just how quickly those
paid are being made associated with the losses that -- or
the reserves that we've got set aside and based on the
overall factors, you'll see that there was a deficiency
totally almost \$20 million for all of the years, but that
there was a redundancy for the current year.

23

24

25

MR. WALTER SARANCHUK: Is this reflecting a
change in case reserving practices?

MR. BARRY GALENZOSKI: I believe it's

1 reflecting the -- case reserving has become a -- a more
2 important issue in the organization and the Corporation
3 Claims Division are -- are spending more effort on -- on
4 making sure the reserves are adequate and are doing more
5 reserves reviews.

6 And that's reflected in the fact that the
7 initial reserves are -- are probably better than they were in
8 the prior years and that we're catching up with the others as
9 we're going through.

10

11

(BRIEF PAUSE)

12

13

14

MR. WALTER SARANCHUK: Has this change -- the
experience been reflected in the forecasts in the current
application?

15

16

MR. BARRY GALENZOSKI: Yes, it has.

17

18

MR. WALTER SARANCHUK: I'd now like to review
the claims incurred experience, particularly PIPP for one (1)
and collision for another in the various schedules to TI-14,
15 and 17 as filed and those are at Tab 3, 4 and 6 in the
Book of Documents.

19

20

21

22

(BRIEF PAUSE)

23

24

25

MR. WALTER SARANCHUK: Now, as indicated on

1 the first page, TI-14, there's an increase in net claims
2 incurred of some \$8.2 million from forecast last year.

3 Is that correct, Mr. Galenzoski?

4 MR. BARRY GALENZOSKI: Yes, that's correct.

5 MR. WALTER SARANCHUK: And what factors
6 led -- have led to that increase?

7 MR. BARRY GALENZOSKI: Well, primarily, that
8 would be just our experience that we would have. We're
9 closer to the time period now on the forecast, so it would be
10 just better information.

11 MR. WALTER SARANCHUK: And for an indication
12 of the composition of the claims reflecting that increase, I
13 would refer to Schedule 1, namely the Claims Variance
14 Analysis -- it's on the reverse of that very first page --
15 and as it appears, of the \$8.2 million, some \$5.5 million can
16 be attributed to PIPP.

17 Is that correct?

18 MR. BARRY GALENZOSKI: Yes, that's correct.

19 MR. WALTER SARANCHUK: And that's related to
20 an increase in severity from two thousand six hundred and
21 seventy-four (2,674) and it covers to thirty-three hundred
22 and two (3,302).

23 Is that correct? In other words, three
24 hundred and fifty-eight (358).

25 MR. BARRY GALENZOSKI: That's in the average

1 cost recovery, yes.

2 MR. WALTER SARANCHUK: And, just turning to
3 Tab 13 very briefly, keeping your finger on Tab 3, the
4 response there to Question 16 of the Public Utilities Board
5 in the 1st Round refers to the increase in -- in the
6 severity.

7 And is it a fact that the increase is
8 attributable to the adverse income replacement experience in
9 2003/'04, so that the forecast severity was adjusted up?

10 Sorry, this is at Tab -- yeah, Tab 13.

11 MR. BARRY GALENZOSKI: Yes, if you look at
12 the explanation one (1) page over on Tab 13, it says:

13 "The majority of the increase relates to
14 income replacement indemnity cover, which
15 increased by 38.1 million, and a decrease
16 of 12.3 million in the medical expense
17 covered."

18 MR. WALTER SARANCHUK: Yes, and in Tab 11,
19 still keeping your finger on Tab 3, Tab 11 deals with the
20 Corporation's response to question number 13 of the Public
21 Utilities Board on the 1st round.

22 And there is an indication of the change from
23 2003 to 2004, under the Income and Replacement Indemnity of
24 an amount to \$112.5 million, from \$88.3 million, is that
25 correct?

1 MR. BARRY GALENZOSKI: Well, that's the year
2 over year increase in the costs. That's -- and this doesn't
3 include IBNR.

4 MR. WALTER SARANCHUK: But by reason of that
5 experience, the forecast severity was adjusted upward?

6 MR. BARRY GALENZOSKI: It would be impacted,
7 yes.

8 MR. WALTER SARANCHUK: And given where you
9 are right now, how much of this experience has actually been
10 incurred?

11 MR. BARRY GALENZOSKI: Well, we are only six
12 (6) months really into the year, so we would have about half
13 of it.

14 MR. WALTER SARANCHUK: And in terms of the
15 overall increase of some \$8.2 million, for the total claims,
16 what are the factors that -- from the information provided
17 and from your experience, are driving the increase?

18 MR. BARRY GALENZOSKI: Well, primarily the
19 increases are driven by -- by volume of -- of covers. You'll
20 notice that the volume of covers is increasing, and the
21 average cost will -- I'm talking corporately now, as far as
22 all of the -- the heads of damage, not just the PIPP side,
23 are certainly going to be driven by weather related incidents
24 that are still to be determined, because we haven't entered
25 into our winter season yet.

1 So there are a number of the traditional
2 factors I think that all come in to play.

3 MR. WALTER SARANCHUK: And now reviewing Tab
4 15, which appears at -- sorry, TI-15, which appears at Tab 4,
5 in the Book of Documents.

6
7 (BRIEF PAUSE)

8
9 MR. WALTER SARANCHUK: And on the reverse of
10 the first page, namely at TI-15(a), there's an increase in
11 claims incurred by over twenty (20) -- well almost \$24
12 million, from \$513 million to 537 million, is that correct?

13 MR. BARRY GALENZOSKI: Yes, that's correct.

14 MR. WALTER SARANCHUK: And in terms of the
15 components of this change, looking at Schedule 1 on the
16 opposite side, similar to the Schedule 1 we looked at in Tab
17 3, this now being for the period of 2005/'06.

18 The collision claims would appear to be up by
19 some \$14.7 million, is that correct?

20 MR. BARRY GALENZOSKI: Yes.

21 MR. WALTER SARANCHUK: And with an increased
22 frequency of thirteen hundred and fifty-nine (1359) covers,
23 is that correct?

24 MR. BARRY GALENZOSKI: Yes.

25 MR. WALTER SARANCHUK: And to what can that

1 be attributed, sir?

2 MR. BARRY GALENZOSKI: Well, the increased
3 frequency are the overall increase in costs.

4 MR. WALTER SARANCHUK: Costs?

5 MR. BARRY GALENZOSKI: Well, I think it's
6 driven by the two (2) -- two (2) factors, the increased
7 frequency is -- is driven largely by the increase in the size
8 of the fleet, and the increased cost is going to be driven by
9 that, as well as the increase in the cost of parts, labour,
10 just the settlement of the claims process.

11 The average claim is going up, largely on the
12 collision side, not largely, but somewhat, because of the
13 safety equipment that's embedded in these vehicles today.
14 So, even lower level collisions, low impact collisions cause
15 air bags to go off and side curtains sometimes to go off, so
16 the average claim is climbing on that side.

17 MR. WALTER SARANCHUK: So, nothing has really
18 changed? It continues to climb?

19 MR. BARRY GALENZOSKI: Well, it -- you know,
20 and we expect this, you know, and when we look at both our
21 short and longer term financial projections, we take that
22 into account with respect to our expectations. And that's
23 part and parcel of the overall forecasting process that the
24 Corporation has is that we have an anticipation that costs
25 are going to be going up on -- on that side, largely driven

1 by volume and just cost to repairs if we're looking
2 specifically at collision and -- and those are undeniable.

3 The average number of covers is going up by
4 1.4 percent, as indicated here and we're expecting that the
5 average cost is going to go up by some 5.7 percent, which is
6 a fair bit higher than average inflation and that's what we
7 expect in this particular type of business.

8 MR. WALTER SARANCHUK: Yes, and looking at
9 the next line, mainly for comprehensive, we see that there's
10 to be an increase in claims incurred of some \$4.5 million
11 with an increase of some twenty-one hundred and eighty-nine
12 (2,189) covers. Can you explain that, please?

13 MR. BARRY GALENZOSKI: Well, that would
14 involve a number of different types of claims, whether it's
15 windshield-type claims, which would be generally lower cost
16 to total theft claims, which would be higher cost. We're
17 expecting to see more volume on this side of it because of,
18 again, the factor that there's more vehicles insured in the
19 Province on an annual basis.

20 And then we're expecting the cost to go up by
21 -- the average cost -- something like 4.3 percent, again
22 related to the fact that if a vehicle is stolen, it's
23 generally worth more than it was a year ago, they are newer
24 vehicles, particularly. So, vehicles are just getting more
25 expensive to replace and repair.

1 MR. WALTER SARANCHUK: So, does that
2 contemplate more thefts?

3 MR. BARRY GALENZOSKI: I don't believe it
4 contemplates any -- any larger number of thefts, but it
5 certainly contemplates that the costs associated with claims
6 are going to be higher. We're anticipating, overall, there's
7 going to be more claims that would be probably proportional
8 to the claims experience for prior years based on the size --
9 the increase in the size of the fleet.

10 MR. WALTER SARANCHUK: So, if you had an
11 increase in the size of the fleet by 10 percent you would
12 expect the theft experience to increase by 10 percent,
13 generally?

14 MR. BARRY GALENZOSKI: Well, I don't know if
15 I'd specifically say on which head of damage it's going to
16 increase. I think what we're looking at here is that overall
17 we think the claims experience is going to increase.

18 MR. WALTER SARANCHUK: Are you --

19 MS. MARILYN MCLAREN: Most -- most of the
20 comprehensive claims are glass claims and we're still
21 expecting them to increase a little every year in response to
22 the significant decrease we saw after raising the extension
23 glass deductible a few years ago.

24 MR. WALTER SARANCHUK: But I -- I'd ask you
25 to agree that a decrease in theft claims isn't incorporated

1 in this forecast, is it?

2 MR. BARRY GALENZOSKI: I don't believe it is,
3 no.

4 MR. WALTER SARANCHUK: Looking at the PIPP
5 experience anticipated, the claims are expected to total some
6 \$2 million more, as I understand it, with an increased number
7 of covers of some twenty-six hundred and eighty (2,680); is
8 that correct, Mr. Galenzoski?

9 MR. BARRY GALENZOSKI: Yes, that's correct.
10 That's not claims, that's covers -- a big difference between
11 that and claims. I should correct that.

12 MR. WALTER SARANCHUK: Yes, if you'd just
13 explain the difference?

14 MR. BARRY GALENZOSKI: Well, on a particular
15 claim you could have a number of covers associated with a --
16 a -- one (1) particular claim so if you have a single
17 accident with one (1) injury coming out of it, that person
18 could be eligible for a number of different types of
19 coverages, whether it's income replacement, home care, any of
20 the other benefits that might be available; they're all
21 counted as separate covers. So, multiple covers come out of
22 one (1) incident or one (1) -- one (1) claim.

23 MR. WALTER SARANCHUK: You mentioned income
24 replacement indemnity. My understanding that there's a
25 significant fluctuation from year to year that's been

1 experienced so that in 2000 from the previous year there was
2 an increase of 120 percent, then the following year a
3 decrease of 25 percent, the year after that, namely 2002
4 compared to 2001 there was a 40 percent increase.

5 With these fluctuations, is that -- in the
6 income replacement indemnity -- does that show that there's a
7 lack of stability?

8 MR. BARRY GALENZOSKI: Are you referring to
9 numbers of claims? Are you referring to the costs of those
10 claims?

11 MR. WALTER SARANCHUK: The costs.

12 MR. BARRY GALENZOSKI: I -- I don't think
13 that we'd classify it as instability. I believe again,
14 because you're looking at claims incurred numbers, for a
15 given fiscal period, which covers all of the changes in the
16 reserves going back, over the many years, which is back to
17 1994, you're going to see some of those numbers move.

18 And that's where -- look at the -- when we
19 were talking about the deficiencies and the redundancies,
20 given a -- a certain head of damage on one (1) particular
21 year, that's what you're looking at. You're looking at
22 changes that occur over time.

23 MR. WALTER SARANCHUK: Yes, and you also
24 referred earlier to the experience in terms of the PIPP costs
25 being on direct claims incurred. And I would therefore refer

1 you to Tab 33, which is the Corporation's Response to Public
2 Utilities Board Question Number 3 in the 2nd Round of
3 Interrogatories.

4 In Schedule 1 is provided in response to Part
5 A, which asked for a forecast of the distribution of PIPP
6 costs by coverage for 2004/05, 2005/06 and 2006/07.

7 So, looking at Schedule 1, in Tab 33, it would
8 appear that all covers are increasing, albeit marginally;
9 would you agree with that, sir?

10 MR. BARRY GALENZOSKI: Yes, these are the
11 direct claims incurred costs -- are increasing on -- it looks
12 like all of them, yes.

13 THE CHAIRPERSON: Now, Mr. Saranchuk, we're
14 just going to pause for two (2) minutes.

15

16 (BRIEF PAUSE)

17

18 CONTINUED BY MR. WALTER SARANCHUK:

19 MR. WALTER SARANCHUK: Yes, just continuing
20 now. I would refer you to Tab 6 in the Book of Documents,
21 and deal with the claims cost outlook, in particular, with
22 reference to TI-17(a), which is the reverse side of the first
23 page.

24 THE CHAIRPERSON: Maybe I should note that
25 the presentation for 1:30 is cancelled, we're going to try

1 and reschedule it for the -- I think it's the 21st.

2

3 CONTINUED BY MR. WALTER SARANCHUK:

4 MR. WALTER SARANCHUK: Looking at TI-17(a)...

5

6

(BRIEF PAUSE)

7

8 MS. DENYSE COTE: I'm sorry, Mr. Saranchuk,
9 could you remind me of the Tab number, okay?

10 MR. WALTER SARANCHUK: The Tab is number 6.

11 MS. DENYSE COTE: Thank you.

12

13 CONTINUED BY MR. WALTER SARANCHUK:

14 MR. WALTER SARANCHUK: Looking at the claims
15 cost line, the claims incurred net forecast at \$537.2 million
16 for the year of the Application, increasing through to 610.2
17 million at the end of the outlook period.

18 I'm advised that that's approximately a \$73
19 million increase, and when compared to the increase of some
20 one hundred (100) -- so in excess of \$100 million in costs,
21 claims costs over the last five (5) years, we're looking at
22 an increase of some \$175 million, since 2002 to the end of
23 the outlook period.

24 What can be said about this trend from the
25 Corporation's standpoint? I mean, the figures speak for

1 themselves, but let's get into the details: What's driving
2 this, and what is the Corporation's concern, if any, about
3 it?

4 MR. BARRY GALENZOSKI: Well, the Corporation
5 I think, generally speaking, isn't overly concerned. You
6 know, certainly there's concerns about the number of theft
7 claims and -- and injuries that are caused on -- on the roads
8 in Manitoba. But when we look at the overall dollar impact,
9 I think what we're showing is that the plan is affordable,
10 that going forward, we're not looking at proposed rate
11 increases, that the overall natural growth in the -- in the
12 upgrading and the size of the fleet is covering off the costs
13 associated with the plan.

14 And let's take a look at the numbers that
15 you're referring to, the \$537.2 million for '05/06 and the
16 next year, \$562 million, that's a 5 percent growth.
17 Considering that you know, a big piece of this is indexed,
18 that's not an unexpected growth factor.

19 The big factor associated with the part that
20 isn't indexed is that it's associated with the cost of
21 automobiles, part prices, labour rates charged by body shops.
22 So, there's a lot of factors in there that aren't strictly
23 tied to what you and I see in our salaries, normal CPI or
24 Manitoba CPI.

25 So, you know, these are costs that are not

1 unexpected. We've experienced them over the many years that
2 we've been in existence, and we expect to continue to see
3 costs like that, going forward in the future.

4 MR. WALTER SARANCHUK: I don't mean to put
5 words in your mouth, sir, but is the Corporation not
6 concerned of a \$100 million cost increase for the -- over the
7 last five (5) years?

8 MR. BARRY GALENZOSKI: Well, you know, you've
9 got to consider that in -- in 1999, which just inside that
10 time line, a new benefit was added, RIB, that added a
11 component to the income replacement side.

12 You know, there --

13 MR. WALTER SARANCHUK: What's RIB?

14 MR. BARRY GALENZOSKI: Retirement Income
15 Benefit.

16 We are seeing you know, fairly substantial
17 benefits being set aside to pay our future claimants, in
18 accordance with the original intent of the plan, over and
19 above that.

20 And so, we're -- you know, the dollar number
21 is big, but that's not unexpected. And I think this is part
22 and parcel of -- of what we do in Manitoba, is that we have a
23 plan that has fairly good benefits, that are paid out over
24 the lifetime of some of these very seriously injured people,
25 and there's substantial dollars associated with them.

1 MS. MARILYN MCLAREN: Mr. Saranchuk, in that
2 same outlook period that we're looking at here in TI-17(a),
3 you've referenced the \$73 million increase in net claims
4 incurred. During that same period there's an \$87 million
5 increase in net premiums earned.

6 So, it lines up. That hangs together.

7 MR. WALTER SARANCHUK: And the Corporation is
8 satisfied with that?

9 MR. BARRY GALENZOSKI: The Corporation is
10 satisfied that the plan is affordable, that it's -- that it's
11 doing what it's intended to do. We're not looking at double
12 digit rate increases like we were under torte.

13 The expectations prior to 1994 was that we
14 were going to have to have double digit rate increases, just
15 to keep up with the increasing costs of claims, for primarily
16 the bodily injury side.

17 And when I look at the increase that we're
18 looking year over year on this particular statement, in our
19 total claims incurred, we're talking in that four (4) to 5
20 percent range, and from that side of it, we think it's --
21 it's reasonable.

22 MR. WALTER SARANCHUK: So, I take it there's
23 no end in sight and there's no plateau in sight?

24 MR. BARRY GALENZOSKI: Well, I guess it
25 depends on how far you look out on this thing, but you know,

1 the -- all other factors are growing at about the same rate,
2 whether it's the natural increase in the premium base,
3 whether it's the natural increase in the investment income
4 base. You know, there's other costs that were -- that are in
5 there, that we are going to see go up over time.

6 And it's pretty hard to be in the insurance
7 business and not expect to see cost increases year over year.

8 MR. WALTER SARANCHUK: That makes sense --

9 MS. MARILYN MCLAREN: And I guess --

10 MR. WALTER SARANCHUK: -- sorry.

11 MS. MARILYN MCLAREN: -- sorry, Mr.

12 Saranchuk.

13 To put that in a little bit more of a national
14 context, I think is worth talking about. You know, we
15 believe that what we're here to do is provide Manitobans with
16 not only guaranteed, but -- but ready access to an insurance
17 plan that's specified by law.

18 And we have a -- you know, an outlook that
19 shows that we can continue to do that with a break-even
20 context for the bottom line, over the foreseeable future,
21 without rate increases.

22 If you put that in the national context, what
23 you see in other places is Governments deciding to radically
24 reduce, potentially radically reduce the mandatory coverage
25 that -- that people have to buy and taking significant other

1 steps to try to keep premiums affordable.

2 We are able to run this plan in an affordable
3 way with a reasonable bottom line, and yes, costs will
4 continue to increase and the revenue will continue to
5 increase, reasonably in step with that.

6 We know how to reduce claims costs. We know
7 how to reduce claims frequency, and given what we know about
8 Manitobans expectations of this particular plan, we -- we
9 don't -- not only do we not see a need to do that we don't
10 believe that that would be accepted.

11 We know that simply --

12 MR. WALTER SARANCHUK: What won't be
13 accepted?

14 MS. MARILYN MCLAREN: You reduce claims
15 numbers by increasing deductibles, by having a far more
16 punitive Bonus/Malus system, by limiting the access to claims
17 services, by reducing the quality of claims services.

18 We -- we know how to reduce claims frequency,
19 and you can reduce severity by reducing the coverage. We --
20 we know how to make -- you know, we know those levers and we
21 know what to do with them. But given the fact that
22 Manitobans, whether they buy it from us or whether they buy
23 it from anybody else, want and most of them do buy a two
24 hundred dollar (\$200) deductible on the collision side of
25 this business.

1 You don't find that anywhere else in the
2 country, largely because it's simply not affordable. That's
3 what Manitobans want and that's what Manitobans expect. You
4 don't hear anybody saying you know, for the most part we have
5 the lowest rates in the country, but let's please drive them
6 lower by reducing the kinds of coverage that's available
7 under PIPP.

8 So, you put the program together in the
9 context of the coverage that's offered, the rates that are
10 charged, and the overall accessibility and affordability of
11 the program, we think we've got something that works for
12 Manitobans.

13 When we see any lack of satisfaction with
14 rates or with the coverage that's provided, we know how to
15 address those issues, but right now we don't see any need or
16 desire on the part of Manitobans to change the construct of
17 this program.

18 MR. WALTER SARANCHUK: Just on the couple of
19 points, you talked about reducing severity, by limiting the
20 coverage. Why is that necessarily so? Can't you look to the
21 handling of claims, in particular, and try to assess whether
22 or not there can be an improvement at that level to try to
23 get people back into the workplace sooner than they are, and
24 maybe with fewer chiropractic treatments and fewer visits to
25 massage therapists. There's that aspect of it too, and I

1 guess we're going to get into this later, but I'm just having
2 some difficulty with the comment that you're automatically
3 going to have to reduce coverage?

4 MS. MARILYN MCLAREN: I don't think we do
5 need to reduce coverage, but that certainly is the clearest
6 and simplest way to reduce severity. And all I guess -- I'm
7 sure we will get into it later, but all the other things that
8 you mentioned, with the extent to which we work with
9 claimants and their care providers, to provide the very best
10 rehabilitative opportunities for them, is something that we
11 pay a lot of attention to. And are certainly not going to
12 stop paying attention to.

13 So that's clearly part of the -- the benefits
14 of a plan like this that we have the opportunity to do that,
15 we have the where with all and we certainly have the
16 commitment to do that. It's not the only way to manage auto
17 insurance costs.

18 And -- and I guess when I talked about that,
19 I'm looking at the rest of the country where governments are
20 talking about no frills options, buy-down options versus buy-
21 up options. All kinds of things which really tie back to
22 reducing the coverage.

23 MR. WALTER SARANCHUK: Well we will deal with
24 it more in depth later. In terms of the commentary that you
25 gave with respect to reducing frequency, there is much more

1 that can be done.

2 I'm not suggesting that the corporation hasn't
3 taken steps to do so, but would you not agree that there is
4 much more that can be done for example to try to reduce theft
5 claims in terms of reducing frequencies? That's an instance.

6 MS. MARILYN MCLAREN: Certainly. No argument
7 there whatsoever. I think we continue to search for levers
8 so to speak, on -- on the theft side of things and I guess
9 the -- the point that I want to make in that context though
10 is, in Manitoba claims frequency tracks very, very closely
11 with accident frequency here in Manitoba.

12 Because there's not huge penalties associated
13 with filing claims. That's not true in other jurisdictions.
14 You can't look at claims frequency in other jurisdictions and
15 use that as a proxy for accident frequency like you may be
16 able to do in a closer way here in Manitoba.

17 MR. WALTER SARANCHUK: So then that perhaps
18 begs the question as to why is something more is not being
19 done to review the Bonus/Malus system? Do you want to reduce
20 claims, do you want to -- don't want -- and you're talking
21 about penalizing people for making claims of ergo reducing
22 accidents.

23 Doesn't that mean to look again at the
24 Bonus/Malus system?

25 MS. MARILYN MCLAREN: No. I -- I said those

1 are things that -- that could be done and are done in other
2 places. I'm not saying that we want to do them here. I
3 think we want to make sure -- given the fact that there are
4 opportunities now with the driver licensing side of things,
5 we want to certainly have a look at the Bonus/Malus system
6 and make sure that it is as appropriate and effective as we
7 can possibly make it.

8 I don't know that that means there's an
9 overwhelming need to eliminate people's opportunities to file
10 claims against a product that they're obligated by law to
11 buy.

12 MR. WALTER SARANCHUK: Thank you, Ms.
13 McLaren. I would ask that we now turn to SM-5.2 in Volume 1
14 of the filings. We'll deal briefly with claims forecasting
15 and forecasting accuracy. And in particular I'm looking at
16 pages 7, 8 and 9.

17 Again, at a high level if you would, Mr.
18 Galenzoski, explain to us about the claims -- or explain the
19 claims forecasting methodology to us with reference to the
20 three (3) methods, the linear, the expediential and the
21 financial. And explain to us please what the corporation's
22 experience has been. These are pages 7, 8 and 9 of SM 5.2 in
23 Volume 1.

24 MR. BARRY GALENZOSKI: Sure, we're looking at
25 the three (3) methods. We do the linear cost growth which

1 assumes that the costs will increase or decrease by a fixed
2 cost and absolute amount each year. We -- we look at the
3 expediential cost growths which assumes that costs will
4 increase or decrease by a fixed percentage rather than a
5 fixed amount each year.

6 And in the financial forecast model which
7 allows cost growth to be more responsive to both the short
8 and the medium term trends that are merging as we see it in
9 the field. And the financial forecast model is the one that
10 we've been using in our rate application for the many years
11 that we've been here.

12 MR. WALTER SARANCHUK: Can it be said that --
13 that financial forecast method is a high bred of the
14 actuarial as well as management judgement?

15 MR. BARRY GALENZOSKI: I think you could
16 classify it that way, yes.

17 MR. WALTER SARANCHUK: And to what extent
18 does management judgement enter into the picture? Does it --
19 well you explain it to me then please.

20 MR. BARRY GALENZOSKI: Well management
21 judgement is -- is not like what do I think about it. It's
22 -- it's what does the team that's doing the forecasting think
23 about it. This is a multi disciplinary team that has the --
24 the statistics at their fingertips regarding the different
25 types of damages, the costs that they have seen grow over

1 time as well as the information that they would have about
2 the cost growths that they expect to see going forward.

3 And -- and just a little example on that. If
4 you take a look at, say, the collision repair side of the
5 business, the people involved in that have the expertise.
6 They're right out of the Claims Division. They have the
7 expertise. They have all the -- the statistics with respect
8 to our past history. They know what the cost of repairs have
9 been. They know what the cost of the repairs -- or they --
10 they have a good idea what the costs of repairs are going to
11 be in the future.

12 These are the people that are negotiating the
13 labour of body shop rates. These are the people that are --
14 that are controlling part prices. They are well aware of
15 what part prices are going to be, the use of the aftermarket
16 parts, the use of the salvaged parts.

17 So, they have very intimate knowledge about
18 that particular part of our business and they feel into the
19 overall forecasting process and -- and that's part and parcel
20 of the financial process.

21 MR. WALTER SARANCHUK: And the initial
22 forecast is prepared how far out in advance of the
23 Application?

24 MR. BARRY GALENZOSKI: Well, the initial
25 forecast would be prepared in around the April timeframe for

1 the application that's going to be filed in June for rates
2 that are going to come into effect on March 1 of the -- of
3 the next year.

4 Now, the other area where we get our feet held
5 to the fire is that we're also expected to come up with
6 projected years past the Rate Application year and then what
7 we see happening is that we're now being asked to explain
8 what the difference is on those projected numbers compared to
9 where -- we thought a year. So, there you're talking about
10 two (2) years in advance of -- of when the numbers are
11 required.

12 MR. WALTER SARANCHUK: And is the nature of
13 forecasting such that there is an expectation of a difference
14 between the forecast and the actual experience?

15 MR. BARRY GALENZOSKI: Yes there is.

16 MR. WALTER SARANCHUK: And the forecast that
17 actuarially indicated rate change for 2006/'07 and '07/08 due
18 to the level of precision and forecasting may differ --
19 differ substantially from the actual results for the reasons
20 that you just mentioned; is that correct?

21 MR. BARRY GALENZOSKI: Yes.

22 MR. WALTER SARANCHUK: Now, referring to the
23 Corporation's Response to Interrogatory Number 10 of the
24 Public Utilities Board on the 1st Round and I don't believe
25 that this is in the Book of Documents. So, this is

1 Interrogatory Number 10 of the Public Utilities Board
2 questions on the first round.

3

4

(BRIEF PAUSE)

5

6

MR. WALTER SARANCHUK: And as you will note
7 in Table 1, there's a comparison of the variability from
8 projected to actual experience in terms of the claims
9 frequency and then two (2) pages down in Table 3 is the
10 experience projected to the actual in claims incurred.

11

Dealing firstly with Table 1...

12

13

(BRIEF PAUSE)

14

15

MR. WALTER SARANCHUK: Can you provide a
16 general overview -- an explanation of the information
17 presented in that table, Mr. Galenzoski?

18

MR. BARRY GALENZOSKI: Yes, if we just focus
19 on the year 2003/2004 you'll see that there's three (3)
20 columns under that particular year. One (1) is projected;
21 that's the -- the numbers that were provided at the last Rate
22 Application for the '03/'04 year.

23

They're revised, they're more current; the
24 numbers that were provided at the Rate Application year. And
25 then the actual numbers are the ones that we actually

1 incurred. I'll just correct myself, the -- two (2) years ago
2 that that was actually provided.

3 And we're now tracking the -- those numbers
4 compared to what we actually saw happen for that particular
5 fiscal year and you can see there's the given counts on the -
6 - the claim frequency comparison, totalling up to total
7 actual claims, two hundred and ninety-one thousand five
8 hundred and two (291,502) on a projected basis.

9 Two (2) years before that we thought that
10 there was going to be two hundred and eighty-three thousand
11 five hundred and sixty-six (283,566).

12 Last year we thought there was going to be two
13 hundred and eighty-four thousand and thirty-three (284,033)
14 and so you'll notice that the numbers have crept up a little
15 bit until we got to our actuals.

16 MR. WALTER SARANCHUK: So, on an overall basis
17 for the frequencies compared at 2001/'02 through to 2003/'04,
18 looking at the results firstly for 2001/'02, what can you say
19 about the -- your prognostication that year?

20 MR. BARRY GALENZOSKI: We were wrong.

21 MR. WALTER SARANCHUK: Any explanation?

22 MR. BARRY GALENZOSKI: Yes, I think there was
23 a big hailstorm that occurred that year so that would have
24 added about twelve thousand (12,000) claims to the total,
25 just off hand.

1 You'll notice that PIPP is -- the projected
2 initially started out at fifty-three thousand (53,000), then
3 went to fifty-nine (59) and then ended up being almost
4 seventy (70) -- or sixty-nine (69) -- or seventy thousand
5 (70,000).

6 Collision, same thing happened there. We saw
7 an increase. The comprehensive jumped up dramatically.
8 You'll see it went from forty-eight thousand (48,000) to
9 seventy-nine thousand (79,000), so those are the types of
10 things that are -- come into these numbers.

11 MR. WALTER SARANCHUK: And without meaning to
12 be facetious, for 2002/2003 looking at the results, were you
13 wrong again?

14 MR. BARRY GALENZOSKI: No, not too bad. We
15 were -- we were within six thousand (6,000) when you look at
16 the revised numbers, so I would say that's -- that's pretty
17 reasonable. Would you agree?

18 MR. WALTER SARANCHUK: I'm looking at the
19 projected to the actual.

20 MR. BARRY GALENZOSKI: But the projection,
21 remember, was done two (2) years before that time so, you
22 know, I think we have to -- we have to give some -- some
23 weight here to the fact that this was some time ago before
24 that those were -- were presented compared to the actual year
25 occurring.

1 (BRIEF PAUSE)

2

3

4 MR. WALTER SARANCHUK: We, of course, are
5 dealing with a -- a situation where the last actual results
6 are for the 2003/2004 year and the results are two (2) years
7 out given the current forecast for this year.

8

9 Does that cause -- or should that cause this
10 Board some concern?

11

12 MR. BARRY GALENZOSKI: Well, you know, I --
13 the other thing I think we should note here is that we're
14 talking about covers not claims and so there can be
15 significant variance just on the -- you know, like, we didn't
16 see, you know, at any year, sixty-thousand (60,000) PIPP
17 claims, for instance. Okay?

18

19 We were talking fifteen thousand (15,000)
20 claims -- that we were talking about, so when you -- when you
21 take it to a finer granular amount, you can expect to see
22 more variance in these numbers.

23

24 It really comes down to, I wouldn't be so --
25 so concerned about these numbers and more concerned about the
26 claims incurred numbers themselves or the accidents that we
27 actually -- or the claims that we actually had in the
28 Corporation. This is at the cover level so there's going to
29 be some variability on that side.

30

31 MR. WALTER SARANCHUK: And looking for the --

1 at the year 2003/'04, would you describe your performance as
2 not bad or your were wrong? Or somewhere in between?

3 MR. BARRY GALENZOSKI: Well, of course, it's
4 wrong. We know that it's -- it's not going to be right on,
5 but it's -- it's pretty good. You know, I would hesitate to
6 use, close enough for Government work, but it might be a good
7 application right here.

8 MR. WALTER SARANCHUK: Now, looking at
9 your -- performance on claims incurred, which I think you
10 indicated would be more telling, Table 3, of course, deals
11 with those and looking at 2001/'02, how would you describe
12 your performance in terms of the projected, the revised,
13 ending with the actual?

14 MR. BARRY GALENZOSKI: Well, you can see
15 that we changed a significant amount on the projected. We
16 started off overall at \$388.6 million, ended up actual
17 \$433.9 million, so obviously there was some major changes in
18 what we thought was going to happen.

19 When you look up on the chart you'll see PIPP
20 started out at \$140 million and ended up at \$182 million,
21 approximately. So, a major change right then and there.

22 And I believe this would have been the year
23 that the RIB was introduced, and so we would have seen, you
24 know, we weren't -- and when we did the projected numbers,
25 we weren't probably anticipating that RIB, the Retirement

1 Income Benefit was going to be added. And when you did
2 that, you had a substantial increase in reserves, because
3 RIB was provided to all claimants that existed at that point
4 in time.

5 And so you had to boost up the reserves quite
6 a bit. So there's usually an explanation as to why these
7 things happen. And I think you have to look behind it,
8 rather than just looking back at the numbers and saying,
9 well, that's a forecasting error.

10 I would suggest to you that that wouldn't be
11 considered a forecasting error in this situation.

12 MR. WALTER SARANCHUK: So how would you
13 describe your performance?

14 MR. BARRY GALENZOSKI: Well, you know, I
15 think we -- we ended up with something that wasn't totally
16 expected, when we looked at the projected, which was done
17 two (2) years prior to the actuals happening.

18 Again, I think we have to be flexible on
19 these things, and that's what the plan has demonstrated that
20 it has an ability to be over time. We have to react to what
21 we're presented with. It's -- it's impossible to come up
22 with a -- with an accurate forecast of exactly what type of
23 claim you're going to have, and how much each and every one
24 (1) of those claims is going to cost.

25 That's why we see the numbers change over the

1 many years, and we expect that in this business. It's one
2 (1) of the reasons why we need to have a rate stabilization
3 reserve behind us, because if things line up against you,
4 you can have a negative bottom line, compared to, you know,
5 having a better situation, or one (1) that we would hope
6 for, which is one (1) of break even.

7 MR. WALTER SARANCHUK: So using your
8 categories in 2001/02, were you wrong or not bad?

9 MR. BARRY GALENZOSKI: Well, considering
10 that we had to add substantial dollars on the PIPP because
11 of the new head of damage being the retirement income
12 benefit, I would say we probably weren't bad. We weren't
13 anticipating that when the original projections were done,
14 obviously.

15 MR. WALTER SARANCHUK: I wonder if you could
16 just explain what RIB entailed?

17 MR. BARRY GALENZOSKI: Well, what RIB
18 entails is it's a Retirement Income Benefit, in the original
19 plan when it was rolled out in '94, it had a method of -- of
20 taking people off of income replacement over a four (4) year
21 period, after they reached the age of sixty-five (65), for
22 most people. There was some extenuating circumstances on
23 that. And it reduced it by about 25 percent a year.

24 And what RIB did was it said, we're going to
25 -- instead of doing that, we're going to actually provide a

1 level of income replacement, not -- it would be at
2 approximately the same level that you had under the income
3 replacement, but it was stepped down by other income and
4 other benefits that you might have from other plans, so it
5 wasn't totally first party pay, like the income replacement
6 is.

7 Income replacement it doesn't matter if you
8 have contributions from other sources, like other insurance
9 recoveries that you might make.

10 In this particular case under RIB, it does
11 matter, and so there is a slightly different benefit, but it
12 -- to those that had no other particular type of income
13 replacement coverage, it meant that they had income going
14 into the retirement years, that they didn't have when the
15 plan was originally rolled out.

16 MR. WALTER SARANCHUK: And so just very
17 generally, what kind of an impact did it have on claims
18 costs?

19 MR. BARRY GALENZOSKI: I believe the impact
20 was about \$40 million impact that we had to recognize within
21 the one (1) year. Now I stand -- I could stand corrected on
22 that, you know, it's back a couple of years, but it was a
23 fairly substantial impact. There was a -- that had to be
24 recognized, because it didn't just apply to the claimants
25 for that particular year, it applied to all the claimants

1 back to March 1, '94.

2 MR. WALTER SARANCHUK: Yes, and so when you
3 look at the comparatives for the projected and the actual
4 for 2001/02, under PIPP, there is about a \$40 million
5 difference, as you've pointed out.

6 Looking at 2002/03, there is a difference of
7 some \$31 million on the PIPP side, and bottom line wise,
8 we're looking at a difference of approximately \$27 million
9 in your forecast.

10 I wonder if you could comment on those two
11 (2) lines please?

12 MR. BARRY GALENZOSKI: Well, I would believe
13 that the projected there would also have some impact because
14 of the RIB, that wouldn't have been fully accounted for,
15 because it was introduced in the previous year. So, there
16 would have been -- some of those numbers would have been
17 provided prior to that.

18 But the revised numbers, compared to the
19 actual are -- are much closer in -- they're within about \$11
20 million. And when you -- you know, so I -- I think that
21 there was -- there might have been some impact there,
22 although I'd have to go back and see where the changes
23 occurred.

24 MR. WALTER SARANCHUK: And in terms of the
25 bottom line? How would you describe your performance?

1 MR. BARRY GALENZOSKI: Again, overall, the
2 performance was reasonably good. We're talking a half a
3 billion dollars in total here and there was a change of some
4 -- some \$27 million if you go back to a two (2) year before
5 estimate.

6 MR. WALTER SARANCHUK: That's a new
7 category. Is that meaning, not bad?

8 MR. BARRY GALENZOSKI: I know I'm going to
9 pay for these things that I'm putting on the record and I
10 don't want to put too many there, because others will take
11 me up on that and I -- I you know, I give enough ammunition
12 throughout this whole process, so I'm going to let you
13 decide that.

14 MR. WALTER SARANCHUK: Or at least the
15 Board, anyway. Now, looking at 2003/'04, there again,
16 there's a significant discrepancy between the actual and the
17 projected on the PIPP line and the bottom line.

18 What is the reason there?

19 MR. BARRY GALENZOSKI: This was the year
20 that we experienced the increase in the number of brain
21 injuries that we talked about and so there was a fairly
22 significant impact on our -- on our actual numbers that we
23 put forward for the -- the PIPP. That wouldn't have been in
24 our projected numbers, obviously.

25 Our revised numbers did take that into

1 account, so we did see some change on -- on that side of it.
2 Overall, you're seeing a fairly significant change. There
3 was a fairly big increase on the collision side, again, that
4 would be driven mainly by the factors that we talked about
5 previously. The rest of them are fairly close to the
6 estimates that were provided.

7 MR. WALTER SARANCHUK: Reasonably good, not
8 bad or wrong?

9 MR. BARRY GALENZOSKI: I'm not judging any
10 longer, I'm going to leave that up to you and the Board.

11 MR. WALTER SARANCHUK: In terms of the
12 performance over the last three (3) fiscal years, it would
13 appear that there's this persistent under-projection,
14 particularly in the PIPP claims.

15 Now you explained those, but in aggregate,
16 is there evidence here of some systemic bias?

17 MR. BARRY GALENZOSKI: Well, I would -- I
18 don't know if I'd call it systemic bias. I think this is --
19 again, there's a -- there's a lot of activity and volatility
20 in our claims numbers, mainly because of things that are not
21 necessarily driven by factors that we control, whether on --
22 the physical damage side enters into it in a big way.
23 Whether that's a hailstorm, whether that's a -- just bad
24 driving conditions and increase in the number of -- of
25 accidents that we're seeing.

1 We saw some situations occurring last year
2 where we had an increase in the frequency of brain injuries
3 that were significantly more than what we saw in prior years
4 and we've taken that out of -- out of the numbers for the
5 going forward period, so we expect to see some -- some
6 differences in the numbers, you know, and that's part and
7 parcel of what we -- what we're -- we're trying to forecast.

8 In those numbers -- the -- the years that
9 we've looked at, from our projected numbers to our actual
10 numbers, there were some significant reasons why there was
11 differences. We provided some of those. There, hopefully,
12 won't be that going forward.

13 You'll see there's a fairly -- a fairly close
14 relationship between the projected and the revised for
15 '04/05, which is the -- the year that we're currently in and
16 the projected year going forward is based on all those
17 numbers together.

18 MR. WALTER SARANCHUK: Thank you, sir. Mr.
19 Chairman, it might be a convenient spot to break for lunch.

20 THE CHAIRPERSON: Very good. We'll see you
21 back at 1:30 and again, there's no presentation.

22

23 --- Upon recessing at 11:07 p.m.

24 --- Upon resuming at 1:30 p.m.

25

1 THE CHAIRPERSON: Mr. Saranchuk...?

2 MR. WALTER SARANCHUK: Thank you, sir.

3 MR. BYRON WILLIAMS: Excuse me, Mr.

4 Saranchuk. Mr. Chairman, if I might.

5 Just -- I was half listening, I'm always
6 listening attentively, but in terms -- there was a discussion
7 this morning in terms of a report prepared for MPI from
8 Mercers, and there was some discussion about whether there
9 was commercial sensitivity around that report.

10 And I don't think the document's of particular
11 interest to my clients, but I guess just as a matter of -- of
12 practice, I know my clients have asked me to put this on --
13 on the record, that they are sensitive to issues of when
14 requests for confidentiality are made, and they think that
15 those -- in terms of granting confidentiality, that those
16 should not be lightly granted.

17 And it's -- their concerns are for the
18 transparency of the process, and also to make sure that they
19 have the best information upon which to advise the Board.

20 So, in the event that Manitoba Public
21 Insurance does take the position that this is commercially
22 sensitive, it would be helpful for them to -- in submitting
23 the material, if they choose to in confidence to the Board,
24 to set out the basis for their claim of confidentiality, and
25 hopefully provide at least an abridged version for -- so my

1 clients can review it.

2 And so that's just a recommendation from my
3 clients. We're not raising an objection, we're just raising
4 a -- a potential concern.

5 THE CHAIRPERSON: Thank you, Mr. Williams.
6 We understand your concern, and we don't take the matter of
7 confidentiality any less seriously than you do.

8 On the other hand, we want to ensure that we
9 have sufficient information to be able to reach a -- a
10 judgment, so we'll -- we'll think more on your thoughts and
11 see what we get from the Corporation.

12 MR. BYRON WILLIAMS: Yes, sir.

13 MR. WALTER SARANCHUK: Mr. McCulloch has a
14 few comments to make initially.

15 MR. KEVIN McCULLOCH: Yes, Mr. Chairman, and
16 I might just follow up on -- on what Mr. Williams just said.
17 The concern that was expressed by the Witness this morning,
18 was that without checking the document and without checking
19 the consulting agreement, we didn't know whether there may be
20 elements of the process which Mercer had proprietary interest
21 in, that -- that couldn't be disclosed without their consent.

22 I don't believe, and I'll -- we will be
23 reviewing the report later today or tomorrow. The concern
24 was not with the recommendations or the results of the
25 report, but rather the process which -- which may be

1 proprietary to Mercers. And we'll certainly address that if
2 we're not in a position to release the entire report, to all
3 of the Intervenors.

4 THE CHAIRPERSON: Thank you, Mr. McCulloch.
5 Mr. Saranchuk...?

6 MR. KEVIN McCULLOCH: I do have two (2) other
7 items to file -- deal with filings, Mr. Chairman.

8 The first has to do with a discussion of
9 credibility that was contained in the expert opinion and pre-
10 filed evidence filed by CMMG. As I indicated when the
11 Corporation was asked its position on the acceptance of this
12 material, I indicated that the Corporation would reserve its
13 right to either file information requests or evidence by way
14 of rebuttal in response to that report.

15 What has been prepared on one of the two (2)
16 issues, the discussion of credibility, we prepared the
17 Applicants response on that issue and I would ask that this
18 be accepted as an exhibit MPI Exhibit Number 5, I believe,
19 and have it treated as evidence by Ms. McLaren.

20 I would also propose rather than have her read
21 the four (4) page discussion into the record, that it be
22 accepted as pre-filed rebuttal evidence from Ms. McLaren.

23 THE CHAIRPERSON: Are you going to distribute
24 that now?

25

1 MR. KEVIN MCCULLOCH: Yes.

2 THE CHAIRPERSON: Okay.

3

4 --- EXHIBIT NO. MPI-5: Evidence by Ms. Marilyn McLaren
5 Response to discussion of
6 credibility.

7

8 MR. KEVIN MCCULLOCH: And while that's being
9 distributed, the second item is the Response to CAC/MSOS/Pre-
10 Ask 1 and Pre-Ask 2 and Pre-Ask 3. So, all three Pre-asks
11 filed by CAC/MSOS, we're in position to file those at this
12 time as well.

13 THE CHAIRPERSON: All of this is fine. Do
14 you have anything else, Mr. McCulloch?

15 MR. KEVIN MCCULLOCH: No, Mr. Chairman,
16 that's it.

17 THE CHAIRPERSON: Mr. McCulloch promises.
18 Mr. Saranchuk, your turn.

19 MR. WALTER SARANCHUK: Yes, thank you, sir.
20 We're just getting our papers in order here on latest -- in
21 view of the latest filings. Just bear with us one moment,
22 please.

23

(BRIEF PAUSE)

24

25 MR. WALTER SARANCHUK: So, I'm assuming Mr.

1 Chairman, with Mr. Williams concurrence we can have the
2 responses to these pre-asks marked as Exhibits CAC/MSOS-MPI-
3 3, 4 and 5 respectively; is that correct?

4 MR. BYRON WILLIAMS: That's fine with me.
5 I'm not the expert on marking exhibits.

6 MR. WALTER SARANCHUK: Well, it's just that
7 we have --

8 THE CHAIRPERSON: I think -- I think we agree
9 on the numbers.

10 MR. WALTER SARANCHUK: Yes, thank you.

11 THE CHAIRPERSON: Subject to check as they
12 say.

13

14 --- EXHIBIT NO. CAC/MSOS-MPI-3.1:

15 Response to Pre-Ask 1.

16

17 --- EXHIBIT NO. CAC/MSOS-MPI-3.2:

18 Response to Pre-Ask 2.

19

20 --- EXHIBIT NO. CAC/MSOS-MPI-3.3:

21 Response to Pre-Ask 3.

22

23 MR. WALTER SARANCHUK: Sorry, Mr. Chairman,
24 I'm advised -- I was looking at an old version of the exhibit
25 list so that indeed the exhibit number has already been

1 assigned so that this is CAC/MSOS Exhibit 3.1 through to 3.
2 So, it's Exhibit 3.1, Exhibit 3.2 and Exhibit 3.3.

3 THE CHAIRPERSON: Very good.

4

5

(BRIEF PAUSE)

6

7 CONTINUED BY MR. WALTER SARANCHUK:

8 MR. WALTER SARANCHUK: Now, continuing with
9 cross-examination, relative to claims forecasting, I would
10 draw your attention to PUB/MPI-1-11, that's Question Number
11 11 by the Public Utilities Board in the 1st Round, and this
12 is not in the Book of Documents.

13 And in particular, draw your attention to the
14 attachment, which appears immediately after the first four
15 (4) pages of the Response. And dealing with Part A, I wonder
16 if you could provide a brief explanation of the information
17 presented in the attachment, Mr. Galenzoski?

18

19

(BRIEF PAUSE)

20

21

22 MR. BARRY GALENZOSKI: Yes, just clarifying a
23 couple of things here. The -- the chart is set up to show by
24 -- by fiscal year and by injury type or claim type, bodily
25 injury, for instance, '04/05, we'll look at that first. It
shows the three (3) different methods of forecasting, and in

1 frequency is shown with the minus four point six-five (4.65),
2 that's compared to the previous year. Severity up 15.49
3 percent, and loss costs 10.12 percent.

4 So, that is shown for each of the various
5 types of claim heads of damage that we have.

6 MR. WALTER SARANCHUK: So, is it appropriate
7 to interpret the information presented for 2005/'06 in each
8 case, as representing movement from an expected level for
9 2004/'05 to an expected level for 2005/'06?

10 MR. BARRY GALENZOSKI: Yes.

11 MR. WALTER SARANCHUK: And focussing on the
12 loss cost trends, how should the Board interpret any
13 significant differences between the financial forecast
14 selections, on which the proposed rates are based, and the
15 comparable fitted exponential trends?

16 For example, can you comment on the bodily
17 injury at 4.14 percent, versus 7.5 percent, under the
18 exponential trend and for accident benefits weekly indemnity,
19 4.5 percent versus 6.5 percent under the exponential trend
20 and under collision, 5.52 percent versus the 4.2 percent
21 under the exponential trend and finally comprehensive, 6.19
22 percent compared to the 8.25 percent under the exponential
23 trend?

24

25

(BRIEF PAUSE)

1 MR. BARRY GALENZOSKI: The -- the linear and
2 exponential trends are -- are based on fitted data trend
3 lines that we're seeing in the -- in the data that's
4 presented, compared to the financial forecast approach, which
5 is basically using the financial forecast effort that we have
6 put together on -- on the corporate basis. So, that's just
7 showing the expected growth, year over year.

8

9 (BRIEF PAUSE)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. WALTER SARANCHUK: So, what are the
additional considerations that are taken into account in the
financial forecast, that are not in -- within the exponential
trend considerations?

MR. BARRY GALENZOSKI: The -- the main one
(1) on the financial forecast approach is the field expertise
that I explained earlier that is brought to the table, so if
you take a look for instance at the collision side, there you
have people that -- that work in this line of business that
have a clear understanding or an intimate understanding of
the things that drive the costs associated with collision
claims, not only the -- the number of claims, but the
severity of those claims and the factors that would drive the
costs associated with those claims?

MR. WALTER SARANCHUK: And so, ultimately

1 it's -- there's that element of management judgment?

2 MR. BARRY GALENZOSKI: There's -- there's I
3 guess judgment in all of them, but in this case it would be
4 the judgment brought about by the level of expertise from the
5 people that work in those areas.

6 MR. WALTER SARANCHUK: Does that apply to
7 each coverage?

8 MR. BARRY GALENZOSKI: Yes, it would.

9 MR. WALTER SARANCHUK: Now, turning to Part
10 C, namely the next page, the table there, which was in
11 response to Part C of Question Number 11 by the Public
12 Utilities Board of the Corporation in the 1st Round.

13 Can you provide an explanation of the
14 information presented in that attachment, sir?

15 For example, I'm advised that it reflects the
16 actual experienced year over year changes in frequency,
17 severity and loss costs?

18 MR. BARRY GALENZOSKI: Yes, so that's just
19 giving the historical values for -- for instance, if you look
20 at bodily injury, it's telling you under each of those three
21 (3) methodologies, what the historical differences were, with
22 respect to year over year change.

23 MR. WALTER SARANCHUK: And does it reflect
24 the difficulty in the forecasting of the results?

25 MR. BARRY GALENZOSKI: Well, I believe it

1 does, because if you look for instance at the financial
2 forecast approach for bodily injury, you'll see that there's
3 -- it jumps around a fair bit. In '96/97 it was minus
4 twenty-five point nine (25.9) and then plus twenty-nine
5 point-o-eight (29.08) for '97/98 under frequency. And
6 severity has moved minus six (6) to minus 30 percent. So,
7 you'll see some different -- it does demonstrate the
8 difficulty of estimating.

9

10 (BRIEF PAUSE)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. WALTER SARANCHUK: So, looking at the
focus -- or again, just focussing on the loss cost trends,
how should the Board interpret the selected financial
forecast trend for accident benefits weekly indemnity from
Attachment A at 4.51 percent, compared to the recent history
shown in Part C, with the decline from 11.6 percent to 2.46
percent over the last six (6) years?

(BRIEF PAUSE)

MR. BARRY GALENZOSKI: I think if you're
looking at the Chart C -- Part C here, you're seeing that
there is some -- some volatility with the numbers, however,
if you would average them out over a -- a number of years, it

1 would probably come out to around that 4 percent that's shown
2 on the previous schedule.

3 MR. WALTER SARANCHUK: So the declining --
4 the trend to -- the decline that is shown in Part C for
5 weekly indemnity, is not expected to continue?

6 MR. BARRY GALENZOSKI: No, this is just
7 demonstrating the change year over year.

8 MR. WALTER SARANCHUK: Which has declined
9 from 11.16 percent through to 2.46 percent?

10 MR. BARRY GALENZOSKI: Right, but it is a --
11 you know, it's showing a decline, but it's -- it's -- it's
12 year-over-year decline. It's not just one (1) big decline.

13 MR. WALTER SARANCHUK: So, in the end result,
14 you're not expecting it to continue?

15 MR. BARRY GALENZOSKI: That's right.

16 MR. WALTER SARANCHUK: And for Accident
17 Benefits, Other, there's a selection of 4.13 percent in Tab A
18 versus a recent history ranging from 2.65 percent to 10.62
19 percent over four (4) years, averaging 7.6 percent; is that
20 correct?

21 MR. BARRY GALENZOSKI: Subject to check, yes.

22 MR. WALTER SARANCHUK: And for Comprehensive,
23 there was an original selection of 6.19 percent on Tab --
24 Part A, versus a recent history ranging from minus 36.1
25 percent to plus 60 percent -- 60.28 percent over five (5)

1 years, averaging 12.4 percent. This is for Comprehensive.

2 MR. BARRY GALENZOSKI: Yes, that's correct.

3 MR. WALTER SARANCHUK: Okay.

4

5

(BRIEF PAUSE)

6

7

8 MR. WALTER SARANCHUK: Given that kind of a
9 history under Comprehensive, what can you tell the Board in
10 terms of its -- placing reliance on the 6.19 percent in Part
11 A?

12

13 MR. BARRY GALENZOSKI: I think you have to
14 understand what underlies the numbers and when you look at
15 the historical numbers shown on Part C, you'll see that in
16 '01/'02 there was a 60.28 percent change and that would have
17 been reflective of the change in deductible on the glass
18 claims so we saw a lot more glass claims and then there was
19 also the hailstorm in '01.

20

21 And the -- also, if you -- if you also take a
22 look at '96/'97, we had a hailstorm so there they're showing
23 a 96.24 percent. There were twenty-four thousand (24,000)
24 hail claims come in that year.

25

26 MR. WALTER SARANCHUK: Well, what happened in
27 '02/'03 showing a minus thirty-six point one (36.1)?

28

29 MR. BARRY GALENZOSKI: Right, well that --
30 year over year comparison and so if you have the big

1 increase, you're bound to see the decrease in the following
2 year. You'll notice the same thing happened in '97/'98. In
3 '96/'97 it was 96.24 percent increase, the following year,
4 minus fifty-four point two one (54.21).

5 MR. WALTER SARANCHUK: So, in dealing with
6 the exponential trend shown in Part A, how do you deal with
7 losses such as hailstorms?

8 MR. BARRY GALENZOSKI: Well, we don't -- we
9 don't budget for -- we're not budgeting for hail loss on an
10 ongoing basis so we smooth out any of the actual occurrences
11 that we've seen over our history.

12 MR. WALTER SARANCHUK: Thank you, Mr.
13 Galenzoski.

14 I'll now be proceeding with the --

15 MS. DENYSE COTE: Walter, before --

16 MR. WALTER SARANCHUK: Sorry.

17 MS. DENYSE COTE: -- perhaps before you leave
18 that table, in the weekly indemnity of financial forecast
19 approach, you had said one (1) of the reasons that there was
20 such a big difference -- I think it was 2000/2001 was because
21 of the introduction of RIB. Wouldn't we see it in these --
22 in these percentages? Wouldn't it show up there, too?

23

24

(BRIEF PAUSE)

25

1 MR. BARRY GALENZOSKI: The impact is spread
2 for that particular situation. You're seeing each of the
3 years shown as separately. So, when we actually had to have
4 the big boost in the claims provisions because of the RIB
5 benefit coming in it would have been spread back to the years
6 where the claims actually occurred and not just show up in
7 the one year.

8 MR. WALTER SARANCHUK: Yes, I'll now proceed
9 with an entirely different topic and that is the rate
10 stabilization reserve or the RSR. And I'll be dealing with
11 TI-16, TI-17 primarily. That's at Tabs 5 and 6 in the Book
12 of Documents. And that of course is with respect to the RSR
13 schedules there.

14 Before we get to those, just by way of
15 background, in the annual report of the Corporation overall
16 at page 35, this is filed at AI-10 in Volume III, Part 2, the
17 stated purpose of the RSR is, quote:

18 "The basic insurance RSR relates to the
19 compulsory automobile insurance and is
20 intended to protect motorists from rate
21 increases made necessary by unexpected
22 events and losses arising from non-
23 recurring events or factors." End of
24 quote.

25 Is that correct, Mr. Galnzoski?

1 MR. BARRY GALENZOSKI: Yes, that's correct.

2 MR. WALTER SARANCHUK: And can you confirm
3 that there's been no change in the purpose of the RSR over
4 the years?

5 MR. BARRY GALENZOSKI: I can confirm that.

6 MR. WALTER SARANCHUK: And in it's Order
7 179/'01, the Board reaffirmed its target for the RSR at a
8 range of 50 million to \$80 million?

9 MR. BARRY GALENZOSKI: I'll accept that.

10 MR. WALTER SARANCHUK: That is the Public
11 Utilities Board did?

12 MR. BARRY GALENZOSKI: Yes, I accept that.

13 MR. WALTER SARANCHUK: And the corporation's
14 RSR target range of course is 80 million to \$100 million?

15 MR. BARRY GALENZOSKI: Yes, that's correct.

16 MR. WALTER SARANCHUK: At Tab 5, namely TI-
17 16, at the end of 2003/'04, the RSR is \$42.7 million after a
18 net income of \$3.35 million and a transfer of \$4 billion from
19 SRE; is that correct?

20 MR. BARRY GALENZOSKI: Yes, that's correct.

21 MR. WALTER SARANCHUK: And with the current
22 application 2004/'05, the RSR is forecast to be \$67.4 million
23 taking into account a \$9.3 million loss, a \$29.6 billion
24 transfer from RS -- sorry, SRE and a transfer of \$4.5 million
25 from extension; is that correct?

1 MR. BARRY GALENZOSKI: That's correct.

2 MR. WALTER SARANCHUK: And that forecasted
3 amount is the figure of sixty-seven thousand three hundred
4 and fifty-nine (67,359)-- sixty-seven million three hundred
5 and fifty-nine thousand dollars (\$67,359,000) at the end of
6 this current year. And you would agree that that's within
7 the PUB's range of fifty (50) to \$80 million but under the
8 Corporation's range of eighty (80) to \$100 million?

9 MR. BARRY GALENZOSKI: Yes, I would.

10 MR. WALTER SARANCHUK: Now, in response to a
11 question by CAC/MSOS Number 24 on the 2nd Round of
12 interrogatories, the Corporation filed a DCAT or Dynamic
13 Capital Adequacy Test, report if you will, and I wonder if
14 you'd just refer to that briefly, please.

15 This is the Corporation's response to
16 CAC/MSOS/MPI-2-24 and it's not in the Book of Documents.

17

18 (BRIEF PAUSE)

19

20 MR. BARRY GALENZOSKI: I have that.

21

22 (BRIEF PAUSE)

23

24 MR. WALTER SARANCHUK: Now, at the outset, I
25 wonder, sir, if you'd be good enough to read in the

1 Corporation's Response to that particular Interrogatory by
2 CAC/MSOS Question Number 24 in the 2nd Round of Irs or
3 Interrogatories; the question being:

4 "How does MPI determine that there is no
5 change to the Company's risk exposure,
6 and there is no need to update the risk
7 analysis?"

8 MR. BARRY GALENZOSKI: The Response to
9 CAC/MSOS/MPI-2-24:

10 "Please refer to the transcript for the
11 2004 MPI General Rate Application, page
12 375, lines 16 to 19, where it is
13 indicated by Mr. Zacharias, that the
14 Corporation did not intend to update the
15 Risk Analysis Report. In its place, the
16 Corporation uses the Dynamic Capital
17 Adequacy Test, DCAT, to assess risk. The
18 basic DCAT report for the last fiscal year
19 was filed just prior to the start of the
20 2004/'05 Hearings.

21 The report for the current fiscal year
22 is just being completed by the
23 Corporation's external actuary, and will
24 be made available prior to the beginning of
25 the 2005/'06 Hearings."

1 MR. WALTER SARANCHUK: Thank you. I wonder
2 if you would turn to page 8 of the actual report that was
3 filed as an attachment there -- subsequently filed and the
4 reference to the principle goal of DCAT as shown at the
5 beginning of the second paragraph, where it's indicated as
6 follows, quote:

7 "The principle goal of DCAT is to help
8 measure capital adequacy, by arming the
9 Company with the best information on
10 courses of events that may lead to
11 capital depletion, and the relative
12 effectiveness of alternative corrective
13 actions." End of quote.

14

15 (BRIEF PAUSE)

16

17 MR. WALTER SARANCHUK: Now, with reference to
18 that, I wonder if you would take a look at the minimum
19 capital test aspect of the report, mainly a risk, as I
20 understand it, the MCT or Minimum Capital Test being a risk
21 based measure of financial strength, and can you confirm that
22 the Federal Regulatory Minimum Capital Test ratio is a 150
23 percent; that is the capital available over the capital
24 required?

25

MR. BARRY GALENZOSKI: That's a 150 -- that's

1 the OSSFI score, that's the Office of the Superintendent of a
2 Financial Institution score that requires insurance companies
3 -- P&C insurance companies to have a minimum of a 150 percent
4 of the Minimum Capital Test, that's determined through the
5 actuarial process, as their requirement to stay in business.

6 MR. WALTER SARANCHUK: And the reference to
7 Minimum Capital Test is at page 22 of the report, where it's
8 stated in the first sentence that the, quote:

9 "The Minimum Capital Test or MCT is a
10 measure of financial strength that was
11 officially implemented by Canadian
12 Insurance Regulators and insurance
13 companies on January 1, 2003. The MCT
14 has two (2) major components, the amount
15 of capital available and the amount of
16 capital required." End of quote.

17

18

(BRIEF PAUSE)

19

20

MR. WALTER SARANCHUK: Thereafter it's:

21

"There's reference to the fact that the
22 Federal insurance regulator --"

22

23

And I take it that's OSSFI:

24

-- has indicated that although companies
25 should have a ratio greater than 100

25

1 percent, they will expect companies to
2 achieve an MCT result of at least a 150
3 percent at all times. And therefore the
4 achievement of a 100 percent margin on
5 the MCT will generally be regarded as a
6 minimum level of capitalization."

7 MR. BARRY GALENZOSKI: Just one (1)
8 correction. I think you said 100 percent and they're saying
9 150 percent.

10 MR. WALTER SARANCHUK: Yes, I thought I said
11 that, quote:

12 "The Federal Insurance Regulators indicated
13 that although companies should have a ratio
14 greater than 100 percent, they will expect
15 companies to achieve an MCT result of at
16 least 150 percent at all times." End of
17 quote.

18 That's what you're referring to, sir?

19 MR. BARRY GALENZOSKI: No, the next line you
20 read in.

21 MR. WALTER SARANCHUK: It reads as follows:
22 "Therefore achieving a 150 percent margin
23 on the MCT will generally be regarded as a
24 minimum level of capitalization." End of
25 quote.

1 Is that what you're referring to?

2 MR. BARRY GALENZOSKI: Yes, that was it.

3 MR. WALTER SARANCHUK: Okay. Thank you.

4 Now, how relevant is this DCAT report insofar as the MPI as a
5 Crown Corporation monopoly goes?

6 MR. BARRY GALENZOSKI: Well, we think it's
7 relevant from the term -- from the point of measuring risk,
8 that the Corporation faces, it would be used directionally to
9 provide us with information as to the level of RSR that we
10 could potentially have for the future.

11 MR. WALTER SARANCHUK: What about the
12 relevance of the MCT or Minimum Capital Test for the
13 Corporation?

14 MR. BARRY GALENZOSKI: Well, it's part of
15 the DCAT process -- an integral part, by the way -- so we
16 think it's a very important component of DCAT and allows a --
17 a systematic way of looking at the Corporation and
18 determining the various scenarios that are used by the
19 actuary to come up with the DCAT analysis and therefore
20 measure of risk in the Corporation.

21 MR. WALTER SARANCHUK: I guess the question
22 is whether or not the 150 percent level is relevant to MPI.

23 MR. BARRY GALENZOSKI: No, we don't believe
24 that the 150 percent is relevant to MPI. We believe that
25 we're going to settle for a number that's somewhat below

1 that, but it does provide us with a way of measuring risk in
2 the Corporation similar to what other companies in our
3 situation are doing and it is sanctioned by the Federal
4 Regulator and we therefore think it's far superior to the
5 homegrown method that we had in place previous to this.

6 MR. WALTER SARANCHUK: Yes, and in light of
7 those last few answers, sir, I would refer you to page 2 of
8 the report, namely the Executive Summary in the last
9 paragraph, the penultimate sentence which says, quote:

10 "Because MPI can establish MPI basic
11 premium levels subject to PUB approval, in
12 essentially a monopoly situation, the
13 levels of RSR that OSSFI tests require are
14 not necessarily appropriate for MPI basic."
15 End of quote.

16 Can you comment on that?

17 MR. BARRY GALENZOSKI: Certainly. I -- we
18 agree with that. We believe that it isn't necessary to be at
19 the -- the MCT minimum levels -- that's 150 percent or
20 necessarily even at the 100 percent level. So, I -- I would
21 suggest -- I would not only suggest, but I do agree with this
22 statement.

23 MR. WALTER SARANCHUK: And in terms of the
24 scope of the DCAT process, mainly the development of a base
25 scenario based on MPI's business plan and secondly a testing

1 of several plausible adverse scenarios and their impact on
2 the RSR, can you confirm that the scenarios include
3 consideration of transfers to the RSR from extension and SRE?

4 MR. BARRY GALENZOSKI: Yes, that's built into
5 our business plan and -- to the extent that it's built into
6 the business plan, it considers that.

7 MR. WALTER SARANCHUK: And does it also
8 consider the question of re-insurance?

9 MR. BARRY GALENZOSKI: Yes, it considers re-
10 insurance.

11 MR. WALTER SARANCHUK: And can you confirm
12 that the base scenario does not exactly correspond with the
13 current Application before the Board?

14 MR. BARRY GALENZOSKI: Well, I guess you'd
15 have to tell me where you think it doesn't confirm.

16 MR. WALTER SARANCHUK: Well, are the -- are
17 the differences in the net income levels, for example,
18 important to understanding and interpreting the -- the
19 conclusions drawn? And I'm referred to page 7 of the report,
20 for example.

21 MR. BARRY GALENZOSKI: Page 7 is the table.
22 It shows results in millions of dollars. Yeah, those are --
23 those parts of that are going to -- you know, this is the
24 business plan that they were looking at, and you're going to
25 see there's going to be deviation from that.

1 Just as there -- for instance, were projecting
2 that there's a deviation from the contribution from the
3 extension and SRE lines of business, that are going to help
4 increase the level of RSR for the current fiscal year.

5 So, there's always going to be some level of
6 change, this report actually contemplates much more radical
7 levels of change, and -- and stress tests the -- the risk
8 analysis with respect to our ability to deal with that.

9 MR. WALTER SARANCHUK: Just comparing the
10 table on page 7, to TI-16 at Tab 5, and the RSR projected
11 balance at the end of the current -- the current insurance
12 year, namely as at February 2005, the DCAT refers to a
13 balance of \$56 million, while the forecast in TI-16 is some
14 \$11 million over and above that.

15 MR. BARRY GALENZOSKI: I would suggest to you
16 that that wouldn't be a material factor.

17 MR. WALTER SARANCHUK: Yes, thank you, sir.
18 Now, in terms of the conclusion of the DCAT Report...

19

20

(BRIEF PAUSE)

21

22 MR. WALTER SARANCHUK: Namely on page 2 in
23 the Executive Summary, in the second last paragraph, the last
24 sentence there states, quote:

25

"Consequently, we have concluded that the

1 future financial condition of MPI Basic is
2 not satisfactory."

3 End of quote.

4 At page 3 in particular, in terms of a
5 definition of satisfactory financial condition, under each
6 plausible adverse scenario, it's indicated:

7 "The RSR can be reasonably restored to a
8 minimum target level within five (5)
9 years."

10 Can you confirm that the target level
11 reference there is the Public Utilities Board \$50 million
12 minimum level?

13 MR. BARRY GALENZOSKI: Yes, I don't believe
14 that that's the Public Utility Board's target level, I
15 believe that's the Corporation's target level of 80 to 100
16 million.

17
18 (BRIEF PAUSE)

19
20 MR. WALTER SARANCHUK: And I'm just referred
21 to page 2, the last sentence of the Executive Summary in that
22 page where it states, quote:

23 "Nevertheless, they show the current \$50
24 million target for RSR is well below
25 industry norms."

1 End of quote.

2 So that's one (1) of several references to the
3 target level, and that we're -- I'm suggesting to you that
4 that is the target level that's referred to, or referenced on
5 page 3.

6 Could you look into that a little more
7 closely?

8 MR. BARRY GALENZOSKI: Yes, we'll take a look
9 at that, but I believe that this is a comment on the \$50
10 million -- or \$50 million target set by the Public Utility
11 Board and not the Corporation's \$80 to \$100 million target.
12 So that it's more of an editorial comment on that particular
13 target, I believe.

14 But subject to check, I will come back and
15 we'll confirm that.

16 MR. WALTER SARANCHUK: Thank you.

17

18 (BRIEF PAUSE)

19

20 MR. WALTER SARANCHUK: And the definition of
21 satisfactory financial condition, as referenced on page 3,
22 differs from that used with Federally registered private
23 insurers with less focus on solvency for MPI's DCAT, is that
24 correct?

25 MR. BARRY GALENZOSKI: Yes, it's because it's

1 at a much lower level, it obviously would be in that
2 situation.

3 MR. WALTER SARANCHUK: Does the DCAT Report
4 reach a conclusion about an appropriate target RSR level?

5 MR. BARRY GALENZOSKI: That's not requested
6 of the DCAT Report that we currently have, but I'm not -- I
7 don't believe that this one made any recommendations
8 regarding DCAT level or RSR level either.

9 MR. WALTER SARANCHUK: And in terms of a
10 reference to industry norms, is that a factor that would have
11 any relevance to a Crown corporation monopoly?

12 MR. BARRY GALENZOSKI: We don't believe it
13 would. It's of interest just to know where others are.
14 They're suggesting that there are 214 percent of the MCT
15 rather than at the 150 which is the minimum so the 214 is
16 where most companies are operating at. Some would be higher,
17 some would be lower but we do not believe that that's
18 applicable to MPI.

19 MR. WALTER SARANCHUK: And what conclusions
20 do you suggest that the Public Utilities Board draw about the
21 target RSR levels from this report?

22 MR. BARRY GALENZOSKI: I think the reasonable
23 conclusions that can be taken from this is that 50 million is
24 probably not enough and that there has to be another number
25 that we come up with that's somewhat higher. But that we

1 don't need to go to the minimum MCT.

2

3

(LONG PAUSE)

4

5

MR. WALTER SARANCHUK: So now, Mr. Galenzoski, in a final analysis, does MPI feel that there is a need for an updated risk analysis so as to benchmark the findings of the DCAT report?

9

MR. BARRY GALENZOSKI: No, we do not believe that the risk analysis is something that's appropriate to MPI. We haven't done it for at least three (3) years and would not have the information to -- I wouldn't propose doing it again quite frankly.

We believe that we'll use the DCAT analysis as an indicator of where we should be going with RSR and then have a subsequent discussion at what level that should be added in future years.

MR. WALTER SARANCHUK: And what -- to what extent of -- what is the extent of the reliance on the DCAT process and MPI setting up its target RSR level from \$80 million to \$100 million.

MR. BARRY GALENZOSKI: So far we're using it as information just for our Board to understand the level of risk that is out there with respect to rate stabilization reserve requirements for the basic line of insurance.

1 MR. WALTER SARANCHUK: So at 150 percent,
2 that's too high. Is there a target percentage that MPI
3 utilizes?

4 MR. BARRY GALENZOSKI: Not yet. We're not
5 going to meet the minimum requirement that we have
6 established and we're not going to exceed the maximum
7 established by the Public Utility Board. If our financial
8 projections are correct, by the end of the fiscal year that's
9 in question for this application. So we're not proposing any
10 change to the RSR target for the coming year.

11 We have -- our Board has agreed that it should
12 stay in place until at least February of '06 and as a result
13 assuming that all of our financials turn out the way we
14 expect they are, then we'll probably be proposing something.
15 A different target for the year following.

16 MR. WALTER SARANCHUK: So has the corporation
17 adopted the minimum capital test as a basis for setting its
18 range?

19 MR. BARRY GALENZOSKI: No it has not.

20 MR. WALTER SARANCHUK: I'd now like to refer
21 to the rebuilding of the RSR, Rate Stabilization Reserve, by
22 transfers from the special risk extension or SRE and
23 extension transfers. And this is referred to at Tab 31 and
24 32 in the Book of Documents, namely the Public Utilities
25 Board Interrogatories Number 1 and 2 on the 2nd Round.

1 (BRIEF PAUSE)

2
3 MR. WALTER SARANCHUK: Now, the Corporation
4 has undertaken to implement transfers from its competitive
5 lines, that are in excess of approved targets, to rebuild the
6 RSR, is that correct, Mr. Galenzoski?

7 MR. BARRY GALENZOSKI: Yes.

8 MR. WALTER SARANCHUK: And at SM-8.2, in
9 Volume I of the Application, there is reference to that as
10 essentially being the RSR Rebuilding Plan, of the
11 Corporation.

12 Is that correct?

13 MR. BARRY GALENZOSKI: Yes, that is.

14 MR. WALTER SARANCHUK: And in the Annual
15 Report, Note 14, this is an AI-10 at page 42, I don't know if
16 you need to refer to it, but it indicates that annually on
17 March 1st, the Corporation will transfer to the basic RSR,
18 retained earnings in excess of approved target levels
19 established to February 28th, 2005, as follows.

20 For the SRE, the retained earnings to be at
21 \$33 million. For extension, \$39 million. Is that correct?

22 MR. BARRY GALENZOSKI: Yes, that's correct.

23 MR. WALTER SARANCHUK: Now, in general terms,
24 just how does this mechanism work, this transfer as of March
25 1st?

1 MR. BARRY GALENZOSKI: Well, what happens is
2 that we complete our fiscal year, prepare our financial
3 statements. Those statements were audited, and once the
4 financial statements have been finalized through the audit
5 process and we've actually got a sign off on the audit
6 statement and we produce our Annual Report, then we're in a
7 position to declare the exact amount that we're over the
8 retained earning targets for each of the two (2) lines of
9 business that were referenced.

10 When that has occurred, even if it does
11 physically occur a month or two (2) after the year end, we in
12 effect provide the transfer of the excess funds to the basic,
13 giving them credit for the interest that would have been
14 earned on those funds, as though they had been transferred
15 effective March 1 of that fiscal year.

16 MR. WALTER SARANCHUK: Yes, and looking at
17 Tab 5, which is TI-16 again. Just -- you can confirm, I'm
18 assuming that SRE transferred over 25.1 million on March 1,
19 2004, and extension transferred over \$4.3 million to Basic,
20 as at that date, is that correct?

21 MR. BARRY GALENZOSKI: I've got slightly
22 different numbers, transfer from SRE, twenty-nine point six
23 (29.6) and then 4.3 million from extension.

24 MR. WALTER SARANCHUK: Yes, the numbers that
25 I have got were indicated on the financial statement, and I

1 think there was some explanation as to why there was the
2 difference. Perhaps you can just touch on that, sir?

3 MR. BARRY GALENZOSKI: Yes, we had a
4 discontinued line of operation, which was funded through the
5 SRE retained earnings, and we've wrapped that into the SRE
6 financial results, and as a result, those retained earnings
7 that were there for that run off, have now been wrapped back
8 into the SRE division, and as of now exceeded the target that
9 we'd established for SRE, that money was also transferred to
10 basic.

11

12

(BRIEF PAUSE)

13

14

15

16

MR. WALTER SARANCHUK: So, for 2004/2005, can
you confirm that the forecast balances, except for the impact
of net income is known?

17

MR. BARRY GALENZOSKI: That's correct.

18

19

20

21

22

MR. WALTER SARANCHUK: And looking at Tab 6,
and in particular the last page, for the build up, if you
will, of the RSR, through to the end of the outlook period of
2008/2009, can you confirm, sir, the following.

23

24

That in 2002/'03, there was a \$14.5 million
transfer from SRE and a \$4 million transfer in 2003/'04 from
SRE?

25

MR. BARRY GALENZOSKI: I can confirm that.

1 MR. WALTER SARANCHUK: And in terms of the
2 period from this current year of 2004/'05, current insurance
3 year, through to the end of the outlook period. In terms of
4 the totals of the amounts to be transferred from SRE and
5 extension.

6 And I guess this would be subject to check,
7 would -- on the face of it, would you agree that a total of
8 approximately 33.9 million is to be transferred in 2004/'05,
9 the total of approximately 12 million in 2005/'06,
10 approximately 13.9 million in 2006/'07, approximately 14.3
11 million in 2007/'08 and \$13.4 million in, approximately, to
12 be transferred in 2008/'09?

13 Would you agree with those, sir?

14 MR. BARRY GALENZOSKI: Yes, I would.

15 MR. WALTER SARANCHUK: And do you agree that
16 at the end of the current year, the year which -- that we're
17 in -- the RSR will be at the top end of the Public Utilities
18 Board range of -- at -- namely at \$79 million?

19 MR. BARRY GALENZOSKI: No, I wouldn't.
20 That's the application year. At the end of this current
21 fiscal year we should be at 67.4 million.

22 MR. WALTER SARANCHUK: I'm sorry, I stand to
23 be corrected. So the -- it's at the end of the year with
24 which we're concerned that you expect to be at the top of the
25 PUB range?

1 MR. BARRY GALENZOSKI: Close to it, yes.

2

3

(BRIEF PAUSE)

4

5

6 MR. WALTER SARANCHUK: Now, last year the
7 Corporation was forecasting annual transfers of approximately
8 \$4 million up to 2005/'06 and '06/'07 and \$5 million in
9 2007/'08 from SRE. In this application the SRE transfers
10 from 2005/'06 to 2008/'09 are to be more than \$7 million each
11 year.

11

Is that correct?

12

MR. BARRY GALENZOSKI: Yes, that's correct.

13

14 MR. WALTER SARANCHUK: And last year the
15 Corporation was forecasting annual transfers of 4 million in
16 2005/'06, 5 million in 2006/'07 and 6 million in 2007/'08
17 from extension.

17

Is that correct?

18

19 MR. BARRY GALENZOSKI: Yes, I believe that's
20 correct.

20

21 MR. WALTER SARANCHUK: And the transfers of
22 extension are now to be \$4.5 million in 2005/'06, \$6.7
23 million in 2006/'07 and \$7.2 million in 2007/'08.

23

Is that correct?

24

25 MR. BARRY GALENZOSKI: Yes, and in addition
in '04/05 we were predicting no transfer and we've

1 transferred \$4.3 million this year.

2 MR. WALTER SARANCHUK: And what factors have
3 led to the increase, then, in the projections of the
4 transfers for both SRE and extension?

5 MR. BARRY GALENZOSKI: Well, these are
6 estimates, of course, or projections and this is based on the
7 financial models that we've established for these two (2)
8 lines of business and are expected financial outcomes.

9 MR. WALTER SARANCHUK: And has the
10 Corporation made any changes internally to meet this
11 additional income to be available from the transfer?

12 MR. BARRY GALENZOSKI: No, the books of
13 businesses are being managed in their normal course.

14 MR. WALTER SARANCHUK: And given these
15 changes in the forecast, to what extent can the Public
16 Utilities Board rely on these estimates, sir?

17 MR. BARRY GALENZOSKI: I think we've
18 discussed this in prior hearings and the Corporation is
19 managing to these results. Obviously things can change that
20 can mean that the results can get better as they did for this
21 -- this current year that we're in, or they could get worse
22 and I think we have to be prepared for that eventuality at
23 some point in time, but we are managing towards these --
24 these numbers that we're putting before you.

25 MR. WALTER SARANCHUK: And at Tab 31, there

1 is the Corporation's response to Question Number 1 of the
2 Public Utilities Board interrogatories in the 2nd round and
3 in Part C, as requested by the Corporation -- by the Public
4 Utilities Board -- there's a schedule comparing the actual
5 versus the forecast net income for 2000/2001 through to
6 2003/'04 for SRE and extension as shown on the next page
7 along with a commentary on the reasons for the variances.

8 Is it correct that on the extension side, the
9 history is a couple of years of losses in 2001/'02, followed
10 by a couple of years of positive results than forecast?

11 MR. BARRY GALENZOSKI: Yes, that's correct,
12 and if we would have provided information prior to 2000/2001,
13 the extension would have had a few more years of losses
14 before that.

15 MR. WALTER SARANCHUK: And are the
16 assumptions and the rigour, if you will, used in establishing
17 the extension and SRE forecasts, essentially the same as
18 those for basic?

19 MR. BARRY GALENZOSKI: Yes, we answered that
20 in Section B of this particular question. We said the major
21 assumptions and component factors underpinning the SRE and
22 extension net income forecasts for '04/05 and '05/06, are
23 essentially the same for all lines of business within the
24 Corporation.

25 MR. WALTER SARANCHUK: And obviously with no

1 forecasts having been provided on the competitive lines, and
2 with that being the case, that the rebuilding plan is
3 therefore pinned on limited information before the Board,
4 would you agree with that?

5 MR. BARRY GALENZOSKI: Well, I would agree
6 that there is not a lot of information available. However,
7 the Corporation has demonstrated a track record in the last
8 couple of years, and is now managing these businesses in
9 accordance with a very sound business plan that should
10 deliver the results expected.

11 MR. WALTER SARANCHUK: Well the Corporation
12 has not provided forecasts for the two (2) competitive lines,
13 has it?

14 MR. BARRY GALENZOSKI: Well, that's not
15 really true, if you look at the -- the numbers that you see
16 in your RSR forecast, it does tell you the amounts of money
17 expected. You went through those in some detail just a few
18 minutes ago, and that went out to I think '06 -- '07/08.

19 MR. WALTER SARANCHUK: So, those are the
20 forecasts that the Corporation is asking that the Public
21 Utilities Board rely on, in considering the future transfers
22 from the competitive lines?

23 MR. BARRY GALENZOSKI: Well, they're
24 projections for the -- for the future years, we're only
25 applying for one (1) year's rates right now. So we're really

1 relying on next year's forecast.

2 MR. WALTER SARANCHUK: What weight do you
3 suggest that the Board give to those forecasts on the
4 extension and SRE side then, through to the end of the
5 outlook period?

6 MR. BARRY GALENZOSKI: I think they can
7 accept them as fact, and -- and give it -- give it that
8 strong weighting. In other words, they should expect that
9 the Corporation will deliver those returns until we can -- it
10 either does better or worse, but I would accept it on its
11 face value.

12 I think if I could just broaden on that answer
13 a little bit. The Corporation has indicated that it -- it
14 provides the same level of rigour to the forecasting process,
15 with respect to those two (2) lines of business as it does
16 for the basic. And this -- these lines are smaller in nature
17 than the basic line of business. We think they're less
18 volatile by their very nature, and we put high reliance on
19 the estimates that we put forward.

20

21 (BRIEF PAUSE)

22

23 MR. WALTER SARANCHUK: So you would agree
24 though then, that you have provided the net income forecasts,
25 but for the competitive lines of business, but there's really

1 nothing that has been provided, enabling this Board to test
2 the calculation or prognostication, leading to those net
3 income forecasts?

4 MR. BARRY GALENZOSKI: Well, I would agree
5 with that. I don't know if there would be any reason for the
6 Board to get into that very deeply. We're within the Board's
7 target for RSR.

8 I believe that as long as we can demonstrate
9 that the basic line of business is on a break even basis, the
10 rates are adequate to meet our expected future costs. And
11 that if we have some contribution to the RSR from these two
12 (2) extension lines of business, that should be a
13 satisfactory outcome for all concerned.

14 MR. WALTER SARANCHUK: So in the final
15 analysis, just to conclude on this particular line of
16 questioning. With reference to Tab 6, and the statement of
17 basic insurance RSR, what you're asking the Public Utilities
18 Board to do for the forecasts and the projections from
19 2004/'05, on the transfers from SRE and extension, through to
20 the end of the insurance year, 2008/2009, is to accept that
21 information as fact?

22 MR. BARRY GALENZOSKI: Well, I think you can
23 accept as fact, the numbers that are there for '04/05,
24 because those transfers, I can testify, have been made.

25 So the \$29.6 million from the SRE and the \$4.3

1 million from extension are in place right now in the RSR.
2 We're only applying for one (1) year, that's for the '05/06,
3 so we're asking that you accept those projections as being a
4 fact, and the rest of the information is provided for
5 information.

6 MR. WALTER SARANCHUK: Well, I don't mean to
7 argue with you, but with all due respect, sir, how can you
8 ask this Board to accept those prognostications as fact, when
9 you haven't asked this Board to accept any of your forecasts
10 as fact in any other area, and now you're asking this Board
11 to accept as fact, these projections for the SRE and
12 extension transfers?

13 MR. BARRY GALENZOSKI: Okay, I'll stand
14 corrected on that. Then I would ask them to accept them as
15 -- as projections, for that -- the '05/06 year, and stop it
16 at that point.

17 MR. WALTER SARANCHUK: Thank you. And of
18 course we know the Corporation's response, relative to the
19 Public Utilities Board request for its plan to rebuild the
20 RSR and that has been addressed in SM-8.2 by use of the
21 transfers from extension, and SRE.

22 But the DCAT Study indicated that there may be
23 a need for dedicated surcharges to rebuild the RSR, and it
24 referred to surcharge in the order of 3 percent.

25 Do you recall that, sir?

1 MR. BARRY GALENZOSKI: Yes, that's some of
2 the -- the scenarios that were prepared by the actuary that
3 prepared that document. And we've indicated to the actuary
4 that in the past we've had surcharges ranging from 1 to 2
5 percent, on a -- on an annual basis, and then some of those
6 have been compounded, so in other words, they added up. And
7 in fact, the highest we got was a total of 5 percent.

8 So, he was using the -- the number of up to 3
9 percent, thinking that if you got into very serious financial
10 difficulty, there might be some malleability to move the
11 number from what we've seen in the past as being 2 percent a
12 year, up to 3 percent. And we thought that was a plausible
13 scenario, and we allowed that to stay in the report.

14 MR. WALTER SARANCHUK: So, can I conclude
15 from that, that the Corporation doesn't reject out of hand,
16 the possible requirement somewhere down the line, if need be,
17 for dedicated RSR surcharges to be implemented?

18 MR. BARRY GALENZOSKI: No, we do not.

19 MR. WALTER SARANCHUK: Can -- can you give
20 any indication as to what circumstances would lead the
21 Corporation to consider implementing a dedicated surcharge?

22 MR. BARRY GALENZOSKI: A dedicated surcharge
23 may be necessary, if the financial plan that we were putting
24 forward indicated that due to results that we had that were
25 negative and we run down the RSR to an unacceptably low

1 level, and were unable to show that we thought we'd be able
2 to build it through replenishment by simply transferring
3 excess retained earnings from SRE and extension, that we may
4 need to have an RSR rebuilding plan.

5 It's the second line of defence, in our
6 opinion, but it is still there.

7 MR. WALTER SARANCHUK: And as I recall, the
8 first line of defence, namely the extension and SRE
9 transfers, were to be -- or -- the first line of defence is
10 to be implemented over a period of five (5) years, is that
11 correct?

12 MR. BARRY GALENZOSKI: Well, yes, all of this
13 would be looking at it over a longer time period, likely a
14 five (5) year time period is what we'd look at. And I guess
15 it would really depend on how deep you got into the glue on
16 -- on the loss side.

17 If you ended up being negative retained
18 earnings or negative RSR, that may change the scenario,
19 compared to say being down to \$10 million in RSR.

20 You know, I'm just throwing numbers out at the
21 moment, but -- so, it would really depend on the
22 circumstances, but I think what we're clearly indicating is
23 our preferred method of rebuilding the RSRs through the
24 transfers from extension and SRE.

25 And if that wasn't sufficient, then the RSR

1 surcharge would be the next thing that we would want to take
2 a look at.

3 MR. WALTER SARANCHUK: And I don't want to
4 dwell on hypotheticals -- a hypothetical situation, but if
5 after five (5) years the RSR level is outside the
6 corporation's RSR target range, of 80 to \$100 million, but
7 withing the Public Utilities Board target range of \$50
8 million to \$80 million, would MPI move to the second line of
9 defence?

10 MR. BARRY GALENZOSKI: Well we haven't so
11 far.

12 MR. WALTER SARANCHUK: Could you just answer
13 the question?

14 MR. BARRY GALENZOSKI: It's very hypothetical
15 and I think I'll leave the hypothetical situations to when
16 they become something that's reality.

17 MR. WALTER SARANCHUK: Thank you, sir. Now
18 turning to the concept or the Public Utilities Board
19 consideration of the over well -- overall wellness of the
20 corporation.

21 At Tab 8 there is a revised AI-13 filed,
22 dealing with the retained earnings of the corporation. And
23 we know that in order 179/01 at page 51, the Board indicated
24 that it continues to consider the overall financial strength
25 of the corporation for rate setting purposes.

1 In terms of the RSR balances, the projection
2 -- or the balance as at 2003/'04 for the basic RSR came in at
3 \$42.8 million. Is that correct?

4 MR. BARRY GALENZOSKI: Yes, that's correct.

5 MR. WALTER SARANCHUK: And that was after a
6 net income of \$3.3 million and a transfer of \$4 million from
7 SRE?

8 MR. BARRY GALENZOSKI: Yes. Keeping in mind
9 that that \$4 million from SRE came from the previous year.

10 MR. WALTER SARANCHUK: Yes. And for 2003/'04
11 the retained earnings for extension is \$43.3 million for a
12 total -- I'm sorry, and \$58 million for SRE.

13 So that the combined RSR with the basic
14 insurance of 42.7 is \$144.1 million subject to check, do you
15 agree?

16 MR. BARRY GALENZOSKI: Yes, I agree.

17 MR. WALTER SARANCHUK: Now looking at the
18 columns for the current year, 2004/'05, the result appears
19 that with \$43. -- I'm sorry, with a \$67.4 million balance on
20 the basic side and a \$43.6 million balance on the extension
21 side and a \$40.5 million balance on the SRE side, that the
22 total would be approximately \$151 million subject to check,
23 do you agree with that?

24 MR. BARRY GALENZOSKI: Yes.

25 MR. WALTER SARANCHUK: And in the year with

1 which we are concerned in this application, taking into
2 account a \$79 million balance projected for the RSR on the
3 basic side and a \$45.7 million balance projected on the
4 extension side and a \$40.2 million balance projected for SRE
5 that the overall total of retained earnings for the
6 corporation would be \$165 million approximately, subject to
7 check.

8 MR. BARRY GALENZOSKI: Yes, I agree.

9 MR. WALTER SARANCHUK: Would that suggest
10 that the overall financial strength of the corporation is
11 increasing?

12 MR. BARRY GALENZOSKI: Well if you look at
13 it, the overall financial strength of the basic line is
14 increasing, not necessarily the other two (2) lines because
15 we've -- we've maxed out the retained earnings that they can
16 hold.

17 And I think what you're -- what we're getting
18 at here is that we tend to agree that the overall financial
19 strength of the corporation's important because of either
20 those two (2) lines became weak it would start to take away
21 from the transfers to the rate stabilization reserve.

22 But recognizing that the transfers are
23 occurring, that is the transfer of that strength that's built
24 into the rest of the organization to the basic line of
25 business. And that's left with them in their retained

1 earnings, or in their RSR.

2 And the fact that it's a one (1) way transfer,
3 basic cannot come to the rescue of these other two (2) lines
4 further indicates that the financial strength of the
5 Corporation has been directed towards the basic line of
6 business.

7 MR. WALTER SARANCHUK: Yes, and insofar as
8 the extension and SRE balances are concerned, going for the -
9 - as they pertain to the projections for the current year and
10 next year, those are sufficient according to the targets that
11 you were looking to come into play. Correct?

12 MR. BARRY GALENZOSKI: Yes, that's correct.

13 MR. WALTER SARANCHUK: Now, looking at Tab 10
14 of the Book of Documents, this is the information filed by
15 the Corporation in response to Question Number 3 of the
16 Public Utilities Board on the 1st round of Interrogatories.

17 And in particular I would draw your attention
18 to the RSR schedules for each of the following scenarios,
19 namely a 1 percent vehicle premium increase for 2005/'06, a
20 one and a half (1-1/2) percent vehicle premium increase for
21 2005/'06 and a 2 percent vehicle premium increase for
22 2005/'06; within each of those instances a 0 percent increase
23 for 2006/'07 and '07/08.

24 So, in terms of the impact of those increases,
25 if we can then turn to the first, if you will, RSR statement

1 reflecting the impact of a 1 percent increase, it can be seen
2 then that for the year with which we are concerned, namely
3 2005/'06, the RSR balance is at \$84.7 million.

4 Is that correct?

5 MR. BARRY GALENZOSKI: Yes, it is.

6 MR. WALTER SARANCHUK: And then taking this
7 beyond the year with which we are concerned through to the
8 end of the outlook period, we would be looking at 105 million
9 in 2006/'07, 130 million in '07/08 and 157 million in '08/09.

10 Is that correct?

11 MR. BARRY GALENZOSKI: Yes.

12 MR. WALTER SARANCHUK: And of course, those
13 figures are to be compared with the information provided as
14 the RSR, the balances in TAB 6, referring to the current
15 application.

16 So that for 2005/'06, according to the
17 information filed in support of the current application,
18 there would have been -- there's expected to be a \$79 million
19 balance in the RSR on the basic side, but if we had a 1
20 percent increase, that would be \$84.7 million in the --
21 according to what is shown in Tab 10.

22 Is that correct?

23 MR. BARRY GALENZOSKI: That's correct.

24 MR. WALTER SARANCHUK: Then keeping your
25 finger on the RSR balances shown in Tab 6 for 2006/'07

1 through to the end of 2008/'09, and I guess also the year
2 2005/'06 -- the one with which we are concerned -- using a
3 1.5 percent rate increase, we are looking at balances of some
4 87.5 million in 2005/'06, 111 million in '06/07, 139 million
5 in '07/08 and 170 million in 2008/'09.

6 Is that correct?

7 MR. BARRY GALENZOSKI: Yes, it is.

8 MR. WALTER SARANCHUK: And then just carrying
9 that further through to the next couple of pages and the
10 impact of a 2 percent rate increase, then we talk in terms of
11 a projected RSR balance of some 90 million in 2005/'06, 117
12 million in '06/'07, 148 million in 2007 and 182.7 million in
13 2008/'09; is that correct?

14 MR. BARRY GALENZOSKI: Yes.

15 MR. WALTER SARANCHUK: Thank you.

16

17 (BRIEF PAUSE)

18

19 MR. WALTER SARANCHUK: And so that, with
20 particular reference to AI-13 for the outlook period of --
21 I'm sorry for the outlook for the year with which we are
22 concerned, the 2005/'06, in -- looking at the overall
23 financial wellness of the Corporation, and comparing the
24 balances for 2005/'06, taking into account the 1 percent, 1
25 1/2 percent and 2 percent rate increases, that if one

1 calculates out the overall retained earnings of the
2 Corporation, combining the RSR for extension at SRE, it would
3 appear that the Corporation in terms of overall financial
4 wellness would be sitting pretty if those results were to pan
5 out. Do you agree?

6 MR. BARRY GALENZOSKI: Yes, I would agree.

7 MR. WALTER SARANCHUK: I have no further
8 questions on the RSR. Unless the Panel has some further
9 questions, I intend to move on to another area of cross-
10 examination, Mr. Chairman.

11 THE CHAIRPERSON: Not right now. Why don't
12 we take our break. Then we'll come at 3:00 or 3:02 or
13 something.

14 MR. WALTER SARANCHUK: Thank you, sir.

15

16 --- Upon recessing at 2:50 p.m.

17 --- Upon resuming at 3:11 p.m.

18

19 THE CHAIRPERSON: Mr. Saranchuk, we wait with
20 baited breath.

21 MR. WALTER SARANCHUK: Thank you, sir. I am
22 waiting...

23

24 CONTINUED BY MR. WALTER SARANCHUK:

25 MR. WALTER SARANCHUK: Dealing now with

1 dealer plates. This is dealt -- this is covered at the pre-
2 filed testimony of Ms. McLaren at pages 5 and 6 in Volume I.

3 Ms. McLaren, can you describe what are the
4 characteristics that make dealer plates different from other
5 categories?

6 MS. MARILYN MCLAREN: With all other
7 categories, there's a direct relationship between one (1)
8 specific vehicle and a policy and a license plate.

9 The dealer registration is able to be moved at
10 will, on the part of the plate owner, or on the part of the
11 dealer, from vehicle to vehicle. There's no direct
12 relationship between one (1) vehicle and a dealer plate.

13 MR. WALTER SARANCHUK: And by way of rough
14 guess, how many dealer plates are there out there, are we
15 talking thousands, are we talking hundreds, what?

16 MS. MARILYN MCLAREN: Thousands, fewer than
17 ten thousand (10,000), I believe it's somewhere around four
18 (4) or five thousand (5,000).

19 MR. WALTER SARANCHUK: And the average
20 premium increase, as I understand it, for a dealer plate, in
21 2005, and the reference that I had here is MUCDA
22 Interrogatory Number 15 in the 1st Round, and it's not in the
23 book. But the information that I have from that is that in
24 terms of the average premium increase for a dealer plate for
25 all uses, appears to be approximately two hundred and sixteen

1 dollars (\$216), for motorcycles a hundred and twenty-eight
2 dollars (\$128) and for trailers and mopeds it's forty dollars
3 (\$40). Does that sound right?

4 MS. MARILYN MCLAREN: Yes.

5 MR. WALTER SARANCHUK: And dealer plates
6 provide coverage to all passenger vehicles, and therefore
7 receive only experience based rate adjustments, and do not
8 receive CLEAR adjustments, or other rate group adjustments;
9 is that correct?

10 MS. MARILYN MCLAREN: Yes, that's right,
11 because they're not assigned to a specific vehicle, they
12 can't receive rate group or other CLEAR adjustments.

13 MR. WALTER SARANCHUK: And what factors
14 underlie the major increase in the experience indicated for
15 dealer plates?

16 MS. MARILYN MCLAREN: For this particular
17 class this year, it's related to the fact that we found a
18 data error, whereby many dealer claims had not been included
19 as part of the historical claims experience in the dealer
20 insurance use.

21 MR. WALTER SARANCHUK: Where were they
22 included?

23 MS. MARILYN MCLAREN: They were included in
24 the unallocated claims costs.

25 MR. WALTER SARANCHUK: And how were those

1 unallocated claims costs distributed amongst the major
2 classes?

3 MS. MARILYN MCLAREN: According to each major
4 class' relationship to the vehicle pool as a whole. So,
5 therefore, the private passenger class would have received
6 the vast majority of those claims costs, with the other
7 smaller groups receiving proportionately smaller allocations.

8 THE CHAIRPERSON: Would that include a charge
9 against the motorcycle group too?

10 MS. MARILYN MCLAREN: Yes.

11

12 CONTINUED BY MR. WALTER SARANCHUK:

13 MR. WALTER SARANCHUK: In any given year, how
14 many -- how much of these -- what would be the magnitude of
15 these unallocated claim costs, and what does this adjustment
16 do in that regard?

17

18 (BRIEF PAUSE)

19

20 MS. MARILYN MCLAREN: I can refer you to
21 MUCDA/MPI-1-1, which indicates there were about two thousand
22 (2,000) dealer all uses, except motorcycle claims, over the
23 five (5) year period.

24 MR. WALTER SARANCHUK: The actuarially
25 indicated rate increase for dealer plates, as I understand

1 it, is from 23 percent to 36 percent?

2 MS. MARILYN MCLAREN: Yes, that's right.

3 MR. WALTER SARANCHUK: And the Corporation is
4 applying for rate increase of 20 percent to 25 percent which
5 is higher than the traditional experience rate adjustment
6 limit of 15 percent, is that correct?

7 MS. MARILYN MCLAREN: Yes.

8 MR. WALTER SARANCHUK: And the rationale
9 behind that is or was given by the Corporation in response to
10 the Public Utilities Board question number 1 in the 1st Round
11 as being as follows; quote:

12 "Dealer Plates. This classification has
13 been undercharged historically due to the
14 data anomaly discussed. Rather than
15 continuing the cross-subsidization for a
16 longer period as would be the case if the
17 15 percent rule were followed the
18 corporation deemed that that larger
19 increase is justified to lessen the impact
20 on all other classes."

21 End of quote.

22 Could you just elaborate on that, please? In
23 other words why --

24 MS. MARILYN MCLAREN: Chapter 15 --

25 MR. WALTER SARANCHUK: -- in other words why

1 not limit the 15 percent and phase it in over two (2) years?

2 MS. MARILYN MCLAREN: Well it wouldn't have
3 phased in over two (2) years. With the approach that we've
4 taken we think we'll there in two (2) years. At the 15
5 percent level it would have -- it would have taken longer
6 than that; not in every territory but certainly overall.

7 And in meantime you continue to require other
8 groups to subsidize that. It's a different issue whether we
9 -- different discussion in terms of which other group
10 subsidizes it, but we really wanted to -- because it is based
11 on solid historical information, we've now corrected the
12 error, we'll continue to have it corrected on a go forward
13 basis. We thought it made sense to fix it in a shorter time
14 period as opposed to a longer time period.

15 MR. WALTER SARANCHUK: So that's a little bit
16 different than the treatment of motorcycles for example?

17 MS. MARILYN MCLAREN: Well, I mean, we did
18 ask for an overall 20 percent increase for motorcycles last
19 year because of the historic insufficiency of their rates.
20 But because this was a very defined problem that's been going
21 on for five (5) years, we thought it made good sense to fix
22 it with the way that we've asked to fix it.

23 MR. WALTER SARANCHUK: So essentially there's
24 an element of management judgment as to when to apply the 15
25 percent rule and when not to?

1 MS. MARILYN MCLAREN: I think that's fair,
2 sure.

3 MR. WALTER SARANCHUK: And is it a fact that
4 the proposal not to recover the full experience adjustment
5 from dealer plates will result in a revenue requirement
6 shortfall?

7 MS. MARILYN MCLAREN: A revenue requirement
8 shortfall from dealers? Yes. But not corporately because
9 we're asking the other -- other categories to chip in.

10 MR. WALTER SARANCHUK: Well would that
11 shortfall relate to the commercial class?

12 MS. MARILYN MCLAREN: We've, at -- we've
13 proposed that the shortfall would apply to all classes, not
14 the commercial class for the specific reasons.

15 MR. WALTER SARANCHUK: So it's the overall
16 insurance pool including commercial?

17 MS. MARILYN MCLAREN: Yes, that's right.

18 THE CHAIRPERSON: I thought -- didn't you
19 just say you're excluding the commercial class?

20 MS. MARILYN MCLAREN: No, we didn't exclude
21 the commercial class. They just received a much smaller
22 portion as opposed to receiving all of it. They -- the
23 commercial class is a small group.

24 MR. WALTER SARANCHUK: I would refer you, Ms.
25 McLaren, to Tab 20 in the Book of Documents and this is the

1 Corporation's response to the Public Utilities Board question
2 number 35 in the 1st Round of Interrogatories

3

4

(BRIEF PAUSE)

5

6

7

MR. WALTER SARANCHUK: And in particular the
last page with the table being the attachment filed for parts
C, D, and E of that Interrogatory.

8

9

And those parts C, D, and E asked for the
requested revenue adjustment by major use, firstly:

10

11

"If the proposed dealer plate adjustments
were assigned to commercial class only.

12

13

If the actuarially indicated dealer plate
adjustments of 23 to 36 percent were

14

15

assigned to the commercial class only ..."

16

That's the second scenario, and the last

17

scenario:

18

"If the actuarially indicated dealer plate
adjustments of 23 to 36 percent were

19

20

assigned to the overall insurance pool."

21

Just with reference to the second column from
the far left and the number of vehicles. Under the private
passenger, we're talking about six hundred (600) --

22

23

approximately six hundred and forty-two thousand (642,000)

24

vehicles, as compared to approximately forty-two thousand

25

1 (42,000) of commercial vehicles?

2 MS. MARILYN MCLAREN: Yes, that's right.

3 MR. WALTER SARANCHUK: And in terms of the
4 rate impact, with the three (3) scenarios that I mentioned, I
5 wonder if you would just go through the columns, and in
6 particular, let's look at the commercial class, and the
7 impact of the premium percent change in the scenarios of C, D
8 and E, shown in that table, where the premium change for C is
9 9.7, for D it's 9.7 and for E it's 1.47 percent, as I
10 understand it.

11 So, with reference to those, could you please
12 explain what is reflected in this table?

13 MS. MARILYN MCLAREN: The applied for premium
14 adjustments is the impact of what we've asked for in the rate
15 application before this Board. The next column, Applied for
16 Premiums with Adjustments Assigned to the Commercial Use
17 Only, shows the impact if we had not proposed the special
18 treatment whereby all other vehicles chip in for this dealer
19 shortfall, showing that the commercial class as a whole would
20 need that 9.7 percent increase.

21 And within -- within that, there were many
22 categories of insurance uses in the commercial class, that
23 would have received the full 15 percent maximum increase,
24 because of this.

25 Generally speaking, the commercial class has

1 lower premiums than premiums overall and premiums in -- in
2 the private passenger class, particularly.

3 The artisan trucks, for example, have lower
4 premiums than -- than some of the other private passenger
5 vehicles, for example. Heavy farm trucks have low rates,
6 generally speaking.

7 So, in order to compensate for the shortfall
8 in the dealer class, you'd have a number of vehicle owners
9 with relatively low premiums getting hit with a very -- you
10 know, the maximum 15 percent increase, to compensate for the
11 dealers; that's why we didn't take the approach shown in C.

12 The effect is the same in column D, because
13 these are really the -- the indicated adjustments, so they'll
14 sit at 9.7, even if you go with the -- with the full weight
15 into the dealer class. Nine point seven (9.7) percent
16 increase overall is what's required, and in this scenario it
17 would come -- if we hit the dealers with the indicated
18 increase, basically the full 9.7 percent increase to the
19 commercial class would all be paid by dealers. That's what's
20 really shown in D.

21 And in E, if we went for the full indicated
22 increase, but had everyone chip in, which is basically the
23 applied for, in the first column, sort of taken to the max of
24 the requirement, you see that overall, the -- the increases
25 are mitigated somewhat.

1 MR. WALTER SARANCHUK: So does that mean that
2 in two (2), three (3), four (4) years, all of this will be on
3 the commercial vehicles?

4 MS. MARILYN MCLAREN: Well, because we've
5 identified the error, and you know, the maximum impact on any
6 particular insurance use territory in the dealer insurance
7 uses would be 36 percent. We expect that by going for 25
8 percent for them this year, the 11 percent will be handled
9 within normal procedures next year, and so we should be there
10 in two (2) years. The dealers should therefore fully fund
11 their own losses as of next year.

12 So, we're not -- we're not predicting that
13 next year we will impact other commercial vehicle owners like
14 we didn't want to do this year, no.

15 MR. WALTER SARANCHUK: And can you confirm,
16 Ms. McLaren, that the adjustment regarding dealer plates is
17 basically situation specific, and is therefore a one (1) time
18 adjustment, that is not to be repeated next year?

19 MS. MARILYN MCLAREN: Yes.

20 THE CHAIRPERSON: If I could just ask one (1)
21 follow up question.

22 So, if I understand you properly in D, it
23 would amount to the full what you're proposing over two (2)
24 years, happening in one (1) year, and just hitting the -- the
25 dealers themselves, it would leave those artisan trucks and

1 everything alone, by taking that approach.

2 So, in that case the dealers would take a -- a
3 hike of what -- about 45 percent or something?

4 MS. MARILYN MCLAREN: The maximum would be 36
5 percent. I think it would range between about twenty-seven
6 (27) and 36 percent in one (1) year.

7 THE CHAIRPERSON: Do you look at the maximum
8 impact on one (1) individual company at all?

9 MS. MARILYN MCLAREN: No. No.

10 THE CHAIRPERSON: You don't go down to that
11 level of detail, so you don't know taking that approach, what
12 the maximum hit on one (1) company would be?

13 MS. MARILYN MCLAREN: No. And the reason
14 that we don't look at it from that point of view -- I think
15 there -- we -- we basically, I think, have an assumption that
16 a company with fifty (50) dealer plates would have fifty (50)
17 times more capacity to handle an increase than a small guy
18 with one (1) dealer plate, so the dollar impact on a company
19 basis, I'm not sure is reflective of their ability to
20 withstand particular increases.

21 THE CHAIRPERSON: I was just thinking that in
22 the commercial class the -- the increase would be, in a
23 sense, tax deductible, so I was just wondering what the
24 maximum hit on one (1) particular organization would be if
25 this "D" (phonetic) was applied.

1 MS. MARILYN MCLAREN: And we didn't do that
2 analysis.

3 MR. WALTER SARANCHUK: Those are all the
4 questions that we have on dealer plates, Mr. Chairman, and
5 unless the other Panel Members or you have some further
6 questions on that particular area, we intend to move on to
7 another area.

8 THE CHAIRPERSON: I just had one (1) other
9 question on this. Did your research come about as a result
10 of, I think it was, last year's intervention of the Truck
11 Rental Association or -- I can't remember the exact name?

12 MS. MARILYN MCLAREN: No.

13 MS. DENYSE COTE: Could it have come about
14 because of the loss transfer question last year? Because if
15 I remember, the commercial class, with the loss transfer,
16 their -- they would have -- they would -- they're underpaying
17 in that -- well I have this vision of a table that you
18 produced last year.

19 MS. MARILYN MCLAREN: Yeah. I think the
20 commercial and the public classes would have seen the biggest
21 swings under that loss transfer scenario.

22 MS. DENYSE COTE: Hmm hmm.

23 MS. MARILYN MCLAREN: But, just give me one
24 (1) second.

25

1 (BRIEF PAUSE)

2

3 MS. MARILYN MCLAREN: At some point during
4 last year's proceedings and I -- and we don't remember
5 anymore what exact question drew to our attention that it was
6 something that we couldn't balance properly, so after the
7 hearings we went back and did more research and we found that
8 this is actually a problem that was created during the
9 conversion to the new claims system back around the year
10 1999/2000, so it had been in place since then.

11 It was -- because these dealer plates are not
12 associated to a vehicle, we have to identify sort of a --a
13 dummy vehicle number when we have plate numbers and that
14 process didn't happen through the conversion to the new
15 computer system.

16 THE CHAIRPERSON: After you clean out this
17 charge, if you like, against that account that you were
18 putting it all in, is there anything left in that account
19 that's material?

20 MS. MARILYN MCLAREN: Again, just give me a
21 minute, please.

22

23 (BRIEF PAUSE)

24

25 MS. MARILYN MCLAREN: About the only thing

1 left in that pool that wouldn't be allocated somewhere would
2 be claims and -- and I guess, often -- mostly injury claims
3 where the vehicle was unidentified and because it's
4 unidentified we put them in that pool and then everyone
5 shares the cost.

6 THE CHAIRPERSON: Thank you. Mr. Saranchuk,
7 any time.

8 MR. WALTER SARANCHUK: Thank you, sir. I'm
9 now proceeding to deal with a topic a little out of order in
10 that we'll be coming back to certain elements falling within
11 the revenue requirement, but we'll now deal with rate design
12 and, in particular, the indicated versus the actual rates
13 experience.

14 And the reference that we would draw to your
15 attention is at Tab 1, namely Corporations Filing TI-2 and
16 also the Corporation's filing at AI-12, in Volume III, Part
17 2.

18
19
20

(BRIEF PAUSE)

21 MS. DENYSE COTE: Mr. Saranchuk, what's the
22 Tab in the Book of Documents?

23 MR. WALTER SARANCHUK: Tab 1 in the Book of
24 Documents. And AI-12 in Volume III, Part 2.

25

1 (BRIEF PAUSE)

2
3 MR. WALTER SARANCHUK: And I see that Mr.
4 Galenzoski thought I was going to ask these questions of him,
5 so he has hidden behind the pole.

6 MR. BARRY GALENZOSKI: And with that
7 challenge, I just wanted to put on the record when we looked
8 at the DCAT Report, it is the PUB target of \$50 million that
9 was used, the references are throughout the report, and we
10 just took the extra precaution of confirming that with the
11 actuary that wrote the report.

12 MR. WALTER SARANCHUK: Thank you, sir.

13
14
15 Turning to TI-2, and again, AI-12. As I
16 understand it, TI-2 reflects the financial forecast method of
17 setting rates, is that correct?

18 MS. MARILYN MCLAREN: Yes, on page 1, that's
19 the financial forecast method.

20 MR. WALTER SARANCHUK: And AI-12 was provided
21 to increase the transparency of rate setting, is that
22 correct?

23 MS. MARILYN MCLAREN: Yes.

24 MR. WALTER SARANCHUK: And that was pursuant
25 to the Board Order 2003/'02?

1 MS. MARILYN MCLAREN: Yes.

2 MR. WALTER SARANCHUK: Now, referring to TI-2
3 in Tab 1 of the Book of Documents, I wonder if you would
4 refer to the different line items, and walk us through the
5 construction of the required rate changes.

6 So, for example, if you could just step
7 through the lines and provide a brief commentary on the
8 nature and the basis for each component, and the handling of
9 that component by major class?

10 So dealing with, for example, claims for
11 starters, and then claims expense? If you could give us that
12 overview at a high level please?

13 MS. MARILYN MCLAREN: The calculation for
14 claims is -- is a direct calculation of the contribution
15 required, the -- you know, the revenue requirement required
16 per earned unit, to cover claims costs.

17 And we can see there is some significant
18 differences in claims costs per earned unit in the various
19 major classes, from a low of twenty dollars and sixty cents
20 (\$20.60) for ORVs to a high of fourteen hundred fourteen
21 dollars and fifty-two cents (\$1414.52) in the public class.

22 The claims expense is again a --

23 MR. WALTER SARANCHUK: Just on that point,
24 before you move to that --

25 MS. MARILYN MCLAREN: Sure.

1 MR. WALTER SARANCHUK: -- I'm sorry for the
2 interruption. Now, it would be necessary to allocate claims
3 costs not coded by insurance use, to private passenger,
4 commercial and public only.

5 There's special treatment accorded to accident
6 benefits, other serious claims, with actual serious losses in
7 the last five (5) years replaced with average serious losses
8 over the PIPP history, is that correct?

9 MS. MARILYN MCLAREN: Yes, that's correct.

10 MR. WALTER SARANCHUK: Moving on to claims
11 expenses, if you will please?

12 MS. MARILYN MCLAREN: Claims expense
13 represents the revenue required from each earned unit to
14 cover the costs of handling claims. And it's calculated as a
15 percentage of the claims incurred, the claims costs.

16 With respect to road safety, that's --

17 MR. WALTER SARANCHUK: Well, just on the
18 claims expense item --

19 MS. MARILYN MCLAREN: Okay.

20 MR. WALTER SARANCHUK: -- sorry, for the
21 interruption again. It's a flat percentage of claims really
22 not varying by major class, is that correct?

23 MS. MARILYN MCLAREN: That's right, it varies
24 by the claims, it does not vary by major class, it's a flat
25 percentage calculation.

1 MR. WALTER SARANCHUK: So, how does that
2 allow for differenced between major classes and the
3 composition of claims by coverage? For example some
4 coverages tend to incur more adjusting expenses than others
5 and coverages in the basic package are not uniform across
6 major classes.

7 MS. MARILYN MCLAREN: The assumption within
8 this approach is that the more expensive a claim is, the more
9 it will cost to adjust that claim. For example, lifelong
10 injury claims will have significantly higher costs associated
11 with adjusting those claims than a small value glass claim.

12 MR. WALTER SARANCHUK: All right. Now moving
13 onto the next lined item, operating -- oh sorry, road safety?

14 MS. MARILYN MCLAREN: Road safety costs are
15 allocated to all classes with the exception of trailers and
16 ORV's. We take our annual road safety budget, divide that
17 amongst the overall earned units and allocate a flat amount
18 to each of the four (4) categories that contribute to that
19 cost recovery expense allocation.

20 Operating expenses are very similar with
21 respect to the overall total operating costs of the basic
22 program allocated in this particular situation as is road
23 safety actually, to the vehicles that are licensed and
24 registered for roadway use which means we do not allocate
25 operating expenses to trailers and ORV's.

1 MR. WALTER SARANCHUK: And again, just what
2 was the rationale to that? This is the last year's I
3 understand it for 25 percent.

4 MS. MARILYN MCLAREN: This is the last year.

5 MR. WALTER SARANCHUK: Now what was the
6 rationale there?

7 MS. MARILYN MCLAREN: Initially the
8 corporation took the view that the basic compulsory insurance
9 program is here to the ben -- exists for the benefit of all
10 vehicles. Therefore all vehicles should contribute to that
11 cost of -- of providing the compulsory insurance program.

12 Also that it really -- our costs associated
13 with having a computer system for example up and running
14 ready to handle a trailer renewal don't -- doesn't vary much
15 from the cost associated to handle a taxi renewal which is
16 significantly more expensive but it's still the same process.

17 On that basis we had a flat allocation for
18 several years. But we've also had received some criticism
19 for that approach because the actual allocation of the
20 operating expenses were so far in excess of the actual claims
21 costs for those particular units. There was no real strong
22 relationship there.

23 And the other thing the corporation's been
24 working very hard to move more to a customer focused
25 approach. Back prior to 1995, if you had three (3) auto pack

1 renewals, you got three (3) envelopes. One could be a
2 trailer, one could be the taxi, it didn't really matter. Now
3 we have a customer based approach where if you have three
4 auto pack policies, you get one envelope.

5 The trailer sort of tags along with the power
6 units and based on that approach we thought it would make a
7 lot more sense to allocate those costs against the power
8 units and against the vehicles that are actually core to the
9 reasons that the compulsory insurance program exists.

10 So on that approach we've allocated them to
11 the four (4) HTA power units and do not allocate them any
12 longer to trailers and ORV's.

13 MR. WALTER SARANCHUK: And just on that
14 point. You referred to some -- receiving some criticism.
15 Essentially wasn't that some observation by the -- this
16 Board, the Public Utilities Board at some prior hearing?

17 MS. MARILYN MCLAREN: It certainly was
18 observation on the part of this Board. I think the stronger
19 word criticism could -- could be used to describe the
20 reaction of many of our customers as they found themselves
21 paying approaching a hundred dollars (\$100) for the, you
22 know, fifteen hundred (\$1500) or eight hundred (\$800) utility
23 trailer.

24 MR. WALTER SARANCHUK: All right. And moving
25 onto the next line namely the commissions?

1 MS. MARILYN MCLAREN: Yeah. Commission is a
2 percent of the premiums written, premiums earned and simple
3 reflects the costs that -- of -- of the commission that we
4 pay to brokers to handle this business.

5 MR. WALTER SARANCHUK: And that's a fixed
6 percentage of premium?

7 MS. MARILYN MCLAREN: It's a fixed percentage
8 of premium so it tracks with the insurance rates for all the
9 different major classes.

10 MR. WALTER SARANCHUK: All right and then the
11 next line, premium tax vehicle and after that premium tax
12 driver.

13 MS. MARILYN MCLAREN: Exactly the same thing
14 for the premium tax vehicle. We are obligated to pay premium
15 taxes and it is a fixed percentage of premiums and just like
16 commissions, tracks along with the -- the insurance rates for
17 the different major classes.

18 MR. WALTER SARANCHUK: And who sets the
19 premium tax?

20 MS. MARILYN MCLAREN: The provincial
21 government.

22 MR. WALTER SARANCHUK: And when was -- what
23 is their current rate?

24 MS. MARILYN MCLAREN: 3 percent.

25 MR. WALTER SARANCHUK: And when was it last

1 changed, approximately?

2 MS. MARILYN MCLAREN: It hasn't changed for a
3 long time.

4 MR. WALTER SARANCHUK: A decade or two (2)?
5 Decade or two (2)?

6 MS. MARILYN MCLAREN: It's been at least
7 fifteen (15) years.

8 MR. WALTER SARANCHUK: Thank you. And in
9 terms of the re-insurance, the casualty and the catastrophe?

10 MS. MARILYN MCLAREN: Yeah, the casualty re-
11 insurance refers to the costs of insurance for the largest
12 PIPP claims. That -- that is the insurance that we buy for
13 the basic compulsory program is insurance against the largest
14 PIPP claims. And again, you'll -- you'll see we don't
15 allocate costs there for trailers and ORVs so those are not -
16 - they -- they don't incur those costs. Catastrophe re-
17 insurance is related to large physical damage incidents like
18 hail and because motorcycles don't have comprehensive
19 coverage -- they don't have hail coverage through the basic
20 compulsory program, they don't contribute to the catastrophe
21 re-insurance, nor do ORVs.

22 Trailers do because trailers are often hail
23 damaged, so we allocate those costs on that basis.

24 MR. WALTER SARANCHUK: And if re-insurance is
25 -- is included as a cost, as it is, then the claims are

1 included net of re-insurance. Is that correct?

2 MS. MARILYN MCLAREN: Yes, that's correct.

3 MR. WALTER SARANCHUK: Okay. Fleet rebates?

4 MS. MARILYN MCLAREN: We're now moving into
5 the area where the required rate per insured unit receives a
6 credit. No, we're not. We're not quite there yet. Fleet
7 rebates. All vehicles contribute to the fleet rebates which
8 always exceed fleet surcharges, so all of us as vehicle
9 owners in Manitoba contribute to the fleet rebates paid to
10 those customers who own ten (10) or more vehicles.

11 And again, we have excluded the vehicles that
12 are not part of the fleet rebate surcharge program, so the
13 only ones that are part of this are the public class,
14 commercial class and private class.

15 Driver premiums offset the amount --

16 MR. WALTER SARANCHUK: Let me just ask you
17 one (1) question if I may --

18 MS. MARILYN MCLAREN: Sorry.

19 MR. WALTER SARANCHUK: -- relative to fleet
20 rebates, are fleets equally common in the major uses that you
21 mentioned?

22 MS. MARILYN MCLAREN: As a percentage of
23 total vehicles in each class, no, they would -- the public
24 and commercial class I would expect to have a higher
25 percentage of fleet vehicles compared to the private

1 passenger class.

2 THE CHAIRPERSON: If the -- given that the
3 whole program is basically cost of service, if you want, in a
4 sense, why would the rebates exceed the surcharges?

5 MS. MARILYN MCLAREN: Well, you know, there's
6 many, many more drivers getting the full 25 percent discount
7 on the -- the discount program for individual vehicle owners
8 compared to those who -- who don't qualify. For the most
9 part, participants in the program are low risk.

10 You know, the -- the profile of the people who
11 cause accidents is good responsible people who drive for many
12 years without causing an accident and then have an at-fault
13 incident once every dozen or so years. Fleet owners, you
14 know, in a slightly different context, seem -- tend to follow
15 that same profile.

16 MR. WALTER SARANCHUK: Now, just on the
17 question of fleet rebates, given the difference in the
18 percentages of -- of the fleets in these major classes of
19 private passenger and commercial and public, why is there --
20 as there appears -- a flat rate of forty-seven dollars and
21 seventy cents (\$47.70) across the board?

22 MS. MARILYN MCLAREN: Ten dollars --

23 MR. WALTER SARANCHUK: I'm sorry, ten dollars
24 and twenty-six cents (\$10.26). Yes.

25 MS. MARILYN MCLAREN: -- and twenty-six cents

1 (\$10.26) across the board. Because -- the principle of the
2 program is that we all have an interest and we all receive
3 the benefit of fleet owners managing those fleets and
4 operating those fleets in a low cost loss prevention kind of
5 way; that's the principle.

6 The other side of it really ties into the
7 fairness and equity side of it and I think we talked about
8 some of that in previous hearings when we were dealing with
9 the Car and Truck Rental Association issues.

10 If you have particular insurance uses, and I
11 can think of a few where the majority of vehicles in a
12 particular insurance use are fleet vehicles, then the effect
13 of having only those particular insurance uses fund the
14 rebates when you've got a small number of vehicles in that
15 class that don't have any opportunity to earn rebates, they
16 just have to fund somebody else's rebates, that's
17 particularly onerous for them.

18 The other thing is that the Fleet Rebate
19 Surcharge Program is constructed on a customer basis. So you
20 have customers that have light trucks and heavy trucks and --
21 and maybe some U-drives, and all kinds of an assortment of
22 vehicles; it's not constructed on an insurance use basis.

23 MR. WALTER SARANCHUK: Now, moving on to the
24 driver premium line, what is the foundation for the level of
25 the average driver -- driver premium?

1 MS. MARILYN MCLAREN: The driver premium
2 contribution, which is really an offset to the amount the
3 vehicle owners would otherwise have to pay is just a
4 distribution of the -- of all earned driver premium that --
5 that flows into the Corporation.

6 So, it's the -- it's the total of the basic
7 premium, the demerit point additional premiums and the
8 at-fault accident surcharges are all allocated to reduce the
9 amount vehicle owners would otherwise have to pay.

10 MR. WALTER SARANCHUK: So, is it -- it sounds
11 like there's quite a bit of arbitrariness in that system,
12 would you agree?

13 MS. MARILYN MCLAREN: In that we allocate the
14 driver premium to reduce the amount that vehicle owners would
15 have to pay?

16 THE CHAIRPERSON: He means the selection of
17 the forty-five dollars (\$45)?

18 MS. MARILYN MCLAREN: The forty-five dollars
19 (\$45) is -- is not actuarially calculated in any way, shape
20 or form, no.

21 And there -- there's very, very little direct
22 link between driver premiums charged, and any particular
23 coverage offered to Manitobans that is not already available
24 through the vehicle program or through PIPP, it is simply a
25 contribution to the insurance fund, to make sure that

1 everyone contributes whether or not they own a vehicle.

2

3 CONTINUED BY MR. WALTER SARANCHUK:

4 MR. WALTER SARANCHUK: So, can you comment on
5 the fairness of the split between the driver's premiums and
6 the vehicle premiums?

7 MS. MARILYN MCLAREN: The last time we
8 increased the basic driver's premium was -- what we did at
9 that time, we looked at how vehicle premiums had changed
10 since the last time the driver premium changed, and drew some
11 -- identified that there were some similarities and that the
12 relationship between the driver premium and vehicle premiums
13 is consistent and has -- has continued to be consistent.

14 Do we think that the -- you know, right now
15 about 90 percent of the revenue comes from vehicle owners and
16 10 percent comes from drivers. If you are asking whether we
17 think that that's exactly specifically appropriate, whether
18 there are opportunities to move some of it around, I think
19 those are things that we have again, probably some new
20 opportunities to look at now.

21 MR. WALTER SARANCHUK: Can you give an
22 indication as to what the impact of say a ten dollar (\$10)
23 increase in driver's premiums would be? The bottom line?

24 MS. MARILYN MCLAREN: About \$7 1/2 million, I
25 think there's about seven hundred and seventy thousand

1 (770,000) drivers.

2 MR. WALTER SARANCHUK: All right, moving on
3 now to the service fees.

4 MS. MARILYN MCLAREN: Again, that's an offset
5 to the amount vehicle owners would otherwise have to pay.
6 Those are the service fees collected on all the transaction
7 fees and time payment fees that the Corporation charges.

8 MR. WALTER SARANCHUK: And there's no
9 allocation for trailers or ORVs?

10 MS. MARILYN MCLAREN: No, they have much,
11 much smaller transaction fees, and I think virtually all of
12 those transaction fees are part of the DVL revenues, not MPI
13 revenues. And they're -- neither of those vehicle types are
14 eligible for the time payment programs. Most of the service
15 fee revenue comes from the time payment program, and they're
16 not eligible, so they don't get the credit for that.

17 MR. WALTER SARANCHUK: And then I think after
18 that we're getting into the positive lines, namely, for
19 example, the reference to investment income for driver's
20 premium, investment income for vehicle premium, is that
21 correct?

22 MS. MARILYN MCLAREN: Yes, those continue to
23 be credits to reduce the amount vehicle owners would
24 otherwise have to pay.

25 MR. WALTER SARANCHUK: And what can you tell

1 us about the allocations, amongst the -- the vehicle classes?
2 They appear to be --

3 MS. MARILYN MCLAREN: They're --

4 MR. WALTER SARANCHUK: -- across the board on
5 drivers, and then somewhat -- I'm sorry, about the -- let me
6 deal with driver's premiums first, it's across the board
7 insofar as drivers are concerned?

8 MS. MARILYN MCLAREN: Yes. Yes, because the
9 driver premium is allocated on a flat basis and it's a
10 percentage premium so the investment income would be flat as
11 well for that reason.

12 MR. WALTER SARANCHUK: And then obviously
13 there isn't that uniformity in investment income for vehicles
14 premiums. How are those allocated?

15 MS. MARILYN MCLAREN: They are percent of
16 premium so they track with the rates charged in the different
17 major classes just as commission and premium taxes do.

18 MR. WALTER SARANCHUK: And then there's the
19 line, required rate raw, what does that mean?

20 MS. MARILYN MCLAREN: We just add up and --
21 add up the costs, subtract the credits and that is basically
22 the rate that we receive from that mathematical process.

23 MR. WALTER SARANCHUK: And then there's an
24 adjustment to get to the required rate of balance. How is
25 that done?

1 (BRIEF PAUSE)

2

3 MS. MARILYN MCLAREN: The required rate, the
4 line above it we were just talking about, is -- is the rate
5 that we need according to our projections, and the balance
6 line simply means that we balance amongst all the major
7 classes just for things like rounding and so on to make sure
8 that it ties back to the 733.11.

9 MR. WALTER SARANCHUK: And then we get
10 through the total premium balance and the '04/05 average
11 rates followed by a major class drift to get to the '05/06
12 average rates without rate change. Could you just take us
13 through from the '04/05 average rate through to the '05/06
14 average rate without rate change?

15

16 (BRIEF PAUSE)

17

18 MS. MARILYN MCLAREN: The '04/05 average rate
19 comes from the rate model which is a simulation of all the
20 vehicles and all the rates in force at that time as of
21 January of '04. We calculate the major class drift --

22 MR. WALTER SARANCHUK: Which means?

23 MS. MARILYN MCLAREN: -- is really a
24 reflection of -- for the most part the vehicle upgrading that
25 we talked about earlier, because what we're trying to do is

1 figure out the -- what -- how will the Corporation's revenue
2 change on that basis alone from the rate model which is taken
3 in January of '05 to the average earning date for policies
4 that will be enforced for the Application before the Board
5 which is the earning date.

6 It doesn't happen until February of '06. So
7 you have pretty much two (2) years of vehicle upgrading
8 happening there. And that's what -- for the private
9 passenger group for example, is a 9.2 percent increase just
10 related to major class drift.

11 So then what we end up with based on that
12 drift is an '05/06 average rate without any rate changes
13 incorporating that vehicle upgrade or -- or drift which gives
14 us now an overall rate of seven hundred and thirty-three
15 dollars (\$733) which is -- compared to 733.11.

16 MR. WALTER SARANCHUK: And that comparison
17 then gives the required change with the full credibility?

18 MS. MARILYN MCLAREN: Yes, that's right.
19 Which means that we assume each major class is statistically
20 credible on its own and we calculate how that rate should
21 change if in fact we assumed that each class stood on its own
22 with respect to credibility.

23 For example, you can see that on that basis,
24 the motorcycles would need to increase by 61 percent.

25 The applied for change line, certainly we're

1 not applying for a 61 percent increase, but the applied for
2 change is simply to indicate any difference that there may be
3 between the required change and our applied for change. In
4 this case they are identical, so both of those lines are the
5 same right a way -- all the way across.

6 We then identify the credibility that we
7 assign to each major class and then calculate the change that
8 we would be looking at after application of the credibility,
9 so again, taking the motorcycles -- our -- our calculations
10 suggest that the motorcycle group on its own should only be
11 credible to 60 percent of the indicated rate for motorcycles
12 on their own and therefore, if we're applying only 60 percent
13 credibility to the motorcycle data, the credibility weight of
14 change would be 36.6 percent.

15 MR. WALTER SARANCHUK: So, what is the -- the
16 basis for the assigned credit-abilities?

17

18 (BRIEF PAUSE)

19

20 MS. MARILYN MCLAREN: The Corporation's
21 selected method of calculating credibility was really -- was
22 intended to provide 99 percent credibility to the largest
23 major class.

24 So when you've got 99 percent credibility on
25 the private passenger class, that -- that was what the

1 calculation was intended to deliver and from that basis we've
2 calculated -- we've calculated the credibility for the other
3 much smaller classes.

4 MR. WALTER SARANCHUK: So it's intended to
5 provide an objective measure of how the statistics are?

6 MS. MARILYN MCLAREN: Yes, exactly. It
7 was -- the approach was selected ten (10) years ago in
8 approximately 1994. The Corporation has consistently used it
9 since that time to give an objective means to predict the
10 future costs of the major classes.

11 MR. WALTER SARANCHUK: If one were to suggest
12 that the credibilities are flawed, what would you say to
13 that?

14 MS. MARILYN MCLAREN: We've used them for the
15 last ten (10) years. They've been tested over that period of
16 time and, for the most part, produced stable results.

17

18 (BRIEF PAUSE)

19

20 MR. WALTER SARANCHUK: Now, in calculating
21 the credibility weighted change, where does the balance of
22 the credibility come from?

23 MS. MARILYN MCLAREN: From the overall
24 requirement for the Manitoba vehicle population.

25 MR. WALTER SARANCHUK: And what are the

1 implications then for motorcycles?

2 MS. MARILYN MCLAREN: It dampens the effect
3 of the motorcycle data itself. If we relied more heavily on
4 the motorcycle history, they would have an increase that
5 looked more like 61 percent.

6 MR. WALTER SARANCHUK: Now, referring to the
7 last line in TI-2 at Tab 1, we have the credibility weighted
8 change of the balance as shown and that's as reflected in
9 Table 6.3 -- SM-6.3 at page 3 of Volume I, which is the table
10 entitled The Experience Rate Requirement Indicator is the
11 Percent Change and in the financial column we see what is
12 reflected essentially in the last line of TI-1. Is that
13 correct?

14 MS. MARILYN MCLAREN: Yes, it is.

15 MR. WALTER SARANCHUK: And then, turning over
16 to AI-12, which deals with the transition, how does one get
17 from that bottom line on TI-2 and as reflected in the
18 financial method in SM-6.3, to SM-6.5 on page 7, which is the
19 Revenue Adjustment Requested?

20 MS. MARILYN MCLAREN: I think you mentioned
21 AI-12. That's for the most part how you get from the
22 indicated rate changes to the applied-for rate changes and,
23 you know, the -- the initial process is -- is very similar to
24 what we talked about on TI-2, really basic -- basically up to
25 the part where we talked about, you know, the -- the '04/05

1 average rate and -- and the drift and so on.

2 So really the original rate model before
3 changes as you see in Column A in AI-12 is really the same
4 thing as we talked about in terms of the '04/05 average rate
5 on TI-2.

6 So from there, we apply any classification
7 changes that we will be making as part of the application,
8 the clear adjustments, we then calculate the indicated
9 adjustments at an insurance use territory level. Not the
10 major class level, but right down to the detailed insurance
11 use territory for all the different insurance uses and
12 territories.

13 We then have to balance those and E, I guess,
14 is -- is the big step where we apply all the capping rules.
15 Where, if for example, motorcycles need a 37 percent
16 increase, they're only going to get a 15 percent increase and
17 that's where you see some of the shifting really starting to
18 happen between the other insurance uses as some insurance
19 pick -- as some insurance use and territory combinations pick
20 up some costs from other insurance use and territory
21 combinations.

22 After we do that, we have to go through a
23 balancing process. Even a simple thing like all of our rates
24 are provided in flat dollar amounts. We don't have cents.
25 When you've got particularly low rates, just the -- the --

1 the rounding to the nearest dollar can have a significant
2 effect on -- when you've got some low rated vehicle
3 categories.

4 We go through that process in F and G gives us
5 what we're actually applying for, which you see in the rate
6 file that's in the application and involving one (1) in the
7 AP-1 section.

8 MR. WALTER SARANCHUK: So, just looking at
9 page 7, and this is the last question, looking -- for today -
10 - looking at page 7 where there's the result for the major
11 class total for motorcycles and there it indicates that there
12 are nine thousand one hundred and thirty-three (9,133) of
13 them.

14 The original rate model before changes shows
15 an average rate of eight hundred and twenty-seven dollars and
16 eleven cents (\$827.11) for a total premium of \$7.5 million
17 and then with the classification and clear adjustments in B
18 and the indicated adjustments in C, and the balanced
19 indicated adjustment in D and the capping in E and the
20 balanced cap in F, then you get down to the 15 percent or
21 average rate of nine hundred and fifty-one dollars and
22 twenty-eight cents (\$951.28) in the G column for motorcycles.

23 Is that correct?

24 MS. MARILYN MCLAREN: Yes, exactly.

25 MR. WALTER SARANCHUK: I think I have to end

1 on that note for the day, Mr. Chairman.

2 THE CHAIRPERSON: I have no idea how we'll
3 survive tomorrow without tomorrow. We'll see you on Friday.
4 Thank you.

5 MR. WALTER SARANCHUK: Well, we won't have to
6 survive tomorrow, I don't think. Oh, yes we do. Okay. I
7 thought you meant in terms of the hearing. So yes, we
8 reconvene on Friday at 9:00 o'clock. Thank you.

9 MR. KEVIN MCCULLOCH: I presume, Mr.
10 Chairman, we can leave all of the material in the room?

11 THE CHAIRPERSON: Yes. We have insurance.

12

13 (PANEL STANDS DOWN)

14

15 --- Upon adjourning at 4:05 p.m

16

17

18 Certified Correct

19

20

21

22

23 _____
Carol Wilkinson

24 Court Reporter

25

