

MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA PUBLIC INSURANCE CORPORATION (MPI)

2018/2019 GENERAL RATE APPLICATION

HEARING

Before Board Panel:

Robert Gabor, Q.C. - Board Chairperson

Michael Watson - Board Member

Carol Hainsworth - Board Member

Allan Morin - Board Member

Robert Vandewater - Board Member

HELD AT:

Public Utilities Board

400, 330 Portage Avenue

Winnipeg, Manitoba

October 4, 2017

Pages 381 to 627



“When You Talk - We Listen!”



APPEARANCES

1
2
3 Kathleen McCandless) Board Counsel
4 Robert Watchman) Board Counsel
5 Roger Cathcart) Consultant
6 Alex McQuarrie) Consultant
7
8 Steve Scarfone) Manitoba Public
9 Michael Triggs) Insurance
10
11 Byron Williams (np)) CAC (Manitoba)
12 Katrine Dilay)
13
14 Raymond Oakes) CMMG
15
16 Erika Miller) CAA Manitoba
17
18 Christian Monnin (np)) Bike Winnipeg
19
20
21
22
23
24
25

	TABLE OF CONTENTS	
		Page No.
1		
2		
3	List of Exhibits	384
4	List of Undertakings	385
5		
6	CONTINUED MPI Panel 1:	
7	LUKE JOHNSTON, Previously Sworn	
8	PETER YIEN, Previously Affirmed	
9		
10	Re-Direct Examination by Mr. Matthew Ghikas	387
11	Cross-Examination by Ms. Kathleen McCandless	394
12	Cross-Examination by Mr. Robert Watchman	497
13		
14		
15		
16	Certificate of Transcript	627
17		
18		
19		
20		
21		
22		
23		
24		
25		

1	LIST OF EXHIBITS		
2	EXHIBIT NO.	DESCRIPTION	PAGE NO.
3	MPI-12	Presentation of Ward Keith	517
4	MPI-13	Response to PUB-MPI PreAsk 4	517
5	PUB-14	The physical damage re-engineering	
6		program charter dated May 20, 2014	
7		from the 2015 General Rate	
8		Application	518
9	PUB-15	Information Request PUB-MPI-1-75	
10		dated September 5, 2014 from the	
11		2015 General Rate Application	518
12	MPI-14	RFP for ALM study submitted by	
13		Mercer Canada	627
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

LIST OF UNDERTAKINGS		
NO.	DESCRIPTION	PAGE NO.
1		
2		
3	8	
4		
5		
6		
7		
8	9	
9		
10		
11		
12		
13		
14		
15	10	
16		
17		
18		
19	11	
20		
21		
22	12	
23		
24		
25		

LIST OF UNDERTAKINGS		
NO.	DESCRIPTION	PAGE NO.
13	MPI to provide an explanation as to why the response to PUB-MPI-2-36 is a 4.3 percent increase	500
14	The Corporation to reconcile the calculation of the investment return on assets supporting Basic total equity using the information from volume 2 investments	565
15	The Corporation to confirm whether line items 22 and 23, investment fees paid and pension expense, are appropriately charged to the investment income on assets supporting total equity	566
16	MPI to provide the basis and derivation of the implied 178 basis point spread adjustment as forecasted.	576

1 --- Upon commencing at 9:03 a.m.

2

3 THE CHAIRPERSON: Good morning,
4 everyone. I spoke to Ms. McCandless. Mr. Ghikas, I
5 understand, you have a few matters.

6 MR. MATTHEW GHIKAS: Yes, actually,
7 they're transcript corrections -- not -- not
8 transcript corrections but where the witnesses need to
9 correct some responses that they gave yesterday.

10 So there's one --

11 THE CHAIRPERSON: Okay.

12 MR. MATTHEW GHIKAS: -- I've got one
13 for Mr. Yien and one for Mr. Johnston.

14

15 CONTINUED RE-DIRECT EXAMINATION BY MR. MATTHEW GHIKAS:

16 MR. MATTHEW GHIKAS: So we'll start
17 with Mr. Yien at page 344 of the transcript, in that
18 series of questions that -- Mr. Yien, you recall that
19 My Friend Ms. McCandless was asking you questions
20 about vacancy allowance?

21 MR. PETER YIEN: Yes.

22 MR. MATTHEW GHIKAS: Okay. And so if
23 we look specifically at Line 18 of page 344, you'll
24 see My Friend asked you, "so the effect of that -- so
25 MPI is still using the vacancy allowance" and your

1 answer begins with no. And then there's some
2 discussion and then if you look down at line 16, of
3 345, line 16, you say,

4 "The difference this year is we're
5 pushing it down so effectively what
6 we're saying is, instead of using a
7 vacancy allowance, what we're going
8 to do is when we're going to do the
9 net numbers which means plan that
10 yourself so that you know by area
11 roughly how many people are not
12 going to be around while you are
13 actually searching for replacement,
14 so, therefore, there won't be a
15 vacancy allowance for this year."

16 Now, just -- I think there was some
17 confusion here, Mr. Yien. When you were talking about
18 this year there being no vacancy allowance, what year
19 are you talking about?

20 MR. PETER YIEN: I -- I was referring
21 to the 2019, next year's GRA.

22 MR. MATTHEW GHIKAS: Okay. So in the
23 GRA application this year, is there a vacancy
24 allowance?

25 MR. PETER YIEN: It should be

1 corrected to say, yes.

2 MR. MATTHEW GHIKAS: Okay, thank you.

3 Now, Mr. Johnston, yesterday, if we can
4 turn, Diana, to page 216 -- sorry, to 221. My
5 apologies. This -- in this sequence of questions,
6 this related to what was referred to as the compliance
7 filing proposal of MPI. And you'll see, Mr. Johnston,
8 at page 221 starting at line -- oh, I'm sorry, I'm
9 getting ahead of myself here.

10 Page 216. This sequence of questions
11 begins relating to this compliance filing process, and
12 it starts at line 13. Now, the compliance filing
13 process that we are -- that -- that My Friend is
14 referring to here is the one (1) in which MPI is
15 proposing to update the rate indication with the
16 actual 10 year Government of Canada bond yield or the
17 interest rate as of November 30th, 2017.

18 Do you recall that?

19 MR. LUKE JOHNSTON: Yes, I do.

20 MR. MATTHEW GHIKAS: And have you
21 reviewed the transcript?

22 MR. LUKE JOHNSTON: I have.

23 MR. MATTHEW GHIKAS: Okay. So under
24 MPI's proposal, are there any other inputs into the
25 rate indication that would be updated, other than the

1 Government of Canada 10 yield -- 10 year bond yield?

2 MR. LUKE JOHNSTON: No, there wouldn't
3 be, and that was part of the confusion I think in some
4 -- the way I described the compliance filing.

5 Really, when we say "compliance
6 filing," we're not talking about anything different
7 than we've just done in this rate hearing each year.
8 So, in round 2, an Information Request was asked to
9 please update the rate indication for the latest
10 Government of Canada ten-year bond yield, and we did
11 that and the number I believe was -- was 2 percent.

12 There's also a pre-ask that we'll be
13 filing shortly to update that interest rate again, as
14 of I believe September 30th. That is, essentially,
15 identical to what we're asking in the complying --
16 compliance process. To do the same update that we've
17 done for many years here at the PUB hearings, just to
18 push that date as close as possible to the actual
19 filing date to minimize the interest rate risk.

20 MR. MATTHEW GHIKAS: Okay. And so are
21 you anticipating that the Board would have the update
22 before or after it renders its decision?

23 MR. LUKE JOHNSTON: And again, I
24 wasn't as clear as I needed to be on this topic.
25 Understandably, the Board would like to issue an Order

1 knowing what the actual interest rate is and the rate
2 indication.

3 So, what -- whether it's -- we've
4 proposed November 30th, but it could be a different
5 day. But -- but the idea is that we could provide the
6 Board with all the information as listed in the
7 compliance filing based on the Government of Canada
8 ten-year bond on November 30th which then the Board
9 would have the actual information that -- similar to
10 an updated Information Request for that updated bond
11 yield.

12 And then, again, it wouldn't look like
13 the Board is issuing an Order where they don't know
14 what the actual rate indication is yet.

15 MR. MATTHEW GHIKAS: And, Mr.
16 Johnston, are the naive interest rate forecasts
17 available every day?

18 MR. LUKE JOHNSTON: Yes, they are.

19 MR. MATTHEW GHIKAS: And so if we can
20 go now to page 221, which is I think where the
21 confusion -- the confusion started. Starting at line
22 18, you'll see My Friend Ms. McCandless is asking you
23 -- referring to the -- what is the proposal of
24 updating the rate indication with the actual 10 year
25 Government of Canada bond interest rate.

1 And then over on the following page, My
2 Friend asked you about an alternative proposal to
3 update the rate indication with the actual claims
4 discount rate as of November 30th, 2017.

5 Do you see that?

6 MR. LUKE JOHNSTON: Yes, I do.

7 MR. MATTHEW GHIKAS: Okay. Now, as I
8 understand it, MPI discussed an approach that would
9 involve updating the claims, the actual claims'
10 discount rate as of November 30th in the application,
11 correct?

12 MR. LUKE JOHNSTON: We had that
13 discussion yesterday, yes.

14 MR. MATTHEW GHIKAS: Okay. And just
15 for clarification, is MPI actually proposing this
16 methodology?

17 MR. LUKE JOHNSTON: No, we're not and
18 part of the issue here in my response is that --
19 definitely answering like an actuary which we talk
20 about claims liability discount rates. I think we'd
21 all agree that if we updated all the information
22 constantly, we'd have a more accurate rate indication
23 but that isn't really possible or desirable as part of
24 this regulatory process.

25 So again, we're proposing to submit the

1 filing as filed, with the exception of the Government
2 of Canada 10-year bond rate, which is something that
3 we update really ever -- every year now at this
4 hearing process.

5 The only change here would be to update
6 it later in the process to get the best information to
7 the Board and, really, if -- if we think interest
8 rates -- like, if we think interest rates are rising,
9 which some people do, that would give the most
10 opportunity to ratepayers as well to reflect the
11 impact of that rising interest rate if it happens.
12 And if it doesn't, then that's also appropriate.

13 MR. MATTHEW GHIKAS: Okay, so what --
14 what is the -- maybe I can ask, if you recall -- if
15 you recall later in the day there was an extended
16 huddle, and some confusion that came out of that when
17 there were some questions put to you about the impact
18 of changes in the corporate bond strategy, and how
19 that would affect the compliance filing.

20 So just -- do you recall that?

21 MR. LUKE JOHNSTON: I do.

22 MR. MATTHEW GHIKAS: Okay. Now, the -
23 - that discussion, does that have any implication for
24 what MPI's actually proposing in the proceeding, or
25 does it relate to this other strategy?

1 MR. LUKE JOHNSTON: It doesn't have
2 any implication to MPI's compliance filing proposal.
3 When you start -- like any portion of the application,
4 if you start changing -- you could change the claims'
5 forecast, you could change a revenue forecast; that's
6 not what we are asking to do here.

7 The -- my response to that question
8 was, really, in relation to the impact on the claims'
9 liability discount rate, not the compliance filing
10 process that we put forward.

11 MR. MATTHEW GHIKAS: Okay. Thank you
12 for the clarification and, thank you, Mr. Chairman.

13 THE CHAIRPERSON: Okay. Thank you,
14 Mr. Ghikas. Ms. McCandless...?

15

16 CONTINUED CROSS-EXAMINATION BY MS. KATHLEEN

17 MCCANDLESS:

18 MS. KATHLEEN MCCANDLESS: Just one (1)
19 follow-up question to the clarification.

20 So, Mr. Johnston, you said you could
21 provide the Board with an update that's typically been
22 provided to the Board in past but just later in the
23 process.

24 So, would that update be provided
25 before the close of the public hearings or after the

1 close of the public hearings but before the issuance
2 of the Board Order?

3 MR. LUKE JOHNSTON: Our proposal would
4 be the latter. And we've put forward November 30th,
5 but there's no -- like, we believe that that's the
6 latest in the process that we could give the best
7 information to the Board. It doesn't have to be right
8 on November 30th.

9 But, we're just saying before the Board
10 Order would be I think preferable to every -- to
11 everyone.

12 MR. MATTHEW GHIKAS: And if I can
13 provide any assistance in this regard, what
14 mechanically would happen, Mr. Chairman, to facilitate
15 that and what is often done in rate proceedings that
16 I've been involved in is that the record is closed at
17 the end of the hearing, subject to the outstanding
18 undertakings effectively being provided.

19 And so, effectively -- the nomenclature
20 that was used in the application calling it a
21 compliance filing is actually a source of the
22 confusion because it really isn't. What it really is
23 -- is an undertaking to update the forecast as of
24 November 30th. And then the record, then closing
25 after November 30th when it's filed, Commission would

1 then -- or the Board would then issue its decision
2 afterwards.

3 THE CHAIRPERSON: Yeah, the problem,
4 Mr. Ghikas, is that when you provide an undertaking --
5 once an undertaking is provided, the -- either the
6 Board or the Intervenors would normally have the
7 opportunity to cross-examine on the undertaking if
8 they had any questions.

9 In what you're proposing, essentially,
10 the undertaking would be given without that
11 opportunity.

12 MR. MATTHEW GHIKAS: That is what
13 we're proposing, Mr. Chairman, and that's why the --
14 the update is restricted to updating the naive
15 forecast of that Government of Canada bonds because it
16 is -- it is what it is. And there would be no, you
17 know, peop -- we already have the sensitivity analysis
18 on the record so people can actually see a change in
19 the interest rate and what -- what that would do to
20 the rate indication and there's no -- there's no issue
21 for dispute as to what, in fact, it is. So that --
22 that is the proposal in any event.

23 THE CHAIRPERSON: Yeah, I guess --
24 well, we'll take a look at it. I guess my -- my
25 concern after practicing for thirty-seven (37) years

1 is I've often seen situations where there's no reason
2 for dispute and there's always a dispute so.

3 But, certainly, we'll -- we'll, you
4 know, we'll take it into account and discuss it more
5 later. Thank you. Sorry, Ms. McCandless...?

6

7 CONTINUED BY MS. KATHLEEN MCCANDLESS

8 MS. KATHLEEN MCCANDLESS: No problem.
9 Thank you. Good morning, I'm going to resume my
10 cross-examination with questions about IT strategy
11 projects and some questions on the Gartner CIO
12 scorecard, this morning.

13 So, Mr. Yien, in your direct evidence
14 you mentioned the value management process and you
15 spoke about it in some detail. And so, as I
16 understand it, the value management process contains
17 four (4) major components; the first being, business
18 case development?

19 MR. PETER YIEN: Yes.

20 MS. KATHLEEN MCCANDLESS: Then
21 business case approval?

22 MR. PETER YIEN: Yes.

23 MS. KATHLEEN MCCANDLESS: Then
24 business transformation office project delivery?

25 MR. PETER YIEN: Yes.

1 MS. KATHLEEN MCCANDLESS: And post-
2 implementation reviews?

3 MR. PETER YIEN: That's correct.

4 MS. KATHLEEN MCCANDLESS: And as I
5 understood your testimony, the value management
6 process would applied to all initiatives going
7 forward.

8 MR. PETER YIEN: That's correct.

9 MS. KATHLEEN MCCANDLESS: Does it
10 apply to existing IT projects?

11 MR. PETER YIEN: The IT projects that
12 are currently existing, have already been in flight,
13 so they do not but they do apply to all future
14 projects.

15 And as a matter fact, for purposes I
16 guess of this GRA -- I want to make sure I answer this
17 correctly, would -- when we actually filed in the GRA
18 process, the value management process is going through
19 a continual maturation process. I meant -- what I
20 mentioned was as much as we have defined what's
21 included there, we're still in a process of
22 refinement.

23 So the idea is that we would have a
24 running start at -- when we get to March 1st, all
25 projects that start there will all be having business

1 cases. We already starting to implement that now.

2 So, the answer to your question is a portion of the
3 projects that starts this year will have it.

4 MS. KATHLEEN MCCANDLESS: So a portion
5 of IT projects --

6 MR. PETER YIEN: That have start --

7 MS. KATHLEEN MCCANDLESS: -- are now
8 using the -- the value management process?

9 MR. PETER YIEN: Yeah, just to be
10 clear, all projects that starts as of right now,
11 moving forward, will have it.

12 MS. KATHLEEN MCCANDLESS: And then it
13 will apply to all future IT projects, is that right?

14 MR. PETER YIEN: That's exactly right.

15 MS. KATHLEEN MCCANDLESS: Diana, can
16 you please pull up IT section of the filing, page 8,
17 please. If we just scroll down a little bit.

18 The Corporation writes here that the
19 initiatives planned for the rating years are somewhat
20 limited and there are -- there's a list here of
21 projects which are described as "initiatives planned
22 for the rating years," which are extensions of
23 existing project. So, we see human resources,
24 management system phase 3 and 4, customer claims'
25 reporting system, customer self-service and if we

1 scroll down further, technology risk management and
2 AOL CARS replacement; yes?

3 MR. PETER YIEN: Yes.

4 MS. KATHLEEN MCCANDLESS: Okay. And
5 yesterday we looked at a list of all current IT
6 projects. And if we could just pull that up, that's
7 at PUB-MPI-1-30, appendix 1.

8 And so there -- that's the list of the
9 thirty-three (33) ongoing IT projects; yes?

10 MR. PETER YIEN: Yes.

11 MS. KATHLEEN MCCANDLESS: Okay. So --
12 and I don't need to take you back to the previous
13 screen but my observation is that those projects
14 listed in the previous screen are all reproduced in
15 this appendix.

16 MR. PETER YIEN: That -- that's
17 correct. Essentially it gives you a more granular
18 detail. So these projects, in effect, could be mapped
19 back to the categories of project that you saw
20 earlier.

21 MS. KATHLEEN MCCANDLESS: So, are any
22 of the new IT initiatives planned at this point for
23 the rating years or are the projects, essentially,
24 closed at this time?

25 MR. PETER YIEN: We -- the projects --

1 let me answer that in two (2) ways. There are no new
2 IT projects. Let me define "new." No new
3 initiatives, for sure.

4 I mentioned yesterday that there are
5 projects that we need to do to keep the lights on. We
6 -- we continue to do that. So if we need a new
7 computer we'll -- we'll replace it. Other than that,
8 patching -- software patching just to keep the -- we
9 refer to that as technical depth, where if we have to
10 keep things current we'll do that.

11 So I don't defined those as new, but
12 other than that, there's no new projects.

13 MS. KATHLEEN MCCANDLESS: Are you able
14 to tell me if any of the projects in this list are
15 following the value management process?

16 MR. PETER YIEN: They all follow
17 various degrees of the value management process,
18 because the value process -- the value management
19 process is not new. The requirements and the
20 stipulations that we put on in terms of business cases
21 and what's the thresholds, those are new. So they --
22 they all do.

23 MS. KATHLEEN MCCANDLESS: Has the
24 Corporation given thought to the number of IT projects
25 it would consider manageable?

1 MR. PETER YIEN: Let me refine that a
2 little bit. We are looking at projects at a very
3 granular level and from a project management
4 perspective, it's really important to look at what we
5 are doing at a more granular level. I liken it to
6 building a house, putting the floors in is a project,
7 putting the conditioner in is a project. Those are
8 projects.

9 But we also need to look at all these
10 projects from a program level. Let's -- let's think
11 of what is the top of the house, whole house
12 perspective. So these are very granular views of --
13 of the project. We manage these projects, what we
14 call program management. So, it's the entire house
15 and so we have to manage the projects at a granular
16 level, but in terms of the value and the related
17 costs, we manage it at -- at a broader level.

18 So, there -- there's no intention to
19 reduce the number of projects, because what you're
20 seeing there is a more tactical view of how we look at
21 building and getting to our business case which,
22 ultimately, is to solve a problem. And when we solve
23 a problem it will get granular because there's
24 different pieces that requires different resources,
25 different capabilities, and that's what you're seeing

1 here.

2 So the -- there is no plan to reduce it
3 per se, but I think if we go back to the previous page
4 that you showed which is the five (5), that's probably
5 a more manageable way to look at how we are actually
6 managing the projects down. And I guess the question
7 is, you know, should we reduce that number to a four
8 (4) or three (3)? That's to be determined as part of
9 our upcoming business strategy.

10 MS. KATHLEEN MCCANDLESS: Okay. So,
11 thank you for that -- that lengthy response.

12 Am I to understand what you're saying
13 that the -- in the Corporation's view, thirty (30) --
14 thirty-three (33) IT projects is manageable from its
15 perspective.

16 MR. PETER YIEN: Absolutely. In fact
17 -- in fact, we don't take on more projects than we can
18 bear. So that's part of our budgeting process. And
19 we know -- we actually keep track of what we're
20 capable of doing.

21 So we do have a pipeline of projects
22 that we would like to take on. But that's for
23 planning purposes, and we are very clear on -- not to
24 exceed our capacity. And that's part of the value
25 meth -- that's actually part of the BTO's role, is to

1 ensure that we don't take on too much, and that we're
2 actually watching the progress of existing projects.
3 Oh, I do want to add one more point. And it is
4 important to point out that many of the projects are
5 in different forms of completion as well. So I don't
6 want to give you the impression that all of them are
7 in-flight. That's -- that's a important view.

8 MS. KATHLEEN MCCANDLESS: Thank you.
9 Diana, can you please go to Pages -- Pages 10 -- and
10 starting with ten (10) for IT.

11 So here under -- under -- starting at
12 2.2.3 following through to Page 10, we see a number
13 of, or pardon me, ten (10) to eleven (11). We see a
14 number of technology and modernization projects
15 listed.

16 MR. PETER YIEN: Okay.

17 MS. KATHLEEN MCCANDLESS: And so I
18 believe I understand your evidence then. Because
19 these are existing projects, they aren't following the
20 value management process.

21 MR. PETER YIEN: They are following --
22 they are following the value management process, just
23 not the refined version of the refined -- sorry,
24 refined version of the value management process.

25 MS. KATHLEEN MCCANDLESS: So perhaps

1 you could explain -- we went through at the beginning
2 of your testimony this morning. Those four pillars
3 that are part of the new value management process. So
4 is that what you're referring to is the refined value
5 management process?

6 MR. PETER YIEN: Yes. I -- I -- let
7 me give you an example. Moving forward -- we've
8 always had the concept of business case. But moving
9 forward we've now put into stipulation that any
10 projects greater than five hundred thousand dollars
11 (\$500,000) will require one. So we did not have the
12 same thresholds in the past. It was more a judgmental
13 nature.

14 So, therefore, moving forward we are
15 more refined in requiring a business case with that
16 threshold.

17 MS. KATHLEEN MCCANDLESS: And so when
18 you say that those existing projects for technology
19 modernization are following -- following "the value
20 management process," perhaps you could just fill me in
21 on how they're following the previous value management
22 process.

23 MR. PETER YIEN: Sure. The value
24 management process is about keeping accountable for
25 project that we decide to execute. So it starts with

1 the generation of ideas; are they challenged? They
2 get challenged in the previous value management
3 process through various forms.

4 It could be challenged at the executive
5 level, or one (1) level down before the idea even gets
6 discussed any further. After that, the -- the idea
7 gets refined, gets further discussed. And then
8 ultimately at some point they'll say, Well, are we
9 ready for this? From a technology people/technology
10 process perspective.

11 And with that the case, there is some
12 sort of a write-up on it. It may not look like a
13 business case but it gets shared. And it gets shared
14 through email or through meetings and then after that
15 point, there's discussions on, How do we calculate the
16 benefits? What are the costs associated?

17 And we have to bounce that off through
18 others that may have done it before. I said
19 yesterday, sometimes we share with our colleagues.
20 Our comparative organizations, like SGI and others,
21 for example. So after those discussions happen, we
22 start to refine and start to frame what that benefit
23 looks like.

24 The cost a little bit more difficult.
25 Particularly, if we're doing something new. And so we

1 go through that process of building it.

2 I just want to differentiate the
3 difference between the past and now. The future means
4 that all of that information is captured in one
5 document, which we call a business case. When I said
6 earlier that we follow value management process that
7 was a little bit different, is all those things are
8 being done, including all the way down to when we
9 approve a business case. Management approves the
10 business case through an executive committee meeting.
11 The Board reviews the benefits of that business case
12 and all that information as part of that meeting.

13 Moving forward though, the business
14 case becomes a very integral part of it. It just
15 means capturing all that information in one spot, for
16 ease of reading, for ease of review. So that is new.
17 So in the past, the projects have gone through that
18 process.

19 MS. KATHLEEN MCCANDLESS: So does --
20 does that mean that the -- if we -- I won't name them
21 all, but they -- the four (4) technology modernization
22 projects that we were just looking.

23 Would they have had business cases?

24 MR. PETER YIEN: They would not have
25 what we'd characterize as a one-document with the

1 business case, no, that's the refinement.

2 MS. KATHLEEN MCCANDLESS: Okay. Thank
3 you. And the progress of these projects, are they
4 being managed through the business transformation
5 office?

6 MR. PETER YIEN: Yeah. Let me clarify
7 that before I answer your next question. I don't want
8 to give the impression that we don't have business
9 cases. What I will say, is we don't consistently have
10 a one-document that describes everything. So we do
11 have business cases for some projects, is the way we
12 envision it currently, moving forward in the future.
13 That's kind of the newer refined standard.

14 We have information that effectively if
15 you mapped it to a business case, you could re -- you
16 could redo that, if you will. We could fill in the
17 blanks using the new templates, that just takes time.
18 So we do have that information. So essentially, the
19 refinement is more formal documentation.

20 MS. KATHLEEN MCCANDLESS: Okay. And
21 so I'm not sure if I got your answer, previously.
22 Which -- which is whether the -- the technology
23 modernization projects are being monitored through the
24 business transformation office at this time?

25 MR. PETER YIEN: Yes, they are.

1 MS. KATHLEEN MCCANDLESS: Thank you.

2 So when the Corporation is evaluating an IT project,
3 does it, as matter of course, identify project risks?

4 MR. PETER YIEN: Absolutely.

5 MS. KATHLEEN MCCANDLESS: And that's -
6 - presently, and that was in the past, as well?

7 MR. PETER YIEN: Yes.

8 MS. KATHLEEN MCCANDLESS: And if so,
9 then, what types of risks are typically identified?

10 MR. PETER YIEN: Yeah, let's start
11 with -- I think in the last year's GRA, we talked
12 about making sure we optimize technology. What we
13 mean by that is, as technology gets old, we have to
14 bring it current.

15 And in my opening address, I talked
16 about, that software when it becomes old we have to
17 upgrade it. And with -- there's different ways of
18 upgrading. It could be a patch. It could be applying
19 a new version. It might even mean buying new software
20 or perhaps if -- if not available, we may have to
21 develop our own.

22 And it doesn't stop there. We have to
23 think about, well, if we buy a new piece of software
24 what unexpected impacts could it have? It may not
25 work with our existing software, which means we may

1 have to tweak something. It may create security
2 issues because it opens a door that we never expected,
3 so we have to fix it.

4 So we look at all those risks. Just
5 keeping something current is not as simple as, Let's
6 buy piece of software and patch it up. That's just an
7 example of what that is.

8 The other types of risk that technology
9 looks at is change management. We talked about
10 people, process and technology. When you put a new
11 piece of technology in, it requires new skills. We
12 have to train our people. Would it work, within our
13 existing process? Sometimes a piece of technology
14 doesn't quite work exactly the way you think it would.
15 So then we would have to be -- redesign a new process.
16 If it doesn't do (a), well, maybe we have to manually
17 do it and let the system do the rest. So we look at
18 all those risks.

19 The other one is also organizational
20 readiness, you know, as much as we want to implement a
21 new piece of technology we do have to factor in how
22 much is it costing to do this. We need people,
23 software doesn't just install themselves. We have to
24 have people that have the capability to install it.
25 People that have the ability to redesign the process

1 that I just talked about and all that training.

2 So going back to your question earlier,
3 How do we decide to take on projects? That's the
4 beginning of the risk management process which is,
5 essentially, to take a look at this to say with all
6 these risks that are described, should we go ahead?

7 MS. KATHLEEN MCCANDLESS: Thank you.

8 So, the Corporation then -- its IT governance process
9 at this time to ensure they manage correctly according
10 to budget, et cetera, that is now the value management
11 process is going forward.

12 MR. PETER YIEN: Yes. Their managing
13 of budgets again has always been there. I just want
14 to emphasize the -- the key point is really the
15 thresholds in which we decide to build a business
16 case. We've also refined the business case template
17 in itself, so that, you know, everything from ease of
18 reading, to putting a little bit more rigor in what
19 goes and it, essentially.

20 MS. KATHLEEN MCCANDLESS: So the
21 threshold for what requires a business case, what is
22 the thresholds set at now?

23 MR. PETER YIEN: Five hundred thousand
24 dollars (\$500,000). And just to put in perspective,
25 that's exactly our capitalization policy. So it

1 aligns perfectly. So in the future if our
2 capitalization policy changes then the value
3 management process would be, again, refined or updated
4 to reflect the same capitalization target.

5 MS. KATHLEEN MCCANDLESS: Thank you.
6 Diana, at Page 5 of the IT section of the filing,
7 there's a reference here to Order 162/16, which was
8 that in this GRA MPI was to file an overall five-year
9 strategic plan with respect to its IT projects.

10 And as we know that has not been done.
11 It's not been filed with the Board this year. It's
12 something that's going to be looked at by the Board of
13 Directors in the last quarter of fiscal 2017/'18, is
14 that right?

15 MR. PETER YIEN: That's correct.

16 MS. KATHLEEN MCCANDLESS: And then
17 following that -- that direction from the Board of
18 Directors, what does N -- MPI anticipate the timeline
19 will be going forward?

20 MR. PETER YIEN: Yeah. We -- we do
21 have to follow the new timelines that's been
22 established in the mandate that -- the revised mandate
23 letter from the minister. Do you need the exact
24 timelines?

25 MS. KATHLEEN MCCANDLESS: General

1 timeline.

2 MR. PETER YIEN: And our timelines, we
3 fully expect that the -- the strategic plan to be
4 completed in Q4 of this year. So before March 1st, we
5 would have it completed.

6 MS. KATHLEEN MCCANDLESS: Okay, so it
7 would be filed in next year's GRA.

8 MR. PETER YIEN: Absolutely.

9 MS. KATHLEEN MCCANDLESS: So,
10 following on that IT strategy question. You mentioned
11 in your direct evidence that the 20th, you called it
12 the 2016 IT strategy, remains the relevant tactical
13 plan.

14 MR. PETER YIEN: That's right.

15 MS. KATHLEEN MCCANDLESS: And just for
16 clarification. That was the IT strategy that was
17 filed in the 2016 General Rate Application.

18 MR. PETER YIEN: Let me just check
19 that. The IT strategy was dated June 12, 2015. If
20 that's the document you're referring to then -- then
21 that's the correct one.

22 MS. KATHLEEN MCCANDLESS: Generally,
23 can you comment on what the purpose is in creating an
24 IT strategic plan.

25 MR. PETER YIEN: The purpose of

1 creating an IT strategic plan involves I think really
2 three (3) things:

3 The first one (1) is just ensure that
4 we're inline with the business strategy. That's --
5 that's critical that's important. A lot of that
6 relates into the more innovative value creation type
7 projects. They -- they -- they're a little bit
8 different. And those -- for those types of projects
9 with not having anything new until we have the new
10 business plan in place.

11 The second one is the ones that we
12 talked about just keeping current. I'm just going to
13 refer back, if I can, to the original slide that you
14 have put on, if we can put that back. The page that
15 you had earlier about the four (4) categories. Let me
16 just flip back. Yeah if I can refer back to Page 5 of
17 the IT sector, IT dash -- .2.

18 So I just referred to strategic
19 planning that -- that's a very important element where
20 we can't really do much about it until we move forward
21 with the finalization of the business strategy. But
22 the other two (2) pieces are equally -- three (3)
23 pieces are equally important.

24 The external events. If there's a
25 legislative change that would drive a change in the

1 system then -- then we would need to hear that.
2 What's a good example that? Probably Uber -- Uber.
3 That drive changes in the way we think about things in
4 the way we would have to process. Like, it's really
5 process driven. So it would drive system changes when
6 there are external events that -- that we may not be
7 able to control, including a legislative change. And
8 those we must do, regardless of whether we have a
9 business strategy or not.

10 Next one is societal changes. Moving
11 forward, if we decide to make changes in our policy,
12 the nature of the policy, the nature of the way claims
13 are made, and so forth. If it's determined that we
14 need to do that, let's say, one day, that our society
15 demands that they're able to do everything online.
16 They just refuse to line up. What do we do? As a
17 Corporation, we have to address that need, and it's
18 something that we may not be able to deal with without
19 making technological changes. Flipped to the next
20 page, please.

21 Now this part is -- is important
22 because it relates to the technology risk management
23 that you asked earlier, you know, what are the risk
24 that we look at? As much as we think about technology
25 and applications, we sometimes take it for granted

1 that things just work. It doesn't really take much
2 for -- when we -- when we apply an upgrade to a piece
3 of software it could cause these unintended
4 consequences. And so we have to upgrade, and if we
5 don't upgrade a piece of software, it becomes
6 unsupported. And what that simply means, in my view,
7 is that you're on your own. That's our vendors to say
8 -- that's our vendors way of saying, If anything goes
9 wrong with your -- with you -- with the software or
10 hardware and you don't upgrade, we can't help you.

11 So you don't want to put ourselves in
12 that position and, therefore, those updates and
13 upgrades are actually essential and it is part of our
14 technology risk management moving forward. And that -
15 - that's -- that's the piece that -- when you saw the
16 projects, that technology risk management stands on
17 its own because without that, nothing else could
18 potentially work. And that could be really serious
19 and end in cons -- in unintended consequences.

20 So these relate to software upgrade,
21 infrastructure related-type upgrades, like operating
22 computers, networks and so forth. So that's kind of a
23 tactical IT strategy.

24 MS. KATHLEEN MCCANDLESS: Thank you.
25 And you would agree that having an IT strategic plan

1 is part of overall best practice for IT.

2 MR. PETER YIEN: Yes.

3 MS. KATHLEEN MCCANDLESS: With a new
4 strategic plan on the horizon, will new IT projects be
5 deferred until plan is approved by the MPI Board?

6 MR. PETER YIEN: I -- I'm not in a
7 position to answer that because I think the Board
8 needs to decide what the business strategy is. But
9 just in terms of answering you generally, absolutely.
10 I've seen in other organizations where, when a
11 business strategy is changed, you may speed up the
12 project, you might want to slow it down. In some
13 cases cancelled only if the value of cancellation
14 exceeds the costs already incurred. So you don't end
15 up throwing away something that's potentially valuable
16 but all three (3) of those options are entirely
17 possible.

18 MS. KATHLEEN MCCANDLESS: So it's
19 possible, there could be new IT initiatives before the
20 launch of the next strategic plan.

21 MR. PETER YIEN: The launch of the
22 next business strategic plan?

23 MS. KATHLEEN MCCANDLESS: The IT
24 strategic plan. That new plan on the horizon. As I
25 understand your evidence, I think it's that there are

1 some processes that would need to be initiated before
2 that plan is --

3 MR. PETER YIEN: Yeah, I would just
4 answer it this way. After the business strategy is
5 prepared, it would then -- we would need to align and
6 update the IT strategy. And if it means creating a
7 new initiative to meet that business strategy, we
8 would do so.

9 MS. KATHLEEN MCCANDLESS: Thank you.
10 Diana, can you please pull up attachment 'A' from the
11 benchmarking section of the filing.

12 This is the Gartner CIO scorecard and
13 infrastructure benchmark. So this is Gartner's annual
14 review of the IT service capability of MPI.

15 MR. PETER YIEN: Yes.

16 MS. KATHLEEN MCCANDLESS: If we go to
17 Page 7, the bottom of the page, under implication, the
18 third bullet, at the very bottom. Gartner comments
19 that increased uses -- use of business cases will hold
20 business stakeholders and IT accountable for achieving
21 projected benefits and value.

22 So the implication of the comment here,
23 then would be that MPI at this point with not using
24 business cases to the extent that Gartner would --
25 would think would be ideal.

1 MR. PETER YIEN: Yes.

2 MS. KATHLEEN MCCANDLESS: And what
3 risks do you see occurring here?

4 MR. PETER YIEN: Yeah, in an ideal
5 world, I would totally agree that we would have
6 business cases for everything. And that -- that --
7 that's certainly a best practice.

8 There are some times when the business
9 case itself will evolve and needs to be updated and I
10 also believe that that's important when circumstances
11 change. So I do agree with you that having the
12 business case itself in one (1) document is extremely
13 valuable, but I would also need to think about if a
14 business case was there, but without the proper
15 governance of review, challenge, discussion,
16 generating of that idea whether it is a good idea or
17 not, enhancing that, doesn't happen in a business
18 case.

19 When I refer to a value management
20 process, I'm talking about the entire process of
21 getting to a business case. So having a business case
22 is actually important, but we need to continue our
23 valument -- process -- our valument procces -- our
24 value management process which included all of the
25 other thing -- factors that I talked about. So, yes,

1 we do need to be more formal. Although we discuss the
2 value of the benefits and -- and the costs. The
3 documents do exist, but it's in one (1) document, then
4 there's another document, then there's another
5 document. Do we need to put it together in one?
6 Absolutely. And I think moving that would create
7 simplicity of review moving forward.

8 So the risk is, it is possible to
9 answer your question. The risk is it is possible that
10 through that process we might miss something. So
11 having everything at one (1) spot is actually helpful
12 to ensure that we've got everything.

13 MS. KATHLEEN MCCANDLESS: And so the
14 reason why in the past MPI has not necessarily used
15 one (1) document as a business case for IT projects,
16 can you comment on that? Is it -- was it budgetary or
17 a governance issue?

18 MR. PETER YIEN: Let me check.

19

20 (BRIEF PAUSE)

21

22 MR. PETER YIEN: The past process was
23 more informal, and we recognize that that's an area
24 that we could improve, and hence the new value
25 management process creates a more formal process.

1 MS. KATHLEEN MCCANDLESS: Thank you.
2 Diana, can you please pull up PUB-MPI-2-29.

3

4 (BRIEF PAUSE)

5

6 MS. KATHLEEN MCCANDLESS: And this was
7 a question about the long-term IT strategy that was
8 used to assist the work of the enterprise architecture
9 committee. And if we scroll to the response, there's
10 a comment here on -- on what that committee uses as
11 far as strategy. And then at (b), we see the current
12 membership of the enter -- enterprise architecture
13 committee --

14 MR. PETER YIEN: Yes.

15 MS. KATHLEEN MCCANDLESS: -- the
16 corporate business architect, the corporate system
17 architect, and the corporate information security
18 officer. My question is just with respect to the
19 enterprise architecture committee. What's its role
20 with respect to IT strategy planning and governance?

21 MR. PETER YIEN: Sure. You know, as
22 end-users, when we use a piece of software, we just
23 see the software. We don't really think much about
24 what the -- what -- what it takes to keep that
25 software running. The operating system that we use

1 drives that software, and none of us really do care
2 behind the scenes what it was.

3 You may -- you may remember yesterday I
4 asked all of you what version of Windows we're using.
5 Well, that's -- that's an operating system. And for
6 the most part, we don't really care much about it, but
7 for IT folks, it's important, because when you upgrade
8 a piece of software, it may not work properly if it's
9 with another operating system. And it's -- in some
10 cases, it may not work at all. It stops functioning.

11 So that's one (1) area of architecting.
12 But another area is the actual hardware that it runs
13 on. And we need to make sure that we buy the right,
14 power of hardware, if you will. You know, if we buy a
15 machine that's not powerful enough, it's not going to
16 run fast enough, and we're going to have service-level
17 problems. If we buy a machine that's way too fast,
18 well, we're wasting our ratepayers' money. And what's
19 the volume growth?

20 So all the stuff becomes very important
21 when you start to our call it architecting, designing
22 the infrastructure that underlies that. That -- that
23 -- I call it the railroad tracks, right? What does it
24 take to run that piece of software?

25 But we don't stop there, because what

1 happens is with technology, as we all know, people
2 find a way to break in. We hold confidential
3 information for -- within our business, and we need to
4 protect that. And as I said earlier, when you run a
5 piece of software with a different type of operating
6 system, when you change one or the other, it creates
7 these holes, and that's what hackers take advantage
8 of. As soon as you have different pieces working
9 together, there are gaps in between, if you will, and
10 they find a way in. And that's why we have to incorp
11 -- incorporate the input of our chief information
12 security officer.

13 And all those pieces are really
14 important. And if there's a really huge security risk
15 of implementing something, we may not do it. So as
16 much as we want to tie everything to our business
17 strategy, we need to protect the interests of our
18 ratepayers as well. So that's -- this is where I
19 would call it where the business meets technology, and
20 where the application meets technology.

21 MS. KATHLEEN MCCANDLESS: So if I'm to
22 understand your description, then, the role of the
23 enterprise architecture committee is to provide input
24 on IT projects from a -- more of a security
25 perspective?

1 MR. PETER YIEN: Security,
2 applicability, sizing, how big do you go, and then all
3 that stuff would drive, like, efficiency. So it's
4 really efficiency, accuracy, completeness, privacy,
5 availability -- all those things are kind of managed
6 by this group.

7 MS. KATHLEEN MCCANDLESS: Thank you.
8 Diana --

9 MR. PETER YIEN: One (1) more thing I
10 also want to say; continuity as well. That's
11 important, because sometimes when things break, we
12 have to make sure that we have the ability to have the
13 appropriate disaster recovery in place, and all of
14 those pieces are important. We don't want to get too
15 far ahead of the curve where we may not be able to
16 operate when something goes wrong, so.

17 MS. KATHLEEN MCCANDLESS: Diana, can
18 you please pull up PUB-MPI-1-29. And you can just
19 jump to Appendix 1, page 9 of the appendix.

20 MR. PETER YIEN: M-hm.

21 MS. KATHLEEN MCCANDLESS: In this
22 Information Request, MPI was asked for a copy of the
23 business transformation office prepared status update
24 on major IT initiatives, including forecast, budget to
25 actual spending. So if we can scroll to the bottom of

1 the page, this -- this project here, so this is the
2 Technology Modernization Program, technology risk
3 management?

4 MR. PETER YIEN: M-hm.

5 MS. KATHLEEN MCCANDLESS: Can you just
6 explain in some more detail what this project is
7 about?

8 MR. PETER YIEN: Yeah. Essentially, I
9 think it's accurately describes it. It's essentially
10 a -- a version platform upgrade. And it is important
11 for us to stay current. We have an older version of
12 INFOR.

13 And as I said earlier, as part of
14 technology risk with -- to ensure that we don't fall
15 too far behind and for our financial application, we
16 certainly don't want to get in a situation where we
17 get into continued non-support. That would be
18 actually quite dangerous. So this is essentially what
19 it's about.

20 MS. KATHLEEN MCCANDLESS: And you said
21 that you're running an older version of INFOR? Is
22 that --

23 MR. PETER YIEN: That's correct.

24 MS. KATHLEEN MCCANDLESS: That's I-N-
25 F-O-R?

1 MR. PETER YIEN: Yeah, INFOR, yes. I-
2 N-F-O-R. Yes.

3 MS. KATHLEEN MCCANDLESS: If you
4 scroll to the bottom of this page, we see the -- the
5 budget.

6 MR. PETER YIEN: Yes.

7 MS. KATHLEEN MCCANDLESS: So the total
8 project budget as at March 1, 2017, is seventeen (17)
9 -- \$17 million, which is quite substantial. Of that,
10 we have \$4.5 million budgeted for 2017/'18?

11 MR. PETER YIEN: M-hm.

12 MS. KATHLEEN MCCANDLESS: Can you
13 explain what benefits this project has generated for
14 the Corporation thus far?

15 MR. PETER YIEN: Just a minute. I'll
16 get you that.

17

18 (BRIEF PAUSE)

19

20 MR. PETER YIEN: As I said earlier,
21 this was about technology risk management to ensure
22 that we not increase in our technical debt. We do
23 know that if we don't do this all at once, it will
24 compact itself in a very, very -- call it a big
25 explosion, so to speak, when things don't work. And

1 it would involved in the larger cost in this.

2 So this is about risk management. We -
3 - this is something we have to do. And if we don't,
4 it simply means will have to spend more during the
5 life cycle, and we -- we just can't afford to -- to do
6 that.

7 MS. KATHLEEN MCCANDLESS: So has this
8 project seen benefits to date for the Corporation?

9 MR. PETER YIEN: Absolutely, because
10 as we upgraded, we already know that for what we've
11 accomplished so far, we wouldn't actually know what it
12 would cost if we didn't do it, and that itself, I
13 think, is a -- is a real benefit.

14 The second thing that I want to also
15 mention is you -- we don't want to run our systems to
16 a point where they stop working. I don't know what
17 the cost is, but if I was to tell you, We can't issue
18 financial statements, and things have just stopped,
19 and we are unable to do so, and we miss a few
20 reporting deadlines, I would think -- as a CFO, I
21 would find that completely unacceptable, and we can't
22 put ourselves -- there's no way we can put ourselves
23 in -- in that position.

24 I will say one (1) more thing.
25 Typically, you know, with finance-related

1 transformation projects, that the value is not
2 necessarily a -- a very well-defined benefit to say,
3 you know, We're going to eliminate all the staff. I
4 view this is as a certain piece of this. Think of it
5 like a calculator. We need it. We have to make sure
6 that it does its job, and it doesn't stop working.
7 And it is essentially a -- a real cost of doing
8 business.

9 MS. KATHLEEN MCCANDLESS: If we scroll
10 to the top of the page --

11 THE CHAIRPERSON: Sorry. Can I just -
12 - can I just ask a question on that? Just a quick
13 one.

14 What does LTD actual stand for?

15 MR. PETER YIEN: Life to date.

16 THE CHAIRPERSON: Life to date. So
17 it's the amount spent to date?

18 MR. PETER YIEN: Yeah, because the
19 project --

20 THE CHAIRPERSON: Yeah.

21 MR. PETER YIEN: -- is, like, multi-
22 year, right? So, yes.

23

24 CONTINUED BY MS. KATHLEEN MCCANDLESS:

25 MS. KATHLEEN MCCANDLESS: If we go to

1 the top of the page, under the program title, the
2 start date we see was March 2016?

3 MR. PETER YIEN: Yeah.

4 MS. KATHLEEN MCCANDLESS: The
5 projected end date is February 2017?

6 MR. PETER YIEN: Yeah.

7 MS. KATHLEEN MCCANDLESS: Is the
8 project still on track? Well, it was projected to be
9 complete by February 2017, and there's still a
10 significant amount left in the budget. So I think the
11 implication is that the project is ongoing?

12 MR. PETER YIEN: It is ongoing. It's
13 slightly delayed, but we -- we do expect to do a --
14 finish Q4 of this year, and it's on budget as well.
15 Okay.

16 MS. KATHLEEN MCCANDLESS: Now I'm
17 going to ask you some questions about technology
18 obsolescence.

19 MR. PETER YIEN: Sure.

20 MS. KATHLEEN MCCANDLESS: And the 2015
21 IT strategy contained an intention to eliminate
22 obsolete technologies. If you want, I can pull up
23 that reference for you -- I --

24 MR. PETER YIEN: Sure. That will be
25 helpful. Thank you.

1 MS. KATHLEEN MCCANDLESS: Diana,
2 that's from the 2016 GRA, the IT 'S' section, page 35.
3 Just scroll down.

4 We see at the top of the page, there,
5 there's a comment of eliminating obsolete technologies
6 to reduce -- reduce risks to application availability?

7 MR. PETER YIEN: Yes.

8 MS. KATHLEEN MCCANDLESS: Can you
9 explain why it's important to address obsolescence?

10 MR. PETER YIEN: Yes. Just leveraging
11 on what I talked about before, it -- it is possible to
12 use a piece of software -- a piece of software until
13 it kind of dies, but that would be completely
14 irresponsible, from a risk management perspective,
15 because we'd never do that with our CARS, hopefully.
16 We will never do that with anything that we own.

17 It does require us to look at, what's
18 the cost of upgrading, what's the cost of deferring
19 that upgrade? Do we wait long enough until something
20 becomes available and buy it? And then do we build
21 ourselves?

22 Each of those are risky decisions that
23 we need to make. It involves us conferring with other
24 insurance companies as to what they are currently
25 doing today. There is some risk-taking involved,

1 because no one really knows. Software companies talks
2 about building software that works. And as you know,
3 there's version 1. Do you know why there's version 2?
4 Well, because version 1 didn't meet the need. And
5 then as version 2, it didn't quite the -- meet the
6 need. And on and on and on. So even buying an
7 application takes on certain risk.

8 So when you asked about reducing the
9 risk and what that means, this technical debt is not a
10 simple discussion. It requires collaboration with our
11 peers, collaboration with the vendors that we are
12 working with that has the view of they -- what they
13 are working on, what they are not working on. We need
14 to take a look at the capability of our team to see if
15 we -- can we develop it ourselves? Do we have the
16 skills? Are there consultants available to help us
17 with that?

18 So of that is a very complex discussion
19 that ultimately boils down to: Okay, now we've seen
20 all that, and we've discussed all of that. What's the
21 best approach, moving forward in terms of still
22 keeping current, and what's the path moving forward?

23 And when we look at the risks that are
24 associated with the unsupported vendor products -- we
25 talked a little about that -- we don't have -- only

1 have one (1) product. We have quite a few products.
2 And what this is talking to is we need to watch each
3 product to ensure that none of them on its own have a
4 technical debt that would seriously impair the
5 operation of all of the products working together.
6 Think of it as the weakest link, and what this is
7 about is making sure that none of those links that are
8 critical becomes obsolete.

9 MS. KATHLEEN MCCANDLESS: Would you
10 agree that upgrading to the latest operating systems
11 and keeping up-to-date business applications and
12 desktop applications would minimize, then, the risk of
13 obsolescence?

14 MR. PETER YIEN: The answer is yes,
15 but from a -- from a risk perspective, we may or may
16 not upgrade to the most current version. Sometimes
17 when you upgrade -- when we all upgrade to the latest
18 version, there are issues. If you own an iPhone, you
19 realized, if you had upgraded to the most current
20 version on that day, there was a bit of glitch and
21 actually freeze up the iPhone.

22 And so what I do personally is I tend
23 to wait for a version minus 1, meaning that everybody
24 else can have fun, and if they have problems with it,
25 let them deal with it. And then -- and then we -- we

1 upgrade a -- a little slower.

2 So it really does depend. In other
3 cases, where we are really behind, upgrading to a more
4 current version, supported version, may actually be a
5 better decision. So it does depend on the
6 circumstance, but yes, upgrading in general does
7 reduce risks.

8 MS. KATHLEEN MCCANDLESS: There's
9 obviously a cost to managing an upgrading process?

10 MR. PETER YIEN: Absolutely. The cost
11 associated with managing an upgrade process to start
12 is to analyze the risk for the upgrade itself.
13 Secondly, what are the implications of that risk if we
14 upgrade it on other things that we don't know about,
15 the interoperability, I call it, between the software
16 itself.

17 In other words, would one (1) piece of
18 software work with another piece of software? Would
19 this piece of software and this piece of software work
20 with the hardware? So yes, we do look at all of that.

21 MS. KATHLEEN MCCANDLESS: What would
22 be the Corporation's typical frequency for a
23 technology refresh?

24 MR. PETER YIEN: The technology
25 refresh is a continuous piece, because we can't do

1 everything at once. So it is definitely something we
2 do throughout the year. And actually, that's an
3 excellent question. It actually ties back to --
4 that's the reason why that when we upgrade
5 technologies, it's not exactly tied to the business
6 strategy, because if we find that there is a problem
7 down below, and we need to do it now, that's not
8 dependent on a business strategy. If we have to
9 upgrade the operating system, we're not waiting for
10 the business strategy to be finished before we upgrade
11 that.

12 MS. KATHLEEN MCCANDLESS: Are you able
13 to comment with respect to purchased or licensed
14 products whether a typical refresh would be, say, on a
15 five (5) year basis, or can you give a number for
16 something like that??

17 MR. PETER YIEN: I don't think I can
18 generically give you a number, but I can say we have
19 different refresh cycles for our laptops, for example.
20 The -- the hardware itself we -- we would it when --
21 whenever we need, and we do consult the experts in
22 that field to determine what we need in what cycle.

23 MS. KATHLEEN MCCANDLESS: Is MPI using
24 any projects that might be implementing a noncurrent
25 software currently?

1 MR. PETER YIEN: Can I -- can you
2 repeat that question?

3 MS. KATHLEEN MCCANDLESS: Are there
4 any projects with MPI where there is a noncurrent
5 version of software being used. For example, I
6 believe MPI is running SharePoint 2013.

7 MR. PETER YIEN: Yes. So I would say
8 definitely. You know, it wasn't until recently that
9 we upgraded to, for example, the latest version of
10 Microsoft Office. So absolutely, there are always
11 software that we will not be on the most current
12 version, and for good reasons.

13 And in fact, in some of the areas, it's
14 a cost-benefit discussion. And perhaps I would argue
15 that, you know, at some point, we should not be on the
16 most current one, because if we are on the most
17 current one, we will not be very cost-efficient.

18 MS. KATHLEEN MCCANDLESS: Thank you.
19 Diana, can you please pull up page 10 from the IT
20 section of the filing.

21

22 (BRIEF PAUSE)

23

24 MS. KATHLEEN MCCANDLESS: 2.2.5.
25 That's the information security strategy and roadmap.

1 And as I understand it, this is to assist and guide
2 MPI in the adoption of security policies, processes,
3 and -- and procedures using the ISO 27001/27002
4 standard?

5 MR. PETER YIEN: That's correct.

6 MS. KATHLEEN MCCANDLESS: And I
7 believe that strategy was outlined in the 2015 IT
8 strategy as well, the roadmap?

9 MR. PETER YIEN: Yeah. I believe so,
10 yes.

11 MS. KATHLEEN MCCANDLESS: Can you
12 explain what ISO is?

13 MR. PETER YIEN: Yeah. ISO stands for
14 International Standards Organization. They publish a
15 whole variety of standards. The 27001 and 27002
16 specifically relates to security. It's quite
17 judgmental. It is not a rigid standard. It requires
18 the thought about -- I call it what's really important
19 to the organization. So there are degrees of
20 judgement that one can apply to meet the standard.

21 MS. KATHLEEN MCCANDLESS: Okay. And
22 specifically, what is ISO 27001?

23 MR. PETER YIEN: It -- it relates to a
24 whole bunch of -- I call it -- you know what, maybe
25 I'll go backwards -- I'll go backwards.

1 In order to implement a good security
2 standards, it starts with governance. Once you have
3 the proper governance like having the right structure
4 in place -- someone like a certified information
5 systems officer the ability to go directly to the
6 board, which is important, board of directors for MPI.

7 I believe that is kind of the standard,
8 and the standard says, Well, once you have something
9 like that and the structures in place, you need to
10 start with having good policies. You know, what are
11 you -- what are you going to do in terms of your
12 security? And then underneath that, you had a
13 process. And then after that, there will be a
14 procedure.

15 So -- so let me illustrate that. You
16 may have something that says, The policy is that we
17 would remain current -- version -- we would remain
18 current on our virus detection. Let's call it that.
19 The process may be we'll make sure that we check what
20 virus patch is available on a hourly basis. It might
21 be that.

22 And then the procedure would then be,
23 We can apply -- well, maybe not -- you have to check
24 what that patch is actually doing, the implications on
25 our software. And then you say, Well, we'll apply

1 that patch either immediately or with some duration to
2 say, we're going to -- we're going to fix the system
3 as quickly as possible. The standard goes through all
4 -- all that. So essentially, it's kind of a -- a
5 detailed way of looking at what overall are we doing
6 relative to security.

7 MS. KATHLEEN MCCANDLESS: And that's
8 with respect to 27001?

9 MR. PETER YIEN: Both of them,
10 Twenty-seven-o-one (2701) is more general. Two-o-
11 seven-o-two (20702) is a little bit more specific.
12 But, yeah, essentially is does talk to that.

13 MS. KATHLEEN MCCANDLESS: And they
14 relate to security?

15 MR. PETER YIEN: That's right. They -
16 - they focus specifically on information security.

17 MS. KATHLEEN MCCANDLESS: And I
18 understand that MPI is using these standards as a
19 reference for the roadmap but not seeking ISO
20 certification?

21 MR. PETER YIEN: That's something -- I
22 -- I am not in a position to comment. I -- I do --

23 MS. KATHLEEN MCCANDLESS: I believe
24 that's in the filing.

25 MR. PETER YIEN: Yeah. What I mean by

1 that is I -- I don't know if we are seeking it. I
2 can't -- I can't comment on the future. Currently
3 we're not.

4 MS. KATHLEEN MCCANDLESS: Okay.

5 MR. PETER YIEN: That's what I mean.

6 MS. KATHLEEN MCCANDLESS: Okay.

7 MR. PETER YIEN: Yeah.

8 MS. KATHLEEN MCCANDLESS: Can you
9 explain the benefits of following the standard without
10 taking that further step to seeking -- seeking
11 certification?

12 MR. PETER YIEN: Absolutely. The
13 standard is the standard. And with a standard, once
14 we say we're going to do 'A' and we're going to do
15 'B', we get measured against that standard, which --
16 which I think is good. At the same time it's
17 judgmental.

18 As I said earlier, we can vary the
19 degrees of this. No -- no standard in there tells us,
20 for example, the frequency of updating virus updates.
21 We can decide to say, We're going to look for up --
22 virus updates on a minute by minute basis. And if we
23 say that in a procedure, a process, and we don't
24 achieve it what risk does it give us?

25 Well, what if I was to say, Well, we

1 said we will update and check virus checkers every
2 minute, but I do it every two (2) minutes. I think
3 it's okay. So following that standard means we have
4 thought about the process, we thought of the pro --
5 procedure, and essentially we're willing to risk --
6 take the risk of looking at virus checkers every two
7 (2) minutes if we chose that route.

8 But once we apply a standard and say
9 we're going to do that, we could potentially, if we
10 get checked after that and audited, per se, you could
11 have a false conclusion to say, Well, you're not
12 meeting that standard. Well, I would say if your
13 updating something at a higher level of standard and
14 you're measured against that, that may give you an
15 erroneous result. So to just answer your question,
16 following that standard makes a whole lot of sense,
17 and we are planning to follow that standard.

18 MS. KATHLEEN MCCANDLESS: But the --
19 the reason for not seeking the certification is...

20 MR. PETER YIEN: Yeah. The -- the
21 certification itself is -- can you repeat the
22 question? I just want to make sure I'm answering it.
23 Yeah.

24 MS. KATHLEEN MCCANDLESS: I -- I
25 understood your comment on the reason to -- to follow

1 the ISO standard, but my question is the reason for --
2 for following the standard but not been taking the
3 step to seeking the certification. So can you explain
4 the -- the reason behind that?

5 MR. PETER YIEN: Okay. Just one (1) -
6 - I'll check on that.

7

8 (BRIEF PAUSE)

9

10 MR. PETER YIEN: One (1) thing I
11 should mention is that following the ISO 27,001, 27 --
12 27,002 requires change and change costs money, as I
13 said earlier. So we have to do the complete
14 evaluation of what it would cost to implement the
15 entire standard and balance it with the risks.

16 I do want to make one (1) comment and -
17 - and it might be obvious, but -- but it's -- it's not
18 as obvious as you may think, is that when it comes to
19 information security you can do everything you can.
20 And there's a saying, It's not a matter of how
21 somebody gets in, it's a matter of when.

22 And anytime when you have a system in
23 place, one can break into that. So it becomes, Well,
24 how many door locks to put in your house before you
25 becomes -- you feel safe? How many bars do you put?

1 So there is a degree of judgment in which we have to
2 apply here, and we are taking on that journey. It's a
3 multi-year journey and we want to make sure that we
4 balance the costs associated with the risk that we are
5 taking.

6 MS. KATHLEEN MCCANDLESS: So I think I
7 understand your answer to be then, the reason for not
8 seeking the certification is budgetary?

9 MR. PETER YIEN: Partly, but also
10 because we are embarking on that journey as we speak.
11 We're not finished.

12 MS. KATHLEEN MCCANDLESS: Will the
13 Corporation reevaluate at some point whether or not it
14 intends to seek the certification?

15 MR. PETER YIEN: Absolutely. Every
16 evaluation could happen in a future year.

17 MS. KATHLEEN MCCANDLESS: Diana, can
18 you please pull up PUB/MPI-1-29, and appendix 1, page
19 8. So this is the status of the Information Security
20 Strategy and Roadmap Program.

21 MR. PETER YIEN: M-hm.

22 MS. KATHLEEN MCCANDLESS: And if we
23 scroll to the bottom, we see that the project -- total
24 project budget as at March 1, 2017, was set at \$7.7
25 million?

1 MR. PETER YIEN: Yes.

2 MS. KATHLEEN MCCANDLESS: Just above
3 that, the project budget for 2017/'18 has been set
4 aside at \$1.68 million?

5 MR. PETER YIEN: Yes.

6 MS. KATHLEEN MCCANDLESS: And it looks
7 as though to date \$5.59 million has been spent on the
8 project; yes?

9 MR. PETER YIEN: Yes.

10 MS. KATHLEEN MCCANDLESS: Okay. Can
11 you explain what has gone into that \$5.59 million
12 spend so far?

13 MR. PETER YIEN: Yeah. Let me -- let
14 me get back to you. I'm going to check.

15 MR. MATTHEW GHIKAS: Maybe if I could
16 just interject here. I just wanted to remind Mr. Yien
17 and everybody in the room, we just -- given that we're
18 talking about information security that maybe just
19 everybody make sure that -- Mr. Yien, before you're
20 answering that you make sure that you're -- that we're
21 okay from an information security perspective.

22 MR. PETER YIEN: Yeah. Thank you for
23 that. I do want to qualify that, yeah, whatever
24 answer I give, because of the sensitive nature, we
25 will keep at a high level. Okay.

1 (BRIEF PAUSE)

2

3 MR. PETER YIEN: So the pieces that
4 have been completed, policies and procedures that I
5 talked about earlier. Imple -- implemented the
6 policies. We've implement new procedures in addition
7 to that new software.

8

9 CONTINUED BY MS. KATHLEEN MCCANDLESS:

10 MS. KATHLEEN MCCANDLESS: So those are
11 the deliverables that have resulted from that \$5.59
12 million so far?

13 MR. PETER YIEN: That -- that's
14 correct. But we're not done. But, yes. So I don't
15 want to give the implication that we're complete.
16 Yeah.

17 MS. KATHLEEN MCCANDLESS: Yes. If we
18 scroll to the top of the page there's a projected
19 completion date for February 2018. Do you know if the
20 project is on track to be complete by then?

21 MR. PETER YIEN: Yeah, my -- my
22 understanding is it is.

23 MS. KATHLEEN MCCANDLESS: What is the
24 size of the staff that's being used on this
25 initiative?

1 MR. PETER YIEN: I'll give you
2 generically in a second.

3

4 (BRIEF PAUSE)

5

6 MR. PETER YIEN: Less than ten (10),
7 but, yeah.

8 MS. KATHLEEN MCCANDLESS: Are you not
9 able to give more detail because of security reasons
10 or...

11 MR. PETER YIEN: Yeah, I think it is
12 because if we give the exact number and the number of
13 people internal and external it'll give potential
14 hackers information that I'd rather not review.

15 MS. KATHLEEN MCCANDLESS: Thank you.
16 Now, I'd like to ask you some questions about the
17 physical damage re-engineering project. And that
18 project was initiated in 2013?

19 MR. PETER YIEN: Yes.

20 MS. KATHLEEN MCCANDLESS: The project
21 charter was filed in the 2015 General Rate
22 Application. Maybe I'll just pull it up for
23 reference.

24 MR. PETER YIEN: M-hm.

25 MS. KATHLEEN MCCANDLESS: Diana, could

1 you please pull up section AI-10, the Charter PDR from
2 the 2015 GRA. And if we go to page 8, and scroll
3 down. The initial project budget was set in the
4 program charter at \$65.5 million; yes?

5 MR. PETER YIEN: That's correct.

6 MS. KATHLEEN MCCANDLESS: And if we
7 scroll to page 4 of the project charter down to the
8 table, we see the operational cost savings that were
9 anticipated at the conclusion of the PDR program. And
10 that table is in front of you.

11 MR. PETER YIEN: Yes.

12 MS. KATHLEEN MCCANDLESS: And so
13 initially the total cost savings were estimated at
14 \$13.3 million?

15 MR. PETER YIEN: Yes.

16 MS. KATHLEEN MCCANDLESS: And that
17 included \$3.5 million in operating expenses?

18 MR. PETER YIEN: Yes.

19 MS. KATHLEEN MCCANDLESS: And \$9.8
20 million savings in claims incurred?

21 MR. PETER YIEN: Yes.

22 MS. KATHLEEN MCCANDLESS: Now, if we
23 go to, Diana, PDR attachment A, page 22 of the PDF.
24 This is the PDR physical damage re-engineering project
25 or program evaluation that was prepared by Gartner for

1 this General Rate Application?

2 MR. PETER YIEN: Yes.

3 MS. KATHLEEN MCCANDLESS: And I
4 understand that this appendix lists the total original
5 projects that were part of the PDR program?

6 MR. PETER YIEN: That's correct.

7 MS. KATHLEEN MCCANDLESS: And scroll
8 through them. According to my count there was a list
9 of twenty (20) projects in total is part of the
10 original PDR. Is that right?

11 MR. PETER YIEN: That's -- that's
12 exactly right.

13 MS. KATHLEEN MCCANDLESS: And those
14 range from page 22 through to 23 of the PDF?

15 MR. PETER YIEN: Yes.

16 MS. KATHLEEN MCCANDLESS: If we go to
17 page 12, Gartner found in its report this year that
18 there were six (6) cancelled projects?

19 MR. PETER YIEN: There should be --

20 MS. KATHLEEN MCCANDLESS: Or is --

21 MR. PETER YIEN: -- is it six (6)?

22 MS. KATHLEEN MCCANDLESS: Seven (7)?

23 MR. PETER YIEN: Seven (7), yeah.

24 Yeah, seven (7). Yeah.

25 MS. KATHLEEN MCCANDLESS: So if we

1 just scroll through, there was out of province
2 estimating that was cancelled, self-service analytics,
3 towing, enhanced registration card, enhanced accident
4 profiling, and bottle -- body integrity inspection
5 certificate and certificates of inspection. So those
6 have all been cancelled?

7 MR. PETER YIEN: That's correct.

8 MS. KATHLEEN MCCANDLESS: And then the
9 reason for the cancellation, I won't go through, is --
10 is on the right-hand side of the table.

11 MR. PETER YIEN: M-hm.

12 MS. KATHLEEN MCCANDLESS: Are you able
13 to provide an impact of the estimated benefits that
14 were originally scoped out as part of the \$13 million
15 savings for these programs?

16 MR. PETER YIEN: Yeah. Maybe I can
17 characterize the size of this project, because it is
18 multi-year. One can only try to guess what the
19 benefits are going to be and where it's going to come
20 from. And you break it down into a whole series of
21 projects. And it would be impossible to determine
22 exactly how they relate. In other words, when we
23 design phase 1 and phase 2 of a project, or even
24 between projects.

25 I alluded to earlier that we have

1 program management. And program management is really
2 important because we need to look at the overall
3 benefits and whether we can achieve it. And this is a
4 really important point because as these projects are
5 cancelled it would determine that the related benefits
6 are either not with it, meaning that any additional
7 costs that are incurred is not worth doing. Or that
8 the benefit is already met by either another solution
9 that was already resolved through a project later or
10 earlier. And these are harder to predict.

11 But I will tell you that the related
12 benefits that we had originally planned to achieve,
13 other than these ones that we've identified, as we
14 don't want to do it because the incremental values
15 isn't there, that we are meeting the business
16 objectives. And that's kind of demonstrated, if I can
17 refer to, on page 20 of the PDF.

18 When you kind of look at the net
19 present value of this project there's a sustainable
20 \$13.6 million per -- in perpetuity that we are able to
21 achieve. And in addition, the net result of
22 cancelling those projects often -- effectively saves
23 us \$4 million. And that \$4 million, when you compare
24 it to any potentially benefits that might be lost, is
25 the cost benefit decision that we have made as an

1 organization, that it was -- it made sense.

2 MS. KATHLEEN MCCANDLESS: So my
3 question was the impact of the estimated benefits that
4 were originally scoped out as part of those cancelled
5 projects?

6 MR. PETER YIEN: Correct.

7 MS. KATHLEEN MCCANDLESS: Are you able
8 to put a number to that?

9 MR. PETER YIEN: It's fairly minimal.
10 I can -- I -- do you -- do you need the number?

11 MS. KATHLEEN MCCANDLESS: Yes, the --
12 the number --

13 MR. PETER YIEN: No problem. Okay.

14 MS. KATHLEEN MCCANDLESS: and the
15 total budget that was allocated for that -- those
16 projects as well.

17 MR. PETER YIEN: Sure.

18 MS. KATHLEEN MCCANDLESS: Are you able
19 to obtain that information?

20 MR. PETER YIEN: Let me check first.

21

22 (BRIEF PAUSE)

23

24 MR. PETER YIEN: As I mentioned
25 earlier, in terms of the business benefits part -- as

1 part of the program management there's no material
2 loss in terms of benefit for sure by cutting it. So
3 it's definitely something that we did for the benefit
4 of proc -- not proceeding with it. We can take an
5 undertaking in terms of describing by reducing these
6 projects what are the related costs that have been cut
7 out. So we could do that.

8 MS. KATHLEEN MCCANDLESS: Are you able
9 to provide the impact to the estimated benefits of the
10 programs that were scoped out?

11 MR. PETER YIEN: Yeah. As I indicated
12 earlier, the benefits that were originally associated
13 with those projects that were cancelled are being
14 realized through another project that we're keeping.
15 So we have not lost those benefits.

16 MS. KATHLEEN MCCANDLESS: Are you able
17 to provide the total budget that was initially
18 allocated to those cancelled projects?

19 MR. PETER YIEN: Yes.

20 MS. KATHLEEN MCCANDLESS: Okay. So
21 then the undertaking would be twofold. And the first
22 part I -- I -- so you explain what you would be able
23 to provide by way of undertaking. Perhaps you could
24 just re -- restate it?

25 MR. PETER YIEN: Yes. So what we can

1 do is, we can list the -- well, we already have the
2 list of projects that have been cancelled. What we'll
3 do is we'll list the original budget that was all --
4 actually allocated to those cancelled projects.

5 MS. KATHLEEN MCCANDLESS: Okay. Thank
6 you.

7 MR. PETER YIEN: Yes.

8
9 --- UNDERTAKING NO. 8: The Corporation will
10 provide the total budget
11 allocated to the seven (7)
12 cancelled PDR projects and
13 a comparison of where the
14 budget allocation went
15 estimated to actual
16

17 MS. KATHLEEN MCCANDLESS: And perhaps
18 if I could add to that undertaking then, where did the
19 budget allocation go?

20 MR. PETER YIEN: You mean in terms of
21 compares to actual?

22 MS. KATHLEEN MCCANDLESS: Yes.

23 MR. PETER YIEN: Yes, absolutely.
24 Sure.

25 MS. KATHLEEN MCCANDLESS: Thank you.

1 Yes. The undertaking is to provide the total budget
2 allocated to the seven (7) cancelled PDR projects and
3 a comparison of where the budget allocation went
4 estimated to actual?

5 MR. PETER YIEN: That's right.

6 Correct.

7

8 CONTINUED BY MS. KATHLEEN MCCANDLESS:

9 MS. KATHLEEN MCCANDLESS: Thank you.

10 Diana, can you please pull up PUB/MPI-1-29, page 2 of
11 Appendix 1. Now, this is the -- the status from the
12 business transformation office of the Physical Damage
13 Re-engineering Program. And at the bottom of the
14 project description, we see that the main PDR program
15 is complete as of February 2017, and is available for
16 amortization. Some components of the original PDR
17 program will continue through part of fiscal 2017/'18
18 under PDR spinoff projects.

19 Projects supporting Mitchell FNOL,
20 that's first notice of loss, automate -- automonate --
21 automation will also continue into 2019/'20. The
22 original completion date at the top of the page was
23 projected to be February of 2017. You see that in
24 front of you?

25 MR. PETER YIEN: Yes.

1 MS. KATHLEEN MCCANDLESS: Okay. And
2 so the updated completion date is now 2019/2020.

3 MR. PETER YIEN: When you say
4 'updated', you're talking about the Mitchell or no?

5 MS. KATHLEEN MCCANDLESS: Yes.

6 MR. PETER YIEN: Yes.

7 MS. KATHLEEN MCCANDLESS: Can you
8 explain the reason for the delay in the completion of
9 the project?

10 MR. PETER YIEN: Yeah. Just -- let me
11 just check with the team.

12

13 (BRIEF PAUSE)

14

15 MR. PETER YIEN: Yeah. The -- the PDR
16 project involves this collaboration with Mitchell.
17 And this collaboration is something that took a little
18 longer than normal. We didn't want to rush it because
19 it involves two (2) parties. It involves resources on
20 both sides.

21 And we just want to make sure that
22 moving forward it'll achieve the objective. So it's -
23 - it's nothing more than taking the right due
24 diligence to go through and do the right things.

25 MS. KATHLEEN MCCANDLESS: Thank you.

1 Mr. Chair, just to let you know, I expect to have
2 another ten (10), maybe fifteen (15) minutes on PDR.
3 And then I do have some other questions. So I can
4 continue and finish the PDR section of my questioning,
5 and we can take the break following then, or we can
6 break when the panel would like.

7 THE CHAIRPERSON: Then how long do you
8 think the additional questions would take?

9 MS. KATHLEEN MCCANDLESS: Maybe
10 fifteen (15) minutes.

11 THE CHAIRPERSON: Okay. Let's take
12 the break now, and we'll -- we'll come back in about
13 ten (10) minutes. Thank you.

14 MS. KATHLEEN MCCANDLESS: Thank you.

15

16 --- Upon recessing at 10:22 a.m.

17 --- Upon resuming at 10:40 a.m.

18

19 THE CHAIRPERSON: Ms. McCandless...?

20 MS. KATHLEEN MCCANDLESS: Thank you.

21

22 CONTINUED BY MS. KATHLEEN MCCANDLESS:

23 MS. KATHLEEN MCCANDLESS: Before the
24 break we were discussing the budget associated with
25 the seven (7) cancelled projects. I just have some

1 more questions about that. Diana, can you please pull
2 up -- and this is from the 2015 GRA PUB-MPI-1-75.

3 Question (b), the Corporation was asked
4 to file a detailed budget in support of the \$65.5
5 million PDR project cost. And then if we go to page
6 2, that budget is provided at the bottom of the page.

7 There are a number of initiatives on
8 the left-hand side of this table, and then for the
9 years from 2011 through 2012 through to 2017/2018
10 there are allocated budget amounts, plus the seven (7)
11 year program totally.

12 Do you see that in front of you?

13 MR. PETER YIEN: I do.

14 MS. KATHLEEN MCCANDLESS: Okay. My
15 question is -- if we go back to page 12 of the Gartner
16 report. And that list of seven (7) projects. So for
17 each of out-of-province estimating FNOL self-service
18 analytics, towing, enhanced registration card,
19 enhanced accident profiling, and body -- body
20 integrity inspection certificate and certificates of
21 inspection and this is probably best -- on my way of
22 undertaking I'm thinking, but, if we jump back to the
23 original program budget.

24 My question is: Where do each of these
25 seven (7) cancelled projects fall which -- within any

1 of the initiatives on the left-hand side of the table?
2 Where they originally fell in there.

3 MR. PETER YIEN: Yes.

4 MS. KATHLEEN MCCANDLESS: And then
5 what the original budgeted amount was for each of
6 those projects within those buckets.

7 MR. PETER YIEN: Yes.

8 MS. KATHLEEN MCCANDLESS: Can we have
9 that by way of undertaking? I -- I assume you don't
10 have that at your fingertips right now.

11 MR. PETER YIEN: I don't. Let me
12 check before I answer that, whether you can have that.

13

14 (BRIEF PAUSE)

15

16 MR. PETER YIEN: That should be no
17 problem. Those are subcomponents, that's why there's
18 a bigger list. So, essentially, we can map it back so
19 that they -- they tie and then you can see how the
20 numbers relate on -- in terms of the new report and
21 the old. Okay, so you can see how it works.

22 MS. KATHLEEN MCCANDLESS: Okay, thank
23 you.

24 MR. PETER YIEN: Yes, we'll do that.

25

1 --- UNDERTAKING NO. 9: To advise where each of
2 these seven (7) cancelled
3 projects fall within any
4 of the initiatives on the
5 left-hand side of the
6 table. And then what the
7 original budgeted amount
8 was for each of those
9 projects within those
10 buckets.

11

12 CONTINUED BY MS. KATHLEEN MCCANDLESS:

13 MS. KATHLEEN MCCANDLESS: So now if we
14 can go to page 10 of the Gartner report, please,
15 Diana. We were just speaking about the cancelled
16 projects and at page 10 there are five (5) remaining
17 projects listed --

18 MR. PETER YIEN: That's correct.

19 MS. KATHLEEN MCCANDLESS: -- to
20 complete. So, appointment manager, customer claims
21 reporting system, enhanced direct repair capabilities,
22 partner portal and remote estimating?

23 MR. PETER YIEN: Yes.

24 MS. KATHLEEN MCCANDLESS: And it's the
25 last -- the last project is customer claims reporting

1 system, and that will be completed in 2019/20; yes?

2 MR. PETER YIEN: That's correct.

3 MS. KATHLEEN MCCANDLESS: If we go to
4 page 4 of the Gartner report, under PDR program costs.
5 So Gartner comments on the current state of the PDR
6 budget, and the overall program budget remains \$65.5
7 million; yes?

8 MR. PETER YIEN: Yes.

9 MS. KATHLEEN MCCANDLESS: And to date,
10 approximately \$43.4 million has been spent on the
11 program?

12 MR. PETER YIEN: Correct.

13 MS. KATHLEEN MCCANDLESS: With \$18.1
14 million remaining to complete; yes?

15 MR. PETER YIEN: Yes.

16 MS. KATHLEEN MCCANDLESS: And so the
17 total projected spending is \$61.5 million, \$4 million
18 less than the approved budget.

19 MR. PETER YIEN: Yes.

20 MS. KATHLEEN MCCANDLESS: Is the
21 Corporation able to quantify where that \$4 million
22 savings is coming from?

23 MR. PETER YIEN: Yes, I do believe
24 when you see that breakdown, that undertaking, that
25 should be clear on that.

1 MS. KATHLEEN MCCANDLESS: Okay, thank
2 you. At the bottom of page 10 of Gartner, scroll to
3 the bottom, there is a table of the ongoing PDR
4 projects. The spend to date and the amount to
5 completion; yes?

6 MR. PETER YIEN: Yes.

7 MS. KATHLEEN MCCANDLESS: And then
8 running to the top of the next page, so page 11, we
9 see total PDR budget for ongoing projects at the right
10 most side of the table is \$34.7 million. Yes?

11 MR. PETER YIEN: Yes.

12 MS. KATHLEEN MCCANDLESS: I see under
13 there is a related project Centre of Excellence and
14 there's a budgeted total amount of \$6.2 million?

15 MR. PETER YIEN: Yes.

16 MS. KATHLEEN MCCANDLESS: Just to
17 clarify, is that project outside the scope of the
18 \$65.5 million budget?

19 And just maybe to assist you, if we go
20 to -- further down the page. You may have to bear
21 with me for a second, Diana, while I find the
22 reference but there is some narrative about that
23 project.

24 Yes, in summary. So the fourth --
25 fifth bullet down describes the Centre of Excellence

1 project budgeted separately from PDR but tightly
2 related to achieving PDR success.

3 Do you see that?

4 MR. PETER YIEN: Yes.

5 MS. KATHLEEN MCCANDLESS: Okay. So,
6 does that help you clarify then?

7 MR. PETER YIEN: Yeah, it does. It is
8 a separate project, but we have to nom -- denote it
9 because it's related. So, the budget that's -- we
10 talked about PDR that you described is separate from
11 that.

12 MS. KATHLEEN MCCANDLESS: Okay. And
13 then if we go to table 2 on page 11. These are the
14 completed PGR -- PDR projects to date?

15 MR. PETER YIEN: Yes.

16 MS. KATHLEEN MCCANDLESS: And if we
17 scroll to the bottom of that table, the total is \$25.9
18 million?

19 MR. PETER YIEN: Yes.

20 MS. KATHLEEN MCCANDLESS: Okay. And
21 included within that is -- under Others, predictive
22 analytics/loss prevention with a budgeted amount of
23 \$2.2 million?

24 MR. PETER YIEN: Yes.

25 MS. KATHLEEN MCCANDLESS: Okay. And

1 then if we just go to the narrative we were just
2 looking at before, those bullet points?

3 MR. PETER YIEN: Yes.

4 MS. KATHLEEN MCCANDLESS: So the
5 second bullet speaks about the predictive analytics
6 project. And again, it says budgeted separately from
7 PDR but tightly related to achieving PDR success?

8 MR. PETER YIEN: Yes.

9 MS. KATHLEEN MCCANDLESS: So as I
10 understand it then, the predictive analytics project
11 is another project that is outside the scope of that
12 \$65.5 million budget?

13 MR. PETER YIEN: That's correct.

14 MS. KATHLEEN MCCANDLESS: And so,
15 ultimately, what comprises the 65 -- or \$61.5 million,
16 as I understand it, would be what's described in
17 bullet 1, 3 and 4 in the summary. So, the program
18 planning and revisioning activities of \$3.1 million;
19 the number of PDR projects completed at 23.7; and the
20 five (5) remaining projects to be completed at 34.7
21 million?

22 MR. PETER YIEN: Yeah, that's correct.

23 MS. KATHLEEN MCCANDLESS: Diana, can
24 you please go to page 20. Now, this is about the --
25 the benefits that are expected to flow from the

1 completed PDR project and -- and in progress PDR
2 project?

3 MR. PETER YIEN: That's correct.

4 MS. KATHLEEN MCCANDLESS: And Gartner
5 comments that there'll be a steady flow of benefits
6 starting in year seven (7) and ramping to
7 approximately 13.5 -- \$13.65 million starting in
8 21/22?

9 MR. PETER YIEN: Yes.

10 MS. KATHLEEN MCCANDLESS: And so that
11 \$13.65 million that we see at the very bottom of the -
12 - of the screen, is that \$13.65 million on an annual
13 basis?

14 MR. PETER YIEN: Absolutely. In fact,
15 in our business this is probably a good way to
16 clarify. Now, in a business cases typically we don't
17 consider the -- two (2) things to look at. Typically,
18 when we look at benefits, we look at it over a five
19 (5) year period. Because this project is -- has a
20 high level of duration, as it can be seen as over a
21 twelve (12) year period, we took the conservative
22 approach of not including within that benefit of year
23 13 and beyond.

24 If we had, the value of this would be
25 significantly more. The net present value. So -- so

1 we did not include as part of this calculation.

2 MS. KATHLEEN MCCANDLESS: Thank you.
3 Diana, can you please pull up PUB-MPI-1-34.

4 At question (b), the Corporation was
5 asked to provide a comparison of the cost benefit
6 analysis provided in last year's Gartner reports - so
7 that was PDR (a) - and the factors that led to a
8 reduction in the internal rate of return, because in
9 last year's Gartner report, the internal rate of
10 return was 8 percent. It's now been res -- revised in
11 the Gartner report to 7 percent.

12 And so if we look to page 2 of the
13 response there is an attachment and it's a letter from
14 Gartner.

15 MR. PETER YIEN: Sorry, can you scroll
16 up a little bit. I didn't catch the (b). Thank you.

17 MS. KATHLEEN MCCANDLESS: So as I
18 understand it, Gartner is saying that the drop in the
19 net present value and internal rate of return were
20 largely due to a reduction in the pace of benefits
21 realization; yes?

22 MR. PETER YIEN: Yes.

23 MS. KATHLEEN MCCANDLESS: Just to
24 clarify your testimony earlier about the projected
25 benefits. It looks as -- as though, according to

1 Gartner, the -- the benefits continue from year 13
2 through the year 16; yes?

3 MR. PETER YIEN: Yes, that's right.

4 MS. KATHLEEN MCCANDLESS: Thank you.

5 MR. PETER YIEN: But as I said
6 earlier, this is a calculation. We expect the benefit
7 to continue in perpetuity.

8 MS. KATHLEEN MCCANDLESS: Okay, thank
9 you. Does the PDR budget include operations costs?

10 MR. PETER YIEN: Not that I know of.
11 Let me check that.

12

13 (BRIEF PAUSE)

14

15 MR. PETER YIEN: That -- that is
16 correct, my answer.

17 MS. KATHLEEN MCCANDLESS: Okay. Do
18 you know how much the operation costs will be for the
19 PDR going forward?

20 MR. PETER YIEN: I don't know on the
21 top of my head.

22 MS. KATHLEEN MCCANDLESS: Are you able
23 to obtain that information?

24 MR. PETER YIEN: Let me check.

25

1 (BRIEF PAUSE)

2

3 MR. PETER YIEN: Can you clarify what
4 do you mean by -- by "cost to operate?"

5 MS. KATHLEEN MCCANDLESS: That would
6 be costs to refresh and maintain the PDR system.

7 MR. PETER YIEN: Okay. So if I was to
8 paraphrase that, that would be any potential
9 development costs, any potential license fees, things
10 like that --

11 MS. KATHLEEN MCCANDLESS: Yes.

12 MR. PETER YIEN: -- maintenance costs,
13 right?

14 MS. KATHLEEN MCCANDLESS: Yes.

15 MR. PETER YIEN: Okay. Absolutely.
16 We -- we can definitely undertake to do give you that
17 information.

18 MS. KATHLEEN MCCANDLESS: Thank you.

19

20 --- UNDERTAKING NUMBER 10: MPI to provide information
21 as to the estimated
22 operating costs for the
23 PDR program, including
24 maintenance cost,
25 licensing fees and

1 redevelopment.

2

3 MR. PETER YIEN: I will say this
4 because some of the software pieces are relatively
5 newer, there'll be estimates and it's only estimates,
6 and it's got a level of precision that when we should
7 not. I just want to qualify that.

8

9 CONTINUED BY MS. KATHLEEN MCCANDLESS:

10 MS. KATHLEEN MCCANDLESS: So that was
11 to provide information as to the estimated operating
12 costs for the PDR program, including maintenance cost,
13 licensing fees and redevelopment?

14 MR. PETER YIEN: Right, any -- any
15 redevelopment costs, that's correct.

16 MS. KATHLEEN MCCANDLESS: Thank you.
17 With respect to the projected staffing reductions as a
18 result of the PDR program, I believe yesterday you
19 said that the target was for 32?

20 MR. PETER YIEN: Yes.

21 MS. KATHLEEN MCCANDLESS: And has the
22 Corporation mapped out when that will -- will start to
23 be realized?

24 MR. PETER YIEN: Yes.

25 MS. KATHLEEN MCCANDLESS: Okay, so

1 when is that?

2 MR. PETER YIEN: I don't have the
3 details in front of me, but we have.

4 MS. KATHLEEN MCCANDLESS: Okay. Can
5 we have an undertaking to provide a schedule of when
6 you expect to -- or the targeted staff reductions
7 associated with the PDR program?

8 MR. PETER YIEN: Yeah, let me check.
9 Absolutely.

10

11 --- UNDERTAKING NUMBER 11: MPI to provide a schedule
12 of when you expect The
13 targeted staff reductions
14 associated with the PDR
15 program.

16

17 CONTINUED BY MS. KATHLEEN MCCANDLESS:

18 MS. KATHLEEN MCCANDLESS: Thank you.
19 Diana, can you please go back to the original PDR
20 project charter that we were looking at earlier. It's
21 from the 2015 GRA. And, Diana, please go to page 7,
22 and scroll down a bit on the page.

23 So here starting at line 22, there's a
24 reference to an optimized adjusting proj -- project,
25 and at line 25 there is an intention to streamline the

1 first notice of loss process through better claim
2 triaging which would mean changes required to the
3 existing CARS legacy system.

4 MR. PETER YIEN: Yes.

5 MS. KATHLEEN MCCANDLESS: Do you have
6 that in front of you?

7 MR. PETER YIEN: Yes.

8 MS. KATHLEEN MCCANDLESS: And then
9 there's a reference to Fineos, that's F-I-N-E-O-S.
10 Was Fineos to replace CARS under the original project
11 charter?

12 MR. PETER YIEN: My understanding was
13 -- it was definitely considered. But -- yes, it was
14 considered.

15 MS. KATHLEEN MCCANDLESS: And the
16 issue with CARS is obsolescence, right, technology
17 obsolescence?

18 MR. PETER YIEN: Yes, it is a very old
19 legacy system. Just -- just for the benefit of
20 everyone here, legacy systems tends to be a written
21 code that requires a skill set that's a little bit
22 older. Some of the folks that would have written that
23 could either would have retired and maybe some would
24 rather not do any work.

25 So, I go back to that technical depth

1 that we talked about earlier and -- and that
2 effectively addresses that.

3 MS. KATHLEEN MCCANDLESS: Thank you.
4 Diana, can you please go back to PUB-MPI-1-75 from the
5 2015 GRA.

6 We saw that CARS was listed under
7 optimized adjusting in the previous screen, in the
8 program charter. And under table -- March (b) here
9 the -- the detailed breakdown of the project budget
10 and forecast for PDR, there is a line under initiative
11 for optimized adjusting.

12 You see that in front of you?

13 MR. PETER YIEN: I do.

14 MS. KATHLEEN MCCANDLESS: So the CARS
15 -- as I understand it, the CARS replacement was
16 initially included in the budget for the optimized
17 adjusting aspect of the PDR program?

18 MR. PETER YIEN: Right.

19 MS. KATHLEEN MCCANDLESS: Is the CARS
20 budget still part of the \$65.5 million budget?

21 MR. PETER YIEN: My understanding is
22 yes. I'll check.

23

24 (BRIEF PAUSE)

25

1 MR. PETER YIEN: Let me clarify that.
2 We're not doing in CARS. The functionality is still
3 there. So the budget is there to achieve the
4 functionality but we're not doing it through CARS.

5 MS. KATHLEEN MCCANDLESS: Is there an
6 intention to replace CARS?

7

8 (BRIEF PAUSE)

9

10 MR. PETER YIEN: No, there's no
11 intention to replace it. We're keeping it.

12 MS. KATHLEEN MCCANDLESS: Okay.
13 Diana, can you please pull up -- you just have to bear
14 with me for a second to get the reference. Appendix 1
15 of PUB-MPI-1-30.

16 And if you scroll to the bottom of the
17 page there, at line 33 under existing -- the list of
18 existing projects, there is an AOL/CARS replacement
19 with a budgeted amount of \$50.6 million. Do you see
20 that?

21 MR. PETER YIEN: Yes.

22 MS. KATHLEEN MCCANDLESS: So as I
23 understand your evidence you've just mentioned that
24 CARS is not being replaced but it looks as though
25 there is a budgeted amount for CARS replacement

1 MR. PETER YIEN: Yeah, perhaps there
2 is a better way of characterizing that. It -- it req
3 -- if I could just step back.

4 We know that the current functionality
5 of CARS needs to be enhanced and that functionality is
6 met through the business case. So, that replacement
7 is finding some solution that replaces that original
8 requirement. So perhaps it can called functionality
9 replacement rather than replacing -- not -- we're not
10 -- we're not getting rid of the application.

11 MS. KATHLEEN MCCANDLESS: And is that
12 budget amount separate from the PDR budget?

13 MR. PETER YIEN: No, I think it's part
14 of the PDR budget. Let me check.

15

16 (BRIEF PAUSE)

17

18 MR. PETER YIEN: That's to look at
19 replacing CARS, so, it is separate from -- I need to
20 correct myself there. It -- it is a separate budget,
21 but that's to look at replacing it. It's not a --
22 it's not replacing it.

23 MS. KATHLEEN MCCANDLESS: In the
24 original PDR budget that we were looking at, at PUB-
25 MPI-1-75 from the 2015 GRA. Under optimized

1 adjusting, how much of that original budget was
2 allocated to the CARS replacement initiative?

3 MR. PETER YIEN: Okay. One (1)
4 second. Thirty-three (33)...

5

6 (BRIEF PAUSE)

7

8 MR. PETER YIEN: Yeah, I would suggest
9 we add this to the undertaking as part of that cross
10 reference. So you can actually see how they relate.

11 MS. KATHLEEN MCCANDLESS: Okay, so
12 we'll have a further undertaking to advise as to the
13 amount of the optimized adjusting budget and PUB-MPI-
14 1-75 from the 2015 GRA was allocated to the CARS
15 replacement. Thank you.

16 MR. PETER YIEN: Yes.

17

18 --- UNDERTAKING NO. 12: MPI to advise as to the
19 amount of the optimized
20 adjusting budget and PUB-
21 MPI-1-75 from the 2015
22 GRA was allocated to the
23 CARS replacement.

24

25 CONTINUED BY MS. KATHLEEN MCCANDLESS:

1 MS. KATHLEEN MCCANDLESS: We saw on
2 the previous screen when we were looking at the list
3 of thirty-three (33) projects that its -- it was
4 CARS/AOL replacement or AOL/CARS replacement and AOL
5 is for audit -- Autopac online; yes?

6 MR. PETER YIEN: Yes, that is correct.

7 MS. KATHLEEN MCCANDLESS: And that,
8 along with CARS -- I won't take you to the reference
9 unless you need me to do, but as I recall it was
10 described along with CARS as a Tier 1 business
11 application in the -- the existing IT strategy, the
12 2015 IT strategy.

13 MR. PETER YIEN: That's right. And
14 just for everyone, Tier 1 is the most important
15 critical applications that we do have, yes.

16 MS. KATHLEEN MCCANDLESS: Okay. And
17 at the time of the 2015 IT strategy, AOL was based on
18 a 20-year-old technology platform.

19 MR. PETER YIEN: That's correct.

20 MS. KATHLEEN MCCANDLESS: And you've
21 described it as being the most important system. So
22 perhaps you could just explain what AOL is.

23 MR. PETER YIEN: What do you mean by
24 "explaining"? How, what level --

25 MS. KATHLEEN MCCANDLESS: Describe the

1 system.

2 MR. PETER YIEN: Okay. One (1)
3 second.

4

5 (BRIEF PAUSE)

6

7 MR. PETER YIEN: I guess I'll keep it
8 high level first. Autopac online is, essentially, a
9 system that, as you know, we have brokers that sell
10 the product. And it effectively is what we use to
11 sell the product, register it and all of that.

12 MS. KATHLEEN MCCANDLESS: So is it
13 located at broker offices?

14 MR. PETER YIEN: They have -- they
15 have access to it. Yes.

16 MS. KATHLEEN MCCANDLESS: What --

17 MR. PETER YIEN: Oh, I do -- I do want
18 to add -- there's also driver licensing as well, but,
19 yeah.

20 MS. KATHLEEN MCCANDLESS: And so we
21 see there's a budgeted amount combined with the CARS
22 replacement, in that previous screen we were looking
23 at Appendix 1, from PUB-MPI-1-30, of \$50.5 million.

24 So can you explain what plans, if any,
25 MPI has with respect to looking at a replacement for

1 AOL?

2 MR. PETER YIEN: Yeah. One second.

3

4 (BRIEF PAUSE)

5

6 MR. PETER YIEN: The numbers
7 that you have there are projected money. I do want to
8 refer back to my earlier comment about the value
9 management process. These are old systems, and
10 because they are old we have to explore -- first of
11 all, have to understand the importance of replacing
12 it. Quite honestly, we don't have a solution and we
13 have to make sure that we look at all the avenues that
14 we can pursue.

15 So these are estimated numbers. We
16 have saved money in which we can start to explore what
17 those options are. And then we'll have to build the
18 related business cases that will either support or not
19 support those numbers. But at this point, it's a --
20 it's a best guess, based on what we know.

21 MS. KATHLEEN MCCANDLESS: Okay, so
22 with respect to something like AOL/CARS replacement at
23 Line 33 or insertions of work, at Line 34, we see that
24 there's no budgeted amount to be spent until 2018/'19
25 fiscal; yes?

1 MR. PETER YIEN: Correct.

2 MS. KATHLEEN MCCANDLESS: So I believe
3 your evidence earlier, was that these projects are in
4 -flight.

5 MR. PETER YIEN: It's in-flight in
6 that it's part of management process. We're always
7 cons -- constantly thinking about what we need to do.
8 What are the options we need to think about? So, if -
9 - if that's the definition of in-flight, which I
10 believe it is, because you had asked me earlier about
11 what is the value management process. It is a
12 continuously rethinking and understanding what risk we
13 are talking about. So, yeah. It -- it is flight in
14 -- in that way.

15 MS. KATHLEEN MCCANDLESS: Okay. And
16 so for those -- those projects which don't have any
17 budget allocated until 2018/'19 fiscal will there be
18 business cases and -- and using the new value
19 management process for those projects?

20 MR. PETER YIEN: Yeah, absolutely. If
21 we didn't, we'd be violating -- violating our own
22 internal policies moving forward. So, absolutely
23 there will be.

24 MS. KATHLEEN MCCANDLESS: Okay. Thank
25 you. So now I'd like to move to some questions about

1 the Gartner CIO scorecard, which I touched on briefly
2 earlier. And some of this does relate back to
3 staffing because Gartner does comment on IT staffing.

4 So if we go to the Gartner CIO
5 scorecard, which is attachment 'A'. Thank you, Diana.
6 At Page 13 of the PDF, at the bottom of the page,
7 there's a conclusion or an observation that:

8 From 320 to 324 FTEs, that MPI is
9 staffing its IT at 10 percent higher than its peers.

10 You see that?

11 MR. PETER YIEN: Yes, I do.

12 MS. KATHLEEN MCCANDLESS: Can you
13 explain the increase in the number of FTEs?

14 MR. PETER YIEN: Okay. One second.

15

16 (BRIEF PAUSE)

17

18 MR. PETER YIEN: Okay. So, it's a
19 combination of two (2) things. One (1) is we had the
20 original moving from a prior year we had some
21 vacancies that we had to fill.

22 And then the second point is, as we
23 were doing the consultant conversions there's some
24 filling that we need to do, just to make sure that
25 there's appropriate transition. Ensure that they go

1 through their learning curve, and then effectively
2 take that on internally.

3 MS. KATHLEEN MCCANDLESS: When you
4 say, "consultant conversions," are you referring to
5 the moving "in house" of the 27 IT positions?

6 MR. PETER YIEN: That's correct.

7 MS. KATHLEEN MCCANDLESS: Thank you.
8 As part of managing IT skill sets, has MPI performed
9 an IT skills gap review, to determine what has today
10 and what it needs to run its systems tomorrow?

11 MR. PETER YIEN: Yeah, it -- they do
12 this gap -- gap's review from different angles. One
13 is, of course, overall. I mentioned earlier, as part
14 of the value management process, constantly when we --
15 when we looked at technology we have to understand who
16 can support the technology. So -- so we do that on a
17 continuous basis, and that -- that effectively also
18 drives what we decide to do. That's -- that schism is
19 not only internal, we also looked external.

20 So, for example, we have legacy system,
21 and we find that we don't have the resource internally
22 we then have to look outside. And then we look at our
23 outside and there's a lack of resource internally, or
24 the price tag associated with that consultant resource
25 gets to be too high, then we have to revisit that.

1 The second in which we look at this is
2 from a BTO perspective, when projects are being
3 managed or business starts to ask for requirements.
4 There are architectural changes that I mentioned
5 earlier. We have to look at and assess, do we have
6 the competent people to either upgrade a system or
7 start to think about new ideas? And the other systems
8 that we may have to pursue. So that would also
9 involve potentially looking outside as to who has that
10 expertise. And that then drives our contractor model.

11 And then finally, the third one is the
12 projects. Each of the special projects requires
13 special skills. Everything from project management to
14 software, hardware, people, process change. And
15 that's also evaluated before we embark on a business
16 case to ensure that we have the right staffing levels.

17 One last point, with large projects.
18 They come in and out all the time. Sometimes people
19 leave an organization. So we actually have to manage
20 the skill sets to ensure that we do deliver the
21 projects on time and on a budget.

22 MS. KATHLEEN MCCANDLESS: Thank you.
23 Diana, can you please go to Page 5 of Gartner.
24 Thanks. So, the second bullet on the left-hand side
25 of the page marked "key observations":

1 It's noted that MPI spends 63 percent
2 of the IT budget on personnel versus 44 percent for
3 its peers. And that 34 percent of MPI's IT staff is
4 made up of contractors as compared to 17 percent for
5 the peers; yes?

6 MR. PETER YIEN: Yes.

7 MS. KATHLEEN MCCANDLESS: Can you
8 explain why MPI tends to have a higher make-up of
9 contractors than its peers.

10 MR. PETER YIEN: Just one second.

11

12 (BRIEF PAUSE)

13

14 MR. PETER YIEN: I want to start by
15 saying that MPI has an approach of making sure that we
16 -- we -- on the contractor side, let me answer that
17 first, why it's higher than the peers.

18 There's an ongoing contentional
19 objective. And that's not to bring on contractors,
20 and then very quickly let them go. So -- so as a
21 result of that we -- we do have more -- more
22 contractors.

23 Another reason is some of the project
24 that we do run like PDR does require specialized
25 expertise that we just simply don't have in-house, and

1 so what the only way you could get that is that. But
2 even more importantly, some of the areas are newer and
3 they have the industry perspective that can get it
4 done quicker than internally. So if we simply look at
5 the cost or percentage, we would be missing the whole
6 point of value management, which is we -- even if we
7 had somebody internal. Either we can't get to the
8 answer or it would just simply take us too long. So
9 those -- those projects are driving a higher level of
10 contractors.

11 As far as the IT the -- the overall IT
12 budget on personnel as well versus the peers. It also
13 is a little bit higher for number of reasons, but
14 certainly one of them is the -- the need for us to
15 continually get out of techno debt. We know that, in
16 last year we -- we identified that there was a need,
17 we -- we are continually doing that. So climbing that
18 -- out of that does take a -- a portion of the staff
19 to remain focused and vigilant on making sure that we
20 maintain ourselves in terms of technical data, not
21 fall further behind and -- and keep -- keep that up to
22 date as well.

23 MS. KATHLEEN MCCANDLESS: Thank you.
24 So, I think I understand your evidence. I just want
25 to go back a bit. We -- we see that MPI has thirty-

1 three (33) IT initiatives on the go.

2 MR. PETER YIEN: Yes.

3 MS. KATHLEEN MCCANDLESS: And, you had
4 mentioned earlier that from a corporate perspective
5 that that number is manageable.

6 MR. PETER YIEN: That's correct.

7 MS. KATHLEEN MCCANDLESS: Would MPI be
8 better able to manage its use of contractors if it
9 reduced the number of IT projects it had on the go, at
10 a given time?

11 MR. PETER YIEN: That's a theoretical
12 question. Currently we are able to manage our
13 contractors. And not only that, in terms of the
14 projects that we have. It's been shown that our
15 budgets on -- budget on time. So if -- if I find that
16 we've fallen behind on -- among our peers in terms of
17 falling on budget, or deliverables, then I would say,
18 we can't manage our contractors. But I don't see any
19 evidence of that right now.

20 The other thing is, we do look at
21 projects very seriously. We look at availability of
22 people, constraints, what we're good at, and what we
23 are not good at. We generally don't bite off more
24 than what we can chew in this area. I mean, that's
25 not to say we won't take risk. But -- but we are

1 watching that closely, to make sure that we are
2 accountable to be on-budget on -- on time.

3 MS. KATHLEEN MCCANDLESS: Okay. So I
4 think I understand your evidence to be that MPI
5 wouldn't consider limiting its number of IT projects
6 take to get that contractor usage down further.

7 MR. PETER YIEN: No, I think if we did
8 that, it would actually be the wrong thing to do.
9 Everything that we do, needs to be aligned with the IT
10 strategy that I was talking about earlier, the four
11 (4) areas. And if we met percentage of IT contractors
12 and completely missed our business objectives and --
13 including, keeping rates low for Manitobans. Then I
14 think misses the point of our mandate.

15 And I go back to our mandate as keeping
16 our rates affordable. And doing these -- doing these
17 projects, does allow us to generate benefits that
18 keeps these rates low. So no, I would -- I wouldn't.
19 I think it's an important factor to consider. But
20 it's not the only factor.

21 MS. KATHLEEN MCCANDLESS: If we look
22 to the right-hand side of the page under implications
23 and recommendations. The third paragraph down,
24 Gartner state -- states:

25 "that staffing strategies should be

1 developed to reduce contractor
2 dependence and numbers, internal
3 staff retention and skills
4 development should be a priority."

5 So can you explain how MPI might
6 address this while at the same time, it is targeting
7 to reduce its IT internal staff.

8 MR. PETER YIEN: Yeah, that's an
9 excellent question. Let me start by saying, as a --
10 as a contractor myself, at night. There is clauses in
11 there that precludes MPI from hiring a contractor
12 that's got a non-compete. So we -- we cannot actively
13 recruit the people that are working on projects with
14 us. It does not preclude them from independently
15 applying them through the website, though, so that
16 absolutely possible. So, yeah, we do have a strategy
17 to get to 27. But it's not a easy, slam-dunk kind of
18 process. So it is difficult.

19 In terms of internal staff counts,
20 keeping them low. Yes, it is -- it is something we
21 want to do because if -- if we convert the external
22 contractor in terms of going to an internal, the good
23 news is that typically these folks are working on
24 deferred-type projects. So the impact on their salary
25 is not immediate, we amortize capital projects on a

1 five-year basis. So effectively, when we convert them
2 over and we capitalize it, we -- we split it over a
3 five (5) year period. So we can take the pain off a
4 little bit later.

5 There are good reasons why we would
6 actually convert -- you asked about the strategy.
7 Once we have the critical mass of work that is
8 required to sustain a system, it makes perfect sense
9 to bring that individual in-house to support the
10 system moving forward. And in fact, it makes sense
11 from another perspective, as a contractor it's
12 possible to lose them a little easier if get pulled on
13 another client, for example. So we understand those
14 risk and we are continuously watching for
15 opportunities to convert them over where it's
16 possible.

17 My last point, though, that I would
18 like to bring is, it is true that contractors cost a
19 little bit more and sometimes contractors would not
20 want to take a pay cut to necessarily join an
21 organization, or they may simply enjoy the freedom to
22 not work for an organization. And for example, take
23 vacations whenever they like. So we -- we -- we are
24 very cognizant of those risks, but at the end of the
25 day there's also risk of having that contractor just

1 unwilling to be converted. So -- so we're completely
2 cognizant of all those things as part of our strategy.

3 MS. KATHLEEN MCCANDLESS: So just a
4 question with respect to the proportion of staff made
5 up of contractors versus peers.

6 Does MPI have any atten -- intention to
7 try to target the level that its peers have, so the 17
8 percent?

9 MR. PETER YIEN: Yeah.

10 MS. KATHLEEN MCCANDLESS: Do you see
11 on the left-hand side of the screen.

12 MR. PETER YIEN: Yes. I would say
13 there is no intention for us to get to that number.
14 Because that number is an industry average. And there
15 is lots of unique circumstances of our peers. That
16 doesn't mean though, that we're not comparing
17 ourselves to other insurance companies. And other
18 ones are more similar to us in their journey.

19 One (1) other important thing to
20 consider, as I mentioned earlier, is the business
21 strategy is not complete yet. Once that's complete,
22 we would absolutely look forward to understand what's
23 the optimal level of MPI consultants that we should be
24 hiring and bring onto the projects. As I mentioned
25 earlier, some of the projects that we move forward may

1 depend on competencies that we don't have. That's out
2 of our control. Where we have the opportunity to
3 perhaps convert that individual earlier to an
4 employee, we would certainly look at that opportunity.

5 Another area would be, you know, can we
6 internally train another individual and maybe bridge
7 some of that gap? We're doing that now.

8 And then a third thing is, can we
9 minimize the time in which we use that expertise and
10 try to do that knowledge transfer, and bring that in-
11 house.

12 So we are looking at all those options.
13 But to answer your question, are we targeting 17
14 percent specifically? No. If -- if by doing
15 everything that we are doing, and it goes below
16 sixteen (16) -- 17 percent, even better. But -- but
17 we are focused on minimizing that contractor without
18 impacting the delivery of the project, the overall
19 cost of the project, and I think all those things need
20 to be taken in consideration.

21 MS. KATHLEEN MCCANDLESS: Thank you.
22 So MPI provided, in a response to an Information
23 Request, an update -- a status update on
24 implementation of Gartner's previous recommendations
25 from earlier CIO scorecards?

1 MR. PETER YIEN: Yes.

2 MS. KATHLEEN MCCANDLESS: And if we go
3 to PUB-MPI-1-51, this just addresses two (2) of the
4 recommendations that were made by Gartner. Those are
5 recommendations three point o-five (3.05) and three
6 point -- point o-six (3.06).

7 MR. PETER YIEN: Yes.

8 MS. KATHLEEN MCCANDLESS: And the
9 indication from the Corporation was that those are on
10 hold at this time?

11 MR. PETER YIEN: Now, can you just go
12 back? I just want to --

13 MS. KATHLEEN MCCANDLESS: You just go
14 up to the --

15 MR. PETER YIEN: Oh, sorry. Yeah.
16 Thank you.

17 MS. KATHLEEN MCCANDLESS: -- the
18 preamble.

19 MR. PETER YIEN: Yes.

20 MS. KATHLEEN MCCANDLESS: So there --
21 and I can take you, actually, to the application
22 status, if you'd like. And Diana, that's at PUB-MPI-
23 1-50 --

24 MR. PETER YIEN: M-hm.

25 MS. KATHLEEN MCCANDLESS: -- page 8.

1 MR. PETER YIEN: M-hm.

2 MS. KATHLEEN MCCANDLESS: We see that
3 they're noted as on hold to review again in Q4
4 2017/'18?

5 MR. PETER YIEN: Yes, that's correct.

6 MS. KATHLEEN MCCANDLESS: And then
7 three point o-six (3.06) is on hold to review as part
8 of the budgeting process for Q3 2017 --

9 MR. PETER YIEN: Yes.

10 MS. KATHLEEN MCCANDLESS: -- '18?

11 MR. PETER YIEN: Yes.

12 MS. KATHLEEN MCCANDLESS: I won't be
13 making you jump around much longer, Diana, so please
14 bear with me. If we go back to the response to 1-51,
15 at 'A', so that's on page 2.

16 So with respect to the status of those
17 two (2) recommendations, the Corporation stated that
18 it's currently working towards December 2017, as
19 discussed, when -- when the Board of directors will be
20 providing more direction about the IT strategy.

21 MR. PETER YIEN: M-hm. Yes.

22 MS. KATHLEEN MCCANDLESS: So these two
23 (2) recommendations, and we can scroll up to the
24 question just for your reference, Mr. Yien, so the
25 anticipation, then, is that there will be some

1 movement on these two (2) recommendations following
2 the Board of directors' review of the IT strategy?

3 MR. PETER YIEN: Yes. In fact, there
4 will absolutely -- absolutely be a -- a movement.
5 Architecture itself, as I stated earlier, is dependent
6 on the underlying business objectives. And once
7 that's set, yes, it would -- it would definitely
8 influence both three dot o-five (3.05) and three dot
9 o-six (3.06), as referred to in the exhibit.

10 MS. KATHLEEN MCCANDLESS: Right. And
11 these two (2) recommendations plan for the future
12 state architecture to support MPI's goals of access
13 and support for existing and new services, and three
14 point o-six (3.06), perform a baseline of the current,
15 and perform gap analyses as the architecture is
16 implemented.

17 You would agree that these are good
18 recommendations in that it's important to determine
19 where the gaps are in looking at what needs to be
20 implemented?

21 MR. PETER YIEN: Yeah. I would
22 actually even go further. They are leading practices,
23 and we absolutely should follow it.

24 MS. KATHLEEN MCCANDLESS: And
25 ultimately, who will have responsibility for

1 implementation of these recommendations?

2 MR. PETER YIEN: Let's describe
3 "implementation" of these recommendations. What
4 drives architecture is sometimes technical. What I
5 mean by that is, it is absolutely the responsibility
6 of the CIO to ensure that the risk of the organization
7 is protected.

8 It certainly is the responsibility of
9 the finance risk committee to ensure that they
10 understand what risks are being taken on a technology
11 level. So the -- our planning and technology
12 committees oversees this -- these plans and challenges
13 on the cost effectiveness of these plans before they
14 get presented to the audit committee, and then further
15 on to the board.

16 So the accountability rests with
17 management, absolutely. So the CIO would be
18 responsible for that. But equally important is the
19 achievement of the business objectives. If -- there's
20 no point to update -- to update architecture if it
21 doesn't meet the business objectives. So the
22 executive team responsible for the various lines of
23 businesses needs to ensure that the underlying
24 architecture is designed effectively and efficiently.

25 I mentioned earlier, yesterday, that

1 MPI believes that each line of business should stand
2 on its own, and that means that whatever decisions we
3 make on the business strategy, and then I said
4 earlier, whatever applications we decide to update to
5 run that business needs to be supported by the related
6 architecture.

7 If the architecture says, Sorry, I
8 can't give you an application in time, then we have a
9 business problem. And so ultimately, I would say is
10 once it comes to the applications by line of business,
11 the line of business executives are responsible to
12 hold the CIO accountable to deliver the architecture
13 that would solve the business problem. But if I was
14 to conclude, then, that all this stuff were all up to
15 the new CEO that would be coming on board later -- and
16 ultimately, the CEO should be responsible for all
17 areas of business which then would include the
18 underlying architecture.

19 MS. KATHLEEN MCCANDLESS: Thank you.
20 Diana, can you go back to page 8 of PUB-MPI-1-50. At
21 the bottom of the page is recommendation three point
22 o-seven (3.07), which is to:

23 "Continue to increase the span of
24 EA, and I believe that's enterprise
25 architecture's influence throughout

1 the business areas by ensuring --
2 ensuring the governance processes as
3 measured by process maturity and
4 their importance is clearly --
5 clearly communicated such that they
6 are not circumvented."

7 Is this an important recommendation for
8 the Corporation in the context of what it wants to
9 accomplish in its value management process?

10 MR. PETER YIEN: Absolutely. This is,
11 in fact, a -- a very key ingredient for our value
12 management process. The -- the revised management
13 process provides an enhanced level of discussion.
14 Governance cannot happen on its own without
15 discussion, and I think this is important. I want to
16 go back to earlier when I mentioned, we don't
17 necessarily have business cases in all the time. We -
18 - we have a good process. We -- we do talk to each
19 other. We discuss with the challenges are.

20 As part of this governance process,
21 that communication needs to be documented, and that's
22 the refinement that I said earlier. It needs to be
23 documented in one (1) place where it's easier to do a
24 post-implementation review, for example. And so that
25 communication, we need to ensure that we follow that.

1 I mentioned about the capitalization policy. That --
2 that communication is evidenced through our business
3 case. So I do agree that it is important.

4 MS. KATHLEEN MCCANDLESS: And as far
5 as who would be responsible for delivery on -- on that
6 recommendation, would it be the same as your prior
7 response with respect to recommendations three point
8 o-five (3.05) and three point o-six (3.06)?

9 MR. PETER YIEN: I would add something
10 else to that. Currently, value management reports to
11 me, so compliance with that value management --
12 management process, including a review of the rigour
13 that has been put into the business case, and then
14 there's further aspects of -- I mentioned in my
15 opening remarks that -- that the value manage --
16 management process would ensure that we know what the
17 metrics that we'll be using to measure the benefits
18 afterwards. And we fully understand, what are the
19 qualitative aspects, the quantitative aspects, and to
20 what extent the level of accuracy -- we can actually
21 calculate some of these numbers.

22 That protector -- that particular
23 governance piece actually is in my group. So in
24 short, what I'm basically saying is the govern -- the
25 revised value management process ensures that the

1 executives are working a lot closer collaborative
2 together to achieve the business objective.

3 MS. KATHLEEN MCCANDLESS: Thank you.
4 Diana, can we go to page 10 of this document, and
5 recommendation four point o-three (4.03), which is
6 develop, document, and implement an information
7 strategy.

8 And so, now that's in process. And
9 would that be essentially the IT strategy and
10 direction that the board of directors will be looking
11 at going forward?

12 MR. PETER YIEN: Sorry, I'm not
13 understanding the question. Can you just repeat in a
14 different --

15 MS. KATHLEEN MCCANDLESS: Four point
16 o-three (4.03)?

17 MR. PETER YIEN: Yes.

18 MS. KATHLEEN MCCANDLESS: The
19 recommendation is to develop, document, and implement
20 an information strategy?

21 MR. PETER YIEN: Yes.

22 MS. KATHLEEN MCCANDLESS: All right.
23 And it's marked in proce -- in progress?

24 MR. PETER YIEN: Yes.

25 MS. KATHLEEN MCCANDLESS: So that

1 -- would that be rolled in with the board of
2 directors looking at the IT strategy?

3 MR. PETER YIEN: Yes, it would. An IT
4 strategy would include the information strategy. Yes.

5 MS. KATHLEEN MCCANDLESS: Thank you.
6 Those are my questions on IT. We're now moving to
7 driver safety rating. Mr. Watchman will -- will be
8 proceeding with those questions.

9 THE CHAIRPERSON: Thank you. Mr.
10 Watchman...?

11

12 CROSS-EXAMINATION BY MR. ROBERT WATCHMAN:

13 MR. ROBERT WATCHMAN: Okay. Thank
14 you. Now, as has already been discussed, the request
15 of this year is to increase driver premiums by
16 approximately \$17 1/2 million?

17 MR. LUKE JOHNSTON: That's correct.

18 MR. ROBERT WATCHMAN: And that
19 represents an -- an approximate increase of 1.8
20 percent to overall premium revenues?

21 MR. LUKE JOHNSTON: That's correct.

22 MR. ROBERT WATCHMAN: Diana, if we
23 could go to, actually, Exhibit MPI-11, page 4. So the
24 proposal will be that ultimately, the increase would
25 be applied to drivers who are in a demerit position?

1 MR. LUKE JOHNSTON: That's right. The
2 only changes to the scale were on the demerit side.

3 MR. ROBERT WATCHMAN: Now, I believe
4 in Mr. Yien's presentation yesterday, at slide 4, item
5 2, the second part, talking about the 2.7 percent rate
6 increa -- increase request, the second point says:

7 "Driver premium increase to demerit
8 drivers reduces the ask on all
9 ratepayers."

10 I think more particularly, would that
11 be all Basic ratepayers, or all vehicle ratepayers?

12 MR. LUKE JOHNSTON: The -- the bullet
13 could be more clear. I -- I'll give you that.

14 We're saying that we could ask for the
15 additional 1.8 percent on an overall basis to all
16 ratepayers, or as we've done, we can ask for that \$17
17 1/2 million from the demerit side of the scale, which
18 we identified as having a bit of a gap between their
19 indicated and required rate level.

20 MR. ROBERT WATCHMAN: Diana, could we
21 go to PUB-MPI-2-36. And this was an Information
22 Request to determine the effect of the change on
23 driver premiums, and if they were not approved, the
24 effect it would have on the rate increase on Basic.

25 And if we could scroll to the top of

1 the second page, my math would have said that one
2 point eight (1.8) plus two point seven (2.7) is four
3 point five (4.5), but it comes out at four point three
4 (4.3). Could you explain the difference?

5 MR. LUKE JOHNSTON: Off the top of my
6 head, the details, the difference? Like, I could take
7 that as an undertaking. I guess when we flow through
8 the -- the calculation and the -- in the rate model,
9 including all other factors such as discounting, and
10 expense loads, and everything, that it doesn't equate
11 exactly to the -- the split of the two (2), but that's
12 something I could undertake to get more detail on if -
13 - if needed.

14 MR. ROBERT WATCHMAN: Thank you.

15 MR. MATTHEW GHIKAS: Do -- do we need
16 that, Mr. Watchman, or is the answer sufficient?

17 MR. ROBERT WATCHMAN: Well, I just --
18 I think -- I think it would helpful to have that to
19 have that information.

20 MR. MATTHEW GHIKAS: Okay. We can
21 take that as an undertaking, then.

22 MR. ROBERT WATCHMAN: The undertaking
23 is to provide an explanation as to why the indication
24 in response to MPI -- PUB-MPI-2-36 is a 4.3 percent
25 increase.

1 MR. LUKE JOHNSTON: Can you scroll up
2 to the -- to the top, even higher, actually, to the
3 question being asked.

4 Okay. We can do that. Thanks.

5

6 --- UNDERTAKING NO. 13: MPI to provide an
7 explanation as to why the
8 response to PUB-MPI-2-36
9 is a 4.3 percent increase

10

11 CONTINUED BY MR. ROBERT WATCHMAN:

12 MR. ROBERT WATCHMAN: Thank you.
13 Diana, if we could go to Volume II revenue section
14 figure REV-29.

15 So this table sets out the current
16 driver premium, the proposed table in the change,
17 which indicates the \$17 1/2 million. So driver
18 premium would increase from just over \$52 million to
19 69, or almost \$70 million; right?

20 MR. LUKE JOHNSTON: That's correct,
21 based on the -- the forecasted driver movement and the
22 new proposed rates.

23 MR. ROBERT WATCHMAN: So the proposal
24 provides for an increase in premium -- driver premiums
25 of over 33 percent?

1 MR. LUKE JOHNSTON: Subject to check,
2 six (6) -- sixty-nine point nine (69.9) divided by
3 fifty-two point four (52.4), I would accept that it's
4 close to the number that you've provided.

5 MR. ROBERT WATCHMAN: If we could
6 scroll back to page 22 to REV-27. And the proposal is
7 to have the increase applied only to drivers in the
8 negative or in the dem -- demerit position on the
9 driver safety rating scale?

10 MR. LUKE JOHNSTON: That's true.

11 MR. ROBERT WATCHMAN: And looking at
12 this table, those individuals would represent from
13 2016/'17 actual, 8.3 percent of all drivers,
14 increasing to about 8.7 of all drivers?

15 MR. LUKE JOHNSTON: That's correct.

16 MR. ROBERT WATCHMAN: So it -- it's a
17 33 percent overall increase to be applied to less than
18 9 percent of the drivers?

19 MR. LUKE JOHNSTON: Well, I wouldn't
20 characterize it that way. So the overall increase in
21 rates, premium rates, this ref -- that this reflects
22 is 1 -- 1.8 percent overall. These drivers would also
23 have vehicle policies. And when we did our proposal
24 on the -- the rates for DSR, we included both their
25 vehicle -- expected vehicle and driver premium in that

1 analysis, along with what their expected costs.

2 So the increase is really the combined
3 increase of their vehicle and -- and driver premiums
4 together. So, you know, if -- if that's helpful.

5 The other piece is that, again, it's --
6 if anybody that has convictions or at-fault claims
7 would fall down the DSR scale. If they are paying --
8 say they're at zero, and they're paying forty-five
9 dollars (\$45) today, and they fall down the scale
10 enough to pay four hundred and fifty dollars (\$450).
11 I wouldn't characterize that as a 1000 percent rate
12 increase, even though the math might appear that way.

13 MR. ROBERT WATCHMAN: Now, from your
14 evidence yesterday, and I believe in the -- some of
15 the responses, this increase, or its allocation, it --
16 it hasn't been determined in accordance with actuarial
17 practices?

18 MR. LUKE JOHNSTON: Yeah, that's --
19 it's a point I should expand on. So, for -- I -- I'm
20 sure everyone in the room is aware how of rates are
21 set. At MPI, there's a registered owner who registers
22 the vehicles. They have a certain DSR level. They --
23 probably in your household, if you have more than one
24 (1) person, you'd prefer the -- the driver with the
25 best DSR level to ensure all the cars get the best

1 discount. And then the other occupants of the house,
2 sometimes younger kids, get to drive mom or dad's car
3 with a 33 percent discount in pay, forty-five dollars
4 (\$45) in premium.

5 DSR addresses some of that discrepancy
6 by trying to move more of the premium dollars onto the
7 license, particularly for demerit drivers, or the --
8 or the highest risk drivers. The amount to transfer
9 to the driver side is a -- is a policy decision, as --
10 as you mentioned.

11 Right now the rate structure
12 classification system that I have for setting
13 actuarial accepted practice rates doesn't allow me to,
14 you know, ask the customer when they come in, Tell me
15 all the drivers in the house. Tell me what their DSR
16 levels are. Let's create a different rate for every
17 vehicle in the house. Our program is not set up to
18 rate like that right now. Maybe one day it will be,
19 but today this is what -- what I have to use.

20 And -- and again, the -- the AAP --
21 when we say it's not AAP, that's true, but it's not
22 that the selected premiums aren't based on statistical
23 indicators. But I -- we're not saying that they
24 follow actuarial accepted practice.

25 MR. ROBERT WATCHMAN: Thank you.

1 Diana, if we scroll to the next page, page 23. Okay.
2 And in the top portion we have the proposed changes to
3 premiums. But I -- I just want to go, scroll down to
4 the bottom half of the page to talk about the
5 objectives.

6 So there were three (3) identified
7 objectives. The first to achieve a revenue increase
8 of approximately 1.8 percent from driver premiums.

9 The second to apply the driver premium
10 increases to the DSR levels with the largest negative
11 discrepancies between premiums paid per driver --
12 vehicle and driver premiums and claims costs per
13 driver.

14 The third objective to apply the driver
15 premium increases such that no driver will receive an
16 increase in their 2018/2019 driver premium relative to
17 -- relative to what they paid 2017/2018 if they have
18 an incident for a year driving for 2017/2018.

19 I just wanted to go through those
20 objectives one (1) at a time. So if we could just,
21 Diana, scroll to the top of the next page, and this
22 deals with the driver premiums, the 1.8 percent
23 increase. And basically, as I read this portion, it
24 tells us that driver premiums -- or base driver
25 premium hasn't changed in twenty (20) years.

1 And it was forty-five dollars (\$45) set
2 in '97. And if we kept pace with inflation or
3 consumer price index, that would equate to sixty-five
4 dollars (\$65) today, and therefore a twenty dollar
5 (\$20) increase would equate to \$18 million. So this
6 is the rationalization for identifying premium --
7 driver premium as the source of revenue increase and
8 the amount?

9 MR. LUKE JOHNSTON: Okay. Maybe I'll
10 -- I'll step back. So going -- we don't need to go to
11 the presentation, but as you recall we -- our initial
12 rate indication was a 7.7 percent rate increase. So
13 that was seen as an unacceptable rate increase. So we
14 went back and looked at ways that we could lower that
15 rate indication credi -- credibly. So you've seen
16 stretch targets and -- and other things.

17 One (1) of the options that came to the
18 table was that -- was driver premiums. And the way I
19 would explain this to management and the Board was as
20 you -- as you see here. Driver premiums haven't
21 changed since 1997, may -- the base rate anyways.
22 Maybe it's time that we increase them, at least to
23 recognize inflation. That would still be a premium
24 increase, as you noted, but they would be isolated to
25 drivers.

1 So that logic's obviously understood.
2 I think it -- everyone understands that inflation --
3 if we just had been applying inflation to this number
4 it would've risen from forty-five (45) to sixty-five
5 (65). So with that information the next question was
6 how to -- if we want to do this, how do we apply the
7 increase?

8 And we believe that rather than just
9 acri -- applying across-the-board increase,
10 particularly to the merit side, that we'd be better
11 served by focusing on the highest risk drivers, not
12 only to provide a better match to claims costs and
13 premiums but also to potentially and incent -- improve
14 driving behaviour, which could give us some, perhaps,
15 additional favourable results in our -- in our claims
16 forecast.

17 MR. ROBERT WATCHMAN: Okay. So just
18 sticking with the objective one (1) for the moment,
19 the identification of driver premium as a source of
20 increased revenue and the amount that could be applied
21 had nothing to do with driver experience or driving
22 behaviour?

23 MR. LUKE JOHNSTON: Can you -- can you
24 repeat that just to make sure I understand?

25 MR. ROBERT WATCHMAN: What I'm saying

1 is -- is that the allocation -- the application of it
2 comes under objective two (2), but under objective one
3 (1), identifying driver premium as a potential source
4 of increased revenue wasn't the -- it was inflation.
5 And the amount was based upon the increase in the
6 value of the premium over the twenty (20) years. So
7 it wasn't based on -- there wasn't a concern at -- for
8 -- under objective one (1) as to driver safety?

9 MR. LUKE JOHNSTON: I -- I see what
10 you're saying. So I -- I would view all the
11 objectives in conjunction with each other. One (1)
12 objective would be is -- is there a rationale for
13 driver premiums to increase in general.

14 And then that wouldn't be looked at in
15 isolation, but as -- as you said, with the -- with the
16 other objectives. So this is to give the Board and
17 our internal decision-makers an idea of what just an
18 inflationary increase to this amount would've been
19 over this period in terms of what might be reasonable.

20 MR. PETER YIEN: Yeah. If -- if I
21 may, at this -- for -- for perspective is important.
22 The Board wanted to make sure that whatever we do to
23 driver premiums has to be fair, it incentivizes the
24 right behaviour. So this is not the reason what you
25 see alone that caused the increase. This is putting

1 it in perspective to say, Okay. Well, if we increase
2 that is there -- does it make any sense at all. It's
3 a -- it's almost -- I call it a reasonability check to
4 say, Okay. If this increased over the years did --
5 would it make sense.

6 The other two (2) factors are extremely
7 important. When we really read through it, it sounds
8 like, Okay. Well, we're just trying to find a way to
9 increase premiums. But ultimately I think the net
10 positive effect is the driver has control over this.
11 And, in fact, if drivers remain safe we don't even
12 want this premium, because ultimately what is going to
13 happen in our business is if people are driving safer
14 it's going to reduce claims incurred. It's amazing
15 result.

16 So when I really think about this it's
17 -- it's kind of a little bit of theory here that talks
18 about, Oh, yeah, we're going after some net -- net
19 increase of some sort here. And we -- you talked
20 about the 1.8 percent. But, ultimately, what are we
21 incentivizing? And so it's the re -- really the
22 combination of the three (3) that gets to the overall
23 objectives to say it is -- it is -- is it -- is it a
24 okay thing to do? Is it the right thing to do?

25 And then the last piece is, does it

1 create unfairness? And what we're saying here is if
2 the driver is driving similarly, like, before and
3 accident free, they shouldn't pay more. And that's
4 completely under the control of the driver. So I just
5 want to put that in perspective, the design concept
6 that it was part of that.

7 I want to go back to one (1) more, and
8 we talked about stretch target as well. You know,
9 when we had to think about -- bring the rate going
10 from 7.7 percent down to two-point-seven (2.7), it was
11 not a easy process. There were many ideas that were
12 brought to the table. We reprioritized it and thought
13 this was one (1) where it gave us the best net impact,
14 which is ultimately it causes the driver behaviour at
15 the end. So I'll just leave it at that.

16 MR. ROBERT WATCHMAN: Now, if we could
17 just scroll down the page, Diana, to objective two
18 (2). Sorry, if we could just -- sorry. Just scroll
19 back to the bottom of the previous page, and it gives
20 a description of the graphic that we're going to come
21 to.

22 And so on the next page we'll come to
23 the graphic, which -- this is the explanation for how
24 you arrived at the per driver cost versus per driver
25 premium, both current and proposed. And it includes

1 both -- and on the cost side non-comprehensive and
2 comprehensive claims based upon frequency and severity
3 at DSR levels; correct?

4 MR. LUKE JOHNSTON: That's right.
5 Yeah.

6 MR. ROBERT WATCHMAN: If we could just
7 look at the graphic on the next page then. And now,
8 the objective here is to address the largest -- what
9 are referred to as negative discrepancies. Could you
10 just explain that to us?

11 MR. LUKE JOHNSTON: Yes, I can. So
12 what the graph shows here, the -- the blue and red
13 line on the left side, or essentially the red line is
14 covering the -- the blue line. So, like, based on the
15 current scale, that is what drivers are paying for
16 their combined vehicle and driver premium.

17 So you see a -- a plus fifteen (15),
18 the -- the drivers are very safe there, but they often
19 insure the vehicles in the house, so they pay more
20 premium and there's a -- there's a gap there. We're
21 not proposing any changes to the driver premium on the
22 merit side. So the lines are on top of each other.

23 On the right side of the table the blue
24 line shows our current DSR scale. So that blue line
25 represents what we'd expect these drivers to pay for

1 their vehicle -- combined vehicle and driver premium
2 by DSR level. So that's the blue line. The green
3 line is their actual expected costs.

4 And so as you -- you touched on in the
5 previous paragraph, the way we look -- we determine
6 their cost was to look at -- assign their -- their
7 claims costs based on fault and then add a -- a load
8 for comprehensive claims just to give us a estimate of
9 the cost per driver. And you can see from the green
10 line that there's -- DSR really by definition says
11 that risk goes up as you fall down the DSR scale, and
12 that's what the green line is showing.

13 The gap between the blue line and that
14 green line is what we're calling a negative
15 discrepancy, suggesting -- and we're suggesting that
16 since a lot of the drivers on the demerit side don't
17 actually ensure their vehicles, the best way to
18 address the discrepancy is through increased driver
19 premium. And that directly impacts those drivers and
20 hopefully incents better behaviour because they are
21 now accountable to -- to paying a larger portion of
22 the premium.

23 MR. ROBERT WATCHMAN: So indicate --
24 so drivers at the negative end of the demerit scale
25 don't register their cars if...

1 MR. LUKE JOHNSTON: No, I didn't say
2 that they all don't. But, for example, if you go to
3 the top of the DSR scale, say the fi -- plus fifteen
4 (15), you'll see that there's actually -- there's more
5 drivers -- sorry. There's more cars registered than
6 there are drivers with the incentive to get the best
7 discount. As you go to the demerit side of the scale,
8 as you fall down the scale less and less people will
9 be the registered owner of that vehicle because they
10 have zero percent discount.

11 You -- again, if -- if it was my house
12 and I was the demerit driver I wouldn't want to
13 register the car if I had -- you know, if my spouse
14 was 33 percent. That would be a no-brainer. You
15 would do it right? So they do -- they sometimes
16 register them, but a lot lower frequency than the
17 merit, say.

18 MR. ROBERT WATCHMAN: Now, just in
19 terms of negative discrepancy, in terms of current and
20 proposed it actually begins at about the plus seven
21 (7) level. That's where the crossover is?

22 MR. LUKE JOHNSTON: That's correct.

23 MR. ROBERT WATCHMAN: So these drivers
24 zero through six (6) are in negative discrepancy, if I
25 can describe that way?

1 MR. LUKE JOHNSTON: That's -- that's
2 true. There is a gap. Yes.

3 MR. ROBERT WATCHMAN: So and -- but
4 the proposal is not to address that issue?

5 MR. LUKE JOHNSTON: The proposal was
6 really to focus on the demerit side of the scale. I -
7 - I know -- I know what you're saying. There is a
8 kind of a crossover point, which I'll -- which
9 continues really on the op -- on the reverse side
10 where the plus fifteen (15) drivers are. It appears
11 like they would pay too much on an overall basis.

12 However, again, this is a policy-based
13 decision. The -- the maximum premium itself is being
14 put forward as policy-based, but based on statistical
15 indicators the maximum discount percentage selection
16 of the scale for -- that goes up to 33 percent, that
17 is not actuarially-based. DSR is largely a policy-
18 based decision on what should be the -- the largest
19 allowable swings that a driver would experience
20 between the maximum and the minimum rate ask.

21 So the 33 percent is seen as the most
22 you could have your rate reduced, even though there
23 might be justification that it could be forty (40) or
24 -- or whatever. There's a selected number. In a
25 similar way, we are putting a policy-based

1 recommendation, again tied to the statistics, that
2 drivers on the demerit side of the scale should pay up
3 to three thousand dollars (\$3,000).

4 MR. ROBERT WATCHMAN: Diana, if we
5 could go to PUB/MPI-2-4. And scroll down to -- in --
6 item B we asked for an interpretive narrative as to
7 the indicated DSR driving premiums relative to the
8 proposed. And if we scroll down to -- sorry, stop at
9 'A'. I should have started at 'A'.

10 The indication here is, is that this
11 REV-30, or the data supporting it, is the main
12 supporting analysis for the proposed changes?

13 MR. LUKE JOHNSTON: That's correct.
14 There's no -- there's no accepted actuarial practice
15 document, for example, calculating the indicated DSR
16 rate. Yeah.

17 MR. ROBERT WATCHMAN: And I think if
18 we scroll down to the response to 'B' we'll -- we'll
19 find that.

20 THE CHAIRPERSON: I'm sorry, we have -
21 - we have a panel member who is -- who will be out for
22 about a minute. We can continue. We have a
23 transcript he can read. Does anybody have a problem?
24 No, so...

25

1 CONTINUED BY MR. ROBERT WATCHMAN:

2 MR. ROBERT WATCHMAN: And so in the
3 responses it provides that the proposed 2018 driver
4 premiums are directionally supported by statistical
5 information, but are not best on actuarial indicators.
6 Yesterday we spoke about statistically driven, as
7 opposed to statistically directional.

8 Can you explain? Is --is there a
9 distinction between the two (2)?

10 MR. LUKE JOHNSTON: The --
11 distinction. The D -- the DSR -- the data that we're
12 discussing here, is statistically driven,
13 statistically directional. Really, all I'm saying
14 here is, is that the decision on how -- as -- as you
15 pointed out on the previous graph, the decision on how
16 to apply the increases on the driver premium were made
17 with guidance as to the statistical information, but
18 not to the level of detail and requirements of
19 actuarial standards of practice. That's really all
20 we're saying.

21 So there is strong act -- actuarial -
22 type indicators or statistical indicators to support
23 the change and that's the information that we
24 provided. But we're not -- we're not -- I'm not
25 telling you that this is -- follows accepted actuarial

1 practice in the calculation of those rates.

2 MR. ROBERT WATCHMAN: Mr. Chairman, I
3 was going to go to another exhibit. That might take a
4 while, so I was wondering if this might be the
5 appropriate time.

6 THE CHAIRPERSON: Yeah, that's fine.
7 We'll -- we'll till one o'clock. Thank you.

8

9 --- Upon recessing at 11:58 a.m.

10 --- Upon resuming at 1:06 p.m.

11

12 THE CHAIRPERSON: Good afternoon, Mr.
13 Ghikas. I understand you have some exhibits?

14 MR. MATTHEW GHIKAS: Yes, Mr.
15 Chairman. Just two (2) right now. The -- the first
16 one was filed electronically. It's the presentation
17 of Ward Keith that will be delivered, I guess, next
18 Thursday -- no sorry, it's tomorrow, that would be
19 tomorrow. Let's how my week is going.

20 THE CHAIRPERSON: It's a Vancouver --
21 it's a Vancouver next Thursday.

22 MR. MATTHEW GHIKAS: It's Vancouver
23 time, yeah, as I'm two (2) hours off -- two (2) weeks
24 off.

25 And that would be MPI Exhibit 12.

1 --- EXHIBIT NO. MPI-12: Presentation of Ward Keith.

2

3 MR. MATTHEW GHIKAS: And MPI Exhibit
4 13 is the response to PUB-MPI PreAsk 4, please
5 disclose the assumed routine management regulatory
6 actions, where applicable. And we have also filed
7 that electronically, and copies of both of these
8 things are -- are, or have already been, circulated.
9 Thank you. That's it for me.

10

11 --- EXHIBIT NO. MPI-13: Response to PUB-MPI PreAsk 4

12

13 THE CHAIRPERSON: Thank you, Mr.
14 Ghikas. Ms. McCandless...?

15 MS. KATHLEEN MCCANDLESS: Yes, I
16 referred to a couple of documents this morning that I
17 would like to enter as exhibits on the record for the
18 PUB.

19 So the first would be the physical
20 damage re-engineering program charter dated May 20,
21 2014 from the 2015 General Rate Application, and that
22 will be entered as PUB Exhibit Number 14.

23

24 --- EXHIBIT NO. PUB-14: The physical damage re-
25 engineering program

1 charter dated May 20, 2014
2 from the 2015 General Rate
3 Application
4

5 MS. KATHLEEN MCCANDLESS: And the
6 other exhibit will be Information Request PUB-MPI-1-75
7 dated September 5, 2014 from the 2015 General Rate
8 Application, and that will be PUB Exhibit Number 15.
9

10 --- EXHIBIT NO. PUB-15: Information Request PUB-
11 MPI-1-75 dated September
12 5, 2014 from the 2015
13 General Rate Application
14

15 MS. KATHLEEN MCCANDLESS: Thank you.

16 THE CHAIRPERSON: Mr. Watchman...?

17 MR. ROBERT WATCHMAN: Thank you.
18

19 CONTINUED BY MR. ROBERT WATCHMAN:

20 MR. ROBERT WATCHMAN: Diana, I think
21 we were at PUB-MPI-2-4 and in answer to part (b), Mr.
22 Johnston, we were talking about your explanation of
23 directionally supported by statistical information.

24 Now, does that mean that an upward DSR
25 scale change is proposed whenever the analysis so

1 indicated?

2 MR. LUKE JOHNSTON: Can you -- yeah,
3 would you mind repeating that again. Thanks.

4 MR. ROBERT WATCHMAN: So, the question
5 is, is whether or not the -- in terms of what you
6 describe as directionally supported, does that mean
7 that the statistical information supported an upward
8 DSR scale change when the an -- when the analysis
9 indicated.

10 MR. LUKE JOHNSTON: There is no
11 attempt here to say in the analysis that this should
12 be the exact number per the graphic you looked at.
13 Clearly, if that graph is available, we can bring it
14 back up, but clearly the -- there is a cost per unit
15 line and we're not attempting to match it. But we are
16 attempting to move closer to it with the incentive
17 here to have the demerit drivers contribute more of a
18 fair share to the total premium pool.

19 This was really the objective. But
20 there was no, say, indicated number coming out of the
21 analysis.

22 MR. ROBERT WATCHMAN: And if we could
23 go to MPI -- PUB-MPI-2-3. And the question here
24 related to factors that were considered during the
25 original hearing on the driver safety rating program.

1 And if you just scroll down a bit, consideration was
2 given to public acceptance access, affordability, and
3 number of drivers without a license.

4 And if we could just scroll down to the
5 -- to the top of the next page. In terms of public
6 acceptance, response that -- was that we -- we
7 anticipate strong overall public support for these
8 concepts.

9 First of all, is there any evidence to
10 support that?

11 MR. LUKE JOHNSTON: I may have to
12 defer to Mr. Keith on this topic, but I can tell you
13 that my understanding is that customers are supportive
14 of higher risk drivers paying their fair share of the
15 premium -- of the overall premium that Manitoba Public
16 Insurance charges. So, that's something I can confirm
17 if we have research on that. But that's my
18 understanding of what we hear from the public and --
19 and Mr. Keith would be able to provide much better
20 evidence on -- on those details.

21 MR. ROBERT WATCHMAN: And the response
22 goes on to provide that a driver's premium -- this is
23 the concept that you believe the public will support
24 that a driver's premium should accurately reflect the
25 cost of that driver; in other words, a user pays

1 pricing approach.

2 Now, do you believe that the proposed
3 DSR change accomplishes those objectives?

4 MR. LUKE JOHNSTON: What it does is it
5 more accurately reflects the cost of that driver. You
6 can see the gap is fairly large. The -- we moved the
7 driver premium of proposed \$17 1/2 million for that
8 portion of the scale. We are moving in the right
9 direction, but we -- we're not suggesting that it's a
10 completely accurate reflection at this time, but mov -
11 - directionally improving.

12 MR. ROBERT WATCHMAN: Diana, if -- if
13 I could ask you to go to PUB-MPI-1.41 -- 1-4, Appendix
14 1.

15 So now we understand that this is the
16 supporting statistical information for that chart that
17 we looked at REV-30.

18 MR. LUKE JOHNSTON: That's right.

19 MR. ROBERT WATCHMAN: And so if we
20 look across the column in -- the first column is the
21 DSR level. The next is the number of drivers within
22 that level. The third is the vehicle premium in 2018
23 policy year.

24 MR. LUKE JOHNSTON: Yes.

25 MR. ROBERT WATCHMAN: Then the current

1 DSR scale, the proposed DSR scale. Then the combined
2 vehicle and driver premium both before -- or sorry,
3 current and on the basis as proposed. And then we get
4 into an analysis of claim frequency.

5 MR. LUKE JOHNSTON: Yes.

6 MR. ROBERT WATCHMAN: And expected
7 collision and personal injury cost?

8 MR. LUKE JOHNSTON: That's right.

9 MR. ROBERT WATCHMAN: And then
10 separated out is the frequency with respect to
11 comprehensive claims?

12 MR. LUKE JOHNSTON: Correct.

13 MR. ROBERT WATCHMAN: So comprehensive
14 claims are those for which things like vandalism,
15 thefts, things for which there isn't an at-fault
16 driver?

17 MR. LUKE JOHNSTON: Yeah, they're --
18 they're not from an accident, they're from -- yeah,
19 other perils, yeah.

20 MR. ROBERT WATCHMAN: And so then
21 there's a determination as to the per driver
22 comprehensive cost, and it's -- so the costs are added
23 together.

24 And when we look at the -- we'll come
25 back to the graphic in -- in a minute, but in terms of

1 determining the difference between claims cost per
2 driver and premiums, the -- the green line is
3 basically the last column and the red column is -- or
4 the red line on the graph is the proposed premiums --
5 driver and vehicle premiums?

6 MR. LUKE JOHNSTON: Red is the
7 proposed and, yes, the blue is the current and the
8 green is the, like you said, the last column, the
9 costs, yes.

10 MR. ROBERT WATCHMAN: Okay, if -- if
11 we could perhaps call that REV-30. So I take it that
12 you're -- you are not suggesting that the analysis
13 didn't suggest that no DSR changes were indicated on
14 the merit side.

15 MR. LUKE JOHNSTON: I'm not suggesting
16 that. That's just by visual inspection. You can see
17 that there are -- there are gaps in the graph, yes.

18 MR. ROBERT WATCHMAN: So when we look
19 at the -- the right of that -- the far right of that
20 graph, at the minus 10 -- 20 level, it's indicating
21 that the current premium is \$3553, which falls short
22 of an average claims cost of \$4245 which would
23 indicate a need to increase the driver premium at that
24 level?

25 MR. LUKE JOHNSTON: There's -- as you

1 go into the demerit levels on to the negative side,
2 there's thankfully less drivers that live on that
3 negative 20 area.

4 And just -- just so everybody
5 understands what it takes to be negative 20 on the
6 scale. It's about two points down the scale for a
7 minor conviction, minus 5 for an at-fault collision.
8 I believe it's minus 10 for a -- a DUI. So it --
9 you've got to do a lot of things to get down the
10 bottom of that scale. But thank -- thankfully,
11 there's not a lot of drivers down there.

12 So, the credibility is -- is less in
13 the data, but directionally you can see the path going
14 up to the number you quoted, a little bit over \$4000.

15 MR. ROBERT WATCHMAN: Okay, so -- so
16 based on that information, though, even if we're
17 looking at the current, we have drivers at the minus
18 17 to minus 19 levels where there isn't a negative
19 discrepancy.

20 MR. LUKE JOHNSTON: Yes, and that
21 really stems to my -- my last point. There is less
22 drivers in that section of the curve. And we have to
23 make a selection. We don't -- you can see the cur --
24 the line sometime goes up and down and we're not going
25 to charge less for minus 13 than we charge for minus

1 12, for example.

2 We're using the line -- the indicated
3 claims line as a -- as a basically a way to fit a
4 driver premium curve that is reasonable based on the
5 data that we have.

6 MR. ROBERT WATCHMAN: So at that minus
7 17 to 19 range, you can't say that it's directionally
8 supported by the statistics?

9 MR. LUKE JOHNSTON: So I think your
10 question is because there's a bit of a dip there that
11 for a minus 18 driver I can't support that that's the
12 exact cost that -- that we need to collect. I think
13 that's what you're saying.

14 The -- some of my comments about
15 credibility are that there are less and less drivers
16 down here. There's going to be variability in the
17 results. Again, we're thinking about the drivers that
18 are going to be driving at minus 18 to minus 20 are
19 very high-risk drivers. We're not intended to match
20 the -- the green line, just -- we're -- we're trying
21 to create, again, a policy-based line where you pay
22 more based on the risk you present.

23 And you can see through the red line
24 there we're basically pick -- asking for a fairly
25 linear line up to and assumed maximum of \$3000.

1 MR. ROBERT WATCHMAN: Doing so, we run
2 into this situation where there are more drivers at
3 that end who are now paying more in premiums than on a
4 per driver basis than cost.

5 So, currently it's -- we -- we find
6 that happening minus 17 through minus 19; with the
7 proposed changed it'll happen from drivers from about
8 minus 12 or minus 13 through to minus 19.

9 MR. LUKE JOHNSTON: Sorry, I agree
10 with you. It's not intended to match perfectly the --
11 the plus side of the scale doesn't match either. We
12 could, in theory, increase the driver -- the vehicle
13 discounts for those drivers; that's not the proposal
14 we would put forward. We're trying to get our premium
15 ask from the highest risk drivers based on the graph
16 you have here with the -- we believe a well supported
17 based on the -- the green line increased to the
18 demerit side of the scale.

19 There's no -- again, guided by the
20 green line that you see. And it's a lot more stable
21 on the merit side where there's a lot of drivers and
22 then it becomes more sporadic at -- at the demerit
23 side. There is no attempt here to match perfectly
24 every single level the dollar amount. Next year that
25 line will be up and -- up and down, based on the

1 variability of the claims for minus 16 type drivers.

2 This isn't -- this is an example for
3 this application. But again, we're just picking --
4 we're basically fitting a line through that -- through
5 that green portion.

6 MR. ROBERT WATCHMAN: So, the -- t he
7 point being, that it's not actuarially sound and in a
8 number of instances it's not statistically driven.

9 MR. LUKE JOHNSTON: I would -- looking
10 at this graph I would say it's very statistically
11 driven. So, I'm struggling -- if your point is just
12 the green line doesn't match the red line, then I
13 agree with you, but there is definitely an upward
14 trend in the green line and we're basically
15 directionally moving our driver premium rates to have
16 demerit drivers pay more of their fair share to that
17 green.

18 MR. ROBERT WATCHMAN: Okay. But if we
19 go back to that public support that the IR response
20 spoke of, for these people beyond minus 13, other than
21 minus 12, the proposal is not accurately reflecting
22 the cost of that driver.

23 MR. LUKE JOHNSTON: I think -- I think
24 I would just reiterate my previous comments. We're
25 not intending to match the green line exactly. This

1 is just directionally supported to a maximum DSR level
2 of about -- sorry, of driver premium about \$3000.
3 It's about four (4) if you include the vehicle
4 premiums that we expect.

5 That's all I can really say on that. I
6 don't know what else to add.

7 MR. ROBERT WATCHMAN: Now, with
8 respect to the inclusion of comprehensive costs.

9 MR. LUKE JOHNSTON: Yes.

10 MR. ROBERT WATCHMAN: And as we -- as
11 we've talked about, there isn't -- those are instances
12 where there's not an at-fault driver; correct?

13 MR. LUKE JOHNSTON: Correct.

14 MR. ROBERT WATCHMAN: And so is it
15 fair to include that cost in this analysis?

16 MR. LUKE JOHNSTON: I'll -- I'll tell
17 you why we included it. So if we take customer
18 premiums as we've done on the -- on the graphic here
19 and we exclude coverages like comprehensive, then the
20 cost per -- per driver is going to look lower than the
21 premiums we charge. In other words, if we have a
22 billion dollars of claims and comprehensive claims are
23 a hundred million of that number, it's gonna look like
24 the claims line can be \$100 million less than the
25 premium line.

1 So we -- what we've done here is showed
2 the -- the claims' line represents the amount of
3 claims that we have relative to the -- the premium
4 that's needed to cover those claims. So, it's com --
5 comprehensive -- when we first did this graph, I -- we
6 did the thing you're suggesting. But then, of course,
7 the costs, the whole cost line shifted down because of
8 the lack of -- of comprehensive claims included in the
9 data, which makes it look like you're charging too
10 much premium, right.

11 So you have to include -- in order to
12 compare the overall premiums, you have to include all
13 the coverages if that -- if that makes sense.

14 MR. ROBERT WATCHMAN: So if
15 comprehensive claims were not included, the green line
16 would be closer to the red; certainly on the negative
17 side of the scale?

18 MR. LUKE JOHNSTON: If comprehensive
19 claims were not included the entire green line would
20 shift down by the amount of comprehensive claims,
21 dollar per unit.

22 MR. ROBERT WATCHMAN: And -- and since
23 the frequency and severity is higher in the negative
24 end, it would be more favourable to those who are in
25 the negative side of the scale.

1 MR. LUKE JOHNSTON: The frequency,
2 yes. Let me just check.

3 MR. ROBERT WATCHMAN: If we go -- if we
4 go -- if we go back to that Appendix 1.

5 MR. LUKE JOHNSTON: That's fine. This
6 might seem counter intuitive, but the -- the
7 comprehensive claims frequency is also higher, based
8 on your DSR level. So, if you look at one -- four
9 (4) columns from the right, is says 'three-year
10 comprehensive frequency". So you can see that plus 15
11 drivers have five (5) comprehensive claims per
12 hundred, that's 5.29, and then down at the bottom of
13 the scale, you see negative DSR 15 to minus 20, about
14 double that, about ten (10).

15 So our DSR are actually -- this is
16 predictive of comprehensive claims as well. So that's
17 another thing that we had to consider. We were -- we
18 say, Well, how do we make this comparison fair? One
19 way would be to just at a flat, comprehensive claims
20 load for every single driver regardless of where they
21 are in the scale. But when we checked the experience,
22 it wasn't legit -- legitimate to do that. Frequencies
23 about double on the bottom of the scale compared to
24 the top.

25 MR. ROBERT WATCHMAN: Does the

1 Corporation have any understanding as to why that is?

2 MR. LUKE JOHNSTON: There's -- there's
3 a certain -- behavioural or attitude impact, I suspect
4 I'm speculating. But, you know, if you're going to
5 have D -- you know, DUIs and a lot of accidents and
6 things like that, maybe there are certain behaviours
7 that spill over into how you protect your vehicle or
8 things like that. That's pure speculation.

9 But, when we did driver safety rating
10 analysis that -- that came to the Board, we found out
11 some interesting things; for example, not wearing a
12 seatbelt is predictive of how many accidents your
13 going to have, which some people would say, What has
14 tha -- what does that have to do with anything? But,
15 the people that got seatbelt convictions were shown
16 conclusively to have a higher accident rate than those
17 that -- that don't with all -- all other things equal.

18 So to me that's a -- a, kind of an
19 attitude. And maybe that spills over into the
20 comprehensive side, as well, but we don't -- we
21 haven't done analysis to prove that.

22 MR. ROBERT WATCHMAN: And just, in
23 terms of a person being assigned demerits. I think
24 the phrase used is collision or conviction.

25 MR. LUKE JOHNSTON: Yeah -- yeah.

1 Collision, minor conviction/major conviction.

2 MR. ROBERT WATCHMAN: So we have
3 collision where the drivers is at fault and received
4 demerits. We also have convictions whether they're
5 Highway Traffic Act or possibly criminal and the
6 driver receives demerits.

7 MR. LUKE JOHNSTON: Correct.

8 MR. ROBERT WATCHMAN: So -- but in
9 respect of those conviction demerits, there's not
10 necessarily a claims cost associated with the
11 assignment of those demerits.

12 MR. LUKE JOHNSTON: There is not a
13 direct -- as a collision obviously has a direct cost.
14 But that -- the -- going back again to the DSR
15 application, the conviction experience was seen to be
16 just as strong of a predictor of future at-fault
17 claims as a -- as accidents.

18 And I suspect if you are someone who's
19 speeding or running red lights or not wearing
20 seatbelts, it's only a matter of time 'till you kind
21 of join the at-fault accident club there; right? Like
22 it -- it -- those behaviours are going to lead to
23 accidents. So since DSR has been put in, and what
24 we're hoping for, again, this -- this time around with
25 -- with increases to the bottom, is that customers

1 will get that message, that those types of behaviours
2 have financial consequences and -- and hopefully
3 they'll do as they did in the first iteration of DSR
4 and have less of them. And they've -- the conviction
5 behaviour has improved dramatically since DSR is
6 implemented. And the at-fault claims experienced at
7 the bottom of the scale has also improved
8 dramatically.

9 MR. ROBERT WATCHMAN: Okay. Now, just
10 staying with that appendix. If we if we just look at
11 the group -- at the DSR level 02 plus 6. And we look
12 at the number of drivers, there's a significant number
13 of drivers. I think it's -- it's approximately one-
14 third (1/3) of all drivers are in that category.

15 MR. LUKE JOHNSTON: Subject to check,
16 that sounds reasonable.

17 MR. ROBERT WATCHMAN: And when we look
18 at the minus 1 to minus 12 scale, this is far fewer
19 drivers in those categories.

20 MR. LUKE JOHNSTON: Can you repeat
21 what you just said. Minus 1 to...

22 MR. ROBERT WATCHMAN: Minus 1 to minus
23 12.

24 MR. LUKE JOHNSTON: To minus 12, okay.
25 I agree there's less -- definitely most of our drivers

1 behave very well. You see -- look at the top of scale
2 291,000 people at plus 15, that's -- that's great. So
3 that -- most of our drivers are on the merit side.
4 Yes.

5 MR. ROBERT WATCHMAN: But, both of
6 those groups 0 to plus 6, and minus 1 to minus 12, are
7 in what you've referred to as a negative discrepancy.

8 MR. LUKE JOHNSTON: Looking purely at
9 that chart, yes.

10 MR. ROBERT WATCHMAN: So if we go back
11 to REV-30, please, Diana. So -- but this is based
12 upon a per-driver cost in each category, not the
13 dollar volume of the entire driver safety level.

14 MR. LUKE JOHNSTON: Correct, it's a --
15 on a per-driver basis, yes.

16 MR. ROBERT WATCHMAN: So -- but if we
17 -- if we did them -- the calculation and determined
18 what the total to -- dollar value or dollar difference
19 by level would be in terms of negative discrepancy,
20 the negative discrepancy between 0 to plus 6 would be
21 far greater than the negative discrepancy from minus 1
22 to minus 12.

23 MR. LUKE JOHNSTON: I -- I -- I would
24 agree, I don't need to calculate that. Just -- just
25 by definition, there's a lot more drivers there, yes.

1 MR. ROBERT WATCHMAN: So that -- is --
2 is that not statistically directional?

3 MR. LUKE JOHNSTON: Again, the -- so
4 we have an existing DSR scale in place. The question
5 was how to -- if we want to increase driver premiums -
6 - how should we do that? And the -- the policy
7 decision was to apply that increase to demerit level
8 drivers, guided by statistical information. The
9 decision was to not put that increase on the merit
10 level drivers. So that was -- that's the proposal
11 that -- that we have front of the Board.

12 MR. ROBERT WATCHMAN: So based on that
13 -- so based on -- on the understanding that this is a
14 policy decision, you consider the proposed DSR scale
15 to be just and reasonable?

16 MR. LUKE JOHNSTON: Yes.

17 MR. ROBERT WATCHMAN: And -- and,
18 what's the basis for that?

19 MR. LUKE JOHNSTON: I -- when I look
20 at this -- this graphic, I think that -- that the
21 amounts we're proposing on the demerit side are just
22 and reasonable, and contribute to the objectives that
23 you've referenced in this -- in this question, again,
24 they're not -- this isn't a accepted actuarial
25 practice calculation. This is a policy decision, and

1 that is also true of the current driver premiums on
2 our scale. And in this instance, we have decided that
3 our high-risk drivers, that we think are -- the
4 premium increases are best served on that side of the
5 scale with the objective of making demerit drivers pay
6 a higher share of the cost.

7 And with this additional objective of
8 hopefully reducing the claims experience, which you
9 can see is upwards of eight (8) times as high relative
10 to the top of the scale.

11 MR. ROBERT WATCHMAN: In prior rate
12 applications, my understanding -- I shouldn't say rate
13 applications, but applications involving the driver
14 safety rating -- safety rating scale.

15 The Corporation had indicated that it
16 would like about ten (10) years before making some
17 meaningful analysis of that experience; is that fair
18 to say?

19 MR. LUKE JOHNSTON: We have-- we have
20 said that, yes.

21 MR. ROBERT WATCHMAN: So how many
22 years of experience do you have now?

23 MR. LUKE JOHNSTON: I count, I guess
24 seven (7).

25 MR. ROBERT WATCHMAN: And do you not

1 believe that you could use the -- the seven (7) years
2 that you have to conduct a more meaningful analysis?

3 MR. LUKE JOHNSTON: Our comment on the
4 ten (10) years, and it is still somewhat true today,
5 is that the DSR experience was evolving, the drivers
6 were continuing to make improvements at the bottom of
7 the scale. The demerit, the percentage and demerit
8 categories or the -- really the percentage at any
9 level on the scale had not stabilized.

10 So, for that reason, we were hesitant
11 to set rates on a scale that's been evolving to what -
12 - what I'm assuming will eventually some sort of
13 status quo position. So that was our -- that was our
14 -- really our main rationale for -- for waiting.

15 The emergence of the 7.7 percent rate
16 increase created some tough decisions that we had to
17 make. And as we discussed earlier, driver premiums
18 were -- in particular demerit driver premiums were one
19 (1) of the areas where we thought we could get the
20 needed revenue or preferably address high-risk
21 behaviour issues and -- and lower claims. Either one
22 helps our situation in regards to the -- the required
23 rate increase.

24 MR. ROBERT WATCHMAN: Diana, if we can
25 go to PUB-MPI-2-5. Thank you, just scroll down to the

1 table there. Oh sorry, 2-5. Just on that table.

2 This goes to the third (3rd) objective
3 that we reviewed this morning that the -- the changes
4 were structured so that no demerit driver would face
5 an increase this year, provided they had a -- an
6 incident free year of driving.

7 But, we provided you with this table,
8 which shows that somebody who goes into these
9 categories would have over the time it takes them to
10 get to a zero rating, a cumula -- a cumulative
11 additional charge at the top end of seventeen hundred
12 dollars (\$1700) going down to two hundred and fifty
13 (250). And you can confirm that that is accurate.

14 MR. LUKE JOHNSTON: Before I do that,
15 so, just to be clear on our statement that we made. A
16 driver with a clean year will not pay more than they
17 paid in the previous year; not that the scale isn't
18 increasing. So what I mean by that is, if you are at
19 minus 10 on the scale and you have a good year, and
20 you move to -- I can't remember the number, let's say,
21 minus 6, you're not going to pay more when you moved
22 up than you did last year.

23 But clearly, this -- we've increased
24 the scale on the demerit side. So if you are at minus
25 20 now, the hypothetical -- you know, good driver that

1 moves up the scale would, of course, pay more than the
2 previous scale over that period. That's -- right?
3 But as -- if they have a clean year, they will not pay
4 more than they paid last year, as a result of the
5 scale coming into effect.

6 MR. ROBERT WATCHMAN: Yeah. Diana, if
7 we can go to Volume 2, of the revenue section, Page
8 23, and look at REV-28. Two (2) pages before that.

9 So this -- this is the scale that is
10 being proposed in the... And when -- when we look at
11 drivers in at least five (5) of these categories, the
12 proposed rate represents a 100 percent increase in
13 their driver premium.

14 MR. LUKE JOHNSTON: Are you -- are you
15 just comparing propose to current at the same.

16 MR. ROBERT WATCHMAN: Yes. Yes.

17 MR. LUKE JOHNSTON: Okay. So there's
18 only two (2) things that can happen when you're on the
19 demerit side, you have a clean year. And so let's use
20 the minus 10. I -- I can't recall off the top my head
21 what the -- when you're on the demerit side of the
22 scale, even if at minus 20, you're always five (5)
23 years or less from getting to zero. So just --
24 hopefully there's not too many minus 20s in the room,
25 that had to do this. But you -- you snapback -- we

1 call it the snapback. So you're not stuck in this
2 merit level forever if you change your behaviour, you
3 snapback up quickly. So minus 20, I think you jump to
4 minus 13 with a clean year, if you have another one
5 you -- I think you jump to minus 7. So you move up
6 quickly.

7 If you have an infraction, you
8 obviously more down based on that -- that number. So
9 minus 20 paying twenty five hundred dollars (\$2500)
10 this year, has a clean year jumps to the new s --
11 proposed scale, sixteen hundred dollars (\$1600). Yes,
12 that is higher than the old minus 13, but nine hundred
13 dollars (\$900) less than that person's current rate.

14 That's what we mean when we say -- so
15 if you're at 12 and you're paying nine hundred (900)
16 right now, you would -- say move to minus 7 or eight
17 (8). And you'd be paying less than the nine hundred
18 (900). So, it would be very disappointing to be
19 paying nine hundred (900) today and then next -- you
20 have a good year and next year you're paying nine
21 hundred (900) again. You will -- will say, Well what
22 was a point of the good year, I didn't have a premium
23 reduction at all. That's all we're saying when we
24 say, the rate will -- won't go up.

25 MR. ROBERT WATCHMAN: But in terms of

1 the assignment of the increase across the DSR levels.
2 Again, this is a policy decision. This isn't
3 statistically driven.

4 MR. LUKE JOHNSTON: That's a policy
5 decision based on statistical information, but not
6 intended to match those numbers exactly.

7 MR. ROBERT WATCHMAN: Diana, if we
8 could go to -- back to PUB-MPI-2-4. Go to -- just
9 scroll up a little more to see what the... Item (c)
10 was a question directed to the Company -- to the
11 Corporation's current capa -- capabilities to use more
12 advanced analytical tools to estimate the indicated
13 changes to the DSR premiums. And if we could scroll
14 down to the answer.

15 Indication is is that driver premiums
16 are currently determined on a policy basis, more
17 advanced anal -- analytical tools are available to
18 MPI, however, utilization of these tools would be part
19 of a broader overall change to MPI's current vehicle
20 and driver premium ratemaking methodologies.

21 At this time there are no plan changes
22 to the ratemaking methodologies used by MPI.

23 MR. LUKE JOHNSTON: I see that.

24 MR. ROBERT WATCHMAN: Why?

25 MR. LUKE JOHNSTON: So again, I think

1 I -- right at the outset of this, I described our
2 current classification system and the way that rates
3 are set in Manitoba. And there's -- are other juris -
4 - jurisdictions that do this, as well, but we have a
5 registered owner-based system where the owner ensures
6 the vehicles and they get that discount.

7 If, in the future we move to a system
8 where in other jurisdictions are systems where you
9 have to list the drivers on your policy, so. Mr. Yien
10 could tell you that maybe if you add a sixteen (16)
11 year-old driver to your policy, it goes up, you know,
12 three thousand (3000), four thousand dollars (\$4000);
13 right?

14 Like, I have -- obviously have friends
15 in other jurisdictions where that -- that happens.
16 That's not the system we have right now. So that's
17 not -- I can't set rates on that basis. So the driver
18 premium side, I can help guide policy decisions with
19 statistical information. And that's what we've done
20 here.

21 Until such a time as we were to change
22 the -- the system of insurance, it will be difficult
23 to do the type of analysis you're describing where --
24 where everything is optimized on the driver and
25 vehicle level. That's all we're really saying here.

1 And I'm not saying that MPI's never going to change
2 our rate-making methodology, I'm just saying that at
3 this time we don't -- we don't have plans to do that.

4 MR. ROBERT WATCHMAN: Wouldn't be
5 possible to use some of these analytical tools without
6 changing the methodology?

7 MR. LUKE JOHNSTON: Yeah. MPI has --
8 there's no issue with using analytical tools. Again,
9 I'm just reiterating that how the decision was made
10 both on the original DSR scale and the proposed change
11 for the demerit drivers. It's not an -- an AAP
12 accepted actual practice analysis at this time.

13 MR. ROBERT WATCHMAN: Okay. Aside
14 from this, are -- are there any other practical
15 barriers that the Board should be aware of?

16 MR. LUKE JOHNSTON: Aside from the --
17 the design of the rating system right now doesn't
18 allow -- doesn't allow my -- my -- me or my team to
19 look at a -- households of vehicles and adjust the
20 vehicle rate for every driver in the household by DSR
21 level. That would be, like, an optimization-type
22 exercise that could be done.

23 And, you know, we did the original DSR
24 analysis. We actually did that. We -- we pulled
25 address data, and we assumed that that was the

1 household, and we tried to figure what we would charge
2 if we knew was in the house, but we don't have that
3 capability to do that right now. So there -- I am
4 limited by the structure of the -- the current
5 classification system.

6 MR. ROBERT WATCHMAN: Now, the other
7 issue in this area is the relative size of the revenue
8 contribution from vehicle premiums versus driver
9 premiums. And I -- I can take you there, but it --
10 for -- for the 2017/'18 forecast, it's approximately 5
11 percent driver premium, 95 percent vehicle premium.

12 MR. LUKE JOHNSTON: App --
13 approximately, let's say 5 to 10 percent driver
14 premium if these go through -- these changes go
15 through. Yeah.

16 MR. ROBERT WATCHMAN: Okay. And still
17 -- and -- and -- but -- but again, but that's another
18 determination that isn't statist -- statistically
19 driven. It's a policy decision?

20 MR. LUKE JOHNSTON: The -- the
21 percentage that we're asking on the -- to be charged
22 on driver premium right now is a policy decision, yes.

23 MR. ROBERT WATCHMAN: And would these
24 -- would there be analytical tools that would also
25 help you to address the split in terms of determining

1 it out on a experience-driven basis?

2 MR. LUKE JOHNSTON: Mayb -- maybe just
3 to give you an example of, I think, where the line of
4 questioning, here, let's say we do this optimization
5 analysis, pure -- purely actuarial-based analysis,
6 just based on the seven (7) years that we have, and it
7 says the base driver licence premiums should be four
8 hundred dollars (\$400), right? Like, new drivers
9 should pay four (4) -- maybe it says five hundred
10 dollars (\$500) or six hundred dollars (\$600).

11 From a policy's perspective, we're --
12 we're not going to change the -- come to the PUB and
13 ask to change the base driver's premium from forty-
14 five dollars (\$45) to five hundred (500). So that --
15 that's an example of the gap here, right? So the --
16 the statistical information is -- is intended to guide
17 us closer to a fair distribution, or what drivers pay
18 relative to their risk. But there is a gap there, and
19 we're trying to move in the right direction, again,
20 for the demerit drivers.

21 MR. ROBERT WATCHMAN: And I'm going to
22 change topics now. I'm going to move on to ratemaking
23 in accordance with the accepted actuarial principles.
24 And Diana, if we could go to PUB-MPI-1-9.

25 MR. STEVE SCARFONE: Mr. Watchman,

1 sorry to interject. I just wanted -- before you move
2 on to ratemaking, we just wanted to make clear for the
3 Board that with respect to some of the questions that
4 were put to Mr. Johnston on the driver safety rating,
5 there is, in fact, the regulation, as the Board may be
6 aware, that would govern some of the movement that
7 occurs on the scale, including whether movement occurs
8 for convictions.

9 And as Mr. Watchman pointed out,
10 there's no direct correlation to claims. But of
11 course, the Corporation has no choice but to move a
12 driver when convicted of a Highway Traffic Act
13 offence. We just wanted to make sure the Board was
14 aware that that regulation is out there. Thank you.

15

16 CONTINUED BY MR. ROBERT WATCHMAN:

17 MR. ROBERT WATCHMAN: Now in this
18 Information Request, this sets out standards of
19 practice, the best estimate present value of cashflows
20 relating to the revenue at the indicated rate should
21 equal the best estimate present value of cashflows
22 relating to the corresponding claim costs and expense
23 costs plus the present value of the provision for
24 profit over a specified period of time.

25 So this is the standard of practice for

1 all actuaries in Canada; correct?

2 MR. LUKE JOHNSTON: That's right.

3 MR. ROBERT WATCHMAN: And you accept
4 that this is the biding -- binding guidance for
5 actuaries deriving indicated rates for insurance
6 contract of property and casualty insurance who are
7 doing their work in accordance with the accepted
8 actuarial practice in Canada?

9 MR. LUKE JOHNSTON: Yes, I do.

10 MR. ROBERT WATCHMAN: Now when you
11 referred to this on Monday, and -- and I appreciate
12 that you were -- you weren't reading it word for word.
13 But in your description, you -- you referred to best
14 estimate present cash value flows relating to
15 premiums.

16 The actual wording is, is "revenue."
17 And so is this -- is this one of the areas where we
18 have a difference of interpretation?

19 MR. LUKE JOHNSTON: Not in my opinion,
20 no.

21 MR. ROBERT WATCHMAN: Do you agree
22 that the return on investment on assets supporting
23 Basic total equity is a revenue cash flow to Basic
24 insurance operations?

25 MR. LUKE JOHNSTON: It's a revenue

1 cash flow to Basic operations, but it's not a revenue
2 cash flow related to these policies in any way.

3 MR. ROBERT WATCHMAN: So that's where
4 the distinction is?

5 MR. LUKE JOHNSTON: That's right.

6 MR. ROBERT WATCHMAN: So you can
7 confirm, then, that the Corporation has not included
8 the expected return of investment assets supporting
9 Basic total equity as relevant cash flow in the
10 determination of the Basic indicated rates?

11 MR. LUKE JOHNSTON: The -- to put it
12 into maybe easier language, we are not using the
13 investment income earned on the rate stabilization
14 reserve to reduce Basic rates.

15

16 (BRIEF PAUSE)

17

18 MR. ROBERT WATCHMAN: Okay. Diana, if
19 we could scroll to the response on the next page. If
20 you just -- sorry, hold it there.

21 Now, in the response to (a) is
22 beginning -- this is actually the third sentence,
23 reads, The 2018/'19 policies are priced using accepted
24 actuarial practice on a break-even basis, which means
25 that the present value of cash inflows related to

1 these policies, e.g. premium service fees, equates to
2 the cash flow -- to the cash outflows related to these
3 policies, e.g. claims costs and expenses.

4 Now that -- does the definition of the
5 AAP rate setting on an -- break-even basis come from
6 any guidance that's provided from the Canadian
7 Institute of Act -- Actuaries?

8 MR. LUKE JOHNSTON: I would use the
9 standards of practice, as per other actuaries, yes, if
10 that's -- if that's what you're asking.

11 MR. ROBERT WATCHMAN: Well -- well, I
12 guess what we're looking for is, Where is that
13 defined?

14 MR. LUKE JOHNSTON: I think you just
15 had the -- the standards of practice on -- I -- I
16 don't know if it was in this question. But if you can
17 show me where in that standards of practice that it
18 says I should rebate the investment income earned on
19 the rate stabilization reserve, then please -- please
20 to show that to me. But I -- I don't read the
21 standards of practice that -- that requires that.

22 MR. ROBERT WATCHMAN: Okay. So if we
23 can go back -- roll back to the standard, please,
24 Diana.

25

1 (BRIEF PAUSE)

2

3 MR. ROBERT WATCHMAN: Okay. So the
4 standard provides that the present value of cashflows
5 relating to the revenue, and I believe you have agreed
6 that the interest return on those assets would be
7 revenue?

8 MR. LUKE JOHNSTON: Not related to
9 these policies, that -- the -- right? Like, if -- in
10 theory, if -- if what you're -- if I earned enough
11 investment income on -- had a -- a gigantic RSR, we
12 could just have free insurance, like, because the
13 investment income would cancel out the entire rate.
14 That -- that doesn't make any sense.

15 All -- we're saying here, take the
16 claims costs and expenses, take the present value with
17 considering investment income, and charge a rate to
18 break even. And now we're talking about taking the
19 present value of a profit, which would make --
20 basically sell these policies at a -- at a loss.
21 Maybe in the private sector, where we have 10 or 20
22 percent profit and 225 percent MCT levels, maybe it
23 makes sense to -- to calculate the present value in a
24 different way. And other actuaries are free to do
25 that.

1 We're -- we're doing a calculation for
2 negative profit, here. It doe -- it -- it just
3 doesn't make any sense to me.

4

5 (BRIEF PAUSE)

6

7 MR. LUKE JOHNSTON: And maybe just --
8 just to add to that, since we're on the subject, and -
9 - and right now, which won't always be the case, I
10 understand that, the -- the entire rate stabilization
11 reserve is basically extension transfers.

12 So in -- in the -- today's case, we
13 can't even make the -- the case that Basic
14 policyholders have provided the RSR for which the
15 investment income is being generated on. So even from
16 that perspective, I don't think it makes sense, so I -
17 - yeah.

18 MR. ROBERT WATCHMAN: Just if we could
19 roll back to the -- to the answer, Diana. Towards the
20 bottom of the page, the second-last sentence:

21 "Investment income earned on RSR
22 balance is to support the RSR itself
23 as a means of natural growth."

24 Can you confirm that this natural
25 growth would arise from forecasted Basic total

1 comprehensive income being expected to be greater than
2 zero?

3 MR. LUKE JOHNSTON: Okay. If -- I --
4 I have to step back again. I'm sorry.

5 If we do what's being suggested and use
6 the RSR investment income to lower the rates, if the
7 RSR is \$180 million today, and everything works out
8 exactly perfect, the RSR balance will be \$180 million
9 next year, because by definition, you've taken every
10 single dollar of investment income earned on the RSR,
11 and you've used it to lower rates. Even though you
12 don't have any of that money, and it totally would --
13 is against the whole point of having the rate
14 stabilization reserve, not to mention that it's likely
15 deficient right now.

16 So that's the first part. If we don't
17 do that, and we let the RSR grow by the investment
18 income, then -- then, yes, whatever the investment
19 income earned on the RSR is, positive or negative,
20 usually positive, then it would be expected to grow.

21

22 (BRIEF PAUSE)

23

24 MR. ROBERT WATCHMAN: Can you confirm
25 for the Board that the approach adopted for Basic

1 insurance rate-making in Saskatchewan and British
2 Columbia includes the expected return on investment
3 assets supporting Basic total equity?

4 MR. LUKE JOHNSTON: Again, context is
5 required. I can confirm that piece, but then let's go
6 back to the problem that I just mentioned. If we
7 rebate the investment income out of the rate
8 stabilization reserve, it doesn't grow.

9 So Saskatchewan also has something
10 called a capital maintenance fee, RSR rebuilding
11 strategy. I can tell you that I would expect those
12 types of maintenance fees or -- or rebuilding -- or
13 building fee; I can't remember what SGI calls it -- to
14 be greater than what we're asking for in terms of just
15 to let the RSR balance grow by investment income.

16 But to your specific question, yes, SGI
17 does that, but they also have maintenance and
18 rebuilding fees that we do not have.

19 MR. ROBERT WATCHMAN: Could you
20 explain for the Board in -- in general terms, the
21 purpose and basis for a capital maintenance provision?

22 MR. LUKE JOHNSTON: So just first off,
23 we -- we've never had that here, so I'm just
24 interpreting how it's done in other jurisdictions. So
25 we -- we do have a pre-ask, which I -- will be filed

1 shortly, but I can -- our interpretation is as
2 follows.

3 'Maintenance' could mean to make sure
4 that your MCT score doesn't decline. And I -- I use
5 MCT score because say we have a 37 percent MCT score.
6 Our business will grow, and in theory, we'll need more
7 capital, because we have a growing business, and our
8 risks have -- have increased. If you had a
9 maintenance fee that said, The RSR should at least
10 stay at 37 percent MCT, then you could calculate quite
11 easily what would be needed in additional rate to make
12 sure that your relative level of capitalization
13 doesn't decline.

14 So that's one (1) -- one (1) way of
15 looking at it. And in -- in the pre-ask that -- that
16 you'll get, we will -- we'll tell the Board what that
17 maintenance fee would have to be over the forecast
18 period to keep the RSR -- MCT score from falling,
19 because it's currently expected to fall.

20 So that's -- that's that part. Another
21 interpretation is, yes, SGI has a capital target, so -
22 - and their target is 100 percent MCT. And my
23 understanding of what they do is they say: Where are
24 we today? Thirty-seven (37) percent MCT, for example.
25 our target is a hundred. We want to get there

1 typically in about five (5) years. Take the
2 difference between that gap, divide by five (5),
3 that's the -- the maintenance or growth fee that we
4 require.

5 That would be an enormous amount for
6 MPI because we're not -- we don't -- we don't have a
7 specific target today, but if we did, that would --
8 that's how SGI deals with that issue. I can't
9 remember if they call a maintenance fee, or a reb -- a
10 rebuild fee, or whatever, but those -- those are two
11 (2) interpretations of what that might look like.

12 MR. ROBERT WATCHMAN: Okay. Now, you
13 made mention of the -- the pre-asks, and -- and we
14 don't have those yet, but the -- no doubt we'll have
15 some questions, I guess, next week, based on that.

16 MR. LUKE JOHNSTON: Yes. Yeah.

17 MR. ROBERT WATCHMAN: But can you
18 tell us -- are there any practical limitations to the
19 Cor -- to the Corporation, including a capital
20 maintenance provision in the Basic rate-setting
21 process?

22 MR. LUKE JOHNSTON: I can think of one
23 (1). So if we're just trying to ensure that our level
24 of capitalization does not decrease, so my first
25 example, 37 percent MCT. We just want to make sure

1 that it doesn't fall. Then I would say there is no
2 practical limitation to us proposing such a -- such a
3 -- a fee.

4 If the idea is that we have a target
5 RSR level in mind and we want to get there with a,
6 say, a five (5) year period, or whatever is deemed
7 appropriate, we don't have a RSR target right now in -
8 - in terms of -- at least in our opinion. We have a
9 minimum, and we're working on the -- what the maximum
10 should be.

11 But we don't have a target. Maybe the
12 target could be the middle of the range with the -- if
13 the range is two hundred (200) to four hundred (400)
14 and the target's the middle. That could be a target,
15 but that would be one (1) reason why we couldn't
16 propose an approach like that.

17 MR. ROBERT WATCHMAN: Now, if the
18 Corporation were to be directed to include a
19 maintenance -- capital maintenance provision in the
20 Basic rate setting process, would this change the
21 Corporation's position on the matter of including
22 expected return on investment assets supporting Basic
23 total equity?

24

25

(BRIEF PAUSE)

1 MR. PETER YIEN: In response to your
2 question, and I want to bring this with the Board's
3 voices, clearly their objective is to maintain the
4 safety and soundness of the ins -- organization. It
5 would be something that would be considered by the
6 Board, but that's not something that has been
7 discussed yet. So I'm not in a position to answer
8 that at this point.

9 MR. ROBERT WATCHMAN: Diana, if we
10 could pull up the PUB (MPI)-2-11, please. And this I
11 -- this Information Request specified an approach to
12 the determination of breakeven profit provision and
13 requested determination of a resulting alternate rate
14 indication.

15 Can you just summarize for the Board
16 and explain the information provided in the response?

17 MR. LUKE JOHNSTON: Yes. So again,
18 keeping it at a high level here, and just want to make
19 sure I understand the question here. So at a high
20 level we're trying to calculate here what -- if you
21 could scroll down a little bit -- what the investment
22 income would be on the assets supporting Basic total
23 equity. So the -- the bottom line there.

24 The question is assuming -- is asking
25 us to assume, I believe, a midrange -- let me just get

1 the exact -- part 2 says:

2 "Assuming a Basic total equity
3 approximately midway between the
4 proposed upper and lower Basic total
5 equity targets."

6 That's a pretty big assumption. We're
7 -- we're nowhere close to that, so I'm not quite sure
8 why that was used. But that assumption would --
9 again, my understanding that it would create an even
10 larger assumed investment income because you're now
11 assuming that you have total equity that's almost
12 double the size that it is now.

13 So I don't know that I need to get into
14 all the calculations. I can if you want. But really
15 we're -- the fixed income portfolio is matched to
16 claims. There's other assets earning investment
17 income. Those assets are basically matched to total
18 equity. They are an investment return and we're
19 calculating what that investment income would be and
20 deducting it from the rate.

21 MR. ROBERT WATCHMAN: Okay. So now,
22 the -- your determination as to the investment return
23 on assets supporting Basic total equity for the
24 forecast period of 2018,/2019 would be 4.83 percent?

25 MR. LUKE JOHNSTON: Correct.

1 MR. ROBERT WATCHMAN: Now, if -- if we
2 look at -- and the investment section of the
3 application and we can go there, if you like, but what
4 it tells us is that the forecasted investment return
5 on Canadian -- both Canadian and US equities is about
6 6.1 per -- or, sorry, 7.2 percent. That for the real
7 estate pooled fund is 6.1 percent, and that for
8 infrastructure is 7.1 percent, all of which seems
9 considerably greater than the 4.83 percent. Can you
10 reconcile the two (2) for us?

11 MR. LUKE JOHNSTON: One (1) second,
12 please.

13

14 (BRIEF PAUSE)

15

16 MR. LUKE JOHNSTON: Rather than -- so
17 that you can see the sources are listed on the -- the
18 answer. I get -- I get your point that it would
19 appear that equities are a big source of what's
20 matched to total equity. So why isn't the return 7
21 percent, I think is what you're saying. So rather
22 than speculate at all out, we'll undertake to provide
23 a breakdown of that for you.

24 MR. ROBERT WATCHMAN: Okay. Okay.
25 And just if you'd defer that for a moment because --

1 MR. LUKE JOHNSTON: Sure.

2 MR. ROBERT WATCHMAN: -- the next
3 question we look more specifically at your calculation
4 --

5 MR. LUKE JOHNSTON: Yeah.

6 MR. ROBERT WATCHMAN: -- which is set
7 out there. And, Diana, and if we could go to -- in
8 the investments section of the application, and it's
9 figure INV-1. It should be on page 9 of the
10 investment section of the application. Okay. So and
11 we're looking at the column -- the fourth column from
12 the -- from the right, being the 2018/'19 forecast
13 period?

14 MR. LUKE JOHNSTON: That's right.

15 MR. ROBERT WATCHMAN: And the
16 calculation that you made, the...

17 MR. LUKE JOHNSTON: M-hm. I see.
18 Yeah. So the -- maybe I can just comment here. And
19 thank you for bringing up the table. So in -- in the
20 response, which we don't need to go to, I believe it
21 says total investment income less the fixed income
22 portfolio investment income. And just doing the math
23 there gets down to -- I can't remember what the exact
24 number was, but that would -- that would be the math
25 as described in the question.

1 So the other -- the other rows at the
2 bottom have offsetting or -- or negative impacts, so
3 that might be the source for the -- for the
4 difference. Very likely is, yes. So if this is
5 sufficient, or if the question is why do we include
6 that, we -- we can discuss that or I can put in the
7 undertaking.

8 MR. ROBERT WATCHMAN: Okay. Well, in
9 particular the question that we had with respect to
10 this calculation is, so effectively it's line item 29,
11 which would be total investment income?

12 MR. LUKE JOHNSTON: Yes.

13 MR. ROBERT WATCHMAN: And you would
14 subtract from that the line item 5, which is the
15 income -- interest income during period?

16 MR. LUKE JOHNSTON: Yes.

17 MR. ROBERT WATCHMAN: And then you --
18 it's a negative number. But then we go to line item
19 24, which is the amortization of bond
20 premium/discount.

21 MR. LUKE JOHNSTON: Can you repeat
22 that last one you said?

23 MR. ROBERT WATCHMAN: So it's the line
24 item 24 --

25 MR. LUKE JOHNSTON: Yeah.

1 MR. ROBERT WATCHMAN: -- amoriz --
2 amortization of bond premium discount.

3 MR. LUKE JOHNSTON: Yeah.

4 MR. ROBERT WATCHMAN: And so you--
5 you then get a figure and reduce it to the 84 percent
6 attributable at the bottom of the column?

7 MR. LUKE JOHNSTON: Yeah. Yeah, I was
8 just -- I would expect our calculation to also include
9 marketable bond unrealized gain/losses. But again,
10 not having the calculation front of me. But --
11 because they're bond related. But again, subject to
12 checking that, that's fine. Yeah.

13 And, sorry, your comment was on the --
14 and then we'd allocate a 4 percent to Basic, yes.
15 Yeah.

16 MR. ROBERT WATCHMAN: So I just -- I --
17 I wanted to go up and look at line items 22 and 23 --

18 MR. LUKE JOHNSTON: Okay.

19 MR. ROBERT WATCHMAN: -- which are
20 investment fees paid and pension expense. And the
21 question is whether it's reasonable to apply 100
22 percent of the fees or the expense as a charge to the
23 investment income on assets supporting total equity
24 and, correspondingly, charge nothing to the assets
25 supporting the unearned premium and unpaid claims

1 provisions.

2

3

(BRIEF PAUSE)

4

5 MR. LUKE JOHNSTON: Rather than have a
6 long discussion in the back here, so what we're
7 struggling with is -- so on investment fees paid, yes,
8 if they relate to the fixed income portfolio there
9 might be -- it might make sense to try to allocate
10 that. If -- if there's other expenses that -- like,
11 if pension expense -- if -- if we don't think that's
12 related or we need to allocate it and then maybe we
13 can do that. But we'll have to come back with a
14 undertaking on that because I -- I don't have a easy
15 answer for you right now.

16 MR. ROBERT WATCHMAN: Just in -- in --
17 in terms of the wording -- wording of the undertaking,
18 it would be to provide some explanation or a
19 reconciliation between the calculation of the equity
20 return and the return on investments in the investment
21 section.

22 MR. LUKE JOHNSTON: Yeah. I think --
23 I can't remember -- the -- the que -- the IR that you
24 were referencing, the 2-11.

25 MR. ROBERT WATCHMAN: Okay.

1 MR. LUKE JOHNSTON: So my
2 understanding is -- is the allocation of the other
3 expense items appropriate that are per line item time
4 5. Is that -- is that correct?

5 MR. ROBERT WATCHMAN: Yeah. There's
6 two (2) parts to it.

7 MR. LUKE JOHNSTON: Okay.

8 MR. ROBERT WATCHMAN: It was -- the
9 earlier question related to the reconciliation before
10 the four-point-eight-three (4.83) --

11 MR. LUKE JOHNSTON: Okay.

12 MR. ROBERT WATCHMAN: -- the year with
13 the investment -- the relative investment return in
14 the investment section.

15 And then the second question relating
16 to whether the investment fees paid and pension
17 expense are appropriate charges to the investment
18 income on assets supporting total equity.

19 MR. LUKE JOHNSTON: Agreed. We can do
20 that undertaking. Yes.

21 MR. ROBERT WATCHMAN: Thank you.

22 MR. LUKE JOHNSTON: I can give it a
23 try, of what I think I have to do.

24 THE CHAIRPERSON: We -- we need a lot
25 more clarity and can I suggest we have two (2)

1 undertakings rather than mixing it into one (1) --

2 MR. LUKE JOHNSTON: Sure.

3 THE CHAIRPERSON: -- because I think
4 they're two (2) separate questions.

5 MR. LUKE JOHNSTON: Okay. So if we
6 can go back to the Information Request and don't quote
7 me until everyone agrees, I guess. So per PUB-2-11,
8 please reconcile the calculation of the investment
9 return on assets supporting Basic total equity using
10 the information from volume 2 investments. That
11 right?

12

13 --- UNDERTAKING NO. 14: The Corporation to
14 reconcile the calculation
15 of the investment return
16 on assets supporting Basic
17 total equity using the
18 information from volume 2
19 investments

20

21 MR. LUKE JOHNSTON: And then the
22 second undertaking -- could you go back to the other?
23 Yeah. Maybe you can do this one (1).

24 MR. ROBERT WATCHMAN: Well, the
25 question relates to whether or not the line items 22

1 and 23, being investment fees paid and pension expense
2 are appropriately charged to the investment income on
3 assets supporting total equity.

4 MR. LUKE JOHNSTON: Agreed.

5

6 --- UNDERTAKING NO. 15: The Corporation to confirm
7 whether line items 22 and
8 23, investment fees paid
9 and pension expense, are
10 appropriately charged to
11 the investment income on
12 assets supporting total
13 equity

14

15 THE CHAIRPERSON: I'm just wondering
16 how much longer you have in this? I'm trying to
17 figure out when we have the break. And we've got our
18 friend Mr. Oakes here waiting patiently to do a -- a
19 cross. I'm just wondering if we're going to get to
20 him this afternoon or not.

21 MR. ROBERT WATCHMAN: Yes, it is going
22 slower than anticipated. Perhaps -- well, if we could
23 just perhaps go to 2 -- 2:30?

24 THE CHAIRPERSON: Okay.

25 MR. ROBERT WATCHMAN: And then take a

1 break and then maybe make a determination as to --

2 THE CHAIRPERSON: Well, yeah, if you
3 could figure it out because I don't want Mr. Oakes
4 wasting his time here if he's not going to be cross-
5 examining till tomorrow morning.

6 MR. RAYMOND OAKES: Time is never
7 wasted in these confines, Mr. Chairman.

8 THE CHAIRPERSON: And -- and honesty
9 is occasionally appreciated, Mr. Oakes. Thank you.
10 Yeah. Okay. We'll -- we'll go till 2:30 or -- or
11 shortly thereafter.

12 MR. ROBERT WATCHMAN: Thank you.

13

14 CONTINUED BY MR. ROBERT WATCHMAN:

15 MR. ROBERT WATCHMAN: Diana, if we
16 could now go to PUB/MPI-1-12. And this Information
17 Request relates to another standard of practice, being
18 that the investment return rate for calculating the
19 present value of cash flows would reflect the expected
20 investment income to be earned on assets that might be
21 acquired with the net cash flows resulting from the
22 revenue at the indicated rate.

23 So again, do you accept that this is
24 the relevant guidance for actuaries deriving indicated
25 rates for insurance contract of property and casualty,

1 insurance who are doing their work in accordance with
2 accepted actu -- actuarial practice in Canada?

3 MR. LUKE JOHNSTON: I accept that.

4 MR. ROBERT WATCHMAN: Now, if we
5 scroll down to the response --

6

7 (BRIEF PAUSE)

8

9 MR. ROBERT WATCHMAN: I apologize. I
10 was on the wrong page. So if we go to response (a),
11 it provides that the Corporation has used the
12 projected dura -- duration-weighted investment return
13 of the Corporation's fixed income portfolio as the
14 basis for the discount rate selection on the
15 assumption that this investment turn is reflective of
16 the assets that are expected to be acquired with the
17 net cash flows. This approach is consistent with
18 accepted actuary practice quoted in the preamble.

19 Now, given the emphasis on new money
20 returns in that standard, how is the use of the
21 portfolio return, which -- which would include assets
22 purchased over several prior periods, be consistent
23 with the accepted actuarial practice?

24 MR. LUKE JOHNSTON: So the view here
25 is that, as we've talked about, ee have a fixed income

1 portfolio that is matched to our Basic claims
2 liabilities. So to the extent that we have claim cash
3 flows our expectation is that those liabilities will
4 be supported by the fixed-income portfolio and any --
5 the -- the assets we purchase will be reflective of
6 what's in the fixed income portfolio.

7 So maybe an example. If we have assets
8 to invest we don't buy -- I'll start over here. Our
9 investments reflect the requirements of the fixed-
10 income portfolio. So if the Department of Finance
11 needs to buy a hundred million dollars of bonds to
12 ensure that the claims match the liabilities and match
13 the fixed income portfolio, they will buy those assets
14 at the duration that we need to maintain the matching.
15 They won't buy it, right?

16 So all we're assuming here is that any
17 new monies that are invested will reflect the current
18 fixed income portfolio. And for that reason, it's
19 appropriate to assume that that discount rate should
20 be used on the cash flows for the -- for the claims
21 and expenses and in the rate setting process.

22 MR. ROBERT WATCHMAN: Okay. And,
23 Diana, if you could scroll down to the bottom of the
24 page. I just want to confirm the second last sentence
25 there. It says that:

1 "Every ten (10) basis point change
2 in the assumed discount rate results
3 in approximately twenty (20) basis
4 point change in the 2018/'19 rate
5 indication."

6 And if you can just confirm that that
7 is the Corporation's estimation?

8 MR. LUKE JOHNSTON: That -- that is.
9 Yes.

10 MR. ROBERT WATCHMAN: Mr. Chairman,
11 that might be a convenient place to break.

12 THE CHAIRPERSON: Thank you, we'll --

13 MR. MATTHEW GHIKAS: Mr. Chairman, if
14 I -- sorry to interrupt you.

15 THE CHAIRPERSON: Yes, Mr. Ghikas.

16 MR. MATTHEW GHIKAS: I just wanted to
17 just add one (1) thing, because you mentioned the
18 possibility of Mr. Oakes carrying over tomorrow
19 morning. I just wanted to make sure that -- that the
20 panel and everybody was aware, we were anticipating
21 that Mr. Keith was going to be starting first thing
22 tomorrow morning. And there's an availability issue
23 with these witnesses. So in the event that Mr. Oakes
24 was pushed off, at the earliest I think we would be
25 hoping that that would be resumed after three o'clock

1 tomorrow.

2 THE CHAIRPERSON: Okay, we're -- I was
3 going to talk to our counsel to try and talk to all
4 the counsel now to figure out the timing. So -- and
5 she'll talk to you as well.

6 MR. MATTHEW GHIKAS: Perfect.

7 THE CHAIRPERSON: Okay. Thanks.

8 MR. MATTHEW GHIKAS: Thank you.

9

10 --- Upon recessing at 2:28 p.m.

11 --- Upon resuming at 2:51 p.m.

12

13 THE CHAIRPERSON: Okay, Mr. Watchman,
14 if we could resume.

15 MR. ROBERT WATCHMAN: Thank you.

16

17 CONTINUED BY MR. ROBERT WATCHMAN:

18 MR. ROBERT WATCHMAN: Just a couple
19 more questions on ratemaking. Diana, could you pull
20 up PUB-MPI-2-13. And if you scroll over to the second
21 page, and this is the Corporation's projected new
22 money yields by bond.

23 Can you confirm the Corporation's
24 estimate is now 3.42 percent?

25 MR. LUKE JOHNSTON: That's correct.

1 My recollection is of the first round question on this
2 -- on this topic actually grouped two (2) sets of
3 bonds together incorrectly. So this -- this is the --
4 the correct reference, yes.

5 MR. ROBERT WATCHMAN: Thank you. Now,
6 in my rates -- in understanding the discount rate that
7 was used in the -- or assumed in the General Rate
8 Application was 3.7 -- 3.78 percent.

9 MR. LUKE JOHNSTON: I assumed you had
10 it right, but I thought I'd double-check. Yes.

11 MR. ROBERT WATCHMAN: And that
12 represents a 36 basis point spread?

13 MR. LUKE JOHNSTON: Over the number in
14 the figure 1, yes.

15 MR. ROBERT WATCHMAN: Now, just before
16 the break we talked about the estimate that every 10
17 basis point change in the assumed discount rate
18 results in approximately 20 boyce -- basis point
19 change in the rate indication?

20 MR. LUKE JOHNSTON: Approximately,
21 yes.

22 MR. ROBERT WATCHMAN: So based on that
23 estimate as to sensitivity to changes in the assumed
24 cash flow discount rate, can you confirm that the
25 indicated rate would change from the plus 2.7 percent

1 to about 3.4 percent, based on using the 2018/19 new
2 money yield of 3.42 percent?

3 MR. LUKE JOHNSTON: I can confirm that
4 as long as we recognize that it's not an exact
5 calculation, but should be in the neighbourhood of
6 that number, yes.

7 MR. ROBERT WATCHMAN: Now, in response
8 to item (c), given the fact that the basic renewals
9 are staggered throughout the year, why is it
10 reasonable to assume the prevailing interest rates
11 when premiums first come into effect, i.e., on March
12 1, 2018? And is this an assumption that's linked to
13 the assumed use of the naive interest forecast?

14 MR. LUKE JOHNSTON: For -- for our
15 purposes, we -- we did choose to discount to the
16 beginning of the policy year. The suggested approach,
17 obviously, is reasonable as well, to use the -- the
18 average earning period I think is the -- the
19 terminology used.

20 Selecting this date also has the
21 benefit of reducing interest rate risk, yes, as per
22 the response.

23 MR. ROBERT WATCHMAN: But in reality,
24 the income will be coming in throughout the twelve
25 (12) month period going forward from March 1st, 2018.

1 MR. LUKE JOHNSTON: The premium income
2 would come in -- yeah, throughout the year and be
3 earned over two (2) years.

4 MR. ROBERT WATCHMAN: Diana, if we
5 could turn to the investment section, Volume 2 of the
6 application, Figure INV-12. And that sets out the
7 historical bond yield and the spread from --

8 MR. LUKE JOHNSTON: That's right.

9 MR. ROBERT WATCHMAN: -- the
10 Government of Canada ten-year bonds.

11 MR. LUKE JOHNSTON: Yes.

12 MR. ROBERT WATCHMAN: So there's an -
13 an assumed Government of Canada 10-year bond yield in
14 the GRA at 1.64 percent. If we scroll down, Diana.
15 Is that -- as of February 2017?

16 MR. LUKE JOHNSTON: That's right.

17 MR. ROBERT WATCHMAN: But the
18 Corporation's new yield -- new money yield on
19 Corporation's bond portfolios, as we just discussed,
20 at 3.42 percent, which gives us a spread of 178 basis
21 points?

22 MR. LUKE JOHNSTON: Subject to
23 checking the calculation, I agree.

24 MR. ROBERT WATCHMAN: And if we look
25 at this historical spread, the 178 basis points would

1 actually be greater than we've seen going back in this
2 -- in this table?

3

4 (BRIEF PAUSE)

5

6 MR. LUKE JOHNSTON: We're going to
7 look at PUB-2-13, at the new money yields, but I'm not
8 sure the date -- the as-of date of that calculation,
9 so we're going to check. I just want to make sure
10 it's not as -- if it's as of August 31st, then, for
11 example, 1.64 wouldn't be relevant anymore. But we're
12 looking at that. If that's not the case, I'll -- I'll
13 undertake to explain the gap which -- like, I can see
14 your point. Why would it be greater than the -- the
15 max.

16 MR. ROBERT WATCHMAN: Could it
17 possibly be related to the corporate bonds?

18 MR. LUKE JOHNSTON: Possibly, yes, but
19 I'll confirm that. That would make sense.

20 MR. ROBERT WATCHMAN: Okay, thanks.
21 So the undertaking will be to explain the basis and
22 derivation of the implied 178 basis point spread?

23 MR. LUKE JOHNSTON: Just one -- one
24 moment please.

25

1 (BRIEF PAUSE)

2

3 MR. LUKE JOHNSTON: Yes, we'll --
4 we'll undertake to do that. We're just looking at
5 PUB-2-13, there is a marketable bond yield there at
6 3.37. I was hoping maybe I could just tell you what
7 the number was without the corporate bonds, but I
8 don't have that readily available.

9 So, we'll undertake per -- maybe you
10 could repeat it for us, but we'll do that.

11 MR. ROBERT WATCHMAN: So the
12 undertaking is to provide the basis and derivation of
13 the implied 178 basis point spread adjustment as
14 forecasted.

15 MR. LUKE JOHNSTON: Yes.

16

17 --- UNDERTAKING NO. 16: MPI to provide the basis
18 and derivation of the
19 implied 178 basis point
20 spread adjustment as
21 forecasted.

22

23 CONTINUED BY MR. ROBERT WATCHMAN:

24 MR. ROBERT WATCHMAN: Now, there are a
25 couple of pre-asks relevant to ratemaking and so we'll

1 defer further questions on that until next week, and
2 would like to now move on to the area of dynamic
3 capital adequacy testing.

4 And we'll -- we'll break this down in
5 terms of the -- the testing itself, the lower
6 threshold, the upper threshold and the question of
7 rebuild and rebate in separate sections.

8 So, just dealing with the dynamic
9 capital adequacy testing itself, you're agreed that,
10 in general, the actuary's opinion in the context of
11 the DCAT relates to whether or not the insurer's
12 financial condition is satisfactory.

13 MR. LUKE JOHNSTON: That's right.

14 MR. ROBERT WATCHMAN: In general, what
15 are the requirements for an insurer's financial
16 condition to be deemed to be satisfactory?

17 MR. LUKE JOHNSTON: Okay, so there's -
18 - there are general rules and then there's -- we have
19 to use those rules to applied it to the -- this
20 situation.

21 So, the first condition would be that
22 in our base case scenario -- so the base case scenario
23 being the same as what's been applied for in this GRA,
24 the base scenario has to remain above the regulator's
25 minimum capital requirements over the forecast period.

1 So in -- in the private sector, there
2 is a supervisory target of 150 percent MCT. The
3 absolute minimum of 100 percent MCT. We're not
4 operating in that environment. So, as the actuary I
5 have to make a reasonable assumption about what our
6 minimum capital requirements are in Manitoba and the
7 most reasonable assumption that I -- I thought could
8 be used is calculate our DCAT minimum capital
9 requirement, convert that to a MCT score, and then
10 assume that that MCT score is needed or would be
11 equivalent to the capital targets in future years.

12 So I can't really calculate what the
13 DCAT will indicate four (4) years from now, but I can
14 use this year's DCAT number, convert it to an MCT
15 score and tell you what the MCT scores would be in the
16 future. So, that's the first condition to meet the
17 regulator's minimum capital requirement in the base
18 scenario.

19 The second one is that total equity
20 remains above zero in all the adverse scenarios. The
21 -- all these -- sorry, plausible adverse scenarios
22 tested in -- in the report and plausible meaning not
23 less likely than 1:100 but not more likely than 1:20.
24 So, between 1:20 and 1:100 is seen as a reasonable
25 probability level for something that's both plausible

1 and adverse.

2 So, with guidance from the
3 collaborative process and Board Orders, we've used
4 1:40 years as the threshold for testing the adverse
5 scenarios.

6 So, the second condition, all 1:40
7 adverse scenarios have to result in total equity above
8 zero over the forecast period. And that's including
9 assumed management and regulatory action.

10 MR. ROBERT WATCHMAN: So specifically
11 the DCAT testing is specifically for Basic.

12 MR. LUKE JOHNSTON: This -- this
13 report, that is for Basic, yes.

14 MR. ROBERT WATCHMAN: Now, for the
15 current Basic DCAT, are there any differences between
16 the DCAT-based scenario and the application for pro
17 forma financial forecasts?

18 MR. LUKE JOHNSTON: There is not.

19 MR. ROBERT WATCHMAN: So the base
20 scenario in your testing reflects the proposed 2.7
21 vehicle premium average increase and the proposed 1.8
22 percent driver premium changes and the proposed shift
23 to corporate bonds in the investment portfolio?

24 MR. LUKE JOHNSTON: Correct.
25 Everything that's included in this application in the

1 base scenario.

2 MR. ROBERT WATCHMAN: Diana, if we
3 could go to -- in the DCAT portion of the application,
4 Volume 2, Figure DCAT-9.

5 And so for the dynamic capital adequacy
6 testing that you conducted for this application, the
7 minimum capital requirement used to test the base
8 scenario for satisfactory financial condition is 201
9 million for 2018/19?

10 MR. LUKE JOHNSTON: That's right.

11 MR. ROBERT WATCHMAN: And that
12 increases through to 239 million for the final year of
13 the forecast 2012 -- sorry, 20/21 and 20/22.

14 MR. LUKE JOHNSTON: That's correct.
15 And again, the assumption I made here was that the MCT
16 ratio -- that the 201 million is in terms of MCT today
17 will be the minimum target four (4) years later, that
18 would be adjusted for the size of the business at that
19 time.

20 MR. ROBERT WATCHMAN: Now, the lower
21 total equity threshold for the Basic target capital
22 that was approved by the Board in Order 162/16 was 159
23 million.

24 MR. LUKE JOHNSTON: That's right.

25 MR. ROBERT WATCHMAN: And you have

1 indicated -- and perhaps, Diana, we could go to the
2 rate stabilization reserve section of the application
3 at -- to item RSR-4.2.

4 And so here is -- is where the
5 reference is to the Board transferring 27.8 million
6 from Extension to Basic RSR as of February 28, 2017.
7 And you indicated that the transfer was made to ensure
8 that total equity was at 181 million. And if we go
9 down to the next paragraph...

10 Okay. So the 181 million was required
11 for the Basic to be in satisfactory financial
12 condition as per the 2016 DCAT report.

13 Now if that was the original report and
14 at that time the forecast -- forecasted rate increase
15 was 2 percent?

16 MR. LUKE JOHNSTON: That's right.

17 MR. ROBERT WATCHMAN: So -- so the 181
18 million threshold was based upon a projected 2 percent
19 forecast, but you were -- the Board approved a 3.7
20 percent increase.

21 Now, did you go back and redo the
22 capital testing at 3.7?

23 MR. LUKE JOHNSTON: No. So we had a -
24 - as per the paragraph here, we updated the lower
25 target based on a revised DCAT, assuming a 4.3 percent

1 rate indication.

2 So -- and as you mentioned, we also had
3 a DCAT with a 2 percent indication. So at the time of
4 this Order I knew that -- I basically knew one (1)
5 thing, 159 million was not the right number for a 3.7
6 percent rate indication.

7 Given that it's just mid December at
8 that time, we're literally about to start the next
9 DCAT. I advised our board that I couldn't tell them
10 that 159 was the right number without redoing the
11 DCAT, but I did know that the original DCAT, which
12 they approved at 181 would be sufficient to meet
13 satisfactory financial condition per the year's
14 original assumptions on that report.

15 So, rather than potentially have on --
16 an RSR amount that was insufficient, the board decided
17 to transfer funds up to the higher number to ensure
18 satisfactory financial condition.

19 MR. ROBERT WATCHMAN: Now, if you had
20 -- if you had redone the DCAT at the 3.7, you would've
21 expected the threshold to be closer to the 159 figure?

22 MR. LUKE JOHNSTON: Proportionally,
23 likely, yes, that would make sense, yeah.

24 MR. ROBERT WATCHMAN: Diana, if we
25 could go to DCAT.1. This is the part where you have

1 to sign off?

2 MR. LUKE JOHNSTON: That's correct.

3 MR. ROBERT WATCHMAN: So now in the
4 third paragraph, the beginning of third paragraph,
5 you indicate that it's your opinion that in the
6 current DCAT the future financial condition of Basic
7 is not satisfactory.

8 Can you tell us what test condition for
9 satisfactory financial condition failed?

10 MR. LUKE JOHNSTON: The -- just give
11 me one (1) second I'll get to the -- or I could just
12 read it, I guess.

13 The first condition that the base
14 scenario meets the assumed minimum capital target of
15 the Manitoba regulator being the Public Utilities
16 Board over the forecast; that -- that was not met.

17 The capital level is static or
18 declining over the period and the target is -- is
19 expected to increase. So, that was the reason.

20 MR. ROBERT WATCHMAN: Diana, if we
21 could go to pro forma .3. And if we could just scroll
22 down towards the end to the -- the line on the total
23 equity balance.

24 Now, if we look at the last five (5)
25 columns going to the -- to the right, that would be

1 the forecast -- that would be the years 2017/18 FB and
2 then beyond. You're forecasting a gradual decline in
3 total equity over the forecast period.

4 Can you explain why that is?

5 MR. LUKE JOHNSTON: Yes. Yes, I can.
6 There -- basically there's a minor negative net
7 income. I don't have all of it in front of me here,
8 but there are net losses projected over the forecast
9 period, which brings down total equity. So if you go
10 from -- if you could scroll the top, just so I can see
11 the years here. Yeah twenty (20) -- okay, so -- 2020
12 falling to 192, seven (7) to \$10 million a year of
13 losses on average. Drawing that number down by about
14 28, 30 million.

15 MR. ROBERT WATCHMAN: Okay. Is -- is
16 is that as a result, that the modeling assumption
17 assumes that there is no further changes will be made
18 in response to -- no further rate changes will be made
19 in response to rising claims cost over the forecast
20 period apart from the 2.7 percent increase in the
21 2018/'19 year?

22 MR. LUKE JOHNSTON: That is the
23 reason. And your next question is probably why would
24 you do that. So, first all -- first of all, there is
25 a -- there has already been extraordinary management

1 action taken in this application, that -- that I'm
2 aware of. So there -- there is management action
3 applied in here. We don't -- we haven't calculated or
4 attempted to calculate the exact expected rate
5 indication in all of the future years. But the net
6 income would be expected, on average should be pretty
7 close to zero.

8 However, under accepted actuarial
9 practice changes such as, for example, changes to the
10 unpaid claim liabilities, which cause losses wouldn't
11 be considered in the calculation of the rate. So, for
12 example, if we see the discount rate on claims
13 liabilities declining slightly over the period we're
14 going to get net losses from -- due to claims
15 liabilities unrelated to any new policies that we
16 issue.

17 So, long story short, what I'm saying
18 is there's no guarantee that ARAP rate indication's
19 going to show increases to exactly offset that -- that
20 amount.

21 And then further, at the time I
22 prepared this, I didn't -- it's my impression that RSR
23 rebuilding fees were not forthcoming by our board. So
24 that assumption was not included in this scenario in
25 order for it to be a best estimate or a realistic

1 estimate.

2 MR. ROBERT WATCHMAN: Okay. Sorry,
3 just for clarification --

4 MR. LUKE JOHNSTON: I can -- I can
5 expand. So, if -- so I -- I have -- we have the
6 actions from this particular rating year. I have no
7 indication that there is going to be an effort to
8 rebuild the RSR at this time, not say that that won't
9 happen or that rate increases won't happen, but I --
10 so that wasn't something that I put into the scenario.

11 And -- yeah, is that okay? I'm just
12 saying that I really had no indication that there is
13 significant manag -- management action coming in
14 future years to address the issue that caused the
15 unsatisfactory financial condition.

16 MR. ROBERT WATCHMAN: Diana, if we
17 could go ahead to DCAT.1.8 in that volume. It should
18 be Page 15.

19 Can you tell us wh -- what
20 recommendations do you make to address what you would
21 consider to be the root causes for Basic's financial
22 condition not being satisfactory?

23 MR. LUKE JOHNSTON: Can you repeat
24 that? I -- I missed part of it.

25 MR. ROBERT WATCHMAN: So the question

1 is: What recommendations are being made to address
2 what you would consider to be the root causes for
3 Basic's financial condition not being satisfactory?

4 MR. LUKE JOHNSTON: We can go through
5 these.

6 So point Number 1) is really the -- the
7 1:40 year calculation that we use to determine the
8 minimum capital target and that was the 201 million.

9 MR. ROBERT WATCHMAN: So -- sorry, I
10 don't mean to interrupt.

11 MR. LUKE JOHNSTON: Yeah, sure.

12 MR. ROBERT WATCHMAN: We're just
13 looking at those ones that are -- that are relevant to
14 the cause -- to the root cause.

15 MR. LUKE JOHNSTON: Sure, I'll stay on
16 Number 1. I'll tell you why it's relevant. So one
17 might ask why would you pick 201 million if it doesn't
18 give you satisfactory financial condition. So 201
19 million is the number to withstand the adverse
20 scenarios as we modeled in the -- the report, but
21 doesn't address the ongoing lack of natural growth, or
22 lack of any growth in the -- in the rate stabilization
23 reserve.

24 So let's say that the lower RSR target
25 is assumed to be 240 million in four (4) years from

1 now. I wouldn't want to tell our board, you know --
2 you do need \$245 million today to ensure that you are
3 sufficient, you know, four (4) or five (5) years --
4 years from now.

5 That's why -- like we could do that but
6 we'd basically be saying, let's pay for the losses of
7 the next four (4) or five (5) years by having more RSR
8 today. That doesn't seem appropriate so -- so that's
9 why the 201 is -- is just kind of recommended on its
10 own.

11 The second piece, Number 2) is very
12 applicable. We -- we're always going to be on the --
13 the cusp of unsatisfactory financial condition if we
14 don't have an RSR range. If we're just sitting on the
15 very edge all the time. So we prefer to have -- it
16 would make sense to have a -- a range where you could
17 handle a normal amount of financial variability and
18 the model used in this report is just, that there's
19 existing DCAT scenarios.

20 So it's recommended here that the
21 Corporation have an upper target and -- and -- and in
22 this report I'm trying to stay somewhat separate as
23 that as the actuary, and just say that the proposed
24 upper target by the Corporation wouldn't be reasonable
25 to achieve this recommendation.

1 If you can scroll down. We need a way
2 to rebuild the capital. If that's -- if that's not
3 through the RSR investment income. If we -- if we
4 continue to include that in the ratesetting -- it's
5 RSR is never going to grow if you have a range here or
6 not, you never -- you're always -- you're never going
7 to get in that range, anyway. So the range is almost
8 irrelevant.

9 So as it says here, right now. We can
10 only grow by -- by luck, chance occurrence and
11 transferring money from competitive lines, or through
12 rebuilding fees. It would be a big improvement to
13 have a natural way to do that. We're suggesting
14 through the RSR investment income. Another method
15 could be through some sort of maintenance provision.

16 I don't know if I need to go through
17 all these. There's four (4), obviously if you fall
18 below the lower target, we should try to not be below
19 the lower target. And take management actions.
20 That's probably -- for your specific question, I think
21 that's probably it.

22 MR. ROBERT WATCHMAN: Thank you. Has
23 the 2017 DCAT report been presented to the
24 Corporation's Board of Directors, or audit committee?

25 MR. LUKE JOHNSTON: Can you repeat

1 that. Sorry.

2 MR. ROBERT WATCHMAN: Has the 2017
3 DCAT report been presented to the Corporation's Board
4 of Directors, or audit committee.

5 MR. LUKE JOHNSTON: Oh, yes.

6 MR. ROBERT WATCHMAN: Are there any
7 plans or steps been taken to address the financial
8 condition of Basic?

9 MR. LUKE JOHNSTON: So... Mr. Yien
10 is going to comment, as well. There are very
11 significant management actions taken this year and
12 just on -- in terms of the rate, in addition to cost
13 containment measures, et cetera. And then in addition
14 to that also, some of our proposals, such as not using
15 the RSR investment income to reduce rates, having a
16 adequate RSR range, et cetera, can be considered
17 management actions in terms of working with the
18 regulator to try to address this issue. And I'll --
19 I'll let Mr. Yien speak.

20 MR. PETER YIEN: So in terms of the
21 2018 GRA, you've seen the stretch and I'm not going to
22 repeat those stretches. I think it is important to
23 reiterate, the Board's position on rebuilding the RSR.
24 I mentioned in my opening remarks that they do want to
25 run this organization sound and financially safe.

1 Using tools out there that need to consider certainly
2 running a Corporation at a DCAT dynamic capital
3 adequacy test minimum, that doesn't compare anywhere
4 to the minimum of others. Even though, yes, there are
5 -- the Board doesn't recognize that there are -- the
6 nature of those organization may be slightly
7 different. But the differences so -- order of
8 magnitude is so high, it's har -- it's hard to
9 rationalize why we would be the lowest.

10 When we, on the other hand, get
11 challenging on our metrics to be leading, whether it's
12 a Ward study, or whether it's Gartner Group, we're
13 going to have to be at the top there. But at the
14 other end, we have to get the lowest in everything in
15 terms of safety and soundness. That's very hard for
16 the Board to recognize.

17 Having said that, the -- the Board is
18 aware that there may be things we need to slow down.
19 And that's the part of the business strategy that will
20 come. There were questions earlier for me
21 specifically around technology expenses, and depending
22 on how we think about this week, we may slow certain
23 things down, we may speed certain things down (sic)
24 and -- and that could drive savings.

25 So ultimately, I think what I would say

1 is going back to that optimal range that was talking
2 about is that we need to get into the optimal range
3 and running within that. And the build -- rebuilding
4 will take time and we -- we totally understand that.
5 And hence the conditions, investment in bonds creates
6 a level of risk for the organization.

7 And there was a question yesterday,
8 specifically around why some of the return is higher.
9 Anecdotally one (1) of the reasons, not the only one,
10 is that they do have a higher rate stabilization
11 reserve. And when you do have a higher rate
12 stabilizing reserve, you are able to take higher
13 risks. And by being able to take higher risk you can
14 generate higher returns, and that gives us a chance to
15 rebuild that RS -- that rate stabilization reserve so
16 that it doesn't stay at the minimum. It is a journey
17 and it is a process, but I do believe the Board is
18 committed to making that happen.

19 And then the final piece is
20 stabilization of rates, as well. Just making sure
21 that as we build on this journey that we charge the
22 right premiums. We totally minimize the risk,
23 essentially, other than the really big and
24 controllables, like the weather that we were talking
25 about. But essentially, I think as we build it up we

1 get more and more protected. And as we get more
2 protected, we shelter ourselves against the risk. We
3 can take on more risks and in the long term, it does
4 benefit all Manitobans. So we are committed in terms
5 of driving that and building that RSR.

6 MR. ROBERT WATCHMAN: Okay, just
7 perhaps for clarification. I think a lot of the
8 things that were referred to are things that appear in
9 the General Rate Application, but the -- the question
10 was more specifically directed to: What steps have
11 been taken directly in response to the 2017 DCAT
12 report, which is, you know, wasn't prepared until
13 after the GRA.

14 MR. LUKE JOHNSTON: Yeah, no -- and I
15 -- I think -- I think I provided those already. The -
16 - the -- the significant actions in terms of the --
17 the rate requirements, the ask of the -- or the
18 application to have an appropriate RSR range, the
19 application to not rebate the RSR investment income.

20 If -- those types of measures are
21 attempting to get us on -- on the right track. And
22 then we -- we've also made commitments in the
23 application that if we can get these appropriate rate
24 stabilization reserve target, then maybe there's other
25 ways that we can try to rebuild that target. So that,

1 I think that -- that would describe the --the
2 reaction.

3 MR. ROBERT WATCHMAN: Thank you. I'd
4 like to move on now to the tarp -- target capital
5 analysis in respect of the lower threshold and -- and
6 just so there's, hopefully for clarification on the
7 record. The various terms that have been used, RSR
8 lower limit, or basic total equity, lower threshold...
9 we're talking all about the same thing here.

10 MR. LUKE JOHNSTON: For this purpose,
11 yeah, total equity, rate stabilization reserve, RSR
12 that -- we call it the same thing.

13 MR. ROBERT WATCHMAN: Okay. Diana, if
14 we could go to RSR.4.5.1.3, which should be page --
15 there before I am. Okay. So if we just scroll down
16 to look at that RSR-7.

17 So the testing for this target is based
18 on what's referred as to the -- as the combined
19 scenario. And if the results are after routine
20 management regulatory actions at a 1:40 year
21 probability level over a two (2) year time horizon.
22 Testing basic total equity to remain above zero.
23 Correct?

24 MR. LUKE JOHNSTON: That's correct.
25 That's a -- a very long description basically saying,

1 we tested over four (4) year periods any scenarios
2 that would cause total equity to fall to zero,
3 including management action. It doesn't have to be
4 the two (2) year. But, in this case, the way it works
5 out in the scenarios is that the two (2) year scenario
6 happens quite rapidly. You're not able to do a lot of
7 management action on something that occurs that
8 quickly. It turns out that that combination results
9 in the worst-case outcome in terms of what you need
10 today.

11 Four (4) year scenarios can easily get
12 well over 300 million, so just so the Board
13 understands, it's not that we don't model 300 million
14 plus scenarios. But when you say, start including
15 management action, RSR rebuilding fees, rate increases
16 all that, it doesn't stop the worst scenario anymore.
17 But it shouldn't be interpreted as, you know, we don't
18 -- it's not a significant event. Rate increases and
19 RSR rebuilding fees obviously a big deal. So, just so
20 everybody knows what's in that table.

21 MR. ROBERT WATCHMAN: Okay. Diana, if
22 you go back two pages, to Page 13, sorry Page 14. And
23 the RSR-3 talks about.

24 So, when we talk about the combined
25 scenario, it integrates three (3) risk categories; the

1 declining equity investment returns, declining
2 interest rates and elevated claims experience,
3 including recognition of correlations between the risk
4 categories; is that fair to say?

5 MR. LUKE JOHNSTON: That's correct.
6 And we also added a corporate bond default risk into
7 that scenarios as well.

8

9 (BRIEF PAUSE)

10

11 MR. ROBERT WATCHMAN: Can you tell us
12 why the combined scenario was selected for the
13 purposes of determining the target?

14 MR. LUKE JOHNSTON: So the -- the
15 combined -- so really we test all -- all the scenarios
16 that we model at 1:40 year and the combined scenario
17 was seeing -- was determined to be the most adverse
18 1:40 year scenario.

19 MR. ROBERT WATCHMAN: Diana, can we go
20 -- move ahead to DCAT-5.5.6, which should be Page 52.

21 And so this provides a more detailed
22 explanation as to the combined scenario. If we go to
23 the bottom of the next page, there's reference to the
24 interest rate floor methodology was again used when
25 modeling interest rates.

1 Can you tell -- tell us what the floor
2 was and how it's selected?

3 MR. LUKE JOHNSTON: Yes. So interest
4 rate modeling is -- is difficult right now. When you
5 talk about using historical data. What relevance is
6 the data when you're at the lowest interest rates of
7 all time? It's -- it's not -- not easy. So the way
8 we do our interest rate modeling, is we say, What's
9 the interest rate today? Historically, how much of
10 it, you know, how often do interest rates increase by
11 10 voice -- basis points over the next year? How
12 often by twenty (20), thirty (30), forty (40)? And
13 then opposite for -- for down -- downward movements.

14 That's the best way we've come up with
15 to model something that reflects reality. It's not
16 perfect, but that's the idea. So in the long term, on
17 average, such a model would show that interest rates
18 stayed the same. The ups and downs cancel out. When
19 we're in a really low interest rate environment, like
20 we are now, clearly the chances of declining are --
21 are somewhat capped by the lowest possible that
22 interest rates can go.

23 So to avoid having nonsensical results,
24 we put a interest rate floor in basically at the
25 observed lowest interest rate in the history. Just to

1 make sure that none of our scenarios fall below that -
2 - that rate.

3 MR. ROBERT WATCHMAN: And, I
4 understand the ten-thousand (10,000) simulations are
5 run for the combined sara -- scenario is that right?

6 MR. LUKE JOHNSTON: That's correct.

7 MR. ROBERT WATCHMAN: So what are the
8 practical consequences of imposing an interest rate
9 floor when it comes to ranking the results?

10 MR. LUKE JOHNSTON: Right now, the
11 floor being at such a low level, the floor is -- we
12 constantly reach the floor. Like it -- it would be
13 like saying, If we're at the floor, how low can we go?
14 The answer is, We can't go any lower.

15 So a lot of the scenarios hit the floor
16 and just stay there, and that actually lowers the risk
17 in the DCAT, and -- and the -- the reason is that
18 MPI's adversely impacted -- or the -- or Basic
19 insurance is adversely impacted by declines in
20 interest rates.

21 If we're close to the assumed lowest
22 interest rates of all time, the likelihood of a
23 decline is -- or leaving the magnitude of the decline
24 is -- is low, so you don't need as much in your risk
25 provision if -- if rates can't go any lower.

1 If, one day, we kind of return to a
2 normal interest rate environment, there will be a
3 greater interest rate risk in this DCAT report,
4 because now you can actually fall two hundred (200)
5 basis points in -- in theory. Today, that's -- that's
6 not possible to fall by that much.

7

8 (BRIEF PAUSE)

9

10 MR. ROBERT WATCHMAN: Now given the
11 increased significance of corporate bonds in this
12 application, so you -- and as you mentioned, this DCAT
13 report introduces corporate bond default rate
14 assumption in the combined scenario.

15 Can you tell us what is the purpose of
16 the assumption, and how does it affect the model, and
17 -- and what is it based on?

18 MR. LUKE JOHNSTON: Okay. So if you
19 don't mind scrolling to, I believe it's one (1) page
20 underneath where you are, 54. Yes.

21 So all things equal, our scenarios are
22 basically the -- the same -- or our risk profile is --
23 is very similar to last year with the exception of
24 this assumption that corporate bonds are going to be
25 purchased. So our risk is changed. And for the DCAT

1 to be appropriate, we need to model this new risk and
2 the -- and the results.

3 On their own, corporate bonds of the
4 type you're talking about purchasing as low as triple
5 'B' have very low default rates, and a corporate bond
6 only scenario wouldn't be deemed a top ten (10)
7 adverse scenario, so it doesn't need its own special
8 section in the DCAT.

9 However, for the combined scenario, we
10 wanted to make sure that the default risk of corporate
11 bonds was under -- was understood, of course, for the
12 Board, but also for our own board to understand what
13 the -- what the DCAT was predicting was the additional
14 risk from the bond decision. So that's why this model
15 was included in there. And it's included in the same
16 way as the other risk factors, recognizing the
17 correlation.

18 We also performed an analysis of 100
19 percent MCT with and without the bonds, and made sure
20 that our model was predicting reasonably the
21 additional risk, and -- and it -- and we believe it
22 is. So in the MCT, which is a -- a -- closer to 1:100
23 year risk level, the addition of the corporate bonds
24 added about \$9 million to our 100 percent MCT
25 calculation. At the DCAT level, it's about 1:40.

1 It's about 3 to 4 million.

2 MR. ROBERT WATCHMAN: Diana, If we
3 could go to -- back to the RSR section of the volume,
4 page 13, RSR 4.5.1.1.

5 This -- this, then, speaks to using
6 adaptation of the -- of the DCAT through iterative
7 modelling. And so the first point there was future
8 iterations of DCAT-based RSR target tabulations should
9 be based on the iterative process. That's first
10 described in PUB-MPI-1-25 at the 2017 GRA.

11 And the response was that the Corp --
12 Corporation is in agreement with that?

13 MR. LUKE JOHNSTON: Yes.

14 MR. ROBERT WATCHMAN: So if we could
15 go now to PUB-MPI-2-40.

16

17 (BRIEF PAUSE)

18

19 MR. ROBERT WATCHMAN: And so this
20 Information Request is directed to this type of
21 modelling. It asked for various versions of the
22 target capital analysis.

23 MR. LUKE JOHNSTON: I think the
24 reference on the screen is -- is wrong. Maybe -- or -
25 - or my -- maybe not. Okay. Sorry about that.

1 MR. ROBERT WATCHMAN: Sorry. Sorry.
2 I stand corrected. It may not be a reference -- this
3 one may not be a reference to the iterative modelling.

4 It asks for various alternate versions
5 of the Corporation's target capital analysis
6 incorporating interest rate forecasts, reflecting to
7 different degrees the August 2017 bank interest rate
8 forecasts.

9 And can you confirm this change, that
10 this change, all other things being equal, increases
11 the Corporation's estimate of the minimum lower RSR
12 target from 201 million to 215 million?

13 MR. LUKE JOHNSTON: Yes, I can. If
14 you want to scroll down, to think it's Figure 4 in
15 this response, again, that might seem
16 counterintuitive. Interest rates rise. Why does the
17 lower target rise? That's really the scenario I just
18 described.

19 If interest rates increase, they have
20 more potential to fall. It might seem a little
21 strange in -- in the environment we are, where we're
22 so close to the lowest interest rates we've ever seen,
23 but I think it makes sense, you know, if you think
24 about it going forward.

25 MR. ROBERT WATCHMAN: Thank you.

1 Diana, if we could just go to the next IR 2-41.

2

3

(BRIEF PAUSE)

4

5

MR. ROBERT WATCHMAN: And -- and this
6 is where we requested the lower threshold target
7 capital analysis following the iterative modelling,
8 and in particular, this modelling was the combined
9 scenario -- scenario at the 1 in 40 year percentile
10 probability level with routine management, regulatory
11 actions over a two (2) year time horizon, and testing
12 for Basic total equity to remain above zero.

13

Now, in the preamble to the question:

14

"Explain that the iterative model

15

leverages dynamic modelling of DCAT

16

to simulate the financial behaviour

17

of Basic insurance operations at a

18

total equity level approximating the

19

lower end of the capital -- capital

20

[sorry] -- target capital range."

21

Now, in the preamble to the response,

22

Corporation expresses its reservations about this

23

approach. But for the benefit of the Board, could you

24

just explain to the Board the Corporation's

25

reservations about the modelling approach?

1 MR. LUKE JOHNSTON: Yes, for sure. So
2 we provided a DCAT. It's using a best estimate
3 forecast with scenarios modelled off of that best
4 estimate forecast. What is -- is being done in
5 several of these questions is to assume a certain
6 target capital position and then assume that you
7 maintain that the position throughout the -- the base
8 scenario, and that the -- the difficulty is that we're
9 running the scenarios as requested, but in this
10 example, to -- to achieve that hypothetical base
11 scenario, we have to transfer \$68 million of money
12 from what we're assuming is extension, just because we
13 need somewhere to get the money from. And then we're
14 modelling a result.

15 We're struggling with why we'd want to
16 do the modelling this way versus what we've provided
17 in the DCAT. That's -- that's really it. If -- I --
18 I can talk to your actuarial advisor if I may be
19 missing the point here, but that's our struggle.

20 Ever -- the -- some of the scenarios
21 get more extreme, and you have to transfer really
22 large amounts of money into the RSR to -- to replicate
23 the base scenario being requested, and that just -- we
24 just struggle with why that makes sense.

25 MR. ROBERT WATCHMAN: Based upon the

1 modelling that was requested, if we could go to
2 Appendix 3J.

3

4 (BRIEF PAUSE)

5

6 MR. ROBERT WATCHMAN: That should be
7 page 9. Is that...? The next -- 'H', 'I', 'J', up --
8 could you go to 3J, a couple pages forward. Page 9, I
9 believe.

10 Okay. So we should be at PUB-MPI-2-41.
11 We're -- it should be 2-41? I think we're at 2-42,
12 page 9.

13

14 (BRIEF PAUSE)

15

16 MR. ROBERT WATCHMAN: Just -- if you
17 could scroll down, I think we could fit the -- if we
18 can try to get the whole table on there. Okay. Here
19 we go.

20 So the scenario that we're modelling
21 would provide for total Basic equity to go to zero in
22 the 2020 year, if it's a two (2) year forecast?

23 MR. LUKE JOHNSTON: Again, just to be
24 clear for everyone, per the conditions of this
25 scenario, in this -- and -- and -- or this request

1 only, which isn't something we're recommending. But
2 -- but to your question, yes, 2020.

3 MR. ROBERT WATCHMAN: Okay. So if we
4 go down to the last line in the -- in the table...

5

6 (BRIEF PAUSE)

7

8 MR. ROBERT WATCHMAN: Okay. So if we
9 look at the second-last line, the total equity, under
10 2020 is where we come to zero, and the indication
11 would be that in 2018, the lower threshold would be
12 approximately 161 million. Is that correct?

13 MR. LUKE JOHNSTON: Correct.

14

15 (BRIEF PAUSE)

16

17 MR. ROBERT WATCHMAN: Okay. So the
18 161 million would be the lower threshold under the
19 combined scenario at the 1:40 year probability,
20 including routine management and regulatory actions
21 that over a two (2) year time horizon would result in
22 Basic total equity remaining above zero?

23 MR. LUKE JOHNSTON: Under the
24 conditions of adequately transferring in funds to
25 achieve the assumed base case RSR in this question, so

1 maybe that could be saying, If we had built in our
2 base scenario and assumed RSR maintenance fee as part
3 of the base case, which is not the base case, then we
4 wouldn't need as much of the initial RSR as that. Is
5 that -- that's what -- what my interpretation of this
6 request is, yes.

7 So like you said, one sixty-one (161),
8 and maybe I missed your -- didn't answer your
9 question, but let me know. Sorry.

10 MR. ROBERT WATCHMAN: I think -- I
11 think the -- the point here is -- is that the -- the
12 combined scenario here, or the -- the model, the
13 iterative model, the -- here in terms of the combined
14 scenario sounds very similar to the Corporation's
15 objective that target capital -- in its target capital
16 analysis, and yet we result in a \$40 million
17 difference in the lower threshold.

18 And from your perspective, what is it
19 that's driving that difference? Why -- and -- and --

20 MR. LUKE JOHNSTON: Sure.

21 MR. ROBERT WATCHMAN: -- why do you
22 feel that the Corporation's estimate is superior?

23 MR. LUKE JOHNSTON: I think -- yeah.
24 I think I just described it. I'll repeat -- I'll
25 repeat it maybe more clearly. The assumption in the

1 base case scenario that your RSR balances can remain
2 consistently capitalized is not the case right now.
3 So if that was the case, and it was appropriate to
4 assume that, then we would probably show, like, the
5 same number as you, but that's why -- that's what the
6 main reason I think why we don't.

7 MR. ROBERT WATCHMAN: Thank you. I'm
8 going to move on now to the determination of the upper
9 threshold. And, of course, the Corporation is
10 proposing a -- a maximum upper RSR target of 438
11 million based on 100 percent MCT?

12 MR. LUKE JOHNSTON: Correct.

13 MR. ROBERT WATCHMAN: And there was
14 some comment -- you make some comment yesterday that,
15 you know, that there's been some comment as to isn't
16 MCT arbitrary? And -- and I think isn't it fair to
17 say that the comment or criticism of MCT is more in
18 the selection of the 100 percent figure as opposed to
19 the MCT itself?

20 MR. LUKE JOHNSTON: So the 100 percent
21 MCT, if you look at the -- the way the MCT calculation
22 is described, my understanding is experts on measuring
23 these risks did that and determined appropriate risk
24 loads at a certain tolerance level and -- which I
25 believe is 1:100, or it could be in ninety-nine point

1 five (99.5). I'll confirm that.

2 But similarity to how we do the DCAT,
3 we have to select a risk tolerance. So at the 100
4 percent level, it's a safer -- safe environment. It's
5 1:100 level risk. The MCT 100 percent ratio is
6 intended to cover risks at that level.

7 And when we'd say that the MCT is a
8 solvency test, I interpret that to mean, We're trying
9 to prevent total equity to go to zero, which is the
10 same thing that MPI is trying to do in our DCAT. One
11 hundred (100) percent MCT would appear to be a
12 external measure of the risk of falling to -- the RSR
13 falling to zero at a higher probability level or a --
14 or a higher risk threshold as determined by external
15 experts on the subject, that being the office of the
16 superintendent of financial institutions.

17 So I don't think the 100 percent MCT
18 ratio is arbitrary. I think picking something other
19 than that would become arbitrary, because then I don't
20 know anymore what risk tolerance I'm using. The MCT
21 test itself tells me what those risk levels represent,
22 but they -- I don't know what they are at 95 percent
23 MCT, or 60 percent MCT.

24 MR. ROBERT WATCHMAN: But I think
25 we've -- there's already evidence been provided that

1 different insurers with different risk profiles are
2 using different percentages of MCT.

3 MR. LUKE JOHNSTON: Every -- yeah.
4 Every insurer would have a different actual MCT except
5 by coincidence. As we've discussed, OSFI has a 150
6 percent regulatory target. SGI and ICBC, SGI used 100
7 -- or 100 percent target. ICBC, I believe it's either
8 a hundred or a hundred and forty-five (145). It's a
9 hundred or -- it's more than a hundred. Everybody is
10 using at least 100 percent as far as anybody that I
11 know about in -- in Canada.

12 MR. ROBERT WATCHMAN: Now getting back
13 to the dynamic capital adequacy testing, for the upper
14 threshold, the threshold that you determined based on
15 testing was 442 million. Is that correct?

16 MR. LUKE JOHNSTON: That's correct
17 based on the assumptions we used, yes.

18 MR. ROBERT WATCHMAN: All right. So -
19 - and so the variation in assumptions from the lower
20 threshold was that you used a combined scenario before
21 routine management and regulatory action, still using
22 the 1:40 year probability level, and this time, over a
23 three (3) year time horizon. And that's, again, to
24 test for Basic total equity to remain above the
25 Corporation's proposed lower RR -- RR -- excuse me,

1 RSR target of 201 million. Is that -- is that
2 correct?

3 MR. LUKE JOHNSTON: Correct.

4 MR. ROBERT WATCHMAN: Can you explain
5 why the upper threshold scenario testing was before
6 routine management and regulatory action while the
7 lower is after?

8 MR. LUKE JOHNSTON: Definitely. So we
9 understand that as this process has evolved, the DCAT
10 is measuring the absolute -- sorry, first -- first
11 off, the DCAT is just giving my opinion about whether
12 MPI's Basic satisfactory condition, a side kind of
13 calculation, and in our DCAT, which is definitely
14 unique, is to say, What's the absolute minimum amount
15 you could have to -- to have satisfactory financial
16 condition?

17 The absolute minimum is not a desirable
18 place to be, but it's a -- it -- it's a good number
19 for our -- our Board and MPI's board to have as a --
20 as a -- a point where you need to take action, the
21 action likely being a rebuilding fee. So it is
22 necessary. And so that -- that is that calculation.

23 The upper target, and -- and the range
24 itself, the -- the range is supposed to be a place
25 where you can handle most financial variability

1 without triggering rebuild fees or having rebates all
2 the time. Most, not all. Sometimes you fall below or
3 -- or sometimes you'll have a few good years in a row
4 and you might need a rebate but that's all we really
5 see is the purpose of the RSR. So something above
6 that absolute minimum.

7 And then at some point you -- you --
8 for the upper you get to a point where you don't
9 legitimately need that much RSR. You should rebate
10 it. In our proposal, we've said that a rating cycle
11 is about three (3) years. You know, what's the risk
12 of one (1) in forty (40) over a three (3) year period.
13 That's how we came up with the range. It's a -- it's
14 a proposal we think is appropriate. But we've also
15 included some other options there for consideration.

16 MR. ROBERT WATCHMAN: Thank you. Now,
17 Diana, if we could -- if we could go to PUB/MPI-2-42.
18 And similar to the manner in which we reviewed the
19 lower threshold on behalf of the Board, the
20 Information Requests, a determination of the upper
21 threshold based upon the iterative model -- modelling
22 approach.

23 And we did ask to keep -- to see the
24 combined scenario at various probability levels, but
25 including -- both excluding and including routine

1 management and regulatory action. And the request was
2 for a two (2) year time horizon, and testing to keep
3 Basic total equity to remain above 161 million.

4 And again we explained in the preamble
5 the reason for the iterative approach. In response
6 you've provided a similar reservation as you did with
7 the -- with the previous iterative model that was in
8 IR 2-41. Now, in this instance, if we could turn to
9 Appendix -- sorry, I should have -- I should have
10 asked. Is there anything different in -- in your
11 concerns or...

12 MR. LUKE JOHNSTON: No, I don't -- I
13 don't need to repeat them, but I will just highlight
14 the one (1) comment that this particular scenario
15 assumes \$305 million of transfers from competitive
16 lines, so. Otherwise my comments are the same.

17 MR. ROBERT WATCHMAN: So, Diana, if I
18 could ask you to turn to Appendix 4b of that
19 Information Request. That should be -- that should be
20 page 2, Appendix B. If you could shrink that. Okay.
21 Okay. So if we go to the bottom line, the total
22 equity balance line.

23 And we see again, we asked for the two
24 (2) year horizon such that the total equity balance
25 would reduce to 161 millions as of the two (2) year

1 time -- time horizon, which was the 2020 column.

2 MR. LUKE JOHNSTON: Yes.

3 MR. ROBERT WATCHMAN: That where it's
4 one-sixty-one (161). And if we go back then to the
5 current -- or to the 2018 column, it provides that the
6 upper target would be approximately 315 million.

7 MR. LUKE JOHNSTON: With all the
8 reservations that I don't need to repeat again, that
9 is the calculation requested in -- in this in this
10 question, three hundred and fifty (350).

11 MR. ROBERT WATCHMAN: Okay. And just,
12 again, to confirm that. The modelling that you ran
13 was before management and regulatory action?

14 MR. LUKE JOHNSTON: Correct, with --

15 MR. ROBERT WATCHMAN: With --

16 MR. LUKE JOHNSTON: -- the assumed
17 transfer of, I believe, yeah, \$305 million.

18 MR. ROBERT WATCHMAN: And so one (1)
19 of the pre-asks restates our request for modelling
20 after. And I assume that's coming.

21 MR. LUKE JOHNSTON: Correct. Yes, it
22 is. Yeah.

23 MR. ROBERT WATCHMAN: And we'll defer
24 any further questioning till next week.

25

1 (BRIEF PAUSE)

2

3 MR. LUKE JOHNSTON: I guess -- maybe
4 just to add on this. So we've looked at two (2)
5 numbers here as -- let's just call it an alternate way
6 to calculate a range. At the end of the day, I would
7 look back to the size of this range and compare it
8 with the financial variability analysis that we did in
9 the DCAT as a way of kind of assessing whether such a
10 range would be big enough or appropriate for MPI.
11 That's -- so I'll just add that -- that piece to that.

12 MR. ROBERT WATCHMAN: Okay. With that
13 I'm just going to then move on to the final portion
14 about rates, rebates, and rebuilding fees. And also
15 talk a little bit about whether a target range or a
16 single tar -- target might be more appropriate.
17 Diana, if we could go to PUB/MPI-1-68.

18

19 (BRIEF PAUSE)

20

21 MR. ROBERT WATCHMAN: And this
22 Information Request asked for the Corporation's
23 proposed rationale to be followed in future GRAs when
24 considering the need for an RSR building fees or
25 rebates, assuming that's an established -- assuming an

1 established Basic total equity target range.

2 And you indicated in the response that
3 MPI would suggest decisions should consider the
4 current circumstances of Basic, make good business
5 sense, and be in the overall best interests of the
6 public.

7 Can the Corporation state whether the
8 consideration of the current circumstances of basic in
9 that explanation encompasses only actual financial
10 results for Basic at that time, or whether it would
11 encompass forecasted financial results for Basic at
12 that time?

13

14 (BRIEF PAUSE)

15

16 MR. PETER YIEN: Maybe I can try this
17 at the high level first. The comment about consider
18 current Basic circumstance, at the time when we
19 finished up the year end we had about 98.5 million in
20 extension reserve with a required of about sixty-seven
21 (67). That gets about thirty-one-point-five (31.5)
22 access. When we look at that the situation that we
23 were in, it's no longer sustainable that we can
24 transfer from another line of business to sustain
25 Basic.

1 The Board also looked at the balance
2 between having affordable insurance and stability. I
3 guess one could argue that we would need no RSR
4 stabilization reserve if we didn't care about
5 stability, because we could easily just influence
6 rates.

7 I think the question that we have to
8 ask is, with all the scenarios is to what extent do we
9 want to minimize that rate shock. And so
10 philosophically the Board has chosen what they have,
11 knowing that it's neither sustainable in terms of
12 transfers. Basic, as per our actuary, is not in as
13 satisfactory a financial condition, because it does
14 fall below the minimum calculations.

15 So the combination of that -- of it
16 really tells us that it does not make good business
17 sense unless -- unless we did that. And then we would
18 then translate into, in the best interest of the
19 public, a rate increase of less than 3 percent.

20 And perhaps Ward Keith can talk about
21 that tomorrow, based on our customer surveys, that we
22 need to meet the combination of those, and hence that
23 drives the requirement for the rate stabilization
24 reserve, the upper target that we had talked about.
25 So it does consider both current and future ability to

1 transfer.

2 MR. ROBERT WATCHMAN: Mr. chairman, I
3 see we're after four o'clock. I'm fairly certain
4 we'll be finished before 4:30, if that's -- if we can
5 just continue.

6 THE CHAIRPERSON: Okay. Let's
7 continue.

8

9 CONTINUED BY MR. ROBERT WATCHMAN:

10 MR. ROBERT WATCHMAN: Thank you. Now,
11 in response to Information Request 168-B, the
12 Information Request was to discuss the merits of using
13 a Basic target capital range versus using a single
14 Basic target capital level. And in your response you
15 state:

16 "A range is preferable to a single
17 target capital level because it
18 identifies when rebuilding fees and
19 rebates should be considered."

20 And you also note:

21 "A single target capital level would
22 normally require rebates sur --
23 surcharges each year to balance to
24 the target, which does not promote
25 rate stability preferred by

1 ratepayers."

2 But would you agree that the balancing
3 to target required for a single target capital level
4 necessarily identifies when rebuilding fees and
5 rebates should be considered?

6 MR. LUKE JOHNSTON: I think all we're
7 talking about here is if we have a range we can stay
8 in that range and not have any kind of constant
9 rebuild fee or rebate fee, or whatever you want to
10 call it. Whereas, if we have a target capital --
11 let's say, for example, the target's \$200 million, and
12 wherever we are relative to \$200 million we're going
13 to move towards that amount and have a rebuilding fee
14 equal to one-fifth (1/5) of the amount that we need.
15 Notice, SGI has something like that. Whether they use
16 it or not all time, I don't --I don't know.

17 But that would mean we always have a
18 fee. Like, we're either building or rebating some
19 kind of fee in theory, if you're always going to move
20 to the target, like, unless you're right at it. That
21 would seem to add another level of instability to the
22 rate calculation. Our preference would be to have a
23 range that we operate in where no fee at all is
24 required, only in extreme circumstances when you fall
25 out of that -- that range.

1 MR. PETER YIEN: Maybe if I can add
2 this as well. When we do have a target, we are
3 guaranteeing fluctuations again. And again, it's a
4 philosophical discussion to say, Is it okay if we end
5 up having a situation? And imagine a world where we
6 don't have any substantial rate increases forever and
7 we keep it below 3 percent, but we will rebate it if
8 it goes above the upper RSR limit.

9 Having a target would also mean that in
10 -- in times of, I guess, when things are good and
11 would -- would it encourage us to do all the right
12 things that we should do, like continually build the
13 rate stabilization reserve. There is -- there's merit
14 to say that the business has a natural fluctuation
15 from year to year which we can't control, and the
16 range is simply to absorb those uncontrollable weather
17 events. And I'll just leave it at that.

18 MR. ROBERT WATCHMAN: So at what level
19 of rate change -- you've -- you've mentioned the rate
20 change of less than 3 percent. So is that the --
21 where the Corporation distinguishes rate sta --
22 stability from rate instability? And is that possibly
23 related to the level used to cap experience
24 adjustments for the vehicle rates?

25 MR. LUKE JOHNSTON: I didn't hear the

1 last piece, sorry.

2 MR. ROBERT WATCHMAN: The question
3 was: At what level does the Corporation -- what level
4 of rate change would the Corporation distinguish rate
5 stability from instability? And is that related to
6 the level used to cap experience adjustments for
7 vehicle rates?

8 MR. LUKE JOHNSTON: So I'll start by
9 saying, what's assumed in the -- the DCAT report. The
10 -- the DCAT assumes we'll never respond to events with
11 more than 5 percent total rate increase and rebuilding
12 fee, and we'll never have a rebuilding fee --
13 incremental rebuilding fee in a year of more than 2
14 percent. That is just an assumption that did come
15 into play, I believe in the '90s with the Public
16 Utilities Board where we had to have rebuilding fees.
17 And the way it was applied was 2 percent, then up to
18 four (4), then up to six (6).

19 That, I think, is a reasonable
20 assumption in terms of reaction. Obviously if we --
21 if we want to put in the DCAT if anything bad happens,
22 everyone gets a 15 percent rate increase, then as Mr.
23 Yien said, we wouldn't need a RSR. We'd just increase
24 rates by 15 percent and get all our -- all the money
25 we needed immediately. But that isn't seen as

1 appropriate at all. So the management actions we have
2 in there, I think, are reflective of what we consider
3 -- are considered to be appropriate levels of
4 increases in rebuilding fees.

5 MR. ROBERT WATCHMAN: Okay. Would it
6 not be possible to impose limits on the process of
7 balancing to a target required for the single target
8 capital level, so as to avoid this rate instability?

9 MR. PETER YIEN: I think theoretically
10 and practically, we see others have -- are doing that,
11 but it does go back to what is the range that we're
12 operating in. Once we're in the right range and not
13 operating at the minimums that we are talking about,
14 absolutely. You could pick a number over five (5)
15 years and you get to it, or whatever, the number that
16 makes sense. But, yeah, that does moderate the
17 fluctuations by making it step-by-step build back up.

18 MR. ROBERT WATCHMAN: Okay. And I
19 think you might've anticipated my next question,
20 because the in PUB/MPI-238, we asked whether you could
21 confirm whether Saskatchewan Auto Fund uses the single
22 target rate and describe their process in terms of
23 rebuild and rebate. And that is the PUB/MPI-238, and
24 I believe we have attached to that Information
25 Requests information actually from SGI which talks

1 about their process and -- and the distinction between
2 the capital management provision, sorry, capital
3 maintenance provision and the rebuilding provision.

4 If we just scroll down to the next page
5 where it talks about the -- a little further down,
6 please, Diana. The capital management, and a little
7 further, please, then we'll get to -- okay. Okay.
8 Just a little bit further and we'll get there. Ah,
9 here we go. And so it appears that the Saskatchewan
10 Ottawa -- Auto Fund uses a one (1) in five (5) either
11 rebuild or rate rebate process so that it would be
12 spread out over five (5) years.

13 MR. PETER YIEN: Yes.

14 MR. LUKE JOHNSTON: May -- maybe I'll
15 just add to this. I didn't -- they have a capital
16 management policy. Whether that policy is always
17 followed, I don't know. I -- I don't know. I -- I --
18 the -- in the -- in their document, it does say that
19 final authority as to what, if any, rate action is to
20 be taken is reserved to that SGI Board of Directors.
21 So it's not -- maybe they follow it right to the word.
22 But maybe they insert some management judgment, just -
23 - just for that -- just to add that.

24 MR. ROBERT WATCHMAN: Now, Diana,
25 could we go to Exhibit MPI-11, page 17. And this is,

1 Mr. Yien, when you were presenting on -- on Monday and
2 talking about the range. And in the bullet point just
3 before the graphic is that:

4 "When total equity is in range,
5 there is no ask of ratepayers."

6 And in your evidence in -- when you
7 were presenting, perhaps we could go to the
8 transcript, Diana, for October the 2nd, page 107. And
9 towards the bottom of that page beginning at line 21.
10 You stated:

11 "So while it's operating in -- in
12 the range, we are not in a position
13 to ask a -- or ask for a rebuilding
14 of the RSR rate stabilization. We
15 are not asking ratepayers for rate
16 increases."

17 So just to clarify, when you say you're
18 operating in the range, are you saying you're not
19 asking for rate increases associated with rebuilding
20 or rate increases at all?

21 MR. PETER YIEN: It is for rebuilding.

22 MR. ROBERT WATCHMAN: Oh, rebuilding.

23 Okay.

24 MR. PETER YIEN: Yes.

25 MR. ROBERT WATCHMAN: So -- so the --

1 the total capital level would be independent of
2 indications that the approved premiums are deficient?

3 MR. LUKE JOHNSTON: Yeah, we would
4 expect to apply for accepted actuarial practice rates.
5 We wouldn't -- if -- if AAP said we needed a 5 percent
6 rate increase and we had a -- in the middle of the RSR
7 range we wouldn't say, Forget -- forget about it.
8 Don't apply for the 5 percent. We'd still want to
9 apply for AAP rates under that scenario.

10 MR. ROBERT WATCHMAN: Okay. So -- so
11 just to be clear, having a -- having a range is still
12 no guarantee against future rate increases if
13 forecasting demonstrates that the approved premiums
14 are deficient?

15 MR. PETER YIEN: That's correct. And
16 I go back to -- maybe if I can go back to the slide
17 about -- I'm not sure if the one (1) before. We had
18 described what the purpose of our rate stabilization
19 reserve is. Do -- do we have the slide number? I
20 don't want to -- can we just pull it up?

21

22 (BRIEF PAUSE)

23

24 MR. PETER YIEN: Pardon me. We'll
25 just take a minute just to find the slide.

1

2

(BRIEF PAUSE)

3

4

MR. PETER YIEN: Why don't we go to RSR-3. Thank you. So essentially, this is the definition that -- and purpose of the RSR that we've adopted, is it talks about the variance from forecasted results to the events and losses arising from nonrecurring events or factors, just to clarify that.

10

MR. ROBERT WATCHMAN: Thank you very much. Mr. Chairman, subject to further questions on undertakings and pre-asks that completes our questioning.

11

THE CHAIRPERSON: Thank you very much.

12

MR. MATTHEW GHIKAS: Mr. Chairman, so, sorry --

13

THE CHAIRPERSON: So --

14

MR. MATTHEW GHIKAS: -- before we sign off, I had one (1) more undertaking -- or, sorry, undertaking I could respond to now, if it's okay.

15

THE CHAIRPERSON: Sure.

16

MR. MATTHEW GHIKAS: Thank you. So this is in response to Undertaking number 1:

17

"Please submit the proposal or RFP

1 for the ALM study."

2 And this would be MPI Exhibit 14, and
3 as my colleague, Mr. Scarfone, indicated the
4 successful bidder is Mercer Canada. Thank you and we
5 have copies here for circulation.

6

7 --- EXHIBIT NO. MPI-14: RFP for ALM study
8 submitted by Mercer Canada

9

10 THE CHAIRPERSON: Thank you, sir.
11 Thank you, everyone. We will reconvene at nine
12 o'clock tomorrow morning with Mr. -- sorry, with Mr.
13 Ward Keith. Thank you. Good -- good evening.

14

15 --- Upon adjourning at 4:21 p.m.

16

17 Certified Correct,

18

19

20

21 _____

22 Cheryl Lavigne, Ms.

23

24

25