



“When You Talk - We Listen!”



MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA PUBLIC INSURANCE CORPORATION (MPI)
2020/2021 GENERAL RATE APPLICATION

HEARING

Before Board Panel:

Irene Hamilton, QC - Board Chairperson
Robert Gabor, QC - Board Chair
Carol Hainsworth - Board Member

HELD AT:

Public Utilities Board
400, 330 Portage Avenue
Winnipeg, Manitoba
October 21, 2019
Pages 2051 to 2274

1 APPEARANCES
2
3 Kathleen McCandless) Board Counsel
4 Robert Watchman)
5 Roger Cathcart) Consultant
6 Brian Pelly (np)) Advisor
7 Blair Manktelow (np)) Advisor
8
9 Steven Scarfone) Manitoba Public
10 Michael Triggs (np)) Insurance
11 Anthony Guerra)
12
13 Byron Williams) CAC (Manitoba)
14 Katrine Dilay (np))
15
16 Charlotte Meek (np)) CMMG
17 James Wood (np))
18
19 Christian Monnin (np)) Bike Winnipeg
20 Charles Feaver)
21
22 Curtis Unfried) IBAM
23 Jennifer Sokal)
24 (Articling student)
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES (CONT'D)

Denis Guenette (np))Attorney General
Tamara Edkins (np))of Manitoba
(Articling Student)

1	TABLE OF CONTENTS	
2		Page No.
3	List of Exhibits	2058
4	List of Undertakings	2060
5		
6	MPI PANEL NO. 8 CONTINUED:	
7	BENJAMIN GRAHAM, Previously Sworn	
8	CURTIS WENNBERG, Previously Sworn	
9	CAROL HORA, Previously Sworn	
10	SHAYON MITRA, Previously Sworn	
11		
12	Re-direct-examination by Mr. Steven Scarfone	2070
13		
14	CAC WITNESS PANEL:	
15		
16	ANDREA SHERRY, Sworn	
17	WAYNE SIMPSON, Sworn	
18	JOHN TODD, Affirmed	
19		
20	Examination-in-Chief by Dr. Byron Williams	2089
21	Cross-examination by Mr. Steven Scarfone	2143
22	Cross-examination by Mr. Anthony Guerra	2226
23	Cross-examination by Mr. Robert Watchman	2258
24	Certificate of Transcript	2274
25		

LIST OF EXHIBITS		
EXHIBIT NO.	DESCRIPTION	PAGE NO.
1		
2		
3	MPI-66	MPIC quarterly financial report
4		of the second quarter 2067
5	MPI-67	Response to Undertaking 9 2067
6	MPI-68	Response to Undertaking 11 2067
7	MPI-69	MPIC to Undertaking 13 2067
8	MPI-70	Response to Undertaking 16 2068
9	MPI-71	Response to Undertaking 17 2068
10	MPI-72	Response to Undertaking 18 2068
11	MPI-73	MPIC revised version of
12		Information Request PUB-1-50 2068
13	CAC-16	'Protecting Consumers Against Risk: How
14		Far Should it Go' PowerPoint 2088
15	CAC-17	Assessment of the Capital Management
16		Plan PowerPoint 2089
17	MPI-74	Revised version of CMMG-1-19 2139
18	MPI-75	Response to Undertaking 7 2139
19	MPI-76	Response to Undertaking 10. 2139
20	MPI-77	Response to Undertaking 12 2139
21	MPI-78	Response to Undertaking 23 2140
22	MPI-79	Response to Undertaking 25 2140
23	MPI-80	Response to Undertaking 28 2140
24	MPI-81	Response to Undertaking 29 2140
25	MPI-82	Response to Undertaking 30 2140

1	LIST OF EXHIBITS		
2	EXHIBIT NO.	DESCRIPTION	PAGE NO.
3	MPI-83	Response to Undertaking 31	2141
4			
5			
6			
7			
8			
9			
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1	LIST OF UNDERTAKINGS	
2	NO.	PAGE NO.
3	35	MPI to provide screenshots
4		of IWS system 2063
5	36	CAC to provide a analysis on a
6		theoretical basis or a conceptual basis
7		of Appendix 1(d) of the DCAT section of
8		the application to indicate whether
9		there are any specific elements within
10		the derivation of the MCT ratio that
11		are of questionable applicability to a
12		public Crown Corporation 2265
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 --- Upon commencing at 10:49 a.m.

2

3 THE CHAIRPERSON: Okay. Thank you.

4 Ms. McCandless, do you have any matters to discuss?

5 MS. KATHLEEN MCCANDLESS: No, not at
6 this time.

7 THE CHAIRPERSON: Okay.

8 MS. KATHLEEN MCCANDLESS: I believe
9 it's just for the panel to ask questions --

10 THE CHAIRPERSON: Okay. Thank you.

11 MS. KATHLEEN MCCANDLESS: -- and then
12 MPI's re-examine.

13 THE CHAIRPERSON: Okay. Questions?

14

15 MPI PANEL NO. 8 CONTINUED:

16 BENJAMIN GRAHAM, PREVIOUSLY SWORN

17 CURTIS WENNBERG, PREVIOUSLY SWORN

18 CAROL HORA, PREVIOUSLY SWORN

19 SHAYON MITRA, PREVIOUSLY SWORN

20

21 BOARD MEMBER GABOR: Yeah. Ms. Hora,
22 thank you for being here. I'm going to start off by
23 saying that I'm going to go directly against what
24 Mr. Graham said.

25 I'm going to give you an assumption --

1 give you a hypothetical situation. And the
2 hypothetical situation is I don't like the weather in
3 Vancouver. So I'm moving back from BC to Manitoba so
4 I can see some sun, and I have to buy some insurance,
5 and you're at the service centre, and you're the
6 person I'm talking to at the service centre to buy
7 some insurance. Okay?

8 MS. CAROL HORA: Okay.

9 BOARD MEMBER GABOR: So I'm sitting
10 across the desk from you, and your computer is on.
11 What is on your screen? What are the questions you
12 are asking me that is on your screen in terms of the
13 insurance I want?

14 MS. CAROL HORA: So our IWS system.

15 BOARD MEMBER GABOR: Okay.

16 MS. CAROL HORA: When a customer has
17 been already set up -- so we've got your identity, and
18 you're already scheduled as a customer, and we are
19 setting up a policy for you what will come up on the
20 screen is, first of all, the Basic insurance.

21 BOARD MEMBER GABOR: Correct.

22 MS. CAROL HORA: So that would be,
23 like, a -- a line item under the whole -- that would
24 be the first one in a whole list of options of
25 Extension products that would be available to you.

1 BOARD MEMBER GABOR: Okay. So in
2 terms of the Basic, am I asked what level of
3 third-party liability insurance I want?

4 MS. CAROL HORA: Yes. But the Basic
5 is \$200,000.

6 BOARD MEMBER GABOR: Two hundred
7 thousand (200,000).

8 MS. CAROL HORA: Right?

9 BOARD MEMBER GABOR: And am I -- am I
10 asked, your levels are five hundred thousand
11 (500,000), a million?

12 MS. CAROL HORA: These are your
13 options.

14 BOARD MEMBER GABOR: Those are the
15 options.

16 MS. CAROL HORA: Yes.

17 BOARD MEMBER GABOR: Okay. And
18 essentially this is what -- for you, this is a -- a
19 checkbox?

20 MS. CAROL HORA: Yeah. It's -- it's a
21 line item that if you click on it, it's highlighted.

22 BOARD MEMBER GABOR: Right.

23 MS. CAROL HORA: So it becomes part of
24 the policy that we're going to sell you.

25 BOARD MEMBER GABOR: Okay. The next

1 thing is -- what -- deductible?

2 MS. CAROL HORA: And it would be the
3 same scenario. The Basic deductible is \$500.

4 BOARD MEMBER GABOR: M-hm.

5 MS. CAROL HORA: And these are some
6 other options that are available to you.

7 BOARD MEMBER GABOR: So on the same
8 screen or do you --

9 MS. CAROL HORA: All on the same
10 screen.

11 BOARD MEMBER GABOR: It's all on the
12 same screen. What else is on that screen?

13 MS. CAROL HORA: I happen to have it
14 right here.

15 BOARD MEMBER GABOR: Okay.

16 MS. CAROL HORA: So we have
17 Extension -- sorry?

18 MR. STEVEN SCARFONE: So -- sorry to
19 interrupt, Ms. Hora; you're doing a great job -- I
20 just wanted to say, Mr. Gabor, that those screenshots
21 could be filed as an exhibit.

22 But we would suggest -- 'cause they
23 might be of some assistance to the Board, we could
24 file them on the confidential module because they do
25 contain some of the pricing for the competitive

1 products. But it might be helpful --

2 BOARD MEMBER GABOR: Is it possible to
3 have on the public record the screenshots without the
4 pricing?

5 MS. CAROL HORA: We could redact --

6 BOARD MEMBER GABOR: Okay.

7 MS. CAROL HORA: -- the price out of
8 the screenshots.

9 BOARD MEMBER GABOR: Yeah. I don't --
10 I don't really care about the prices. I -- I just
11 want to know what the options are.

12 MR. STEVEN SCARFONE: Yes. So we can
13 do that.

14 BOARD MEMBER GABOR: Okay.

15 THE COURT OPERATOR: Is that an
16 undertaking?

17 BOARD MEMBER GABOR: Yes.

18

19 --- UNDERTAKING NO. 35: MPI to provide screenshots
20 of IWS system

21

22 MS. CAROL HORA: So other -- other
23 Extension products are also listed. In fact, all of
24 the Extension products would be listed dependent on
25 the vehicle type --

1 BOARD MEMBER GABOR: Right.

2 MS. CAROL HORA: -- and the type of
3 insurance --

4 BOARD MEMBER GABOR: Okay.

5 MS. CAROL HORA: -- that you select.

6 BOARD MEMBER GABOR: So I -- I make
7 the choice at that time, and then I assume it generate
8 a -- a policy and a premium?

9 MS. CAROL HORA: Correct.

10 BOARD MEMBER GABOR: Okay.

11 MS. CAROL HORA: And then the options
12 would be offered as far as payments.

13 BOARD MEMBER GABOR: Okay. And based
14 on Mr. Graham's testimony earlier, you sell the
15 Extension. You're not telling me about your
16 competitor's Extension policies.

17 MS. CAROL HORA: That is correct.

18 BOARD MEMBER GABOR: Okay. Now, I --
19 I want you to answer this if you know it. If not,
20 that's fine.

21 When the agents -- if I'm going to an
22 agent and I'm sitting across the desk from them and
23 they turn on their computer, is it the same screen
24 they're looking at, or is it a different screen?

25 MS. CAROL HORA: It is the exact same

1 screen.

2 BOARD MEMBER GABOR: Okay. Thank you.

3 Those are my questions.

4 THE CHAIRPERSON: Thank you. I have
5 one questions for Mr. Graham in relation to a comment
6 that you made about trailing commissions and that the
7 trailing commissions were all paid up front.

8 Can you provide a little bit more
9 detail? Is it all five (5) years, or is it just with
10 the -- even --

11 MR. BENJAMIN GRAHAM: No. I'm sorry.
12 I'm sorry for the confusion. I -- I believe that at
13 the time of reassessment if I was to go in and -- or -
14 - I hate the confusion between reassessment and renew,
15 but I -- I pay for my reassessment.

16 The broker on record would receive that
17 commission in full at that time. So if the policy is
18 canceled -- so I actually love the weather in
19 Vancouver, so I decide I want to move to Vancouver,
20 then I would cancel that policy, move to Vancouver. I
21 would get a pro rata refund of the premium, but the
22 broker would retain all of the commission. Yes.

23 THE CHAIRPERSON: Thank you. That's
24 very helpful. One other questions that I have for
25 you, Mr. Graham, is in relation to the slide deck that

1 we saw about the shared service delivery model?

2 MR. BENJAMIN GRAHAM: Yeah.

3 THE CHAIRPERSON: There were two (2)
4 scenarios, and I believe this was -- it was presented
5 in terms of the rate reductions of 1.7 percent -- and
6 I believe that that was the commission rate
7 reductions -- or 4.4 percent.

8 And is that something that you would
9 anticipate the public seeing, or is that something
10 that would be there in order to fund the project?

11 MR. BENJAMIN GRAHAM: No. Those were
12 just parts of the analysis. We just wanted to see
13 what that commission saving if that was to flow back
14 through the Basic product.

15 If -- if we were comparing apples to
16 apples, the -- if that money went back into the
17 current pricing model in, which we are in front of you
18 asking for today, then it would lead to a reduction in
19 Basic rates of that percentage.

20 THE CHAIRPERSON: Okay. Thank you. I
21 don't have any further questions. Mr. Scarfone?

22 MR. STEVEN SCARFONE: Thank you,
23 Madam Chair. Just before I begin my re-direct, we've
24 fallen behind on our exhibits. So I'd like to take a
25 moment to file some exhibits and put them on the

1 record?

2 THE CHAIRPERSON: Thank you.

3 MR. STEVEN SCARFONE: MPIC Exhibit
4 number 66 is the quarterly financial report -- the
5 second quarter.

6

7 --- EXHIBIT NO. MPI-66: MPIC quarterly financial
8 report of the second
9 quarter

10

11 MR. STEVEN SCARFONE: MPIC Exhibit
12 number 67 is a response to Undertaking number 9.

13

14 --- EXHIBIT NO. MPI-67: Response to Undertaking 9

15

16 MR. STEVEN SCARFONE: MPIC Exhibit
17 number 68 is a response to Undertaking number 11.

18

19 --- EXHIBIT NO. MPI-68: Response to Undertaking 11

20

21 MR. STEVEN SCARFONE: MPIC Exhibit
22 number 69 is a response to Undertaking number 13.

23

24 --- EXHIBIT NO. MPI-69: MPIC to Undertaking 13

25

1 MR. STEVEN SCARFONE: MPIC Exhibit
2 number 70 is a response to Undertaking number 16.

3

4 --- EXHIBIT NO. MPI-70: Response to Undertaking 16

5

6 MR. STEVEN SCARFONE: MPIC Exhibit
7 number 71 is a response to Undertaking number 17.

8

9 --- EXHIBIT NO. MPI-71: Response to Undertaking 17

10

11 MR. STEVEN SCARFONE: MPIC Exhibit
12 number 72 is a response to Undertaking number 18.

13

14 --- EXHIBIT NO. MPI-72: Response to Undertaking 18

15

16 MR. STEVEN SCARFONE: And lastly, MPIC
17 Exhibit number 73, it appears to be a revised version
18 of Information Request PUB-1-50.

19

20 --- EXHIBIT NO. MPI-73: MPIC revised version of
21 Information Request
22 PUB-1-50

23

24 MR. STEVEN SCARFONE: And then lastly,
25 one (1) other housekeeping matter before the re-

1 direct. I understand Ms. Hora would like to go on the
2 record and correct something that was provided on
3 Friday during her evidence.

4 MS. CAROL HORA: Good morning. Yes.
5 I was questioned on our service levels in the contact
6 centre as far as our call answer time.

7 I misspoke and provided an incorrect
8 number. So I would like -- just like to clarify that
9 our public calls are target service levels are to
10 answer the calls within one hundred and twenty (120)
11 seconds 70 percent of the time which is what I stated
12 on Friday.

13 Non-forced broker calls, our target is
14 to answer them within ninety (90) seconds 80 percent
15 of the time which was also correctly spoken on Friday.

16 The error was in the forced calls from
17 brokers. I stated sixty (60) seconds 80 percent of
18 the time, and it's actually thirty (30) seconds
19 80 percent of the time.

20 And I wanted to correct that. Thank
21 you.

22 THE CHAIRPERSON: Thank you, Ms. Hora.
23 Mr. Scarfone?

24

25 (BRIEF PAUSE)

1 RE-DIRECT-EXAMINATION BY MR. STEVEN SCARFONE:

2 MR. STEVEN SCARFONE: Thank you,
3 Madam Chair.

4 Kristen, could you pull up IBAM Exhibit
5 number 8 for me, please?

6 A question for Mr. Graham. Mr. Graham,
7 you recall counsel for the Insurance Brokers
8 Association put to you this news release following the
9 province having announced your appointment as
10 president of MPI?

11 MR. BENJAMIN GRAHAM: Yes, I recall.

12 MR. STEVEN SCARFONE: And if you
13 scroll down, he brought to your attention one more --
14 thanks, Kristen -- he brought to your attention that
15 highlighted portion there that reads:

16 "We are confident that he can build
17 on the successes and dedicated
18 leadership of the corporation's
19 current president and CEO
20 Dan Guimond."

21 Do you see that?

22 MR. BENJAMIN GRAHAM: I do.

23 MR. STEVEN SCARFONE: And, sir, you'll
24 also recall that there was a suggestion made, and I
25 think you candidly admitted as much that you didn't

1 have any experience with the Manitoba market when you
2 took this job. Correct?

3 MR. BENJAMIN GRAHAM: That is correct.
4 I think I've maybe facetiously answered that I was
5 a -- a quick learner.

6 MR. STEVEN SCARFONE: Yes. No. And
7 I'm not asking about that, but you also indicated that
8 you were able to draw upon the experience of some of
9 the people that were at MPI at the time including
10 Mr. Keith.

11 MR. BENJAMIN GRAHAM: Yes, that's
12 correct.

13 MR. STEVEN SCARFONE: And was
14 Mr. Keith available to you in the same -- in the same
15 office? In the same --

16 MR. BENJAMIN GRAHAM: Yes. Mr. Keith
17 was located -- his office was two (2) doors down from
18 mine.

19 MR. STEVEN SCARFONE: Okay. And
20 anybody else that you can recall on the executive or
21 perhaps others in senior management that assisted you
22 in your early days as president of MPIC?

23 MR. BENJAMIN GRAHAM: A-- a lot of the
24 senior staff provided guidance. So just trying to get
25 up to date with the historical events, so again, we've

1 spoken this morning about historical agreements,
2 trying to understand the reasoning behind those.

3 And just the way -- and again, able to
4 bring private experience into this role, I think, was
5 what was required by the Board of Directors. But I
6 was still learning what the public insurance mandate
7 was all about.

8 MR. STEVEN SCARFONE: Okay. Thank
9 you. And on another area that -- questions were put
10 to you about the different models that MPIC had
11 designed for its future delivery of services. Do you
12 recall those models, sir?

13 MR. BENJAMIN GRAHAM: Yes, I do.

14 MR. STEVEN SCARFONE: And in your
15 evidence, you indicated -- I made a note that MPIC
16 prefers what was called the shared delivery model in
17 that analysis. Do you recall that?

18 MR. BENJAMIN GRAHAM: Yes, I do.

19 MR. STEVEN SCARFONE: Can you just
20 briefly explain what it is about the shared delivery
21 model that MPIC likes and why it's preferred?

22 MR. BENJAMIN GRAHAM: It's a very
23 simple reason. Again, the move to online transactions
24 is a journey that we must -- we must undertake, and
25 we're in the process of doing that.

1 What I want to be able to do is to make
2 sure that if a customer wants to deal directly with
3 MPI -- and again, without going into the details of
4 compensation and potential savings on commissions that
5 could occur -- if you wanted to go directly through
6 MPI, you would have that choice.

7 But then if you wanted to go through a
8 broker, you might potentially go into a broker, not
9 have time to do the transaction there, and then go
10 home and go through their website so they receive
11 appropriate commissions. I don't have an issue with
12 that either.

13 So I just want to make sure that we're
14 really opening the door for customers to transact with
15 us in any way possible.

16 MR. STEVEN SCARFONE: Okay. Thank
17 you. And, Kristen, IBAM-15, please?

18 This article was put to you,
19 Mr. Graham, by counsel for the Insurance Brokers
20 Association, and a quote was read back to you from
21 Ms. Jardine. Do you recall that?

22 MR. BENJAMIN GRAHAM: Yes, I do.

23 MR. STEVEN SCARFONE: I keep going --
24 next page, I believe. Right there.

25 So I had a follow-up question on this

1 particular quote. It reads:

2 "Anyone who thinks it's easy to
3 direct insurance is extremely
4 naive."

5 Can you explain what she means, if you
6 can, by "direct insurance"?

7 MR. BENJAMIN GRAHAM: I think what
8 Ms. Jardine is referring to is that when they went
9 into a new province of Quebec to do business, the
10 bricks and mortar model are only providing services
11 online direct to customers in a province that you
12 don't have a strong footing in would be extremely
13 difficult to get the level of market share and be able
14 to technically price products appropriately to be
15 profitable.

16 So for them, I believe it was difficult
17 to do so, and therefore, taking a step back, they felt
18 that the distribution of their products as customers
19 in Quebec would potentially go to a broker or go
20 through an online portable -- portal that compares
21 private products. That was a more cost efficient way
22 of doing it.

23 MR. STEVEN SCARFONE: Okay. So when
24 she goes on to say there that the:

25 "The one thing I know is that

1 brokers look after their customers
2 better than the directs."

3 Is that kind of meaning the same thing?
4 So that -- I know this is from the -- an article from
5 an insurance magazine but the underwriter -- but what
6 does that mean, better than directs? Like, that seems
7 to be some insurance lingo that --

8 MR. BENJAMIN GRAHAM: I -- I think in
9 a -- in a private market selling consumer line
10 products, the market is demanding in that private
11 market to really ask for a comparison and that
12 customer choice.

13 So instead of customers going to
14 eight (8) different direct websites, they could simply
15 go through a broker and get -- get the rating engine
16 to do it for them.

17 MR. STEVEN SCARFONE: I see. Okay.
18 And so that brings me to my next point. Counsel for
19 the Insurance Brokers Association also pointed out to
20 you and the panel members the SGI accord, that is the
21 remuneration agreement that SGI has with its brokers.
22 Correct? You recall that?

23 MR. BENJAMIN GRAHAM: Yes, I do.

24 MR. STEVEN SCARFONE: And I guess the
25 first question is: Does MPIC in any way feel

1 compelled to do what the Saskatchewan Government
2 Insurance people are doing?

3 MR. BENJAMIN GRAHAM: No. We are not
4 compelled at all.

5 MR. STEVEN SCARFONE: Okay. Are you
6 familiar at all with the model that the Saskatchewan
7 general insurance uses?

8 MR. BENJAMIN GRAHAM: Yeah. I -- I
9 believe the reference was probably in relation to how
10 brokers are a part of their online transaction
11 process.

12 So the way that it works there is that
13 a customer would go to a -- potentially a -- a
14 broker's website. There's two (2) ways to do it. You
15 could either go through a broker's website, and then
16 there would be a simple link to "MySGI," which is the
17 primary system, something similar to what we want to
18 do here.

19 The other way would be that you would
20 just go straight to MySGI and at the time of final
21 transaction -- so once you've picked your policy, you
22 would then have a drop-down menu where you select a
23 broker of record, and they would receive the
24 commission on that transaction.

25 So you could potentially not even go

1 through a broker website to gain any further
2 information, and all -- all the information would be
3 on the SGI website anyway. But you are forced to
4 select a broker whether you've spoken to one or not.

5 MR. STEVEN SCARFONE: So the MySGI
6 sounds like a customer account of sorts?

7 MR. BENJAMIN GRAHAM: That's correct.

8 MR. STEVEN SCARFONE: And that's --
9 that's accessed directly through the Saskatchewan
10 Government Insurance website?

11 MR. BENJAMIN GRAHAM: Yeah. You can
12 do it either way. So the -- yeah. There would be a
13 link either on a broker website or it would be
14 directly through the -- the government portal.

15 MR. STEVEN SCARFONE: And also there
16 was some reference to the accord that the British
17 Columbia people have in place with their brokers. Are
18 you familiar with that particular agreement?

19 MR. BENJAMIN GRAHAM: Yes, I am.

20 MR. STEVEN SCARFONE: And, again, is
21 MPIC compelled to -- to do what the people in British
22 Columbia are doing?

23 MR. BENJAMIN GRAHAM: Not compelled
24 but same as the SGI model. I think we obviously apply
25 better -- what we consider better practice in the

1 Manitoba context.

2 There are some parts of that that we
3 are very aware of. There is the -- we had some
4 discussions earlier this morning with Mr. Williams
5 about a messenger model or a rate card.

6 We're very well aware of -- well, we're
7 starting to become more aware of the implications
8 around the Competition Act, and the way that ICBC have
9 dealt with it is through that R-ish (phonetic)
10 messenger model.

11 So we are looking at the different
12 models and how they deal with such a large body
13 versus, you know, something like, you know, when we
14 discussed the -- the rental car industry, it's
15 probably easier to go down a rate card type of model
16 there as compared to something like a -- an Irish
17 messenger model.

18 But we are aware of it, and it's on the
19 radar. We're just looking into it now and how we
20 apply that on any future discussions that we have with
21 representatives of a -- of a customer base.

22 MR. STEVEN SCARFONE: So the ICBC
23 model employs, what you're calling, an Irish messenger
24 model?

25 MR. BENJAMIN GRAHAM: Yes, that's

1 correct.

2 MR. STEVEN SCARFONE: And what about
3 the SGI model? Do you know if it does as well?

4 MR. BENJAMIN GRAHAM: No. I believe
5 that it's negotiated.

6

7 (BRIEF PAUSE)

8

9 MR. STEVEN SCARFONE: Thank you.
10 Kristen, could you pull up the revised version of IBAM
11 Exhibit number 11, please?

12

13 (BRIEF PAUSE)

14

15 MR. STEVEN SCARFONE: Mr. Wennberg, do
16 you recall counsel for the Insurance Brokers
17 Association bringing this document up on the screen on
18 Friday?

19 MR. CURTIS WENNBERG: Yes, I do.

20 MR. STEVEN SCARFONE: And if I
21 understood, what this document shows is that using the
22 commissions that were paid out in the starting year,
23 2009/2010, of 69 million, other than the -- the very
24 immediate successive year, the commissions are not, in
25 his view, keeping up with the Canadian price index.

1 Is that right?

2 MR. CURTIS WENNBERG: That's correct.

3 MR. STEVEN SCARFONE: And are you able
4 to say, sir, when it was -- what year the Corporation
5 moved from the one (1) year renewal to the five (5)
6 year?

7 MR. CURTIS WENNBERG: It was 2010. So
8 the expectation for the commissions, as you've seen in
9 that 2008 agreement, was the -- the commissions for
10 not doing work in years two (2), three (3), four (4),
11 and five (5) of a five (5) year renewal was supposed
12 to result in -- in less overall compensation. There
13 was some ma -- mitigating factors for it, but it was
14 implied to be less.

15 What you see on this chart is that it -
16 - it still actually increased on an absolute level,
17 and it increased to almost the rate of inflation as
18 well.

19 MR. STEVEN SCARFONE: But so in 2010
20 and '11, or perhaps the next year, the number of
21 transactions performed by the brokers would have
22 decreased?

23 MR. CURTIS WENNBERG: Correct.

24 MR. STEVEN SCARFONE: And that's due
25 to the new renewal of the driver's licences?

1 MR. CURTIS WENNBERG: Correct.
2 Customers didn't need to go to a broker's to -- to --
3 shop to change any of their reassessment years,
4 meaning year two (2), three (3), four (4), and five
5 (5). And what we see in that period is that most of
6 them are clean assessments, and -- and they just
7 aren't changed. The policies really don't change that
8 much.

9 MR. STEVEN SCARFONE: Thank you. And
10 then, again, for Mr. Wennberg, do you recall counsel
11 for the insurance brokers' association had some
12 questions of the panel about the possible loss of the
13 sale of Extension products if the Corporation was to
14 go online? Do you recall that?

15 MR. CURTIS WENNBERG: Yes.

16 MR. STEVEN SCARFONE: And the reason
17 for that, as I understood his argument, was that the
18 Manitoba customer is not a sophisticated customer, or
19 what he called mature. Do you recall that?

20 MR. CURTIS WENNBERG: Yes.

21 MR. STEVEN SCARFONE: And that their -
22 - Manitobans are notorious for being frugal or seeking
23 out deals?

24 MR. CURTIS WENNBERG: Yes.

25 MR. STEVEN SCARFONE: So is there

1 anything, and I appreciate that the Corporation hasn't
2 designed its -- its online -- its proposed online
3 services -- but is there anything that the Corporation
4 has in mind that would guard against a customer not
5 selecting insurance products that he or she had
6 previously purchased through a broker?

7 MR. CURTIS WENNBERG: Yes. And we --
8 we covered some of these ideas in -- in -- in the
9 hearing. There was also a comment around if someone
10 had been drinking, how could we -- how could we make
11 sure that they're protected in their transaction, and
12 -- and -- and it's very interesting.

13 When you think about it, what -- what
14 my colleague, Mr. Graham, was saying is that we're
15 looking at a shared model. So this issue applies
16 whether they're going through an insurance broker site
17 or the MPI site. We would look at things that would
18 be potentially giving customers what their existing
19 insurance selections were so that they at least know
20 that if they're making a change, they may want to
21 think a little bit more about making a change.

22 Or for things like third-party
23 liability, there's a -- a callout box or some 'are you
24 sure' type of moment that they double-click on. But
25 we would also expect those types of failsafes to exist

1 in -- in a -- in a broker experience as well if
2 they're -- if they're purchasing online. So -- so --
3 so there's other -- there's other elements that --
4 that we could have.

5 And then finally, if someone does make
6 a change on their insurances, we could send them a
7 hard copy to their house. A reminder is that MPI
8 folks don't get paid bonuses. We wouldn't get paid
9 commissions on the basis of selling any additional
10 third-party pieces. So if -- if in -- what happens is
11 if our customer base naturally starts choosing
12 different selections on their own merits, you know,
13 that -- that -- that would be interesting for us to --
14 to learn.

15 But -- but we think the customer, you
16 know, sitting in front of a computer can sometimes
17 make very informed choices. They don't necessarily
18 need someone to take them through that. So there's
19 lots of failsafes for -- for those clients.

20 MR. STEVEN SCARFONE: Thank you, Mr.
21 Wennberg. And then just one (1) last question that
22 arose from a question from Panel Member Gabor to Ms.
23 Hora.

24 Ms. Hora, Mr. Gabor was asking you
25 about the -- the screens that a broker or MPI employee

1 looks at when selling insurance to a customer. Do you
2 recall that?

3 MS. CAROL HORA: Yes, I do.

4 MR. STEVEN SCARFONE: And the screens
5 that the MPI employee looks at are the same as those
6 that are before the broker?

7 MS. CAROL HORA: That's correct.

8 MR. STEVEN SCARFONE: And the
9 Extension products are on those screens?

10 MS. CAROL HORA: Yes, they are.

11 MR. STEVEN SCARFONE: But Mr. Gabor
12 asked you about any Extension products that might be
13 offered by competing insurers. Remember that?

14 MS. CAROL HORA: Yes, I do.

15 MR. STEVEN SCARFONE: And those aren't
16 on the screens?

17 MS. CAROL HORA: No, they're not.

18 MR. STEVEN SCARFONE: And is there
19 anything that would prevent the broker from offering
20 such products to a customer when attending at a
21 broker's office?

22 MS. CAROL HORA: No, there's nothing
23 that would prevent a broker from offering a product
24 other than MPI's product. They have that information.
25 It's just not on the same screen.

1 So they're selling the Basic insurance
2 through our Autopac online system. They have access
3 to all of the other insurers' information that they
4 typically sell for as well. So it would just be one
5 (1) extra step to go and look at some other options
6 for the customer.

7 MR. STEVEN SCARFONE: And that, I
8 guess, assumes that that broker is trained and
9 knowledgeable as to the other products that might be
10 available for the customer.

11 MS. CAROL HORA: That would be true,
12 yes. Yeah.

13 MR. STEVEN SCARFONE: Oh, and --
14 sorry. My co-counsel has reminded me that Ms. Hora
15 fell into that acronym trap earlier in her testimony.
16 IWS
17 is the system that she referred to. That is an
18 acronym for Insurance Work Station, and that's the one
19 that's shared between the brokers and Manitoba Public
20 Insurance.

21 So those are all my questions on re-
22 direct, Madam Chair. Oh, yeah, Mr. Graham wants to
23 add something.

24 MR. BENJAMIN GRAHAM: I -- it was
25 remiss of me. You surprised me with the question

1 about the -- the two (2) different -- or the ICBC
2 accord, and I just wanted to touch on -- when I --
3 when I spoke about -- there was a specific provision
4 there about the Competition Act and that the credit
5 unions' association as well as the brokers'
6 association are -- are very well aware of it, and they
7 accepted they must be in compliance with that.

8 The focus for us as we look at this is
9 really about making sure that MPI is in compliance, so
10 it's more of a compliance issue. And again, I think
11 we've discussed, there are a number of different
12 models that you can implement to ensure compliance
13 with the Competition Act. So again, they're the --
14 they're the types of conversations, but our first and
15 foremost concern is making sure that we as a
16 Corporation are in compliance with that.

17 MR. STEVEN SCARFONE: Thank you.

18

19 (PANELS STANDS DOWN)

20

21 THE CHAIRPERSON: Thank you. We'll
22 break for lunch now, and be back at one o'clock. Is
23 that when you're anticipating your witnesses will be
24 here?

25 DR. BYRON WILLIAMS: Yes.

1 THE CHAIRPERSON: Okay, thanks Mr.
2 Williams. We'll see everyone at one o'clock. Thank
3 you.

4

5 --- Upon recessing at 11:17 a.m.

6 --- Upon resuming at 1:00 p.m.

7

8 THE CHAIRPERSON: Good afternoon,
9 everyone. This afternoon we will have the witnesses
10 for the Consumers' Association of Canada. Mr.
11 Williams...?

12 DR. BYRON WILLIAMS: Yes, and I'll
13 introduce the witnesses, and then after that, ask that
14 they be sworn or affirmed.

15 And to my immediate right is Ms. Andrea
16 Sherry. To her right is Dr. Wayne Simpson, and to his
17 right is Mr. John Todd. And in the back behind Mr.
18 Todd is our own back row this time, Ms. Alicia Dueck-
19 Read, Robson Hall third year law student. To her left
20 is Ms. Desorcy, my boss, and ED of the Consumers'
21 Association. And to her left is Chris Klassen,
22 articling student at law.

23 And I'll ask that the witnesses be
24 sworn or affirmed.

25

1 CAC WITNESS PANEL:

2

3 ANDREA SHERRY, Sworn

4 WAYNE SIMPSON, Sworn

5 JOHN TODD, Affirmed

6

7 DR. BYRON WILLIAMS: Madam Chair,
8 before we introduce the exhibits, I'll just confirm my
9 understanding and -- and ask MPI counsel to confirm
10 that they are not contesting the qualifications of Mr.
11 Todd?

12 MR. STEVEN SCARFONE: Yes, Madam
13 Chair. MPIC consents to the gentleman's
14 qualifications.

15 THE CHAIRPERSON: Thank you.

16 DR. BYRON WILLIAMS: Madam Chair,
17 there's two (2) PowerPoints that should be before the
18 -- the panel, one (1) titled 'Protecting Consumers
19 Against Risk: How Far Should it Go'. And we would ask
20 that -- that be marked as CAC Exhibit 16.

21

22 --- EXHIBIT NO. CAC-16: 'Protecting Consumers
23 Against Risk: How Far
24 Should it Go' PowerPoint

25

1 DR. BYRON WILLIAMS: And the second is
2 an assessment of the Capital Management Plan of MPI.
3 Clearly, Mr. Todd does not have Dr. Simpson's gift for
4 -- for nice, glib titles. And we'll ask that -- that
5 be marked as CAC Exhibit number 17.

6

7 --- EXHIBIT NO. CAC-17: Assessment of the Capital
8 Management Plan PowerPoint

9

10 EXAMINATION-IN-CHIEF BY DR. BYRON WILLIAMS:

11 DR. BYRON WILLIAMS: Before we get
12 into the exhibits, we will -- recognizing that these
13 witnesses have been prequalified, we will just
14 highlight a -- a few of their -- the -- the
15 credentials that do give them insight, starting with
16 you, Ms. Sherry.

17 MS. ANDREA SHERRY: M-gm.

18 DR. BYRON WILLIAMS: In terms of your
19 education, you hold a bachelors of commerce with a
20 major in actuarial math -- mathematics? Your mic,
21 please.

22 MS. ANDREA SHERRY: That's correct.

23 DR. BYRON WILLIAMS: And you became a
24 fellow of the Canadian and -- the Casualty and
25 Actuarial Society, and of the Canadian Institute of

1 Actuaries in the year 2000?

2 MS. ANDREA SHERRY: That's right.

3 DR. BYRON WILLIAMS: You became a
4 chartered risk manager and a fellow chartered
5 insurance professional in 2005?

6 MS. ANDREA SHERRY: Correct.

7 DR. BYRON WILLIAMS: And you received
8 a certified management accountant designation in 2008,
9 agreed?

10 MS. ANDREA SHERRY: Correct, yeah.

11 DR. BYRON WILLIAMS: And in terms of
12 your professional experience as an actuary, you served
13 at Manitoba Public Insurance as an associate actuary
14 between 1991 and 1998, correct?

15 MS. ANDREA SHERRY: That's correct.

16 DR. BYRON WILLIAMS: You also served
17 as an actuary with the Federated Insurance Company
18 from 1999 through 2004?

19 MS. ANDREA SHERRY: That's right.

20 DR. BYRON WILLIAMS: You served as
21 both assistant vice-president and corporate actuary
22 for Saskatchewan Government Insurance between 2004 and
23 2008, correct?

24 MS. ANDREA SHERRY: M-hm. Yes.

25 DR. BYRON WILLIAMS: And from 2008 to

1 2011, you served as vice president, solvency, and vice
2 president, corporate actuary for Aviva?

3 MS. ANDREA SHERRY: That's right.

4 Yeah.

5 DR. BYRON WILLIAMS: And your current
6 position is vice president, personal -- personal
7 insurance at the Wawanesa Mutual Insurance Company?

8 MS. ANDREA SHERRY: Yes.

9 DR. BYRON WILLIAMS: And there you are
10 responsible for a number of duties, including the
11 company's actuarial pricing?

12 MS. ANDREA SHERRY: That's right.

13 DR. BYRON WILLIAMS: Prior roles
14 include work in solvency, and capital, and Enterprise
15 risk management, correct?

16 MS. ANDREA SHERRY: Correct.

17 DR. BYRON WILLIAMS: And you have
18 worked on dynamic capital adequacy testing and
19 internal models to satisfy regulatory requirements in
20 the United Kingdom?

21 MS. ANDREA SHERRY: Correct.

22 DR. BYRON WILLIAMS: And in terms of
23 your work before the Public Utilities Board, you've
24 consulted on MPI applications for the last eight (8)
25 years, including providing evidence on the last three

1 (3) years on issues related to the rate stabilization
2 reserve, and accepted actuarial practice?

3 MS. ANDREA SHERRY: That's right, yes.

4 DR. BYRON WILLIAMS: And Ms. Sherry,
5 with Dr. Simpson, you were co-author of the written
6 evidence filed as CAC Exhibit 12-1, entitled
7 'Protecting Consumers Against Risk: How Far Should it
8 Go'?

9 MS. ANDREA SHERRY: That's right.

10 DR. BYRON WILLIAMS: You were also
11 responsible for information resp -- request responses
12 contained within PUB Exhibit 15?

13 MS. ANDREA SHERRY: That's right.

14 DR. BYRON WILLIAMS: And can you
15 confirm that this written material was prepared
16 jointly under your and Dr. Simpson's direction and
17 control, and is accurate to the best of your knowledge
18 and belief?

19 MS. ANDREA SHERRY: Yes.

20 DR. BYRON WILLIAMS: Thank you.
21 Dr. Simpson, good afternoon.

22 DR. WAYNE SIMPSON: Hello.

23 DR. BYRON WILLIAMS: Dr. Simpson, you
24 received both an MSc in economics and a PhD in
25 economics from the London School of Economics, sir?

1 DR. WAYNE SIMPSON: Yes.

2 DR. BYRON WILLIAMS: And you are
3 currently a full professor in the Department of
4 Economics at the University of Manitoba, where you
5 have taught since 1979?

6 DR. WAYNE SIMPSON: Yes.

7 DR. BYRON WILLIAMS: And you have
8 served as department head of that department on at
9 least two (2) separate occasions, sir?

10 DR. WAYNE SIMPSON: Yes.

11 DR. BYRON WILLIAMS: You have co-
12 authored or authored three (3) books and more than
13 sixty (60) peer-revor -- veered -- peer-reviewed
14 articles, sir?

15 DR. WAYNE SIMPSON: Yes.

16 DR. BYRON WILLIAMS: And are on the
17 Editorial Board of Canadian Public Policy, Canada's
18 foremost peer-reviewed academic Journal for economic
19 and social policy?

20 DR. WAYNE SIMPSON: Yes.

21 DR. BYRON WILLIAMS: You were the 2014
22 recipient of the McCracken award for the development
23 and analysis of economic statistics from the Canadian
24 Economics Association?

25 DR. WAYNE SIMPSON: Yes.

1 DR. BYRON WILLIAMS: And in terms of
2 your experience before the Public Utilities Board in
3 the context only of MPI, you've testified in the 2007,
4 2010, 2013 through 2019 general rate applications,
5 sir?

6 DR. WAYNE SIMPSON: That's right.

7 DR. BYRON WILLIAMS: And that's been
8 on issues such as the rate stabilization reserve,
9 interest rate forecasting, and issues related to
10 investment?

11 DR. WAYNE SIMPSON: Yes.

12 DR. BYRON WILLIAMS: And sir, with Ms.
13 Sherry, you were responsible -- co-author of the
14 written evidence filed as exhibit CAC 12-1?

15 DR. WAYNE SIMPSON: Yes.

16 DR. BYRON WILLIAMS: You are also
17 responsible for Information Requests contained within
18 Exhibit PUB-15 with Ms. Sherry?

19 DR. WAYNE SIMPSON: Yes.

20 DR. BYRON WILLIAMS: And can you
21 confirm that the written material was prepared under
22 your direction and control, and is accurate to the
23 best of your knowledge and belief, sir?

24 DR. WAYNE SIMPSON: Yes.

25 DR. BYRON WILLIAMS: Good afternoon,

1 Mr. Todd.

2

3

(BRIEF PAUSE)

4

5 MR. JOHN TODD: Good afternoon, panel
6 members.

7

8 DR. BYRON WILLIAMS: I was expecting a
9 little more adeptness with the microphone, given your
10 engineering background, sir.

11

12 MR. JOHN TODD: Well, my engineering
13 background's a little rusty, I'm afraid.

14

15 DR. BYRON WILLIAMS: You received a
16 batch -- a bachelors of applied science in electrical
17 engineering from the University of Toronto in 1972?

18

19 MR. JOHN TODD: Correct.

20

21 DR. BYRON WILLIAMS: And you also have
22 a Masters in business admin -- administration, again
23 from the University of Toronto, in 1975?

24

25 MR. JOHN TODD: Correct.

26

27 DR. BYRON WILLIAMS: You founded
28 Elenchus -- what is now known as Elenchus Consulting
29 Services -- in 1980, sir?

30

31 MR. JOHN TODD: Correct.

32

33 DR. BYRON WILLIAMS: And in your work
34 with what is now known as Elenchus, you have

1 specialized in government regulation for over forty
2 (40) years, sir?

3 MR. JOHN TODD: Correct.

4 DR. BYRON WILLIAMS: Among other
5 issues, you have addressed issues related to price
6 regulation and deregulation, market restructuring to
7 facilitate effective competition, and regulatory
8 methodology?

9 MR. JOHN TODD: Yes, that's the core
10 areas of my work.

11 DR. BYRON WILLIAMS: And your work has
12 included advising clients and preparing expert
13 evidence with respect to the appropriate capital
14 structure for Crown corporations and the relationship
15 between Crown corporations and unregulated lines of
16 business, agreed?

17 MR. JOHN TODD: That's correct.

18 DR. BYRON WILLIAMS: And that has
19 included applicable regulatory principles?

20 MR. JOHN TODD: Yes.

21 DR. BYRON WILLIAMS: And the sectors
22 of primary interest in recent years for you have
23 included electricity, natural gas, and
24 telecommunications, correct?

25 MR. JOHN TODD: Yes, for the past

1 thirty (30) years.

2 DR. BYRON WILLIAMS: You have assisted
3 counsel in over two hundred and fifty (250)
4 proceedings, and provided expert evidence in over one
5 hundred (100) hearings?

6 MR. JOHN TODD: Correct.

7 DR. BYRON WILLIAMS: Your clients have
8 included consumer groups, regulated companies,
9 producers, competitors, regulators, and governments,
10 sir?

11 MR. JOHN TODD: That's correct.

12 DR. BYRON WILLIAMS: And on behalf of
13 the Insurance Corporation of British Columbia, you
14 provided expert evidence on the financial allocation
15 methodology of ICBC, the Insurance Corporation of
16 British Columbia, before the British Columbia
17 Utilities Commission, sir?

18 MR. JOHN TODD: That's correct.

19 DR. BYRON WILLIAMS: You also
20 participated on behalf of the Insurance Corporation of
21 British Columbia in a financial allocation workshop in
22 2005, correct?

23 MR. JOHN TODD: Yes.

24 DR. BYRON WILLIAMS: And you have
25 served, sir, as an independent consultant to

1 regulators in five (5) Canadian provinces, including
2 the Manitoba Public Utilities Board, the Onor --
3 Ontario Energy Board, the Quebec Regie, the Alberta
4 Utilities Commission, and the BC Utilities Commission,
5 sir?

6 MR. JOHN TODD: Four (4) of the five
7 (5) were proceedings. The Alberta Utilities
8 Commission was internal work, or the -- for the -- for
9 the Commission.

10 DR. BYRON WILLIAMS: Thank you. And
11 you have provided expert assistance in a total of
12 forty-six (46) proceedings before the Public Utilities
13 Board of Manitoba from 1990 to 2017, sir?

14 MR. JOHN TODD: I believe your count.
15 I didn't -- I can't confirm. I didn't do that count
16 myself.

17 DR. BYRON WILLIAMS: Okay. And with
18 respect to Manitoba Public Insurance, you provided
19 expert evidence with respect to the rate stabilization
20 reserve and related issues in the 2006 General Rate
21 Application, the 2002, 2000, 1999, and 1998 General
22 Rate Applications, sir?

23 MR. JOHN TODD: Correct.

24 DR. BYRON WILLIAMS: And Mr. Todd, you
25 have prepared evidence for this proceeding filed as

1 Exhibit CAC-11 entitled 'An Assessment of the Capital
2 Management Plan of Manitoba Public Insurance for the
3 2021 General Rate Application Based on the Generally
4 Accepted Regulatory Principles'?

5 MR. JOHN TODD: Correct.

6 DR. BYRON WILLIAMS: And you were also
7 responsible for Information Requests contained within
8 Exhibit PUB-15?

9 MR. JOHN TODD: Correct.

10 DR. BYRON WILLIAMS: Can you confirm
11 that that written material was prepared under your
12 direction and control, and accurate to the best of
13 your knowledge and beliefs, sir?

14 MR. JOHN TODD: Yes, I can.

15 DR. BYRON WILLIAMS: Okay. Thank you.
16 We're going to turn now to CAC Exhibit 16. And I'll
17 turn it over to Dr. Simpson and Ms. Sherry, and try
18 not to interrupt too much.

19 DR. WAYNE SIMPSON: Okay. Thank you.
20 Although it may not be apparent from the title, this
21 is really 100 percent about the 100 percent MCT
22 criterion for rate setting, which is associated with
23 the Capital Management Plan. It's a fairly short
24 presentation, I guess at least by my standards. And
25 I'll go through it fairly directly. So next slide,

1 please.

2 So the Capital Management Plan in the
3 2020 GRA applies for approval of -- of premiums.
4 That's based on the CMP, which establishes a means and
5 pathway to achieve 100 percent minimum capital test
6 MCT for the Basic rate stabilization reserve, the RSR,
7 as codified in the reserves regulation, and that is
8 really the focus of this presentation. Next slide,
9 please.

10 We have two (2) concerns that we'd like
11 to express about this approach, both of which involve
12 the notion of significant changes. The first one is a
13 significant change in procedure regarding the -- the
14 target level of capital for Basic insurance and the
15 associated rate stabilization reserve.

16 And I'll talk a little bit briefly,
17 because we talked about this last year, about the way
18 in which it is a significant change in procedure, and
19 also the fact that it changes the approach from a
20 target range to a target level, which I think is also
21 somewhat problematic for a rate stabilization.

22 The second one is that it's a
23 significant increase in level of risk, which MPI
24 ratepayers would be protected from without any
25 evidence of increasing downside risk to MPI and to

1 rates. So I'll take these two (2) issues in turn.

2 Next slide, please.

3 The first issue around a significant
4 change in procedure for rate setting, our report last
5 year, which is attached as appendix, goes into some
6 detail in these developments over time, since the
7 Kopstein report in 1988. They're briefly summarized
8 here.

9 The Kopstein report looked at this
10 issue for the first time and started the ball rolling,
11 so to speak, and established a range of 10 to 20
12 percent of premiums, with a target, if you will, if
13 you want to think of the midpoint as a target, of 15
14 percent. And this is the so-called percentage of
15 premiums approach that was used for quite a period of
16 time.

17 In 2000, there was an attempt to relate
18 the risk stabilization reserve and its range to the
19 actual risks in terms of the variability of MPI's
20 operational income. And this involved the
21 establishment of the 95 percent confidence interval of
22 1:40 year risk of insufficient RSR to cover
23 underwriting losses.

24 DR. BYRON WILLIAMS: Dr. Simpson,
25 could I just stop you there? I think you said 95

1 percent?

2 DR. WAYNE SIMPSON: Ninety-seven point
3 five (97.5) percent, I'm sorry.

4 DR. BYRON WILLIAMS: Okay.

5 DR. WAYNE SIMPSON: I can't even read
6 my own notes which is a 1:40, as I'll explain a little
7 more below.

8 And this 1:40 year standard for risk
9 tolerance was endorsed by the Board in Board Order
10 150/'07. And I think this was the -- the main thing
11 that came out of that discussion, because the RE-VAR
12 (phonetic) approach was never directly used, as far as
13 I know.

14 And the reason was really that there
15 was fairly limited data. There were only about
16 eighteen (18) years of evidence on the -- what we
17 would now call the total equity of outcomes of MPI,
18 and that would -- was sensed to be insufficient to
19 have a reliable estimate of the 97.5 percent
20 confidence interval. But the basic idea there is a
21 fairly sound statistical principle for analyzing what
22 you would characterize as risk when you have
23 volatility in net income.

24 The third stage was the dynamic capital
25 adequacy test, which was initially used to -- to

1 assess future financial condition of Basic, but later
2 on became MPI's justification for the RSR target,
3 continuing to use this 1:40 year risk standard. And
4 it was -- achieved considerable consensus, because it
5 was based on historical evidence. It was quite
6 transparent, and there was a clear discussion
7 available of how the risks of MPI could be justified
8 and addressed using the RSR. And the utility of the
9 RSR -- of the -- sorry, the DCAT for setting the Basic
10 capital target was recognized by the Board in Board
11 Order 162-'16, just three (3) years ago.

12 In addition to that, however, there was
13 -- sorry, next slide, please -- in addition to that,
14 there was the MCT, minimum capital adequacy test,
15 which appeared as early as 2005, where MPI in 2007
16 recommended the RSR target range of 50 to 100 percent
17 MCT.

18 The MCT is recognized by OSFI for
19 private casualty insurers in a competitive insurance
20 industry to present -- to -- to prevent insolvency.
21 But the concern has always been in our discussions
22 that MPI is neither a public -- a private casualty
23 insurer, nor a competitive insurance industry, nor are
24 we really concerned about preventing insolvency.

25 MPI is a public Crown Corporation,

1 which in economic terms is not competitive, because it
2 has a dominant -- virtually a monopoly position over
3 Basic insurance. And the issue has always been to
4 stabilize rates and prevent what is referred to as
5 rate shock, rather than to prevent insolvency.

6 And so MPI has a quite different risk
7 profile than a -- a private insurer in a competitive
8 industry, and it isn't clear that the 100 percent or
9 any other standard would be appropriate, and what
10 criteria would be used to set that standard.

11 DR. BYRON WILLIAMS: Dr. Simpson, if I
12 could interrupt you there for one (1) question for
13 you, then have a question for Ms. Sherry.

14 You used the acronym OSFI, O-S-F-I.
15 Can you tell us what that stands for, sir? Or does it
16 stand for the Off -- Office of the Superintendent of
17 Financial Institutions, at the risk of leading?

18 DR. WAYNE SIMPSON: Thank you. I drew
19 a blank. Yes.

20 DR. BYRON WILLIAMS: I thought I'd
21 freeze you with that one, sir.

22 Ms. Sherry, dismayed at Dr. Simpson's
23 performance on OSFI, I'm going to turn to you for a
24 second. And can you provide additional elaboration on
25 what makes the minimum capital test substantively

1 different from the dynamic capi -- capital adequacy
2 test approach as applied to Manitoba Public Insurance
3 for rate setting?

4 MS. ANDREA SHERRY: Sure. So the MCT
5 test is calibrated using private insurance company
6 results. These private insurance companies are
7 federally regulated, and they write different products
8 in different provinces. They have different goals and
9 structures from each other for sure, and as well as
10 from MPI.

11 Again, the MCT was calibrated based on
12 companies' experience. Private companies offering
13 multiple complex products in different provinces with
14 complex capital structures that are very different
15 from the structure of MPI.

16 Another thing is that MPI doesn't face
17 the competitive risk that a private insurance company
18 would in the sense that it can't price itself out of
19 the -- out of the market, and therefore be unable to
20 pay for its obligations.

21 MPI is before PUB every year to go
22 through this process to make sure that their rates are
23 adequate. So within that year, it's very different
24 sometimes for a private insurance company that do not
25 have the regulatory oversight that the PUB gives MPI.

1 A lot of lines are unregulated in the private world.

2 Some are, like auto. But for sure, an
3 insurance company doesn't have to be before a Board to
4 prove the need for their rate every year.

5 And I -- I guess that's part of the
6 point, is that when we talk about the DCAT for MPI,
7 DCAT uses MPI experience and risk with probability
8 distributions that come from Manitoba experience. So
9 it's much more applicable.

10 DR. BYRON WILLIAMS: And in terms of
11 the DCAT, how would you compare the product in
12 Manitoba that the DCAT is measuring as compared to the
13 product that the minimum capital test is measuring in
14 different pra -- across Canada?

15 MS. ANDREA SHERRY: Well, that's just
16 it, is the DCAT as used by MPI, as determined by MPI,
17 is based on the experience of that company with its
18 one (1) auto product in Manitoba specifically, while
19 the MCT was calibrated for companies that rate
20 multiple products in multiple jurisdictions, sometimes
21 multiple countries.

22 DR. BYRON WILLIAMS: Thank you. And
23 Dr. Simpson, I'm going to turn it back over to you
24 with apologies for interrupting, sir.

25 DR. WAYNE SIMPSON: So in spite of

1 these concerns about the appropriateness of the MCT
2 for a public Crown Corporation, the proposal had been
3 made by MPI to base the RSR target, or target range,
4 or the upper threshold on MCT. And in particular, the
5 upper threshold was presented on a couple of occasions
6 and explicitly rejected in favour of the DCAT scenario
7 testing, and -- in Board Order 162/'16 in 2016.

8 The current rate application relies on
9 the cabinet reserves regulation to use the 100 percent
10 MCT to set the capital target level, not a range for
11 the Basic under the CMP. And this reverses, really,
12 what I observe, that we've argued for, is the natural
13 progression to link the target capital level to
14 identifiable risks.

15 The problem with the Kopstein
16 percentage of premiums approach is, of course, it had
17 no relationship to risk, other than insofar as it
18 captured the growth in the business as it was
19 identified by premiums. That moved from that to the
20 RE-VAR (phonetic) approach, which attempted to look at
21 the risks in statistical terms, but was limited by
22 lack of data to the DCAT, which provided an
23 opportunity to look at adverse scenarios using the
24 best available evidence, and did succeed in the minds
25 of me, anyways, of Andrea and me, to deal with the

1 questions of the risks that were facing the
2 Corporation that could be identified and analyzed.

3 And it eliminates -- the use of the MCT
4 eliminates, really, the useful role of the DCAT in
5 setting the capital -- the target capital level. The
6 GRA states that it -- the DCAT would only assess
7 satisfactory financial conditions and support
8 Enterprise risk management in some unspecified
9 fashion, and I'll say a little more about that later.
10 Next slide, please.

11 The final aspect of the first concern
12 that we have is the question of the target range. I
13 have a slightly clumsy diagram at the bottom of the
14 page, where you can imagine total equity moving from
15 left to right. And you can imagine in the case of
16 setting a target capital range, that we would have a
17 lower threshold 'L', and an upper threshold 'U' for
18 target capital.

19 And the argument since the Kopstein
20 approach, the percentage of premiums approach, has, I
21 think, been a -- a fairly clear and sensible one,
22 which is that if Basic falls below the lower
23 threshold, then we'd call for a -- a capital rebuild.
24 If capital falls in the range between the lower
25 threshold and the upper threshold, then there would be

1 no action. There'd be rate stability. And if capital
2 exceeds the upper threshold, then there would be a
3 case for some sort of premium risk -- remittance,
4 capital unbilled, if you will.

5 And so those are the three (3) options
6 that were discussed in the context of the range from
7 Kopstein right through the RE-VAR (phonetic), which
8 also established a range through the DCAT, which was
9 used to establish a range in previous GRAs.

10 On the other hand, if you have a target
11 capital level such as the 100 percent MCT, it seems to
12 me this invites some rate instability, which is
13 contrary to the whole idea behind the RSR. You can
14 imagine, for example, a case where you have total
15 equity appearing in alternately between the red line
16 and the green line on each side of the target capital
17 level, which is 'T', which is 100 percent MCT level in
18 the Capital Management Plan.

19 In that case, rates are going to move.
20 They're going to bounce around on the basis of the
21 discrepancies from -- from the target.

22 On the other hand, if we were using a
23 range from 'L' to 'U', they wouldn't bounce around at
24 a. So there'd be rate stability under a range.
25 There's some rate instability.

1 Now, some of that is moderated -- I've
2 read some of the testimony -- by the fact that the
3 movement towards 'T', say, from either the red line or
4 the green line would be slow over time. It wouldn't
5 be immediate, but there would still be rate
6 instability associated with that. So next slide,
7 please.

8 So the second issue is this question of
9 risk tolerance and the hundred percent MCT is a
10 significant increase in what we would call the risk
11 protection that motorists would be forced to buy under
12 the premium determination.

13 The long-established per -- purpose of
14 the RSR, and I'll read this again, although it -- it's
15 been in every GRA that I can remember, protect
16 motorists from rate increases that would otherwise
17 have been necessary due to unexpected variances from
18 forecasted results, and due to events and losses
19 arising from nonrecurring events or factors.

20 So the idea has always been that bad
21 things will happen that can't be predicted that are
22 kind of thought of as one-offs, a -- a huge weather
23 event, a -- a collapse of the stock market. These are
24 the kinds of things that have been envisaged as the
25 things that might produce a situation where there'd be

1 a compelling case for a substantial increase in risk -
2 - in premiums, and what we would call rate shock.

3 Well, rate shock is really saying that
4 if you have rate instability, there's a certain level
5 of rate instability over which consumers would find --
6 have some concern, and that would be when premiums go
7 up above a specified amount. And in the Capital
8 Management Plan, in fact, I think the 5 percent rate
9 premium increase is identified there as rate shock.

10 These are fairly arbitrary numbers, but
11 nonetheless, this is the concern that actually
12 motivated the development of the RSR under the
13 percentage of premiums approach in the Kopstein
14 report.

15 Earlier GRA hearings and -- and the
16 technical conferences focused on understanding
17 downside risk, quantifying these risks, and relating
18 them to some reasonable motorists risk tolerance
19 standard, the 1:40 year standard, using in later
20 years, the dynamic capital adequacy test and its
21 methodology.

22 But from an economic standpoint, we
23 have to understand that the RSR involves some
24 fundamental trade-offs, how most economy -- economists
25 view questions of scarcity and choice.

1 Motorists, if they have a choice, can
2 have more and more rate stability -- or more and more
3 rate stability insurance, more protection, by paying
4 higher premiums and having MPI retain the surplus in
5 the RSR. There's a limit to this. Absolute
6 protection is prohibitively expensive. You'd have to
7 have an absolutely huge reserve, very large RSR to mat
8 -- all the imagined bad things that could happen, the
9 things that keep us awake at night -- and would divert
10 motorists' disposable income into MPI coffers and at
11 the expense of other goods and services, potentially
12 misac -- misallocating resources.

13 In particular, if rates were so high to
14 offer fantastic reception -- percep -- protection
15 against the risk of premium increases that were
16 untenable -- rate shock -- it might be the case that
17 people couldn't put food on the table.

18 So proper resource allocation requires
19 determination of motorists' general appetite for risk
20 in terms of rate shock, or what we would call the risk
21 tolerance. And then the question is: What is the
22 appropriate risk tolerance?

23 So if we go through what we have
24 learned in the past, first of all, for the risk
25 tolerance standard, we have the Board Order 150/07,

1 which endorsed the one (1) in forty (40) year standard
2 in the context of the RE-VAR (phonetic) in 2007. And
3 this was a statistical analysis, so there's a good
4 reason for the one (1) in forty (40) year standard
5 that I'll come to in a moment.

6 But it said that the RSR should be
7 large enough to be able to withstand an unforeseen loss
8 of a magnitude not anticipated to occur more than 1:40
9 years. In the event of loss of such a magnitude
10 depleting the RSR, possibly even driving it into
11 deficit, the Board would examine with the Corporation
12 the -- and Interveners' options to rebuild the RSR,
13 which could include premium surcharges over a period
14 of years.

15 In the past, when the situation
16 warranted it, the Board approved moder -- modest rate
17 surcharges for a series of years, just as suggested
18 above. Now, this 1:40 year standard is a widely est -
19 - adopted statistical convention. It's used, for
20 example, in hypothesis testing, where it's recognized
21 that you can protect yourself more and more against
22 the risk, if you will, of rejecting a false
23 hypothesis, but there's increasing cost, which is
24 you'll accept -- you'll -- you'll accept hypothesis
25 that is false.

1 So when you weigh these, you tend to
2 look at the balance of risk, okay, understanding that
3 you can buy and -- buy more protection against a risks
4 -- risk of rejecting a -- a -- a -- a true hypothesis,
5 when you -- at the cost of greater loss, on the other
6 side. For motorists, it's a protection against
7 increased premiums due to rate shock, due to some
8 unforeseen event, against much higher -- at the cost
9 of higher premiums. And the suitable balance, as
10 shows in statistics, is typically 2.5 percent, or a
11 1:40 year standard.

12 The third bit of evidence, if you will
13 -- or maybe the second bit, I guess, because the first
14 two are closely linked -- is that motorists' risk
15 tolerances were the subject of a focus group conducted
16 by Probe Research in 2015 and commissioned by the
17 Consumers' Association of Canada.

18 And the participants were asked to
19 indicate the magnitude of event from which they wished
20 to be protected by placing their name on the line with
21 the 1:200 year event on the right-hand side of the
22 scale -- very high risk protection -- and a 1:1 event
23 on the left-hand side of the scale -- virtually no
24 risk protection at all.

25 It was further explained that the

1 premiums associated with the coverage for the rad --
2 adverse events that can be expected every year would
3 be minimal, while there would be much higher costs
4 associated with premiums for an event occurring once
5 in every two hundred (200) years. So the framework, I
6 think, here was -- was quite appropriate to the
7 question, which is, how much more are you willing to
8 pay for additional risk protection?

9 The focus group's conclusions -- most
10 females were comfortable having coverage prot --
11 sufficient to protect them against a 1:10 year event,
12 with most men preferring coverage near 1:20 years.
13 And I co -- would add here at the end because it talks
14 about an older gentleman, and I guess I qualify in
15 that category -- an older gentleman indicated that his
16 satisfaction with a 1:5 year protection was premised
17 on his advanced age and the unlikelihood that he would
18 live long enough to require more significant coverage.
19 So it does, to some extent, depend on your stage of
20 the life cycle, I suppose.

21 But from this, it would be very hard to
22 argue that these response -- from these responses that
23 the risk tolerance of the focus groups exceeded the
24 1:40 year standard.

25 What does the MCT -- next slide, please

1 -- what does the MCT say about risk tolerance? The
2 100 percent MCT implies a much higher risk tolerance
3 standard than the 1:40 year standard of previous GRAs
4 and technical conference discussions.

5 The 2015 DCAT, which -- where MPI
6 proposed the 100 percent MCT for the upper threshold,
7 was unable to determine the risk tolerance associated
8 with this upper threshold, 100 percent MCT, using five
9 thousand (5,000) simulations, since it did not produce
10 a single case of a negative total equity balance,
11 implying from this one (1) exercise that the 100
12 percent MCT criterion corresponded to a probability
13 level of less than 1:5000 years, or .02 percent
14 probability of an occurrence, far below the 2.5
15 percent or 1:40 year standard that had been employed
16 in the DCAT and in previous discussions.

17 And this level of conservatism was
18 rejected by the Board. One sixty-two sixteen (162/16)
19 says:

20 "The Board withdraws its support of
21 the use of the MCT and a threshold
22 MCT ratio of 10 percent -- of 100
23 percent. The Board is concerned
24 that the degree of conservatism
25 implied by the cor -- cor --

1 Corporation's proposal may be
2 excessive based on the Corporation's
3 scenario testing at the more extreme
4 percentile levels of possible
5 outcomes."

6 Next slide, please.

7 So what, then, does MC -- MPI do with
8 the 40 percent -- the 1:40 year standard, the 2.5
9 percent standard? Well, it jettisons it. Without
10 consultation with stakeholders, MPI announced that
11 going forward, the chief actuary will select
12 assumptions that more closely align with the risk
13 appetite of the MPI board of directors, including a
14 1:100 year ninety-ninth (99th) percentile outcome.

15 And in response to CAC-MPI-1-15(a),
16 they clarified that the 1:100 year risk tolerance is
17 more closely aligned with the 100 percent MCT
18 criterion for capital targeting.

19 What is some -- somewhat troublesome
20 here is that the risk appetite of motorists has now
21 been replaced by the risk appetite of the MPI board of
22 directors. At a much more conservative level, it
23 justifies higher premium for motists (sic) and a
24 higher RSR and invites the question, really, rate
25 stabilization for whom?

1 What are the risk premiums -- what are
2 the premium risk to motorists beyond the adverse
3 scenarios quantified in various DCAT reports over the
4 past decade? I see no evidence in the DCAT reports
5 that risks are increasing over time. The risks have
6 changed through time. They've moved from the equity
7 scenario -- the stock market collapse scenario, if you
8 will -- to the interest rate forecasting scenario, to
9 the claims scenario. These have all been well
10 identified, well analysed. But they don't indicate
11 increasing risk; in fact, to some extent, I think they
12 indicate the opposite.

13 At the end of the GRA, there's a risk
14 management framework section, which lists the top
15 eleven (11) risks to MPI as determined by the
16 enterprise risk management committee, but only two (2)
17 of those are quantified using the DCAT methodology.
18 So the retention of the DCAT insofar as is allowed to
19 assess risk is really allowed only for about 20
20 percent of the cases that they've identified. The
21 other are used -- they use alternative, non-quantitative --
22 non-empirical methods.

23 So conclusions -- we have three (3)
24 conclusions and a recommendation. The proposed rate
25 setting procedure through the capital management plan

1 with 100 percent MCT represents a significant change
2 in procedure to establish target capital for Basic
3 insurance and the risk stabiliza -- and the rate
4 stabilization reserve, since the procedure has relied
5 on -- on the percentage of premiums and DCAT
6 methodologies to set the target capital range, not a
7 level, up until now.

8 The proposed rate setting procedure
9 under the -- the CMP with 100 percent MCT capital
10 target level also represents a significant increase in
11 the level of risk against which MPI ratepayers will be
12 protected without new evidence of increasing downside
13 risk to MPI and to rates. Holding capital at the 100
14 percent MCT level has no basis in the DCAT modelling
15 completed by the Corporation and would lead to
16 excessive levels of capital held. Next slide.

17 Recommendation -- the rate setting
18 procedure should continue to use the DCAT results with
19 a 1:40 adverse scenario as the benchmark -- I've put
20 in brackets here a -- a range midpoint, if you will,
21 because I think it should be a range as well as a
22 target -- to determine the target range for the RSR.

23 DR. BYRON WILLIAMS: Thank you, Dr.
24 Simpson. And -- my apologies. Thank you, Dr.
25 Simpson, and thank you, Cheryl. We'll now turn to

1 you, Mr. Todd.

2 MR. JOHN TODD: Quick leaner. I got
3 it first try -- the mic. The other slide deck is just
4 coming up. Cover page, which doesn't require any
5 comments except good to be back before the Manitoba
6 Public Utility (sic) Board.

7 As stated in the evidence at page 1,
8 the evidence addresses MPI's capital market -- market
9 -- capital management plan with a view to regulatory
10 principles as they relate to Crown monopolies, which
11 also operate unregulated lines of business, i.e., MPI.
12 For today, I've structured these recapping comments as
13 five (5) questions, as shown on the slides. Next
14 slide, please.

15 So the first question is, is MPI a
16 regulated public utility? As I sat down here just
17 before our session began and looked up the password
18 for the Wi-Fi, which is Public Utilities, I thought
19 it's pretty obvious we're here because you regulate
20 public utilities, and that sort of implies that MPI is
21 probably a public utility.

22 So to me, both the answer to that
23 question and the implications of the question are
24 obvious. There may be legal debate that is beyond the
25 scope of my expertise, so I'm addressing it strictly

1 as a regulatory expert.

2 From the perspective of my work in the
3 field of economic regulation, regulation is adopted
4 when it's needed. Rate setting is adopted when the
5 company, utility, has monopoly power. Most public
6 utilities, as we generally conceive of them, are
7 natural monopolies. They have facilities where it's
8 not economic to have competitors within the
9 marketplace. That's true of distribution of
10 electricity, distribution of natural gas -- other
11 areas that this Board regulates.

12 In those cases, regulation's adopted
13 simply because it's needed. Rate setting is adopted
14 when a company has monopoly power. The purposes --
15 the purpose is to protect the customers, and it serves
16 as a substitute for competition. In the absence of
17 competition, some alternative rate setting process is
18 needed; otherwise, the company can set what I refer to
19 as monopoly rates, which overcharge customers.

20 That simple concept is the basis of the
21 field of public utility rate making. So my evidence
22 looks at monopolies, they're regulated. It is the
23 same for both natural monopolies and legislated
24 monopolies.

25 And I just point out that over the last

1 hundred (100) years, airlines, railways, trucking,
2 electricity generation, natural gas production were
3 all at one (1) point in time legislated monopolies.
4 And when you look at the literature over the past
5 hundred (100) years or even over the last forty (40)
6 years since I've been involved in the area, the same
7 rate setting principles have been applied to all of
8 these utilities, whether they were legislated
9 monopolies or mono -- or natural monopolies.

10 So I see no difference in terms of the
11 rate setting principles or practices to be different
12 between legislated and natural monopolies. Again, my
13 evidence sets aside the legal issues.

14 So what are the guiding principles for
15 utility rate making? Very often, when I do evidence,
16 I start by making reference to Bonbright's ten (10)
17 attributes of a sound rate structure. I have
18 included, at the back of this deck, several slides
19 which reproduce those ten (10) principles. I thought
20 it might be useful to have those for easy reference
21 because they are such fendemen -- fun -- such a
22 fundamental starting point for the way we think about
23 setting rates for public utilities.

24 Regulators such as yourselves are
25 focussed on identifying what's often referred to as

1 just and reasonable rates for monopoly services. In
2 simplest terms, the purpose is to set rates that
3 recover prudently incurred costs. Those prudently
4 incurred costs are fully recovered but are not to be
5 over-recovered.

6 This implies, in the MPI context, that
7 rates should be sufficient to achieve the required
8 reserves but not more than sufficient. Those rates,
9 then, are recovering costs from customers and through
10 a cost allocation process, which you're familiar with,
11 they're recovering them from cust -- customers --
12 different categories of customers based on who causes
13 them. That's the basis of cost -- cost allocation.
14 Again, that's not part of my mandate in this
15 proceeding. That's part of the fundamental overall
16 concept of utility rate-making.

17 Given the way the attributes of a sound
18 rate structure have been approached, its fundamentals
19 for monopoly pricing, those principles do not directly
20 apply to competitive services, because you don't set
21 those rates. It is assumed normally that a service
22 that a utility offers that is not regulated because
23 it's in a competitive market has a rate that's set by
24 market forces, i.e., it is assumed that the utility is
25 charging the competitive price for its competitive

1 services.

2 So that means that the concern for
3 regulators is the fair treatment and pricing of the
4 utility services as it interplays with revenues that
5 are generated by the competitive services. We can't
6 apply those principles directly. We can only sure --
7 ensure that -- or -- or seek to ensure that customers
8 of the monopoly services are fairly treated. Next
9 slide, please.

10 So what's the standard regulator
11 treatment of competitive services offered by a
12 utility? For this, I'm looking across sectors. Most
13 of the experience in utility rate setting, including
14 the treatment of utilities that are also offering
15 competitive services, comes from other sectors of the
16 economy, nowadays, primarily electricity and natural
17 gas.

18 And frankly, I struggled with this in
19 terms of starting point a bit, because subsidy is at
20 the core. So standard treatment reflects two (2)
21 primary concerns by any regulator. The utility
22 ratepayers should not be subsidizing competitive
23 services. That's universal and accepted.

24 The MPI Act, Section 603, which is
25 shown on the next slide, we'll come to it in a moment,

1 explicitly addresses that question. When you look
2 across the way regulators actually approach this
3 issue, the concept of a subsidy is not consistently
4 defined. It may include any benefit that provides a
5 competitive advantage through shared services, cost
6 savings, through providing access to customer
7 information, through customer convenience. Anything
8 that affects the competitive position of the
9 competitive services can be viewed as a subsidy.
10 That's not universal, but that's why some regulators
11 do it.

12 And certainly, utilities should not be
13 engaged in any competitive behaviour, not only from a
14 Competition Act perspective, but that's the usual
15 regulatory perspective. Part of what they're doing is
16 in some cases, very explicitly ensuring that the
17 competitive services do not disrupt the competitive
18 market. In other cases, they're not, shall we say,
19 protecting the competitive market, but they're looking
20 for the competitive services to be part of the
21 competitive market.

22 Part of that means that to the extent
23 that the competitive services gain benefits from
24 utility services, they should be fully compensated.
25 Those benefits would not exist and be realized by the

1 competitive service if it weren't for the monopoly
2 service.

3 So most regulators say those benefits
4 flow from the monopoly customers and therefore the
5 value of those benefits would flow back to them. This
6 statement assumes that the goal is to benefit monopoly
7 customers. The goal of having competitive services is
8 to benefit monopoly customers, not to benefit the
9 Utility, and not to benefit the customers of the
10 competitive services.

11 I said I had some difficulty here,
12 because I think there are cases that undermined that
13 concept, which says that all the benefit should --
14 should flow to Utility, or monopoly customers. It is
15 possible that as a matter of public policy, there
16 could be a direction to say what we want to do is keep
17 rates below market rates for both monopoly customers
18 and for competitive customers. That cannot be ruled
19 out. That's a possible public policy position.

20 My view is that if you put it in the
21 context of MPI, or we put it in the context of other
22 companies that have -- that have monopolies providing
23 competitive services, if the goal is to, in essence,
24 provide discounted competitive services, as a
25 regulator person, I don't understand why they aren't

1 regulated as well.

2 The fact they are defined as
3 competitive services to me means the intent is they
4 should be priced like competitive services, and they
5 should be sold at a competitive price. They should
6 not be discounted.

7 If they are to be discounted, then that
8 means there would be a regulatory role in deciding
9 whether that discount should be 2 percent, or 5
10 percent, or 10 percent. In other words, those
11 competitive services should be redefined as at least
12 regulated services, even if not mandated. And the --
13 the regulator would have a role in making the decision
14 of how much should those competitive services be
15 discounted.

16 Therefore, from my perspective, the
17 fact that there is no role of the PUB in regulating
18 the rates of competitive services says to me the
19 intent is to have competitive services offered at
20 competitive prices, and the benefits that come from
21 joint operations should flow to Basic customers. Next
22 slide, please.

23 BOARD MEMBER GABOR: Sorry, Mr. Todd, I
24 -- I just --

25 MR. JOHN TODD: Yes.

1 BOARD MEMBER GABOR: -- missed -- I
2 just missed the last words you said. You said, And
3 they should flow to --

4 MR. JOHN TODD: That the -- that the
5 pricing should be at a competitive level, and the
6 benefits that are derived from joint operations, i.e.,
7 they're probably more profitable because of that than
8 if you were truly separate. Those benefits would flow
9 back to the Basic customers, i.e., the monopoly
10 customers.

11

12 (BRIEF PAUSE)

13

14 MR. JOHN TODD: Slide 6.

15

16 CONTINUED BY DR. BYRON WILLIAMS:

17 DR. BYRON WILLIAMS: And -- and Mr.
18 Todd, we can hear you, but I'll just -- in -- there is
19 a bit of background noise, so I'll just encourage you
20 to -- to speak up a little bit if -- if you're able
21 to.

22 MR. JOHN TODD: Okay.

23

24 (BRIEF PAUSE)

25

1 MR. JOHN TODD: So I just -- as I
2 alluded to in the last slide, here is Section 6.3 of
3 the Manitoba Public Insurance Act. It makes reference
4 to:

5 "The Corporation must ensure that
6 the revenue from its plans of
7 universal compulsory automobile
8 insurance, Basic, and other revenues
9 are not used to subsidize the
10 Corporation's plans of Extension
11 insurance."

12 So a classic regulatory concern is the
13 regulated monopoly should not be subsidizing
14 competitive services. That's clearly set out in the
15 Act.

16 But how broadly should subsidy --
17 should that subsidize be defined? A very narrow view
18 would be Basic insurance should not incur any
19 avoidable costs. Clearly, if Basic insurance were
20 incurring costs that it's not recovering through
21 competitive rates, that would be a subsidy, no
22 question about it.

23 A broader view that I've alluded to is
24 maintaining a level playing field. In other words,
25 whatever benefits the competitive services received by

1 being for the joint operations should benefit utility
2 ratepayers. Sometimes consumer advocates say we're
3 the ones who are paying for the Basic function of the
4 organization. If there's -- if they leverage off the
5 -- that to have profitable competitive services, we
6 should be paid the full amount of those benefits.

7 Next slide, please.

8 So what are the primary models for the
9 treatment of competitive services? A very common
10 approach, particularly where there is -- really is a
11 competitive market, is to have mandatory separation.
12 In other words, the company is told, You as a
13 regulated utility cannot offer competitive services.
14 If you are going to do it, you have to create a parent
15 company that sets up an affiliate, and that
16 independent affiliate can offer those competitive
17 services.

18 When that is done. There are strict
19 transfer pricing rules that are put in place to
20 prevent any cross-subsidization. In my evidence, I
21 have a description of the affiliate relationship code
22 of the Ontario Energy Board. That is probably the
23 most well laid out example of how regulators can
24 achieve this mandatory separation which ensures that
25 there's no cross subsidy, and there's no pref --

1 preferential treatment. There's no advantage being
2 given to the competitive side of the business by the
3 regulators -- or utilities side of the business.

4 Part of that is limiting access to
5 confidential -- confidential information, call centres
6 can't refer people to the affiliate, things like that.
7 So the affiliate operates in exactly the same position
8 as any other competitive company. It has no
9 advantages.

10 The second option is that a service can
11 be offered by the monopoly, but it is defined as a
12 nonutility service. In other words, the rate is not
13 set -- set, not reviewed, not approved by the
14 regulator. The Company is expected, but there's no
15 mechanism to review and ensure, that the Company is
16 expected to be going out and charging competitive
17 price to run that business of the nonutility service.

18 When that is done, the typical approach
19 is that the revenues and costs of that nonutility
20 service are included in the revenue requirement of the
21 Company of the Utility. And the -- the revenue
22 requirement that is recovered from monopoly customers
23 takes into account those costs and revenues, and the
24 consequence of that is that 100 percent of the net
25 profit, i.e., all the -- as Con (phonetic) used to

1 call it, profit or excess profits, all of those are
2 flowing back to reduce the revenue requirement, i.e.,
3 the rates for -- for monopoly customers.

4 So excess profits in excess of prudent
5 cost recovery, which includes normal ROE, which is
6 what I mean by -- what economists mean by profit, is
7 used to reduce utility rates.

8 It can be very hard to measure these
9 things. And so that nonutility service typically is
10 only used in situations where there actually is not a
11 workable -- workably competitive market. So we see it
12 in things like hot water, natural gas hot water
13 heating, or electricity water heating, where the
14 Utility may be out there working with a -- contractors
15 to provide hot water tanks to customers.

16 In some cases where that business has
17 been around for a long time, regulators such as the
18 Ontario Energy Board has required utilities to sell
19 and separate off that business from their main
20 function. Historically, if you look across the
21 country where hot water tanks were brought in,
22 particularly around natural gas, the purpose of it was
23 to grow the natural gas business, and it was done in
24 order to get larger flows of natural gas, bring down
25 the cost of the utility service, the monopoly service

1 by increasing the use of natural gas.

2 So is the reason for the competitive
3 service being there was to lower costs and create
4 benefits for the monopoly customers in the first
5 place? Where there is a working competitive market,
6 there's a tendency for competitors to complain about
7 anti-competitive activities of the Utility offering
8 competitive services, and that's where the easy
9 solution is simply to say, well, you've got to stop
10 providing that competitive service in the marketplace.
11 Next slide, please.

12

13 (BRIEF PAUSE)

14

15 MR. JOHN TODD: So how can this
16 standard treatment, which we see primarily in other
17 sectors -- other utility sectors, how can this
18 standard treatment of nonutility service revenue be
19 applied to MPI? Well, I would carefully say in
20 theory, you could compensate Basic for all the
21 services and support using a fair market value. In
22 other words, the competitive services would pay a fee
23 for the benefits.

24

25 What's the value of the benefit of
appearing on the same work forum? I think you were

1 going through some of that this morning and -- for --
2 for Basic and competitive services. What's the value
3 of that? What should the payment be? For all the
4 other conveniences, what should the payment be?

5 That would be almost impossible to
6 determine unless you were to say, MPI cannot provide
7 those services. MPI is going to make that package of
8 collaboration, if you want, available to market, and
9 we're going to put it out to tender, and whoever bids
10 the most for the right to offer those competitive
11 services will be our partner. That would be a market-
12 determined value of that package of services.

13 My wording here is, In theory
14 compensate, because I don't see a practical way to
15 come up with a calculated value of the benefits that
16 comp -- competitive services derive from monopoly
17 services.

18 So in practice, and this is what we see
19 from the mechanism that is normally done of including
20 revenues and costs in the revenue requirement of the
21 utility, the standard practice to treat excess
22 revenues of Extension and SRE as the value of the
23 benefits derived from the joint operations with Basic.

24 The concept there is if we decide -- as
25 we define excess revenue, that is, any revenue in

1 excess of what's required -- required to achieve a --
2 whatever the Board decides is the appropriate reserve
3 structure, if you're generating revenues in excess of
4 what's needed for that, this concept says the only
5 reason they can get excess revenues is because they're
6 benefitting from being associated with Basic. And
7 that excess revenue becomes the way you define the
8 benefit of the joint operation of competitive and
9 Basic services.

10 And again, without the benefit,
11 competitive pricing would not result in excess
12 benefits. Therefore -- the logic says, therefore,
13 excess earnings are a direct consequence of this
14 relationship. Therefore, they should accrue back to
15 Basic customers. Next slide -- slide is the
16 conclusions.

17 So the implications of these comments
18 for MPI's Capital Management Plan, which is what
19 ultimately the evidence is all about, to reflect
20 standard utility rate-setting practices, number 1,
21 recognize the benefit that Extension and SRE derive
22 from Basic has legitimate value for Basic to recover.
23 Say that value is created by the relationship with
24 Basic. Therefore, it's legitimate for that value to
25 go back to Basic.

1 Second, it follows that you would limit
2 the capital target for Extension and SRE to a level
3 that reflects sound act -- actuarial practices -- not
4 my expertise; that's the other evidence before you --
5 consistent with Basic. So the competitive services
6 won't retain the benefit of the joint operations as a
7 subsidy from Basic, but rather would flow it back to
8 the benefit of Basic.

9 So to do that, you'd have to establish
10 capital transfers rules that flow the excess Extension
11 and SRE reserves back to Basic systematically, and
12 number 1, you define what is that reserve. Number 2,
13 whatever's excess would be flowed back to Basic
14 systematically.

15 I think the MPI evidence speaks to what
16 I would be saying is systematically, to avoid rate
17 shock. It doesn't mean you necessary flow it all back
18 on a year-by-year basis, but in some systematic way to
19 avoid unstable rates. But it would recognize the
20 excess revenues, or excess reserves would be
21 recognized as something that should be -- flow as a
22 benefit back to Basic customers.

23 And part of that would be to establish
24 capital build and release provisions to return the
25 excess Basic capital to customers systematically,

1 again, in a way that is systematically doesn't mean
2 it's something that's going to cause rate instability,
3 but something which is going to recognize that these
4 dollars should be benefitting Basic customers and
5 therefore should be used over the long term, at least
6 a multiyear period, probably, in order to keep rates
7 down, or as a -- as an alternative to keeping rates
8 down, as a lump-sum rebate to customers.

9 A lump-sum rebate concept is what
10 economists love, because it lets you keep the price
11 signal on the premiums for insurance at a cost base
12 level that reflects the risks. And a one (1) time
13 annual rebate would -- could be designed in a way that
14 doesn't skew the -- that pricing.

15 The remainder of the slides that I
16 mentioned are just the reproduction of the attributes
17 of a sound rate structure for Bonbright, which is
18 broadly recognized as the foundational principles for
19 public -- for public utility rates. Many regulators
20 have cited these, and have often restated them in
21 their own way as -- as four (4), or six (6), or ten
22 (10) principles, but the basic concepts are always the
23 same. Those my comments.

24 DR. BYRON WILLIAMS: Okay. Thank you,
25 Ms. Sherry, Dr. Simpson, and Mr. Todd.

1 Madam Chair, the -- though -- that
2 concludes the direct evidence of our clients, the
3 independent witnesses retained on their behalf.

4 They're ready for cross-examination,
5 but just logistically, it's been about an hour. I
6 wonder if my witness -- our witnesses might have a --
7 a break -- break, a five (5) to ten (10) minute break,
8 just to stretch their legs and meet other necessities,
9 and then be -- resume after that?

10 THE CHAIRPERSON: Sure. That's great.
11 We'll take a ten (10) minute break, so we'll be back
12 at 2:16, please.

13

14 --- Upon recessing at 2:07 p.m.

15 --- Upon resuming at 2:22 p.m.

16

17 THE CHAIRPERSON: Thank you, everyone.
18 It is now MPI's opportunity for cross-examination.
19 Mr. Scarfone?

20 MR. STEVEN SCARFONE: Thank you, Madam
21 Chair. Again, just before we begin, some further
22 exhibits to file, if you don't mind: seventy-four (74)
23 to eighty-three (83). So if you had the over at a
24 hundred (100), you're looking good. Exhibit No. 74 --
25 all right. Just a moment. MPI Exhibit No. 74 is the

1 revised version of CMMG-1-19. That's an Information
2 Request that was responded to by the motorcycle group.

3

4 --- EXHIBIT NO. MPI-74: Revised version of CMMG-1-
5 19

6

7 MR. STEVEN SCARFONE: MPI Exhibit No.
8 75 is a response to Undertaking No. 7 and Appendix 1

9

10 --- EXHIBIT NO. MPI-75: Response to Undertaking 7

11

12 MR. STEVEN SCARFONE: Exhibit No. 76
13 for MPIC is a response to Undertaking No. 10.

14

15 --- EXHIBIT NO. MPI-76: Response to Undertaking
16 10.

17

18 MR. STEVEN SCARFONE: Exhibit No. 77,
19 a response to Undertaking No. 12.

20

21 --- EXHIBIT NO. MPI-77: Response to Undertaking 12

22

23 MR. STEVEN SCARFONE: And I see here
24 that Appendix 1 will be on the FTP site.

25

Oh, I see. It's a very large document,

1 so it's going to be circulated electronically.

2 Exhibit No. 78 is a response to

3 Undertaking No. 23.

4

5 --- EXHIBIT NO. MPI-78: Response to Undertaking 23

6

7 MR. STEVEN SCARFONE: MPI Exhibit No.

8 79, a response to Undertaking No. 25.

9

10 --- EXHIBIT NO. MPI-79: Response to Undertaking 25

11

12 MR. STEVEN SCARFONE: MPI Exhibit No.

13 80 is a response to Undertaking No. 28.

14

15 --- EXHIBIT NO. MPI-80: Response to Undertaking 28

16

17 MR. STEVEN SCARFONE: MPI Exhibit No.

18 81 is a response to Undertaking No. 29.

19

20 --- EXHIBIT NO. MPI-81: Response to Undertaking 29

21

22 MR. STEVEN SCARFONE: MPI Exhibit No.

23 82 is a response to Undertaking No. 30 and Appendix 1.

24

25 --- EXHIBIT NO. MPI-82: Response to Undertaking 30

1 MR. STEVEN SCARFONE: And lastly, MPI
2 Exhibit No. 83 is a response to Undertaking No. 31 and
3 Attachment A.

4

5 --- EXHIBIT NO. MPI-83: Response to Undertaking 31

6

7 MR. STEVEN SCARFONE: And -- that --
8 that's an update on the MPI exhibits, Madam Chair.

9 DR. BYRON WILLIAMS: Madam Chair, if I
10 -- I might. With regard to MPI Exhibit 74, which was
11 characterized as an update to CMMG-1-19, our client
12 would wonder whether it's really an update to CMMG-1-
13 19 or additional calculations performed by Manitoba
14 Public Insurance that are not responsive, necessarily,
15 to the original Information Request but employed as a
16 -- a tool for cross-examination.

17 And that may, indeed, be the case. Our
18 client would not -- well, we disagree with the
19 characterization. If that's what it's being presented
20 in, we'll accept that, but I -- I would note that our
21 clients have not had an opportunity -- or, witnesses
22 have not had an opportunity to review the
23 calculations.

24 So our suggestion in terms of fair
25 process would be that if Manitoba Public Insurance is

1 introducing -- trying to introduce via our witnesses
2 calculations, that they include the derivation of
3 those calculations. Our -- our -- our witnesses, if
4 they do intend to use it for cross-examination, would
5 accept the numbers subject to check but would retain
6 the right to do further calculations. That would be
7 our client's position.

8 THE CHAIRPERSON: Thank you, Mr.
9 Williams. Mr. Scarfone, do you have a response to
10 that?

11 MR. STEVEN SCARFONE: I do. One (1),
12 I think I -- I described the exhibit as a revised
13 version of that particular Information Request, so
14 it's not an updated version. It's a revised version.
15 So My Learned Friend is correct that it does contain
16 new information that the Corporation intends to make
17 use of during the cross-examination.

18 So perhaps when -- when the document is
19 before us, as My Learned Friend has said, if there's
20 some numbers in there that any of the witnesses that
21 don't understand or take issue with, they would be
22 subject to check, as Mr. Williams has said, but also,
23 if the Board is so inclined, could ask that we do
24 provide those supporting numbers to show how the
25 columns were arrived at.

1 DR. BYRON WILLIAMS: And Madam Chair,
2 we don't wis -- wish to interfere with My Learned
3 Friend's cross-examination, so just to be clear. We
4 would request the -- the derivation of the new
5 calculations and would reserve the right to provide
6 additional comments from our witnesses afterwards if
7 there's some -- some concern with the -- with the
8 analysis.

9 THE CHAIRPERSON: Thank you. We'll
10 proceed with the cross-examination then and deal with
11 those issues should they arise.

12 MR. STEVEN SCARFONE: Thank you, Madam
13 Chair.

14 So MPI is -- MPI intends to begin with
15 Mr. Todd this afternoon, given that his evidence is
16 fresh in everyone's mind.

17 Kristen, could you pull up Mr. Todd's
18 paper that was filed as an exhibit in this proceeding.
19 Thank you.

20

21 CROSS-EXAMINATION BY MR. STEVEN SCARFONE:

22 MR. STEVEN SCARFONE: Good afternoon,
23 Mr. Todd. My name is Steve Scarfone. I'm counsel for
24 MPIC, so I'll be asking you some questions today about
25 your evidence before the break.

1 MR. JOHN TODD: Good afternoon.

2 MR. STEVEN SCARFONE: Good afternoon.

3 So sir, firstly, your paper was dated September 20th,
4 2019, and I see on the first page, the introduction
5 page, that you have in there -- if you can scroll down
6 to about line 13 -- that you have in there, and I'm
7 always pleased to see this because it's now part of
8 the -- the civil rules, that it sets out what your
9 duty is as an expert witness, correct?

10 MR. JOHN TODD: Correct.

11 MR. STEVEN SCARFONE: And you
12 understand, sir, that an expert witness means that you
13 are allowed, as you just did, to provide opinion
14 evidence to this tribunal, something that's normally
15 not allowed unless you've first been qualified as an
16 expert in a certain area. You know -- you understand
17 that?

18 MR. JOHN TODD: Correct.

19 MR. STEVEN SCARFONE: And that your
20 duty as an expert witness is to provide fair and
21 objective and non-partisan evidence?

22 MR. JOHN TODD: Correct.

23 MR. STEVEN SCARFONE: Related only to
24 matters within your areas of expertise?

25 MR. JOHN TODD: Correct.

1 MR. STEVEN SCARFONE: And you also
2 understand, sir, that you're not here to advocate for
3 or against any particular issue before the Board.
4 You're not an advocate.

5 MR. JOHN TODD: Correct. I'm
6 expressing my views.

7 MR. STEVEN SCARFONE: Yes. You have a
8 -- what I would suggest is a general disinterest in
9 the outcome of this hearing.

10 MR. JOHN TODD: Correct.

11 MR. STEVEN SCARFONE: Your -- your
12 role here, really, is to just provide that expert
13 evidence that we spoke of to assist the Board in
14 making its findings, correct?

15 MR. JOHN TODD: Correct.

16 MR. STEVEN SCARFONE: So you don't
17 care, sir, if MPIC's capital management is approved by
18 this Board.

19 MR. JOHN TODD: No. That's a matter
20 of the Board's decision.

21 MR. STEVEN SCARFONE: Correct. And
22 you don't care, similarly, if it's rejected.

23 MR. JOHN TODD: Correct.

24 MR. STEVEN SCARFONE: And you don't
25 care, sir, if this Board was to hold a different view

1 as to what amounts to excess capital than what your
2 opinion on that subject might be, correct?

3 MR. JOHN TODD: Correct. I'm -- and
4 I'm attempting to share my perspective from working
5 with other types of utilities and trying as my best to
6 apply it by analogy to MPI --

7 MR. STEVEN SCARFONE: Yes.

8 MR. JOHN TODD: -- what would be
9 consistent. And I always say before regulators, I'm
10 wrong, the Board's right, when a decision comes out.

11 MR. STEVEN SCARFONE: Very good. And
12 I see from your paper, sir, that on that issue of
13 capital, you're aware that there is a reserves
14 regulation in place.

15 MR. JOHN TODD: I'm aware that there
16 is a reserve regulation, that my understanding is --
17 is contested. But yes, I'm aware of -- I have
18 reviewed and I fully understand the reserve regulation
19 --

20 MR. STEVEN SCARFONE: Yes.

21 MR. JOHN TODD: -- which would make my
22 evidence rather redundant.

23 MR. STEVEN SCARFONE: Yeah, and -- and
24 so you've -- you've jumped -- see, I have a list of
25 questions here. So the first one (1) was you're aware

1 of the reserves regulation. Yes. And that there's a
2 challenge to that regulation. You're aware of that.

3 MR. JOHN TODD: Correct. Yes. I'm
4 aware of that.

5 MR. STEVEN SCARFONE: Yes. Sometimes
6 I just -- I got to read from my script, and --

7 MR. JOHN TODD: Sorry. I'll -- I'll --

8 MR. STEVEN SCARFONE: I'll regroup.

9 MR. JOHN TODD: -- retract my answer
10 and you can -- with your script. I'll give you wes --
11 yeses.

12 MR. STEVEN SCARFONE: And -- and to
13 that end, sir, on that issue of giving evidence within
14 your area of expertise, your paper candidly admits as
15 much at the bottom of page 2. There's a sentence
16 there that reads:

17 "Furthermore, my comments set aside
18 all legal issues related to the
19 implications of the reserves
20 regulation."

21 MR. JOHN TODD: Correct.

22 MR. STEVEN SCARFONE: So I would
23 suggest to you, sir, that you're not here today -- and
24 you haven't suggested that you are -- to speak to the
25 appropriateness of a regulation that provides for 100

1 percent MCT.

2 MR. JOHN TODD: I am agnostic on that
3 question.

4 MR. STEVEN SCARFONE: And I --
5 similarly, whether that regulation was passed with the
6 requisite authority under the MPIC Act.

7 MR. JOHN TODD: I'm agnostic, as I've
8 absolutely no idea. That is a legal question.

9 MR. STEVEN SCARFONE: And I'll put a
10 hypothetical to you, sir. If your paper was dated
11 September 20th, 2019, instead of September -- or,
12 sorry. If it was dated to September 20th, 2020,
13 instead of this year, and if the validity of the
14 regulation that sets out the MCT targets for the
15 Corporation has withstood the challenge that's before
16 this Board, you wouldn't look past or set aside those
17 targets, correct?

18 MR. JOHN TODD: That would depend upon
19 legal advice, which I would not provide. So I have
20 been retained in situations where there was a
21 regulation where -- I was retained by legal counsel
22 whose position was that even though a regulation which
23 applied to the company that was regulated was binding
24 on the company, that that same regulation was not
25 binding on the board itself because the board was

1 following its legislation.

2 So it's complex legal issues, and if --
3 I would not be retained by a lawyer, if the lawyer's
4 opinion was that from a legal perspective, anything I
5 could say would be irrelevant.

6 MR. STEVEN SCARFONE: And so I agree
7 with you on part of that response. There are a lot of
8 complex issues at play when responding to my question.

9 MR. JOHN TODD: Yeah, and I -- I would
10 need to have a legal opinion to answer your question
11 properly.

12 MR. STEVEN SCARFONE: But the -- the
13 essence of the question was if we were to all get into
14 a time machine and it's a year from now and that
15 regulation was upheld and found to be valid after this
16 proceeding has long ended, you wouldn't look past or
17 set aside those capital targets because it's the law,
18 correct? Much like, sir, you may not like the speed
19 limit, but you have to obey it.

20 DR. BYRON WILLIAMS: I think this
21 question has been asked and answered. The witness
22 indicated there -- there are two (2) separate
23 questions: a) is it legally vi -- binding, and then
24 secondly, is it valid -- sorry, is it lawful, and then
25 secondly, is it binding on the rate -- on the rate

1 setting approval process itself? I -- I'll leave the
2 witness to answer, but I think that answer's already
3 been given.

4 MR. JOHN TODD: My views from a -- as
5 a regular expert would not change, but as a matter --
6 as a legal matter, my views may be -- may be
7 completely irrelevant.

8

9 CONTINUED BY MR. STEVEN SCARFONE:

10 MR. STEVEN SCARFONE: And -- and
11 that's exactly my point. You might disagree --

12 MR. JOHN TODD: I agree with that.
13 Yes.

14 MR. STEVEN SCARFONE: Yes.

15 MR. JOHN TODD: Yes.

16 MR. STEVEN SCARFONE: Sir, I see from
17 your paper as well -- and you canvassed this in your
18 introductory comments -- or your -- the counsel for
19 the CAC did -- you've had five (5) previous
20 appearances before this Board for MPIC rate
21 applications.

22 MR. JOHN TODD: I believe that's
23 correct, yes.

24 MR. STEVEN SCARFONE: 1998, 1999,
25 2000, 2002, and the 2006 General Rate Application.

1 MR. JOHN TODD: Yes. As long as my
2 CV's correct, that's correct.

3 MR. STEVEN SCARFONE: Yes. And so
4 this being the 2020 general rate application, sir, the
5 last time you were here, again, for MPIC purposes, was
6 fourteen (14) years ago.

7 MR. JOHN TODD: Sounds correct.
8 Thirteen (13) years ago. I guess Mr. -- Dr. Simpson's
9 math is better than mine.

10 MR. STEVEN SCARFONE: No, he was here
11 last for the 2006 GRA, which would have been in 2005.

12 MR. JOHN TODD: Two thousand and five
13 (2005). Long time ago.

14 MR. STEVEN SCARFONE: Long time ago.
15 That tripped me up as well. We're here on the 2020
16 GRA --

17 MR. JOHN TODD: Right.

18 MR. STEVEN SCARFONE: -- even though
19 it's 2019.

20 MR. JOHN TODD: Right.

21

22 CONTINUED BY MR. STEVEN SCARFONE:

23 MR. STEVEN SCARFONE: So sir, you
24 mentioned in your paper at page 2 the Kopstein report
25 from 1998. And you're aware, sir, that Robert

1 Kopstein was a provincial court judge in Manitoba?

2 Did you know that?

3 MR. JOHN TODD: I knew that when I
4 read it twenty (20) years ago --

5 MR. STEVEN SCARFONE: Twenty (20)
6 years ago.

7 MR. JOHN TODD: -- or whenever it was.
8 Yes.

9 MR. STEVEN SCARFONE: And that was my
10 next question, so I'm going to just jump past that on
11 the script. You've read the report, sir?

12 MR. JOHN TODD: I have not freshened
13 on it, but I read the report in -- for previous
14 proceedings, yes.

15 MR. STEVEN SCARFONE: And you'll --
16 you're aware, sir, and you touch upon it in your paper
17 that the Kopstein report speaks to a retained surplus,
18 which is an amount over and above that required for
19 breakeven rates. That was what the judge was
20 espousing about, correct?

21 MR. JOHN TODD: Yes.

22 MR. STEVEN SCARFONE: And that
23 retained surplus from the Kopstein report as
24 recommended was to be in the range of 10 percent to 20
25 percent.

1 MR. JOHN TODD: Of revenues, I
2 believe, yes.

3 MR. STEVEN SCARFONE: A percentage of
4 premiums?

5 MR. JOHN TODD: Premiums, yes.

6 MR. STEVEN SCARFONE: And this, as
7 we've heard earlier from Dr. Simpson, is to protect
8 the ratepayers from rate increases arising from
9 unexpected events and losses, correct?

10 MR. JOHN TODD: Correct.

11 MR. STEVEN SCARFONE: Events such as a
12 stock market crash, an unusually large hailstorm, or
13 perhaps forecasted interest rates of large magnitude
14 that have gone incorrectly?

15 MR. JOHN TODD: I'm not fresh enough
16 on the Kopstein report to say exactly what was the
17 intent of that report, but along those lines, I agree.

18 MR. STEVEN SCARFONE: And -- and --
19 and the point of it was, if you have a capital reserve
20 and you have these unforeseen events, you can draw from
21 the reserve rather than ask the ratepayers for the
22 money directly.

23 MR. JOHN TODD: Well, it's a wate --
24 it is a rate stabilization reserve, yes. And those
25 are not uncommon across Canada in other jurisdictions

1 with various utilities.

2 MR. STEVEN SCARFONE: And indeed, at
3 MPI, it is known as the rate stabilization reserve.

4 MR. JOHN TODD: Yes.

5 MR. STEVEN SCARFONE: And so I will
6 ask -- and this is the exhibit, Madam Chair, that my
7 friend alluded to -- Exhibit No. 74, Kristen, a
8 revised version of CMMG-1-19.

9 DR. BYRON WILLIAMS: I'm going to ask
10 Mr. Todd if he's familiar with this, the original
11 Information Request, CMMG-1-19, or not. We don't want
12 to obstruct your examination; it just may be more
13 appropriate to put it to a different witness. But
14 I'll just -- just ask if -- Mr. Todd, if you're
15 familiar with that exhibit -- original Information
16 Request.

17 MR. JOHN TODD: No, I'm not.

18

19 CONTINUED BY MR. STEVEN SCARFONE:

20 MR. STEVEN SCARFONE: And so -- and
21 for the purposes of my questions, I don't -- I don't
22 know if the witness's familiarity is -- is needed, but
23 of course, he can disagree with me, because I can
24 explain. There's only a couple columns -- that I
25 think it'll become obvious what the exhibit is

1 presenting.

2 So the first column, sir, on the left-
3 hand side is -- is the fiscal year, and you see that?

4 MR. JOHN TODD: Yes.

5 MR. STEVEN SCARFONE: And then if you
6 go down, it begins at 2003/2004. It's hard to read on
7 that screen. You see that? Line -- line number 3.

8 MR. JOHN TODD: Yes.

9 MR. STEVEN SCARFONE: So that reads
10 2003/2004, and it goes all the way down to the present
11 at line 18, 2018 and 2019.

12 MR. JOHN TODD: Yes.

13 MR. STEVEN SCARFONE: And then if you
14 look to the right, you can skip past about ten (10) of
15 those columns, and you'll see a column that reads PUB-
16 approved SR -- RSR range. Do you see that?

17 MR. JOHN TODD: Sorry, which column is
18 that?

19 MR. STEVEN SCARFONE: It reads PUB-
20 approved RSR range.

21 MR. JOHN TODD: I see it, yes, on --
22 about two-thirds (2/3) of the way across.

23 MR. STEVEN SCARFONE: Yes, thank you.
24 And so underneath that particular column, for each of
25 the respective years, is the range that this Board

1 ordered for capital within the rate stabilization
2 reserve.

3 MR. JOHN TODD: Yes.

4 MR. STEVEN SCARFONE: Do you see that?
5 So the first one (1) reads 50 to \$80 million?

6 MR. JOHN TODD: Yes.

7 MR. STEVEN SCARFONE: And it goes all
8 the way down to last year, 140 million to 315 million.
9 Do you see that?

10 MR. JOHN TODD: Yes.

11 MR. STEVEN SCARFONE: Okay. And then
12 if you skip over two (2) columns, you'll see, firstly,
13 a column that reads 10 percent of annual net premiums
14 written.

15 MR. JOHN TODD: Yes.

16 MR. STEVEN SCARFONE: Yes. And 20
17 percent of annual net wri -- premiums written is
18 beside that. Do you see that, sir?

19 MR. JOHN TODD: Yes, I do.

20 MR. STEVEN SCARFONE: Okay. And so
21 I'm going to suggest to you, sir, that those are the -
22 - the Kopstein upper and lower ranges, as you've
23 described. The Kopstein report recommended a range of
24 capital between 10 percent and 20 percent. Is that
25 correct?

1 MR. JOHN TODD: Correct.

2 MR. STEVEN SCARFONE: Ideally, sitting
3 at about 15 percent. Somewhere in the middle.

4 MR. JOHN TODD: It's the middle, yes.

5 MR. STEVEN SCARFONE: Yes. And if you
6 look back to the PUB-approved RSR range column...

7 MR. JOHN TODD: Yes.

8 MR. STEVEN SCARFONE: You'll see, sir,
9 that, as I indicated earlier, it begins at 50 to \$80
10 million.

11 MR. JOHN TODD: Yes.

12 MR. STEVEN SCARFONE: And increases
13 with every successive year. And if you go down about
14 ten (10) lines, you'll see that one (1) year, this
15 Board ordered 89 million to 178 million. Do you see
16 that?

17 MR. JOHN TODD: Yes.

18 MR. STEVEN SCARFONE: And I would
19 suggest to you, sir, that until that year, we had a
20 very kind of consistent increase in the targets.
21 Would you agree with that?

22 MR. JOHN TODD: Subject to check, in
23 high level, it looks fairly consistent, yes.

24 MR. STEVEN SCARFONE: And then the
25 following year, being 2015/2016, we see that there was

1 a dramatic or a significant change to the targets.

2 Would you agree with that?

3 MR. JOHN TODD: So going from the
4 eighty-nine (89) at the lower end to two hundred and
5 thirty-one (231) at the lower end.

6 MR. STEVEN SCARFONE: Yes.

7 MR. JOHN TODD: Correct.

8 MR. STEVEN SCARFONE: Would you agree
9 that represents a significant change in capital?

10 MR. JOHN TODD: Significant change in
11 the approved capital range, yes.

12 MR. STEVEN SCARFONE: Yes. And I'm
13 going to suggest to you, sir, that the use of the
14 dynamic capital adequacy test -- are you familiar with
15 that -- that test?

16 MR. JOHN TODD: In terms of reviewing
17 the evidence, not -- not from a detailed perspective--

18 MR. STEVEN SCARFONE: You're not an
19 actuary.

20 MR. JOHN TODD: -- that's the subject
21 of another -- yes, so I cannot speak to the content of
22 it, but I understand basic -- basically the approach,
23 yes.

24 MR. STEVEN SCARFONE: And I suggest to
25 you, sir, and you have no reason to disagree, that

1 that's when the Corporation started using the DCAT for
2 its capital targets.

3 MR. JOHN TODD: I don't know that as a
4 fact, but I'll accept that.

5 MR. STEVEN SCARFONE: Okay. And prior
6 to that, sir, it would appear that the Corporation was
7 using the Kopstein percentage of premiums approach.

8 MR. JOHN TODD: I'll accept that.

9 MR. STEVEN SCARFONE: And I say that,
10 sir, because if you look to the PUB-approved RSR
11 range, just before the DCAT year -- so you'll see the
12 eighty-nine (89) to one seventy-eight (178).

13 Do you see that?

14 MR. JOHN TODD: Yes.

15 MR. STEVEN SCARFONE: One seventy-
16 eight (178) represents a doubling of the lower target.

17 MR. JOHN TODD: Sorry, the lower end
18 of the target went from -- you're talking about the
19 number went from eighty-nine (89) to two thirty-one
20 (231)?

21 MR. STEVEN SCARFONE: Eighty-nine (89)
22 to one seventy-eight (178) in the same year.

23 MR. JOHN TODD: Oh, the range.

24 MR. STEVEN SCARFONE: Yes.

25 MR. JOHN TODD: You're saying the

1 range --

2 MR. STEVEN SCARFONE: Right.

3 MR. JOHN TODD: -- was 100 percent

4 range.

5 MR. STEVEN SCARFONE: Yes.

6 MR. JOHN TODD: Okay.

7 MR. STEVEN SCARFONE: And so that

8 would represent a doubling of -- eighty-nine (89)

9 times two (2) is one seventy-eight (178).

10 MR. JOHN TODD: The doubling -- the

11 upper end is double the lower end.

12 MR. STEVEN SCARFONE: Yes. Yes.

13 MR. JOHN TODD: If that's what you

14 mean by doubling, yes.

15 MR. STEVEN SCARFONE: So the 10 and 20

16 percent.

17 MR. JOHN TODD: Yeah. Well, not year

18 to year, but within a range, yes.

19 MR. STEVEN SCARFONE: Yes. Yes.

20 MR. JOHN TODD: The range, yes.

21 DR. BYRON WILLIAMS: Ma -- Madam

22 Chair, at this point in time, this is where the

23 unfairness to the witness comes. I take it Manitoba

24 Public Insurance is not suggesting that the 2015/16

25 year was the first year in which the dynamic capital

1 adequacy testing analysis was undertaken by Manitoba
2 Public Insurance.

3 MR. STEVEN SCARFONE: For the purposes
4 of capital, not for satisfactory financial condition.

5 DR. BYRON WILLIAMS: So this is the --
6 the dual unfairness of this question. A witness who
7 has not reviewed this IR, a witness who is not the
8 preferred witness in terms of the dynamic capital
9 adequacy testing or the MCT, who's not familiar with
10 the history post. So -- and what is being undertaken
11 here is, in terms of the analytical approach.

12 So if the questions are to be posed,
13 they should be posed to the witnesses who have offered
14 evidence on the dynamic capital adequacy and the MCT
15 who are also familiar with the -- the fact that this
16 testing was undertaken from many years prior to
17 2015/'16. So that is our objection.

18 And I will reiterate that from our
19 client's perspective, the -- this goes to the
20 unfairness that I flagged at the start in terms of the
21 derivation of the analysis and the fact that it's not
22 putting in the history of the dynamic capital adequacy
23 testing since it was undertaken by MPI.

24 So that is our -- our concern. Wrong
25 witness, unfair factual proposition, and not truly an

1 updated CMMG-1-19.

2 THE CHAIRPERSON: Thank you,
3 Mr. Williams. Yes. I agree that the witnesses who
4 have offered testimony with regard to these issues are
5 Dr. Simpson and Ms. Sherry.

6 I would ask that you proceed to direct
7 your questions to them, and then we'll see further
8 from -- from that whether there are continuing
9 concerns about the derivation.

10 MR. STEVEN SCARFONE: And thank you,
11 Madam Chair. So I may do that but not right now. So
12 what I'd like to do is carry on with my
13 cross-examination of Mr. Todd, and I may go back to --
14 to this exhibit with the other two (2) panel members.

15 THE CHAIRPERSON: That's fine.
16 You're -- you're not anticipating asking Mr. Todd any
17 further questions though with regard to this exhibit.
18 Is that correct?

19 MR. STEVEN SCARFONE: No. Although I
20 have to say, sir, you're doing a pretty good job
21 following along, but I -- I will end that line of
22 questioning.

23 THE CHAIRPERSON: Thank you.

24 MR. JOHN TODD: You're a very good
25 conductor, so it's easy to follow along. All I have

1 to do is say yes.

2

3 CONTINUED BY MR. STEVEN SCARFONE:

4 MR. STEVEN SCARFONE: So, sir, at
5 page 4 of your paper.

6

7 (BRIEF PAUSE)

8

9 MR. STEVEN SCARFONE: And -- and you
10 know your paper, so I won't direct you right to it,
11 but let me just ask you this question.

12 At page 4, sir, you say that one of the
13 primary purposes of the rules in Ontario that govern
14 the relationship between regulated entities like MPI
15 and the unregulated or competitive lines of business
16 offered by that same utility. So the utility in your
17 paper is MPIC. Correct? That's the -- when you make
18 reference to "utility," you mean MPIC?

19 MR. JOHN TODD: Mostly I'm making
20 generic comments. So I'm just talking about any
21 regulated utility because the essence of my paper is
22 talking at a level of principles --

23 MR. STEVEN SCARFONE: I see. Okay.

24 MR. JOHN TODD: -- and broad
25 practices.

1 MR. STEVEN SCARFONE: In any event,
2 you would say in your paper that the rules in Ontario
3 are designed to preclude the subsidization of the
4 competitive side by the regulated monopoly. Is
5 that -- is that what the rules are or does the
6 mischief that the -- the rules are designed to avoid?

7 MR. JOHN TODD: Sorry. Say that
8 again?

9 MR. STEVEN SCARFONE: Yes. That the
10 rules in Ontario that govern that relationship are
11 designed to preclude the subsidization of the
12 competitive side by the -- by the monopoly side.

13 MR. JOHN TODD: Yes. And I would
14 clarify by saying subsidization in the -- what I've
15 referred to as the broad concept --

16 MR. STEVEN SCARFONE: Yes.

17 MR. JOHN TODD: -- in my opening
18 comments.

19 MR. STEVEN SCARFONE: Okay. And so in
20 other words, I would say that there should be no money
21 flowing from the Basic program into the competitive
22 lines of business into Extension or SRE.

23 MR. JOHN TODD: That is one part of
24 it.

25 MR. STEVEN SCARFONE: Part of it.

1 MR. JOHN TODD: But that's not what
2 it's all about.

3 MR. STEVEN SCARFONE: No. But that's
4 a bit part of it. You wouldn't want to see capital or
5 any kind of net income flowing from Basic, the
6 monopoly side, into the Extension side.

7 MR. JOHN TODD: That is the most
8 extreme case of a subsidy, yes.

9 MR. STEVEN SCARFONE: Yes. But
10 certainly, money flowing the other way -- so into
11 Basic -- from the competitive lines of business
12 wouldn't violate the provisions of the Ontario Energy
13 Board's ARC or the affiliate relationship code.

14

15 (BRIEF PAUSE)

16

17 MR. JOHN TODD: If money were flowing
18 into the regulated business -- this is -- and we're
19 talking affiliates here -- into the -- from the
20 affiliate to the regulated business and those dollars
21 were used to reduce regulated rates, there would be
22 nobody objecting to that.

23 MR. STEVEN SCARFONE: Yes. It seems
24 to be on side --

25 MR. JOHN TODD: I have not seen -- I

1 have not seen it happen.

2 MR. STEVEN SCARFONE: Yes.

3 MR. JOHN TODD: I wouldn't expect to
4 see it happen but nobody -- I can't imagine anybody
5 objecting.

6 MR. STEVEN SCARFONE: It seems to be
7 on side with the Ontario Energy Board's concerns.

8 MR. JOHN TODD: Absolute -- the --
9 and that -- broadly speaking, there's what's called
10 the asymmetry rule --

11 MR. STEVEN SCARFONE: Yes.

12 MR. JOHN TODD: -- which is the flows
13 are between affiliates and utilities are viewed in
14 a -- in a asymmetric way, i.e., differently. That's
15 part of the asymmetry rule, in essence.

16 MR. STEVEN SCARFONE: Okay. And by
17 the way, I meant to ask you: So when you make
18 reference to affiliate in -- in your paper -- and you
19 touched upon this in your examination-in-chief -- are
20 you speaking about an affiliate in the legal sense,
21 meaning that it's a separate legal entity
22 incorporated, files its own tax returns, that kind of
23 affiliate?

24 MR. JOHN TODD: Yes.

25 MR. STEVEN SCARFONE: And so that kind

1 of affiliate doesn't apply to Manitoba Public
2 Insurance.

3 MR. JOHN TODD: No. And that's a
4 point I make here --

5 MR. STEVEN SCARFONE: Yes.

6 MR. JOHN TODD: -- that that's --
7 Manitoba Public Insurance has competitive services
8 that are what I'd normally define as non-utility
9 services offered by the monopoly company --

10 MR. STEVEN SCARFONE: By the monopoly.

11 MR. JOHN TODD: -- as opposed to
12 services being offered by a totally separate
13 affiliate.

14 MR. STEVEN SCARFONE: Yes. And when
15 you --

16 MR. JOHN TODD: And discussion of the
17 affiliates is to provide an understanding of the
18 thinking that goes into the treatment of competitive
19 versus monopoly services.

20 MR. STEVEN SCARFONE: Right. And so
21 those MPIC affiliates -- and I use that term loosely
22 know, but I don't know what you would call them --

23 MR. JOHN TODD: Non-utility services.

24 MR. STEVEN SCARFONE: Non-utility
25 services. Thank you. The MPIC non-utility services

1 in your paper are the Extension line of business? Is
2 that right?

3 MR. JOHN TODD: Correct.

4 MR. STEVEN SCARFONE: And the special
5 risk extension line of business.

6 MR. JOHN TODD: Correct.

7 MR. STEVEN SCARFONE: And so let me
8 just ask you a couple of question about those two (2)
9 lines of business, if I may. You're aware that the
10 Extension line of business is for insurance products
11 purchased by Basic customers.

12 MR. JOHN TODD: As I understand it, a
13 core aspect is reducing the deductible for people --

14 MR. STEVEN SCARFONE: Yes. You got
15 it. And increasing third-party liability?

16 MR. JOHN TODD: Yeah. And you -- you
17 would not -- there'd -- there'd be no opportunity to
18 buy those without first purchasing Basic. At the same
19 time, there's no reason you couldn't buy those from
20 some entity other than MPI except for the way the
21 market's structured.

22 MR. STEVEN SCARFONE: That -- that's
23 absolutely right. So -- but I just want to make sure
24 you understand what we're talking about. So the
25 Extension line of business is the products that the

1 Basic customers can buy in addition to their Basic
2 mandatory coverage.

3 MR. JOHN TODD: Absolutely correct.

4 And my understanding is that that has not changed in
5 fourteen (14) years, so I'm not out of date --

6 MR. STEVEN SCARFONE: No.

7 MR. JOHN TODD: -- on that aspect of
8 the business.

9 MR. STEVEN SCARFONE: You are not.

10 And the -- so the other competitive line of business,
11 as mentioned in your paper, is the SRE line of
12 business -- the special risk extension

13 MR. JOHN TODD: Correct.

14 MR. STEVEN SCARFONE: And are you
15 aware, sir, that that's a commercial insurance line?

16 MR. JOHN TODD: Well, if what you're
17 talking about is individually underwritten -- if
18 that's what you mean by -- by commercial? Yes, that's
19 my understanding.

20 MR. STEVEN SCARFONE: And -- and I
21 also mean by "commercial," it's -- it's commerce. And
22 so it's the trucking industry. Were you aware of
23 that?

24 MR. JOHN TODD: Which -- which are
25 vehicles. Yes.

1 MR. STEVEN SCARFONE: Pardon me?

2 MR. JOHN TODD: Yeah. Which are
3 vehicles but yes.

4 MR. STEVEN SCARFONE: Yes.

5 MR. JOHN TODD: So it's so separate.
6 Yes. So my understanding is that SRE is not
7 leveraged -- it's not interwoven, if you want, with
8 Basic the same way as Extension is.

9 MR. STEVEN SCARFONE: Correct. So the
10 customers of Basic, I would suggest, you are not
11 purchasing any products offered by the special risk
12 extension line of business.

13 MR. JOHN TODD: I haven't investigated
14 that, but I -- if you say it, I'll accept it as an
15 absolute as opposed to generally true.

16 MR. STEVEN SCARFONE: Okay. Thank
17 you. So getting back to what you thought wouldn't
18 raise a lot of concern from the Ontario regulatory and
19 others if money was flowing from the competitive line
20 of business into the monopoly business and used to
21 reduce rates, that raises no concerns. Correct?

22 MR. JOHN TODD: Using that
23 terminology, I'm going to refine that a bit.

24 MR. STEVEN SCARFONE: Okay.

25 MR. JOHN TODD: The flowing -- and

1 when we talked about it a moment ago -- was with
2 respect to an affiliate, and yes, it wouldn't cause
3 concerns.

4 If the flowing is from a non-utility
5 service to a -- in effect to the utility services, not
6 only would it be tolerated, but that would be the
7 normal expectation. That's the way it is normally
8 handled.

9 MR. STEVEN SCARFONE: That's the way
10 it should happen.

11 MR. JOHN TODD: Well, I'm reluctant to
12 use the word "should" 'cause it's a matter of public
13 policy.

14 MR. STEVEN SCARFONE: Yes.

15 MR. JOHN TODD: But that is the way it
16 is -- it normally does happen.

17 MR. STEVEN SCARFONE: And so, for
18 example, we know from the evidence in this proceeding
19 that MPI's Extension line of business -- so that's the
20 business that you knew about, the one that sells
21 lowered deductible, increases third-party liability --
22 we know, sir, that over the past three (3) or four (4)
23 years, that Extension line of business has transferred
24 \$213 million into Basic with another sixty (60)
25 million having recently been transferred.

1 So that transfer of capital, sir, is --
2 is kind of what the -- the regulatory in Ontario --
3 the Ontario Energy Board would like to see when you
4 have these intertwined entities.

5 MR. JOHN TODD: I'm going to state
6 your -- restate it more precisely. When you have a
7 non-utility service, that is what the regulator in
8 Ontario requires.

9 MR. STEVEN SCARFONE: Yes.

10 MR. JOHN TODD: And the requirement is
11 that a hundred percent of the, if you want, excess
12 profit -- that is a hundred percent above the actual
13 direct costs which would include a normal approved
14 return equity if there's -- if there's a capital
15 investment involved, a hundred percent of that would
16 be used to offset utility rates.

17 MR. STEVEN SCARFONE: To lower the
18 rates of --

19 MR. JOHN TODD: To lower the rates for
20 utility customers.

21 MR. STEVEN SCARFONE: -- of the
22 monopoly provider.

23 MR. JOHN TODD: Exactly. To the
24 customer -- monopoly customers.

25 MR. STEVEN SCARFONE: Yes.

1 MR. JOHN TODD: That -- that is --
2 that is the way the system operates.

3 MR. STEVEN SCARFONE: And, Kristen, if
4 you could pull up the reserves regulation for me,
5 please, and go to section 3.

6

7 (BRIEF PAUSE)

8

9 MR. STEVEN SCARFONE: So this, sir, is
10 a provision that -- as the title suggests is the use
11 of surplus monies in the rate stabilization reserve.
12 And when I say "rate stabilization reserve," I'm
13 talking about the monopoly RSR -- Basics RSR.

14 And you'll see, sir, that it reads
15 that:

16 "The corporation may use amounts in
17 the RSR that are in excess of the
18 amount required under clause 2(a)
19 for the purpose of reducing the rate
20 indication required for Basic
21 customers essentially."

22 Do you see that?

23 MR. JOHN TODD: Yeah. But I think a
24 key word is the only but yes.

25 MR. STEVEN SCARFONE: Yes. And so

1 that, I think, you'd agree, sir, is consistent with
2 what you say should be the case when there's these
3 closely held or intertwined non-utility services and
4 monopoly services.

5 MR. JOHN TODD: Yes. And the essence
6 of my evidence is speaking to agreeing entirely with
7 the direction, and I'm setting out principles for
8 determining the amount.

9 MR. STEVEN SCARFONE: Yes. And -- and
10 we'll leave the amount alone for now --

11 MR. JOHN TODD: Yeah.

12 MR. STEVEN SCARFONE: -- because the
13 appropriate -- appropriateness of the amount is still
14 very much at issue. But -- but the -- but I think I
15 got a yes to, this is what the OEB would contemplate.

16 MR. JOHN TODD: Yes. Those reserves
17 that are in excess of costs -- we'll put it that way,
18 right?

19 MR. STEVEN SCARFONE: Yes.

20 MR. JOHN TODD: -- would only be used
21 for reducing monopoly rates.

22 MR. STEVEN SCARFONE: And then the
23 cross subsidization that's in your paper can also be
24 more discrete than the direct transfer of capital.
25 Correct? It could include, as your paper sets out,

1 the provision of services at a discounted rate or at
2 an inflated rate, depending on which way you're going.
3 And that's -- that's another mischief that the
4 regulator has to guard against.

5 MR. JOHN TODD: Yes. So that's most
6 meaningful in the context of an affiliate where there
7 actually is transfer pricing where you have a
8 non-utility services, the operations are often not so
9 separate that there's actually transfer pricing
10 involved. But the -- but the underlying concept is --
11 is the same.

12 MR. STEVEN SCARFONE: The provision of
13 services at discounted rates --

14 MR. JOHN TODD: Provision of services
15 that -- you've got to be recovering from the
16 competitive side. The competitive side has to be
17 paying for itself.

18 MR. STEVEN SCARFONE: Yes. So
19 standalone principle.

20 MR. JOHN TODD: Yes.

21 MR. STEVEN SCARFONE: Yes.

22 MR. JOHN TODD: Well, actually
23 standalone principle is a bit different because the
24 standalone principle usually does a -- a determination
25 of the cost of that business on a standalone basis.

1 What we're talking about with a non-utility service is
2 actually what are the costs incurred which may be a
3 lot less than the standalone costs.

4 MR. STEVEN SCARFONE: I see. And so
5 allocating costs in a manner that, as you say in your
6 paper, disadvantages the regulated business is another
7 discrete method of cross subsidization.

8 MR. JOHN TODD: That is a potential
9 method of cross subsidization that is precluded. Yes.

10 MR. STEVEN SCARFONE: But as you note
11 in your paper, sir, at page 6, section 6.3 of the MPIC
12 Act seems to address this concern.

13 MR. JOHN TODD: I agree.

14 MR. STEVEN SCARFONE: Yes. And -- and
15 more to the point, this Board, after some reservation
16 about excess retained earnings from Extension and SRE
17 being available for non-insurance use back in the day,
18 they approved a cost allocation methodology now in
19 place for rate setting purposes. Agreed?

20 MR. JOHN TODD: Yes. And the cost
21 allocation methodology, which I have not reviewed,
22 assuming it is done correctly, ensures that -- or
23 provides a measure to ensure that the competitive
24 lines of business are at least paying their way.

25 MR. STEVEN SCARFONE: So that's --

1 that is the cross subsidization concern raised in your
2 paper. And so --

3 MR. JOHN TODD: I wouldn't say that.

4 MR. STEVEN SCARFONE: No. But part
5 of it is the --

6 MR. JOHN TODD: Part -- it's part of
7 it, yes.

8 MR. STEVEN SCARFONE: Yes. Part of it
9 is the guarding against monies flowing the wrong way?

10 MR. JOHN TODD: Correct.

11 MR. STEVEN SCARFONE: That's
12 simplifying it, but that's one of the concerns. And
13 the other one is the allocation of costs has to be
14 addressed in a meaningful way.

15 MR. JOHN TODD: Yes. And that's part
16 of it. But, I mean, the other part of it is the
17 recognition of the benefits and of the joint
18 operations which become dollars of profit in the
19 competitive side and how are those treated. That's
20 really the nub of the issue.

21 MR. STEVEN SCARFONE: Yes. And how --

22 MR. JOHN TODD: The others are so
23 obvious that they're -- they just -- because they're
24 so transparent.

25 MR. STEVEN SCARFONE: Right. And --

1 and the "nub," as you say, is -- you know, we really
2 have to see some benefit being realized by the
3 ratepayers of the monopoly.

4 MR. JOHN TODD: Well, I wouldn't say
5 "some benefit." So firstly, you quantify the benefit
6 that is being realized by the competitive side. And
7 then the normal practice is that the full amount of
8 that benefit through some mechanism flows back to the
9 monopoly customers.

10 Or if you do not flow at all back to
11 the customers on a timely basis, there would be
12 usually a policy reason for not doing that. Sorry.
13 Not an insurance policy reason but a public policy
14 reason.

15 MR. STEVEN SCARFONE: So if I can
16 paraphrase then, absent a policy reason, you would say
17 not part of it -- the entirety of the benefits
18 realized on the competitive side should be realized by
19 the customers of -- on the monopoly side.

20 MR. JOHN TODD: That is the standard
21 practice.

22 MR. STEVEN SCARFONE: Yes.

23 MR. JOHN TODD: I -- again, I am
24 reluctant to use the word "should" 'cause there's a
25 value judgment there. And as you pointed out in my

1 mandate at the beginning, I'm not -- trying not to
2 apply value judgements. I'm trying to apply
3 principles and -- and recognizing practices.

4 MR. STEVEN SCARFONE: I appreciate
5 that. And then the -- the second objective of the
6 rules in Ontario is to restrict anti-competitive
7 activities. That's what you paper says. Correct?

8 MR. JOHN TODD: Correct.

9 MR. STEVEN SCARFONE: An example of
10 that might be where the unregulated line of
11 business -- so Extension -- has access to customer
12 information -- or customers generally -- that it might
13 not otherwise have of -- if it was a true standalone.

14 MR. JOHN TODD: Correct. And instead
15 of saying standalone, we'll say, would not have if it
16 were a truly independent competitive entity unless
17 there are rules about access information.

18 And one of the treatments of this type
19 of situation in certain circumstances it that all
20 competitive entities have to have the same access to
21 information. Customer information is usually
22 restricted just for confidentiality reasons for both
23 the affiliate and anybody else.

24 But there are some cases where kind
25 of -- if the book is opened and everybody has access,

1 that's not discriminatory. That's not
2 anti-competitive.

3 MR. STEVEN SCARFONE: And -- and so we
4 know the situation with MPIC, and so where rules, as
5 you say in your paper, are not in place to limit this
6 competitive advantage -- right? so the customer
7 information sharing and that kind of thing -- the
8 regulator, you would say, needs to see some benefit
9 or -- you don't like the word "some" -- so a benefit
10 being attributed to the regulated entity from the
11 competitive line.

12 MR. JOHN TODD: Yes. The -- the
13 presumption is -- and I haven't done the analysis to
14 prove it one way or the other -- the presumption is
15 that competitive -- the competitive services are
16 benefitting from the close association.

17 In other words, there's a checkbox, as
18 I understand it, or an easy opportunity to get MPI's
19 Extension options. There's not a list of all of the
20 competitive potential insurers. Anybody who wants to
21 can come in and have themselves added to that list to
22 create an evil -- equal playing field.

23 Presumably, that means more people opt
24 for Extension from MPI, Basic behavioural economics --
25 my favourite topic in the last five (5) years would

1 tell you that -- the opt. Opt out -- people don't opt
2 out. Opt in -- people don't opt in. So people aren't
3 going to opt out, so they're going to -- going to take
4 it.

5 There is a value to that from a -- sort
6 of a corporate financial return perspective. That
7 value is a -- exists because of the Basic, and
8 therefore, Basic have a standard practice. The view
9 is, therefore, Basic should say we're creating that
10 benefit for competitive.

11 We -- the monopoly side should be
12 compensated fully for that, i.e., the gain you get
13 comes back to us which then leaves a level playing
14 field because it eliminates the financial benefit to
15 the competitive side.

16 MR. STEVEN SCARFONE: Absolutely.
17 And -- and that's -- so that, I think, is -- is a way
18 of basically saying the Basic customers should get
19 something in return for this -- for this competitive
20 advantage.

21 MR. JOHN TODD: Yes. And that
22 particular definition says they should -- you know, is
23 based on the -- they should get a hundred percent of
24 it, but as a policy, it -- it could be something other
25 than the hundred percent.

1 MR. STEVEN SCARFONE: And so again,
2 the transfers of capital that I mentioned earlier
3 might be a good example of such a benefit, one that
4 would reduce rates.

5 MR. JOHN TODD: Absolutely. But as I
6 understand it, both from the past and -- and present,
7 those transfers are not based on a systematic and
8 analytic determination of how much the benefit it and
9 portion of it should flow back.

10 It's a -- it's a discretionary approach
11 which would not exist -- does not exist as a standard
12 practice in other analogous situations.

13 MR. STEVEN SCARFONE: And again, you
14 know, we're dealing with a hypothetical. But if this
15 challenged to the reserves regulation is -- is
16 dismissed and the regulation is upheld, then we do
17 have, I would suggest, that certainty of the amount
18 that needs to be realized -- the benefit that needs to
19 be realized by the -- by the monopoly customers.

20 MR. JOHN TODD: If I understand the
21 regulation correctly, it would define a level of
22 reserves that would be -- based on my analytic
23 framework, would be viewed as the non -- no excess
24 profit level of reserves.

25 I don't think the regulation speaks to

1 what you do with anything above it 'cause you still,
2 you know -- wherever you set the reserve level, DCAT,
3 MCT -- 100 percent, 200 percent, 500 percent --
4 there's always the potential you're going to be above
5 it.

6 So it's really the transfers that my
7 evidence is more speaking to. I'm leaving it to the
8 other experts to deal with the matter of what's the
9 right cutoff for the appropriate level of reserves.

10 Once -- once you get the right cutoff
11 when you're above that, what do you do with the
12 excess. That's what my evidence speaks to.

13 MR. STEVEN SCARFONE: Yes. And so --

14 MR. JOHN TODD: I don't think -- tell
15 me I'm wrong, but I don't think the reserve
16 regulations speaks to that.

17 MR. STEVEN SCARFONE: No. So the
18 reserves regulation -- and, you know, I'm no legal
19 expert -- but the reserves regulation --

20 MR. JOHN TODD: You're just a lawyer,
21 right? Lawyers that put me on this topic.

22 MR. STEVEN SCARFONE: -- sets out the
23 targets but the capital management plan, which you've
24 reviewed, sir. Correct?

25 MR. JOHN TODD: Yes.

1 MR. STEVEN SCARFONE: That's the
2 mechanism, as I understand it, that would provide for
3 the transfer and to occur if that excess is -- is met.

4 MR. JOHN TODD: Exactly. That's the
5 capital management plan, not the reserve regulation.

6 MR. STEVEN SCARFONE: Yes. Yes.

7 MR. JOHN TODD: Right.

8 MR. STEVEN SCARFONE: Page 8 of your
9 paper, sir.

10

11 (BRIEF PAUSE)

12

13 MR. STEVEN SCARFONE: I'm looking at
14 the third bullet that begins with the words "in other
15 cases."

16 MR. JOHN TODD: Yes.

17 MR. STEVEN SCARFONE: So it reads:

18 "In other cases, utilities are
19 permitted to offer competitive
20 services as well as the monopoly
21 services, but the income and
22 expenses related to the competitive
23 operations are included in the
24 revenue requirement that is used to
25 set the rates for the regulated

1 services."

2 So, in effect, it's the net income in
3 excess of the allowed return on investment that's used
4 to reduce rates. Correct? That's what -- that's what
5 your paper is --

6 MR. JOHN TODD: Correct. And a
7 perfect example of that is the treatment is export
8 revenues for Manitoba Hydro. That's exactly the
9 mechanism you use.

10 MR. STEVEN SCARFONE: And so does that
11 statement take into account that has to be retained on
12 the competitive side?

13 MR. JOHN TODD: By analogy, yes.
14 In -- in my framework, a gas or electric utility is a
15 capital intensive business, and they have a rate base
16 which earns a return. And aside from the people
17 costs, that's the cost that they're collecting in
18 rates.

19 MPI has the people costs, the same as
20 Manitoba Hydro or Centre Manitoba. It has -- then it
21 has insurance which is not pipes and wires but is
22 analogous to the capital -- that's -- that's the
23 business that they operate.

24 And the reserves would be analogous to
25 the weighted average cost of capital, if you want --

1 it's not the same as, but it's analogous to the
2 weighted average cost of capital -- that Manitoba
3 Hydro that Manitoba Hydro or -- well, any -- any
4 electricity or natural gas utility would earn on its
5 capital investment.

6 MR. STEVEN SCARFONE: And so you're
7 not suggesting, I don't think, that he excess,
8 whatever that might be or the -- or the retained
9 earnings or the net income -- whatever you want to --
10 you're not suggesting that that transfer over to the
11 monopoly side without leaving the competitive side
12 properly capitalized.

13 Whatever that capital number might
14 be -- and we can quarrel over that -- you have to
15 leave enough money in the competitive side to have
16 them properly capitalized.

17 MR. JOHN TODD: I agree. And the --
18 the Board will resolve the debate hopefully --

19 MR. STEVEN SCARFONE: Yes.

20 MR. JOHN TODD: -- about what the
21 proper capital level is. Is it -- is it DCAT or MCT
22 and so on?

23 MR. STEVEN SCARFONE: Yes.

24 MR. JOHN TODD: Once that's -- that is
25 resolved and the percentage, then there will be a

1 reserve target which is recognized presumably for
2 Extension similar to one being recognized for Basic.

3 Whatever level is recognized and
4 accepted for Extension becomes the appropriate level
5 of -- of reserves and subject to the rules for
6 transfer -- which that's another question -- they
7 would flow back to Basic only when they exceed the
8 reserve -- appropriate reserve requirement.

9 MR. STEVEN SCARFONE: So let me jump
10 ahead. Now I'm off script entirely, but I will move
11 you to page --

12 MR. JOHN TODD: I've done my job then.

13 MR. STEVEN SCARFONE: -- well, I'll
14 move you to page 10 at line 23 because that's what
15 you're discussing here.

16 It reads:

17 "If the PUB directs MPIC to adopt a
18 different basic RSR capital
19 target --"

20 So something different than 100 percent
21 MCT. Correct?

22 MR. JOHN TODD: Yes.

23 MR. STEVEN SCARFONE:

24 "-- its decision will imply that the
25 alternate target that is approved by

1 the PUB provides a more appropriate
2 level of protection for customers
3 against extraordinary rate increases
4 to the..."

5 So you see that there. So what -- if
6 I'm understanding that correctly, sir, you -- you
7 should say that ultimately if the PUB was to decide
8 that the right amount or the appropriate amount of
9 capital that needs to be held over the -- on the
10 Extension side is lower than a hundred percent MCT,
11 then it's that excess above whatever amount they
12 determine that needs to be transferred for the benefit
13 of Basic customers.

14 MR. JOHN TODD: Whatever they
15 determine --

16 MR. STEVEN SCARFONE: Yes.

17 MR. JOHN TODD: -- is the Board's
18 determination of what is the prudent level of reserves
19 which is equivalent to determining what the allowed
20 net income or reserves are for Manitoba Hydro. And
21 yes. So that -- that becomes -- that becomes the
22 number.

23 MR. STEVEN SCARFONE: That becomes the
24 number.

25 MR. JOHN TODD: And we have a

1 regulatory regime where the regulator is responsible
2 for reviewing an application. And, if you want
3 overseeing on behalf of the customers, the decision's
4 being made by MPIC and saying you got it right or you
5 didn't get it right.

6 And if they say you didn't get it
7 right, that becomes the constraint.

8 MR. STEVEN SCARFONE: So --

9 DR. BYRON WILLIAMS: Madam Chair,
10 could -- could -- and I -- I realize you're off
11 script, but just were you trying to determine Mr.
12 Todd's opinion on the Basis RSR capital target or the
13 -- the Extension?

14 MR. STEVEN SCARFONE: Oh, sorry. And
15 -- and I noticed that during that response, Mr. Todd
16 made reference to Manitoba Hydro. That was obviously
17 meant to be Manitoba Public Insurance.

18 So, no, the -- the question is, as 23
19 says, for the Basic RSR.

20 DR. BYRON WILLIAMS: Okay, because --

21 BOARD MEMBER GABOR: I can interject--

22 DR. BYRON WILLIAMS: Yeah, because --

23 BOARD MEMBER GABOR: -- Mr. Williams.

24 I had the same point. Your reference was to a hundred
25 percent. And then you talked about Extension. And I

1 didn't know if you were talking about a hundred
2 percent for Basic or 200 percent for Extension.

3 You seem to the mix the two (2) of them
4 --

5 MR. JOHN TODD: Yeah.

6 BOARD MEMBER GABOR: -- together, and
7 -- and I didn't know if you -- you just misspoke or --

8 DR. BYRON WILLIAMS: And just to
9 assist the discussion, if you're looking for an
10 analogous opinion by Mr. Todd on Extension, I think
11 it's page 13, lines 24 and on.

12 Just -- I didn't -- I don't want to
13 interfere, but it was confusing to the record, I
14 think, which you were referring to, sir.

15

16 CONTINUED BY MR. STEVEN SCARFONE:

17 MR. STEVEN SCARFONE: Okay. So, if I
18 did confuse the Extension side with -- with the
19 monopoly side, I apologize. But I am dealing on this
20 line of questioning with the 100 percent MCT target
21 for Basic that's currently codified in a regulation.

22 So, the question to you, sir, is, based
23 on what you see here, if the PUB directs MPI to adopt
24 a different RSR capital target, that would mean
25 different than 100 percent MCT, correct?

1 MR. JOHN TODD: Well, first, because
2 there is a contested regulation, there would have to
3 be a resolution of the status of the regulation.

4 MR. STEVEN SCARFONE: Yes, I agree.

5 MR. JOHN TODD: And there would have
6 to be a resolution of whether that regulation, if it
7 is legal, is binding on this Board.

8 MR. STEVEN SCARFONE: Correct.

9 MR. JOHN TODD: So, I mean, there's
10 lots of legal questions there.

11 MR. STEVEN SCARFONE: Leg --

12 MR. JOHN TODD: Assuming all of those
13 things --

14 MR. STEVEN SCARFONE: Yes.

15 MR. JOHN TODD: -- and the Board is in
16 a position to say, no, it shouldn't be a hundred
17 percent, if you're using MCT, it should be 90 percent,
18 if it's legal for the Board to make that decision,
19 they make that decision, and that's what's binding.

20 MR. STEVEN SCARFONE: So len -- let me
21 put this hypothetical to you. Assuming -- and it's an
22 issue before this -- this panel

23 MR. JOHN TODD: M-hm.

24 MR. STEVEN SCARFONE: Assuming that
25 the regulation is -- is determined to be valid --

1 MR. JOHN TODD: Okay.

2 MR. STEVEN SCARFONE: -- but the
3 Board, in its discretion, chooses a different capital
4 target for Basic, okay --

5 MR. JOHN TODD: Are you asking me a
6 legal question?

7 MR. STEVEN SCARFONE: No, it's not a
8 legal question. I want to know, based on what you've
9 indicated there -- I would suggest to you that it puts
10 the Corporation in a bit of a bind because they're now
11 having to choose between following a regulation or
12 following an order of this Board.

13 You can't have it both ways. There's a
14 -- there's a valid regulation that says it's a hundred
15 percent MCT, but you have a Board order that says we
16 think Basic capital levels should be something less
17 than a hundred percent MCT.

18 MR. JOHN TODD: Well, if you, as I'm
19 sure -- as I think you have reviewed my CV, you'll
20 recognize that my God is the regulator; therefore, the
21 regulator's decision is final.

22 MR. STEVEN SCARFONE: So --

23 MR. JOHN TODD: And in my world, it
24 doesn't matter what the government says. And I've
25 seen regulators that have made decisions that said the

1 government has a policy, and unless they change our
2 legislation as the regulator, which they can do --

3 MR. STEVEN SCARFONE: Yes.

4 MR. JOHN TODD: If they haven't done
5 that and we are acting in accordance with our
6 legislation, what we're doing is appropriate. So, now
7 I'm kind of giving a legal opinion. You're the
8 lawyer. Tell me I'm wrong.

9 MR. STEVEN SCARFONE: Oh, no, not --
10 not at all.

11 MR. JOHN TODD: But that's my
12 understanding from the lawyers I work with. And --
13 and, yeah, the -- the Corporation may be in a bind,
14 but that's --

15 MR. STEVEN SCARFONE: No, I --

16 MR. JOHN TODD: -- your problem.

17 MR. STEVEN SCARFONE: I was going to
18 ask you. So, in -- in your view, that presents no
19 real dilemma for MPIC in that scenario, in that
20 hypothetical?

21 DR. BYRON WILLIAMS: That's beyond
22 this witness's expertise. This witness is speaking to
23 generally accepted regulatory principles. If MPI
24 wants to provide evidence as to its dilemma, it's --
25 it's certainly welcome to do so.

1 THE CHAIRPERSON: Thank you, Mr.
2 Williams. Yes, Mr. Scarfone, I think that you should
3 --

4 MR. STEVEN SCARFONE: Oh, I had no --
5 I was letting that one (1) go.

6 THE CHAIRPERSON: You're letting it
7 go.

8 MR. STEVEN SCARFONE: Yeah.
9

10 CONTINUED BY MR. STEVEN SCARFONE:

11 MR. STEVEN SCARFONE: Back to the
12 script.

13 MR. JOHN TODD: Oh, we're having so
14 much fun; it's too bad.

15 MR. STEVEN SCARFONE: Page 10, your
16 first full paragraph.

17

18 (BRIEF PAUSE)

19

20 MR. STEVEN SCARFONE: I just wanted
21 some clarification about --

22 MR. JOHN TODD: Full paragraph
23 starting, "While MPI does not face...?"

24 MR. STEVEN SCARFONE: I'm just going
25 to get -- well, I do have a question in the partial

1 paragraph. About three quarters of the way down it
2 reads, "A capital structure that puts the utility at
3 risk." Do you see that?

4 MR. JOHN TODD: Yes.

5 MR. STEVEN SCARFONE: What do you mean
6 by those words, "A capital structure"?

7

8 (BRIEF PAUSE)

9

10 MR. JOHN TODD: I think you should
11 interpret that as being the reserve ratio.

12 MR. STEVEN SCARFONE: Okay. So,
13 that's not the capital management plan. That's just
14 the --

15 MR. JOHN TODD: No. The capital
16 management plan is more than that, yes.

17 MR. STEVEN SCARFONE: Yeah.

18 MR. JOHN TODD: It's just -- it's just
19 that's the -- in effect, that's the target.

20 MR. STEVEN SCARFONE: That's what
21 you're talking about there. So, that's --

22 MR. JOHN TODD: How much --

23 MR. STEVEN SCARFONE: -- you're -- the
24 amount of capital that you hold?

25 MR. JOHN TODD: The amount of capital

1 that you hold in reserves, yes.

2 MR. STEVEN SCARFONE: Yeah. Thank
3 you. And then, now we'll get to the first full
4 paragraph on page 10. I'll give you a quick -- I'm
5 not going to read it back to you. And you wrote it,
6 so you're probably very familiar with the words.

7 But I just want to confirm for you,
8 sir, that that whole paragraph, after reading it, is
9 really just saying that Manitoba Public Insurance
10 should have reserves in place. And you're not
11 disagreeing that there should be reserves?

12 MR. JOHN TODD: I agree.

13

14 (BRIEF PAUSE)

15

16 MR. JOHN TODD: But, I mean, I -- of
17 course, I'm not saying that as an expert in ins -- the
18 insurance business. I'm saying that from my reading
19 and use -- using analogies, that obviously that's what
20 this business is all about.

21 So, again, that particular statement
22 may be kind of outside my area of expertise.

23 MR. STEVEN SCARFONE: Right.

24 MR. JOHN TODD: But utility regulation
25 will recognize the requirements. And that's no

1 different than for a capital intensive utility. They
2 have to earn a return on their capital investment, the
3 same -- you know, by analogy, it's the -- it's the
4 same concept, as far as I'm concerned.

5 MR. STEVEN SCARFONE: And I'm going to
6 quarrel with you, I expect, on -- on some -- the --
7 the choice of words in your paper at line 17 on that
8 same page.

9 The first sentence reads:

10 "The implication of MPIC's evidence
11 is that an RSR target for Basic
12 insurance that is based on a hundred
13 percent MCT is appropriate."

14 Do you see that?

15 MR. JOHN TODD: Yes.

16 MR. STEVEN SCARFONE: And I'm going to
17 suggest to you, sir, that it's more than an
18 implication. It's -- it's set out in a regulation
19 passed by cabinet. And that is what MPIC is relying
20 upon for its 100 percent MCT target?

21 MR. JOHN TODD: I will accept that as
22 MPIC's position, yes.

23

24

(BRIEF PAUSE)

25

1 MR. STEVEN SCARFONE: We did look at
2 the purpose of the rate stabilization reserve, and
3 it's set out there at page 9 of your paper. Dr.
4 Simpson read it, and so we won't read it again.

5 But you'll agree with me, sir, that the
6 purpose essentially is to protect motorists from rate
7 increases, or perhaps even rate shock?

8 MR. JOHN TODD: Yes. And to put it in
9 my language, I would refer to those extra Bonbright
10 slides attributes -- attributes of a sound structure,
11 numbers 2 and 3, revenue stability and stability
12 particularly rates. They're probably all talking
13 about the same thing, so.

14 MR. STEVEN SCARFONE: Is that the 1998
15 paper of the Bonbright one?

16 MR. JOHN TODD: Yes, that's from his
17 1998 book --

18 MR. STEVEN SCARFONE: Okay.

19 MR. JOHN TODD: -- which is the Second
20 Edition, which is up, yes. So, attributes 2 and 3 are
21 principles that speak to exactly that point.

22 MR. STEVEN SCARFONE: And another
23 purpose, I suppose, if you want to use that word, of
24 the RSR is to provide stability, rate stability.
25 Would you agree with that?

1 MR. JOHN TODD: Yes, and -- and bond
2 rates number 3, stability and predictability of the
3 rates themselves, yes.

4 MR. STEVEN SCARFONE: And I think
5 you'd also agree that a depleted rate stabilization
6 reserve is -- is not a good thing for ratepayers?

7 MR. JOHN TODD: Correct. And that
8 links more to bond rates number 1, effectiveness in
9 yielding total revenue requirements. So, we're --
10 we're totally aligned.

11 MR. STEVEN SCARFONE: We are aligned.

12 MR. JOHN TODD: I'm -- I'm saying
13 that.

14 MR. STEVEN SCARFONE: We are very
15 aligned.

16 MR. JOHN TODD: Where -- where I come
17 from is no different than where we are in the MPI
18 proceeding.

19 MR. STEVEN SCARFONE: Yes. And -- and
20 so, the last part of that, and I think you'll agree
21 with this, as well, is a depletion of a capital
22 reserve, or the RSR, is more likely to occur if it
23 holds less capital?

24

25

(BRIEF PAUSE)

1 MR. STEVEN SCARFONE: That's an easy
2 one.

3 MR. JOHN TODD: Well, okay, I -- I
4 will not -- I will not go with the yes but -- no, I
5 actually will go with the yes but. Yes, and I'm
6 linking those objectives to ten (10) principles which
7 are not -- there's no hierarchy to them.

8 So, I'd say, yes, you balance those
9 goals or those principles around yielding a full
10 return, revenue stability, rate stability with the
11 other seven (7) principles, which include principles
12 around fairness to ratepayers and -- and other --
13 other aspects, so, yes, as long as you're putting it
14 in the context of balancing act.

15 MR. STEVEN SCARFONE: Yes. And -- and
16 so, having acknowledged that the depletion of the
17 capital reserve is bad and it's more likely to occur
18 if there's less capital in the reserve, it seems to
19 me, sir, that -- well, let me just bring you right to
20 it.

21 MR. JOHN TODD: So, okay. But I'm
22 going -- I'm going to correct your wording, but go
23 ahead.

24 MR. STEVEN SCARFONE: No, go ahead. I
25 don't --

1 MR. JOHN TODD: Okay. So, depletion
2 of the reserves is not bad, it's normal. What you
3 need is a structure which accommodates the reality
4 that there will be variances that will sometimes
5 deplete the capital.

6 And as long as you've got a regime in
7 place that can -- that's resilient to that, you're
8 okay. So, it's not bad, it's normal.

9 MR. STEVEN SCARFONE: And, in fact,
10 this Board is aware that the RSR has been depleted in
11 years past. And that was why I had mentioned to your
12 earlier about the \$213 million in transfers. That was
13 to build the RSR back up, the Basic RSR.

14 MR. JOHN TODD: Yes. So, there's --
15 there is a mechanism in place for dealing with that.
16 That's normal course of business. That's to be
17 expected. It's not something to create a rainy day
18 fund that is so huge that it could never happen. And
19 that was addressed by Mr. Simps -- Dr. Simpson.

20

21 (BRIEF PAUSE)

22

23 MR. STEVEN SCARFONE: At page 10 on
24 that same point, at the very bottom of page 10, line
25 26, thanks Kristen, it reads there:

1 "Presumably, the interests of Basic
2 customers are best served by
3 adopting the lowest Basic RSR target
4 and, hence, the stable rates that
5 would be both prudent given the
6 risks inherent in MPIC Basic
7 insurance business and the stated
8 goals of the RSR."

9 Do you see that?

10 MR. JOHN TODD: Yes.

11 MR. STEVEN SCARFONE: So, I'm
12 struggling to understand how the interests of Basic
13 customers are best served by having the lowest RSR
14 target one can have.

15 MR. JOHN TODD: When you stated a
16 second time just now, you cut off the important part
17 of the sentence.

18 MR. STEVEN SCARFONE: Which is?

19 MR. JOHN TODD: Which is:

20 "Prudent given the risks inherent in
21 MPI's Basic insurance business and
22 stated goals of the RSR."

23 MR. STEVEN SCARFONE: Okay. But we --
24 we --

25 MR. JOHN TODD: It doesn't mean lower

1 -- it doesn't mean lower is better without regard to
2 analysis.

3 MR. STEVEN SCARFONE: Okay. That's
4 what I thought you were getting at.

5 MR. JOHN TODD: No, no, no. What I'm
6 saying is, the analysis tells you how much is
7 necessary. It's just the same as setting rates for
8 any other kind of utility where the wording I like to
9 use is the utility should be able to recover its full
10 revenue requirement, all of it, but no more.

11 You don't set rates to over recover the
12 prudently incurred costs. And by analogy, the
13 prudently incurred costs here are the costs that are
14 necessary to prudently run the insurance business,
15 which includes an appropriate level of reserves.

16 MR. STEVEN SCARFONE: And again, we
17 don't -- we won't go there because we know that that
18 level is a live issue before this Board?

19 MR. JOHN TODD: Correct. And it's
20 level -- and it's an -- an issue that I have not
21 addressed.

22 MR. STEVEN SCARFONE: Yes.

23

24 (BRIEF PAUSE)

25

1 MR. STEVEN SCARFONE: At page 12 of
2 the paper, and -- and we're getting through it slowly
3 but surely, lines 1 to 12, this touches upon a
4 question I asked you earlier.

5 So, this can -- this paragraph or this
6 -- these lines set out what I'll describe as -- as a
7 formula that should be used -- an easy formula to use
8 to make sure that the monopoly customers are getting
9 the benefit of the Extension line, correct?

10 MR. JOHN TODD: Correct.

11 MR. STEVEN SCARFONE: And so, if I
12 understand -- I was never very good at math, but if I
13 understand the accounting that you're recommending or
14 that is recommended in the industry, is that -- and
15 I'll use MPIC's businesses, Basic costs, so the costs
16 to run the Basic program, plus the Extension line of
17 business costs, and you get your total costs of those
18 two (2) lines, minus the Extension revenue would equal
19 Basic's revenue requirement?

20 MR. JOHN TODD: Conceptually, yes.
21 And remember this discussion is conceptual in a
22 generic way.

23 MR. STEVEN SCARFONE: Yes.

24 MR. JOHN TODD: That is explicitly the
25 way it is done for most electricity and natural gas

1 utilities, including here in Manitoba.

2 You take that concept and apply it to
3 MPIC, it changes slightly in that we -- MPIC does not
4 have a revenue requirement per se. It has costs and
5 it has revenues to cover those costs. And Extension
6 has costs.

7 And the bottom line is not net income,
8 but really the -- the reserves, the reserve ratio.

9 MR. STEVEN SCARFONE: And that --
10 that's the --

11 MR. JOHN TODD: The cutoff.

12 MR. STEVEN SCARFONE: That's --

13 MR. JOHN TODD: So, anything that's
14 above the cutoff --

15 MR. STEVEN SCARFONE: Yes.

16 MR. JOHN TODD: -- is accumulative
17 because it's -- it's accumulative, not an individual
18 year concept. It's accumulative net excess, if you
19 want, that then is -- would be part of a transfer
20 policy to say this would flow back to customers in
21 appropriate way.

22 MR. STEVEN SCARFONE: And that's why
23 I'd asked you that question earlier. So, it seems to
24 suggest that, basically, all the profits from the
25 Extension line go to the monopoly, but you do have to

1 factor in and leave in some capital behind for the
2 Extension line?

3 MR. JOHN TODD: Okay. For the sake of
4 argument, let's assume that this board accepts the
5 Company's position that a 200 percent MCT is the
6 appropriate test for the prudent reserves for
7 Extension.

8 MR. STEVEN SCARFONE: Yes.

9 MR. JOHN TODD: When you get to 210,
10 that 10 percent would be available for transfer.

11 MR. STEVEN SCARFONE: And then is used
12 to lower the rate indication?

13 MR. JOHN TODD: Well, as I mentioned
14 in direct, it could be -- it's -- it would flow back
15 to customers. There are different ways you could do
16 that. One (1) -- one (1) way would be to reduce
17 rates. Another way would be to provide a rebate.

18 MR. STEVEN SCARFONE: And another way
19 might be to achieve a capital target that the monopoly
20 might not be at?

21 MR. JOHN TODD: If the monopoly is
22 below its target --

23 MR. STEVEN SCARFONE: Yes.

24 MR. JOHN TODD: -- that would probably
25 be the first recourse, yes --

1 MR. STEVEN SCARFONE: Yes.

2 MR. JOHN TODD: -- which is exactly
3 consistent with MP --

4 MR. STEVEN SCARFONE: Yes. And that's
5 what the capital management plan contemplates?

6 MR. JOHN TODD: Exactly.

7 MR. STEVEN SCARFONE: Yes.

8 MR. JOHN TODD: Exactly.

9

10 (BRIEF PAUSE)

11

12 MR. STEVEN SCARFONE: Page 13, the
13 second bullet.

14 MR. JOHN TODD: Yes.

15 MR. STEVEN SCARFONE:

16 "In cases where rigorous rules to
17 limit anti-competitive activity have
18 not been imposed -- and you say in
19 brackets there -- (which appears to
20 be the case for MPI's Extension line
21 and SRE lines of business) the
22 financial success of the non-utility
23 lines of business may be reasonably
24 attributed in whole or in part to
25 the intertwining of the utility and

1 non-utility lines of business."

2 So, I'm going to suggest to you, sir,
3 that -- and again, this is the -- the theme of your
4 paper, that the monopoly side of things has to see
5 some benefit from the competitive line of business, or
6 all the benefit, in your view.

7 And -- and so where there isn't a
8 rigorous rule in place to address that, that's what
9 has to occur. I'm going to suggest to you that this
10 Board approving the capital management plan would be
11 such a rule.

12 That would be tantamount to a rigorous
13 rule?

14 MR. JOHN TODD: I agree that the
15 capital management plan sets out a mechanism for
16 transfers. And what first -- what's important is that
17 the target should be a target that is prudent for
18 Extension and based on analysis, based on what are the
19 risks and so on; it can't be arbitrary.

20 But I have not really criticized the
21 capital management plan in terms of the transfers and
22 so on; it envisages transfers. I have discomfort when
23 it's characterized as discretionary or in some how a
24 gesture generosity from -- when it ignores the fact
25 that the excess exists because of the association with

1 Basic and, therefore, Basic has a -- shall we say, a
2 legitimate claim on that is the way it is viewed in
3 other jurisdictions where you have competitive
4 services being offered and intertwined with a monopoly
5 business.

6 MR. STEVEN SCARFONE: But, like, what
7 you've said there, sir, is where that is your
8 understanding, or if it appears as though it's being
9 ignored, as you say in your words, there has to be
10 some mechanism, some rule in place, to address that
11 concern?

12 MR. JOHN TODD: And as long as the
13 goal is clearly defined and the mechanism is
14 consistent with that goal, what I -- then everything's
15 fine.

16 And my main comment is, is the level
17 proposed by MPIC, 200 percent MCT, is that put forward
18 as a prudent and necessary level of reserves for that
19 line of business.

20 MR. STEVEN SCARFONE: But you -- you
21 have no specific knowledge as to what the appropriate
22 level of the Extension line of business should be,
23 correct?

24 MR. JOHN TODD: No. That is being
25 addressed separately.

1 MR. STEVEN SCARFONE: Yes.

2 MR. JOHN TODD: And there's a
3 complementarity between the ex -- different pieces of
4 expert evidence, and that issue is left to other
5 experts and, ultimately, to the Board.

6

7 (BRIEF PAUSE)

8

9 MR. STEVEN SCARFONE: At page 15 of
10 the paper, sir...

11

12 (BRIEF PAUSE)

13

14 MR. STEVEN SCARFONE: At line 3 it
15 reads:

16 "It should be noted, however, that
17 the stability objective may better
18 be served if the RSR target is
19 defined as a range rather than a
20 point value."

21 Do you see that?

22 MR. JOHN TODD: Yes, I do.

23 MR. STEVEN SCARFONE: Last year in
24 this proceeding, the 2019 General Rate application,
25 this Board ordered capital targets based on the

1 dynamic capital adequacy test, and it was -- \$140
2 million was the lower target.

3 MR. JOHN TODD: Okay.

4 MR. STEVEN SCARFONE: And the upper
5 target was \$315 million.

6 MR. JOHN TODD: Okay.

7 MR. STEVEN SCARFONE: That was the
8 range. We've heard evidence in this proceeding that
9 the Corporation now is at or near 100 percent MCT.
10 And the chief actuary said that that amount --

11 MR. JOHN TODD: So, the Corporation
12 referring to Basic?

13 MR. STEVEN SCARFONE: Yes.

14 MR. JOHN TODD: Yes.

15 MR. STEVEN SCARFONE: Sorry.

16 MR. JOHN TODD: So, separate the
17 Corporation. Okay, not the Corporation then, but
18 Basic?

19 MR. STEVEN SCARFONE: Basic. Yes, the
20 Basic is at or near a hundred percent MCT. And -- and
21 when Mr. Johnston testified, he's the Corporation's
22 chief actuary, he said that amounts to about \$375
23 million.

24 So, my -- my question to you, sir, is
25 that comment at page 15 is really all relative because

1 certainly capital at 375 million, although it's a
2 point, as you described it, provides more rate
3 stability than a range whose upper limit is three
4 hundred and fifteen (315)?

5 MR. JOHN TODD: Okay. Let me clarify
6 on sort of where I'm coming from in this paragraph.
7 And all my comments are kind of coming from an
8 analogy.

9 This Board would be familiar with the
10 concept that, when you do cost allocation for Manitoba
11 Hydro, you come up with revenue cost ratios for each
12 rate class and, in setting rates, you set a range of
13 the revenue cost ratio, not a -- you don't always
14 adjust rates to be at exactly 100 percent revenue to
15 cost ratio.

16 The purpose of that range is to
17 facilitate rate stability. And so, I'm simply
18 transferring it, saying, well, firstly, you got to get
19 your number right and, secondly, you need a decision,
20 which is judgment, on how much of a range will get the
21 level of rate stability you want.

22 So, that requires something I have not
23 done, which is to look historically at the level of
24 volatility of -- of returns. And -- and the goal is
25 that, when you get normal variances from forecast,

1 that sort of self-correct, because you end up doing
2 better than expected one (1) year, you do worse the
3 next year, you're giving time for it to be self-
4 correcting, so you don't have to change rates or do a
5 rebate frequently because those variances you say will
6 just come out of the wash.

7 What you're doing is saying, if our
8 reserve ratio gets too low, you start getting at risk
9 for the Company's financial position to be compromised
10 or, if it gets too high, you're going to end up with
11 huge refunds, so that's when you're getting outside
12 the range of the normal variances from year to year.

13 One (1) of the things that Manitoba
14 Hydro has done in the past is looked at multi-year
15 variances, like, due to low water flows. The same
16 thing here. The variance is something which needs to
17 be -- or the range is something that needs to be
18 determined by an analysis of normal variances.

19 MR. STEVEN SCARFONE: So, but -- so, I
20 think you're still quarrelling with -- so, if the
21 point value --

22 MR. JOHN TODD: M-hm.

23 MR. STEVEN SCARFONE: -- is higher
24 than the upper end of the range, by its definition, it
25 has to provide more stability and less volatility?

1 MR. JOHN TODD: I -- I don't follow
2 that. The -- the breadth of the range is the only
3 thing that determines the ability to be stable. And--

4 MR. STEVEN SCARFONE: If you have more
5 --

6 MR. JOHN TODD: -- what you're say --
7 what you're -- what you're saying -- now, remember
8 you're also balancing objectives. I -- from a -- from
9 a lawyer's perspective, do the math, yes, if -- if you
10 go to a thousand percent, you're never going to have a
11 large rate increase because you're going to be -- so
12 much is in the rainy day fund that you'll be able to
13 sustain anything for ten (10) years.

14 But then you're compromising the other
15 principles of rate setting by taking too many dollars
16 from the customers, right. So, while there's sort of
17 truth to that, you -- the way you ask the question
18 says this is a good thing, as though there's no cost
19 to it.

20 There's a cost to it. Customers are
21 paying higher rates.

22 MR. STEVEN SCARFONE: Well, let me ask
23 you this, sir, then. Are you suggesting that the
24 other insurers in this country that have adopted the
25 hundred percent MCT test have invited rate instability

1 to their customers?

2 MR. JOHN TODD: You're talking about
3 competitive insurances or you're talking about ICBC or
4 others?

5 MR. STEVEN SCARFONE: Just any insurer
6 that's adopted the point value system, the 100 percent
7 MCT, they've -- they've done away with the range. And
8 -- and the evidence, as I understand it, is that might
9 introduce some rate instability.

10 DR. BYRON WILLIAMS: I'm not --

11 MR. STEVEN SCARFONE: The range is
12 preferred?

13 DR. BYRON WILLIAMS: I'm not sure that
14 our client would accept that factual premise. And
15 certainly, with the MCT, for example, in a competitive
16 market there might be a 150 thou -- or 150 percent
17 base limit, and then others, so I'm not sure our
18 client would accept...

19 Now, if Mr. -- if legal counsel for MPI
20 wants to put that factual question -- analytic
21 question to people who have more experience with the
22 MCT, we're happy to allow that. And maybe I
23 misunderstood the premise, but I would say that point
24 -- I'm not sure our client would concede the factual
25 basis for that premise.

1 MR. STEVEN SCARFONE: And -- and I
2 think Mr. Williams is probably correct, madam chair,
3 that the words 'rate' and 'stability' with the MCT
4 test, I think those words came from Dr. Simpson, so
5 perhaps it's better put to him after this cross-
6 examination is done.

7 THE CHAIRPERSON: Yes, please do.

8 MR. JOHN TODD: Yeah. And my
9 understanding is that the MCT as an acronym is minimum
10 capital test --

11

12 CONTINUED BY MR. STEVEN SCARFONE:

13 MR. STEVEN SCARFONE: Correct.

14 MR. JOHN TODD: -- so I do not
15 understand as a point forecast.

16 MR. STEVEN SCARFONE: You don't
17 understand whose point?

18 MR. JOHN TODD: I -- I do not -- I
19 have not understood it to be a point forecast --

20 MR. STEVEN SCARFONE: Oh, I see.

21 MR. JOHN TODD: -- but it's not my
22 expertise. It may go on. As -- as I understood, it
23 was a minimum for -- in effect, the minimum of a range
24 with no upper end for a competitive insurer.

25 Remember that -- competitive sure --

1 insurer, would take any excess over a prudent level
2 and pay it as dividends to the shareholder. This is a
3 completely different model than what we're talking
4 about here.

5 MR. STEVEN SCARFONE: And -- and in
6 your paper, when addressing the range versus point
7 value dichotomy, that really is the only thing you
8 take issue with, with the build and release provisions
9 in Manitoba's Capital Management Plan -- MPIC's
10 Capital Management Plan, correct?

11 MR. JOHN TODD: Sort of. The -- I'm
12 also saying that I have not seen an analytic basis for
13 choosing the numbers that go into that test.

14 MR. STEVEN SCARFONE: Well, you've
15 seen the reserves regulation. With respect, you --
16 you know where those numbers come from. They come
17 from a regulation.

18 MR. JOHN TODD: Well -- and not being
19 a lawyer and not being a politician, but being a -- my
20 specialty being regulatory methodology, I look at it
21 and say that's no way to set policy, but, you know,
22 governments override me and the Board will have to
23 deal with that as they see appropriate.

24 I'm just saying that is not -- that is
25 not -- I would never take that as a base to say the

1 number is correct.

2 MR. STEVEN SCARFONE: But we don't
3 know, sitting here today, why Cabinet may have come up
4 with those numbers.

5 MR. JOHN TODD: We do not know; we can
6 only speculate.

7 MR. STEVEN SCARFONE: Yes. And it
8 could very well be that they did the analysis and came
9 up those numbers. We don't know.

10 MR. JOHN TODD: Well, it'd make the
11 Manitoba government very different than the ones I've
12 dealt with, but, yes, that's possible.

13 MR. STEVEN SCARFONE: We -- we don't
14 know, do we, sir?

15 MR. JOHN TODD: We don't know.

16 MR. STEVEN SCARFONE: And I just want
17 to go through if I can, quickly, sir, your conclusions
18 on page 15.

19

20 (BRIEF PAUSE)

21

22 MR. STEVEN SCARFONE: So at line 25,
23 it reads:

24 "Assuming the PUB determines that
25 generally accepted rate-making

1 principles are relevant to the rate
2 approval process, the following
3 considerations should guide this
4 Board's approach in reviewing MPI's
5 rates."

6 And you've set out one (1), two (2),
7 three (3), four (4), five (5), things for this Board
8 to consider, correct?

9 MR. JOHN TODD: Correct.

10 MR. STEVEN SCARFONE: First of which
11 is to ensure there's no cross-subsidization, and that
12 the Corporation is acting in line with Section 6.3 of
13 the Act.

14 MR. JOHN TODD: Correct.

15 MR. STEVEN SCARFONE: And as we've
16 heard, the transfer of capital isn't from basic into
17 the competitive lines, but in fact the opposite.

18 MR. JOHN TODD: Correct.

19 MR. STEVEN SCARFONE: The second
20 bullet is that:

21 "MPI's extension and SRE insurance
22 lines are analogous to the non-
23 utility services of other utilities
24 since they are products that are
25 also available from other

1 participants in the market and are
2 options for MPIC's customers."

3 So that recommendation I think goes
4 back to the mischief that the Ontario Energy Board
5 tries to address in its affiliates rules where you
6 don't have an advantage derived without some benefit
7 to the monopoly policyholder.

8 MR. JOHN TODD: Yes, and -- and which
9 is also addressed for non-utility services of a
10 monopoly through the mechanism of flowing 100 percent
11 of the benefit as a reduction in rates for customers -
12 - reduction to revenue requirement and, therefore,
13 rates.

14 MR. STEVEN SCARFONE: And -- and I
15 would suggest to you, sir, that the proposed Capital
16 Management Plan, as you've said, provides for a
17 rigorous rule that this Board can use as a -- as a --
18 as a way of achieving -- or avoiding this mischief.

19 MR. JOHN TODD: Once the reference
20 point is set in a way that the Board considers to be
21 prudent and --

22 MR. STEVEN SCARFONE: Appropriate?

23 MR. JOHN TODD: -- appropriate.

24 MR. STEVEN SCARFONE: Yes.

25 MR. JOHN TODD: Yes. And with -- with

1 -- with the caveat that part of that Capital
2 Management Plan structure is addressing the rate
3 stability question.

4 It's -- it's specifically addressing
5 that, and again, assuming the Board agrees with that
6 mechanism, has the right degree of rate stability
7 relative to retention of customers' dollars.

8 MR. STEVEN SCARFONE: Now, the third
9 bullet speaks to the excess earnings, and again that
10 is the amount that's over and above whatever capital
11 target that might ultimately be affixed for the
12 Corporation.

13 MR. JOHN TODD: Correct.

14 MR. STEVEN SCARFONE: And the offsets
15 that you refer to there would be addressed in that
16 case -- again, once the appropriate level is
17 determined, addressed by the Capital Management Plan.

18 MR. JOHN TODD: Correct.

19 MR. STEVEN SCARFONE: The fourth
20 bullet talks about requiring cost to be covered,
21 including maintaining prudent reserves for extension
22 and the SRE lines of business.

23 Do you see that, sir?

24 MR. JOHN TODD: Yes.

25 MR. STEVEN SCARFONE: And again, when

1 you talk about prudent reserves, you mean the
2 appropriate reserves that might be in place either by
3 regulation or otherwise.

4 MR. JOHN TODD: However they are set,
5 MCT, MCAT (sic), government regulation.

6 MR. STEVEN SCARFONE: DCAT, you mean?

7 MR. JOHN TODD: Sorry, DCAT. Or the
8 Board having some alternative.

9 MR. STEVEN SCARFONE: And lastly, your
10 last bullet there, the word I want to focus on is
11 "entirety," because the recommendation there is that
12 there be some attribution back to the basic line of
13 business to recognize the benefit that the customers
14 should receive and that they would be available in
15 their entirety to support the objectives of the basic
16 RSR.

17 So that goes back to the language that
18 you corrected me on where I said in part, and you
19 would be of the view all of those excess earnings
20 should be realized by basic customers.

21 MR. JOHN TODD: Yes. So if you have a
22 point, it's whatever above that -- is above that point
23 target. If it's a range, whatever is above the top
24 end of that range would all go back to customers
25 through some mechanism over some reasonable period of

1 time, based on all the different working pieces
2 functioning together to provide an appropriate --
3 approaching other objectives such as rate stability.

4 MR. STEVEN SCARFONE: Just give me one
5 (1) second, please.

6

7 (BRIEF PAUSE)

8

9 MR. STEVEN SCARFONE: Just one second,
10 Mr. Todd.

11

12 (BRIEF PAUSE)

13

14 MR. STEVEN SCARFONE: Those are all my
15 questions for Mr. Todd, Madam Chair. I don't know if
16 the Board wants to take a quick break, but Mr. Guerra
17 will have some questions of the other two (2) panel
18 members.

19 THE CHAIRPERSON: Thank you, Mr.
20 Scarfone.

21 Can you give us an estimate of how long
22 Mr. Guerra might be? Maybe Mr. Guerra can give us an
23 estimate of how long he might be, just in terms of the
24 end of the day.

25 MR. ANTHONY GUERRA: I appreciate

1 that, Madam Chair.

2 My intention was to be no longer than
3 forty-five (45) minutes. I do want to assure everyone
4 that that was going to always be my intention, never
5 to stray from that.

6 That said, we are at almost four
7 o'clock right now and there is -- it's very unlikely I
8 would be able to finish by 4:30.

9 THE CHAIRPERSON: I think we can
10 proceed, however, we cannot sit past five o'clock, and
11 then of course we have PUB counsel and the other
12 Intervener, so --

13 MR. ANTHONY GUERRA: I appreciate
14 that.

15 THE CHAIRPERSON: -- we're going to
16 have to talk about the time estimate again for
17 tomorrow in relation to what the schedule looks like.

18 DR. BYRON WILLIAMS: Madam Chair, if I
19 might just add, in terms of Ms. Sherry's availability,
20 she's available today. I'll have to check -- maybe if
21 we have just a couple of minutes to stand down for a
22 refreshment break and then we'll get right back to it,
23 but I'll check on the availability of the other
24 witnesses as -- as well for tomorrow.

25 THE CHAIRPERSON: Thank you, Mr.

1 Williams.

2 Break for, let's say five (5) minutes,
3 so that we can keep going. Thanks.

4

5 --- Upon recessing at 3:55 p.m.

6 --- Upon resuming at 4:03 p.m.

7

8 THE CHAIRPERSON: Mr. Williams, have
9 you had a chance to speak with your --

10 DR. BYRON WILLIAMS: Yes. So Dr.
11 Simpson and Mr. Todd are both available for tomorrow.
12 Ms. Sherry is not available for tomorrow, so obviously
13 we would recommend making sure we address her
14 questions today.

15 I did speak to PUB counsel. They do
16 have some questions for Ms. Sherry. I do not believe
17 that the insurance brokers have questions for Ms.
18 Sherry. They have one (1) question for Mr. Todd.

19 So what I would recommend is we pay
20 attention to the -- the time frame. PUB counsel have
21 to advise if -- hopefully we finish the MPI cross in
22 time to give PUB counsel the chance to do that, but
23 that's up to the Board.

24 THE CHAIRPERSON: Thank you very much,
25 Mr. Williams. What we would like to do is do the

1 cross-examination of Ms. Sherry, both MPI and Board
2 counsel, and we'll see where we're at in terms of
3 time.

4 As I indicated earlier, we have to be
5 concluded by five o'clock, so we'll proceed on that
6 basis and then if it's necessary we'll have to ask Dr.
7 Simpson and Mr. Todd to come back tomorrow morning, so
8 we'll determine that at the end of today.

9 Please proceed, Mr. Guerra.

10

11 CROSS-EXAMINATION BY MR. ANTHONY GUERRA:

12 MR. ANTHONY GUERRA: Thank you. The
13 only thing I would note is that, unlike last year,
14 this year's presentation by Dr. Simpson and Ms. Sherry
15 offered a position that was kind of intertwined and
16 it's not as neatly undone or untwined as it -- as it
17 was in the previous year, and so I -- I will do my
18 best to direct the questions that Ms. Sherry would be
19 able to answer to her, but there -- there's definitely
20 going to be some overlap and so I will do my best.

21 Okay. And -- and thank everyone for
22 accommodating and I appreciate that we are under a
23 time crunch. I will do my best to make sure we -- we
24 motor through these questions as -- as best we can.

25 And just so you're aware, if -- if

1 there's any question that is misdirected, please feel
2 free to make sure that it's directed to the person
3 most suitable for that, and if it needs to be answered
4 tomorrow, we can do that as well.

5 Just to confirm, Ms. Sherry, you are an
6 actuary, an accountant, correct?

7 MS. ANDREA SHERRY: That's correct,
8 yes.

9 MR. ANTHONY GUERRA: And you are not
10 an economist, correct?

11 MS. ANDREA SHERRY: No, I'm not.

12 MR. ANTHONY GUERRA: And you are not a
13 lawyer, correct?

14 MS. ANDREA SHERRY: Correct.

15 MR. ANTHONY GUERRA: And just to
16 confirm, your counsel on June 27, 2019, wrote a letter
17 to the Public Utilities Board that outlined your area
18 of expertise, and in that letter -- I'm just going to
19 paraphrase to get us through this, but hopefully
20 you'll -- you'll agree with me that the letter
21 indicates that your proposed area of expertise is
22 actuary analysis with a particular focus on pricing,
23 rate-making, and risk related to automobile insurers
24 generally, including Crown-owned automobile insurers,
25 correct?

1 MS. ANDREA SHERRY: I think you've got
2 Dr. Simpson's up here. Okay, yeah.

3 MR. ANTHONY GUERRA: Dr. Simpson would
4 be the applied economic -- econometrics applied
5 microeconomics and quantitative methods, correct?

6 MS. ANDREA SHERRY: No, that's right.
7 I just saw Dr. Simpson there's, so I thought --

8 MR. ANTHONY GUERRA: Okay. Thank you.
9 And -- and that is a fair analysis of, or a fair
10 characterization of your area of expertise?

11 MS. ANDREA SHERRY: Yes.

12 MR. ANTHONY GUERRA: And is it fair to
13 say that your report titled, "Protecting consumers
14 against risk, how far should it go," that you co-
15 authored that report with Dr. Simpson?

16 MS. ANDREA SHERRY: I did, yes.

17 MR. ANTHONY GUERRA: And in co-
18 authoring that report, the opinions expressed in that
19 report are your opinions expressed as a professional,
20 correct?

21 MS. ANDREA SHERRY: Yes.

22 MR. ANTHONY GUERRA: And you will
23 advise me during the course of our cross-examination
24 if you're going to be offering opinion that is not a
25 professional opinion, correct?

1 MS. ANDREA SHERRY: I will --

2 MR. ANTHONY GUERRA: Thank you.

3 MS. ANDREA SHERRY: -- do my best to
4 do so, yes.

5 MR. ANTHONY GUERRA: And I -- and I
6 remind you if it may -- may come across as not a
7 professional opinion, but I hope that we won't get to
8 that point.

9

10 (BRIEF PAUSE)

11

12 MR. ANTHONY GUERRA: Thank you. So
13 let's turn to the report then, which is Exhibit CAC
14 12-1, in particular page 11 of the report.

15 It ends with the following
16 recommendation: "The CMP" and by CMP I'm -- I'm
17 referring to what I understand to be the Capital
18 Management Plan. Would you agree with that?

19 MS. ANDREA SHERRY: Yes.

20 MR. ANTHONY GUERRA: Okay. So the
21 Capital Management Plan, or CMP,

22 "should continue to use the DCAT"
23 -- or Dynamic Capital Adequacy Test,
24 correct?

25 MS. ANDREA SHERRY: M-hm.

1 MR. ANTHONY GUERRA: "Yes" or "no."

2 MS. ANDREA SHERRY: Yes.

3 MR. ANTHONY GUERRA: Thank you.

4 "Results within a one (1) in forty
5 (40) year adverse scenario as the
6 benchmark or ra -- range midpoint to
7 determine a target for the RSR, or
8 Rate Stabilization Reserve."

9 MS. ANDREA SHERRY: That's correct.

10 MR. ANTHONY GUERRA: thank you. And -

11 - and so that is a fair -- that is your

12 recommendation, correct? That's --

13 MS. ANDREA SHERRY: Correct.

14 MR. ANTHONY GUERRA: -- something you

15 share with Dr. Simpson as a joint recommendation?

16 MS. ANDREA SHERRY: Yes.

17 MR. ANTHONY GUERRA: And so to

18 extrapolate from that, is it fair to say then that you

19 -- you would not -- you would not agree -- you -- you

20 do not believe that the Public Utilities Board should

21 endorse the use of the Capital Management Plan that is

22 currently proposed by MPI?

23 MS. ANDREA SHERRY: I'm saying that I

24 don't think that target range is embedded in the plan

25 is -- is the right one to use.

1 MR. ANTHONY GUERRA: Right. And --
2 and that's because the Capital Management Plan is
3 based on this 100 percent MCT, or Minimum Capital
4 Test, single target, and not on an upper and lower
5 range, correct?

6 MS. ANDREA SHERRY: Based on the DCAT.

7 MR. ANTHONY GUERRA: Right. You would
8 say -- you -- you would -- you would ask that this
9 Board approve a Capital Management Plan that would be
10 based upon a DCAT analysis as opposed to a MCT
11 analysis, correct?

12 MS. ANDREA SHERRY: That's what we're
13 recommending, yes.

14 MR. ANTHONY GUERRA: Okay. And so
15 just to confirm with respect to the use of the DCAT
16 for -- for determining the upper and lower ends of the
17 RSR targets, the lower would be based on a one in
18 forty (40) year probability level with routine
19 management regulatory action over a two (2) year time
20 horizon, correct?

21 MS. ANDREA SHERRY: Subject to check,
22 I believe that's the correct one, yes.

23 MR. ANTHONY GUERRA: Okay. And -- and
24 this lower target, this is to ensure that the total --
25 basic total equity level remains above zero, correct?

1 That's the purpose?

2 MS. ANDREA SHERRY: No. I -- I
3 wouldn't necessarily -- I would say -- I would state
4 it another way just say it would determine the level
5 of the RSR, be -- are you asking about the total
6 equity level when you run scenarios --

7 MR. ANTHONY GUERRA: So when -- when --

8 MS. ANDREA SHERRY: -- or are you
9 asking --

10 MR. ANTHONY GUERRA: Sorry, I don't
11 want to talk over you, but what I'm proposing is that
12 the -- the lower level of the RSR, the lower target of
13 the RSR if you will --

14 MS. ANDREA SHERRY: M-hm.

15 MR. ANTHONY GUERRA: -- the purpose of
16 estab -- setting that target would be to -- that's the
17 -- the point at which we ensure that basic total
18 equity would remain above zero, correct?

19 MS. ANDREA SHERRY: If certain adverse
20 scenarios were to occur.

21 MR. ANTHONY GUERRA: Fair enough.

22 MS. ANDREA SHERRY: Yeah.

23 MR. ANTHONY GUERRA: And so the upper
24 target, I would submit, agree with me if you -- if you
25 do, that it's based upon a one (1) in forty (40) year

1 probability level with no management action over a two
2 (2) year time horizon, correct? Is that what's being
3 advocated in that -- that use of the DCAT?

4 MS. ANDREA SHERRY: I don't think in
5 this -- point me to the -- to the section where we
6 list which scenarios we suggest to use. I'm not sure
7 that we did in this paper.

8 MR. ANTHONY GUERRA: No, you don't,
9 and that's why --

10 MS. ANDREA SHERRY: Yeah.

11 MR. ANTHONY GUERRA: -- I'm trying to
12 --

13 MS. ANDREA SHERRY: So that's why --

14 MR. ANTHONY GUERRA: -- confirm that.

15 MS. ANDREA SHERRY: Right. So I would
16 have to go back and look to confirm which scenarios we
17 would recommend.

18 DR. BYRON WILLIAMS: And I -- I just
19 have to -- in fairness to our witness, my
20 understanding is for the 2020/21 year...

21

22 (BRIEF PAUSE)

23

24 DR. WAYNE SIMPSON: I think what
25 you're referring to is some earlier suggestions we

1 made about how you might -- as the PUB was grappling
2 with this question, about how you might use the DCAT
3 to develop a risk RSR range, and that was based
4 actually not on a particular scenario because the
5 scenario that was chosen would depend upon what was
6 considered to be the most adverse event, but once that
7 was chosen, to look at the question of risk
8 tolerances, which we addressed again, and that was to
9 say that you get a wider RSR range the wider the gap
10 in risk tolerances, and you do those around the one
11 (1) in forty (40) year -- your standard issue
12 midpoint, and so we suggested some ranges, a narrow
13 range and a broad range, based essentially on a gap in
14 risk tolerances. That didn't depend on the particular
15 scenario chosen. The scenario chosen was based on
16 adversity.

17 MR. ANTHONY GUERRA: Right. And --
18 and as -- Ms. Sherry, as you've correctly pointed out,
19 there isn't a -- a detailed indication in -- in your
20 report as to what the DCAT might look like if -- if
21 the -- the PUB were to -- to use it instead of the
22 hundred percent MCT for -- for the Capital Management
23 Plan.

24 So is it fair to say then that, based
25 upon your -- your evidence today, that you -- you

1 haven't quite turned your mind as to what that DCAT
2 might look like?

3 MS. ANDREA SHERRY: Well, we have
4 looked at it in the past and we've had a great deal of
5 discussion here at the PUB about what DCAT scenarios
6 should be used, so -- but the point of this paper in
7 particular was not to direct which ones -- which
8 scenarios should be used.

9 MR. ANTHONY GUERRA: Okay. Is it fair
10 to say though that the opinions expressed in your
11 report are based on a couple of assumptions, and
12 correct me if I'm wrong -- the first assumption is
13 that the reserves regulation that is referenced in
14 your report is not valid.

15 That's an assumption that you're making
16 when you're preparing your opinions in your report,
17 correct?

18 MS. ANDREA SHERRY: That would be an
19 assumption of the recommendation, yes.

20 MR. ANTHONY GUERRA: Okay. And
21 another assumption that's being made in the report is
22 that the -- the PUB can approve a target for the rate
23 stabilization reserve that differs from the 100
24 percent minimum capital test target prescribed in the
25 reserves regulation for that Basic RSR, correct?

1 That's an assumption that's being made?

2 MS. ANDREA SHERRY: I'm not a lawyer--

3 MR. ANTHONY GUERRA: No --

4 MS. ANDREA SHERRY: -- as you said
5 earlier.

6 MR. ANTHONY GUERRA: -- but your --
7 your opinion is based --

8 MS. ANDREA SHERRY: But --

9 MR. ANTHONY GUERRA: -- on an
10 assumption, correct?

11 MS. ANDREA SHERRY: Yes.

12 MR. ANTHONY GUERRA: Okay. And -- and
13 on that point about not being a lawyer, you would
14 agree that you aren't qualified to provide
15 professional opinions respecting either the validity
16 of the reserves regulation or the jurisdiction of the
17 PUB to approve an RSR target that differs from the
18 prescribed target in the reserves regulation, correct?

19 MS. ANDREA SHERRY: That's correct.
20 All we can do is recommend what we believe would be a
21 better choice if the reserves regulation is not found
22 valid.

23 MR. ANTHONY GUERRA: And it's fair to
24 say, Ms. Sherry, that in the event that either of
25 those two (2) assumptions are wrong, so in the event

1 that the reserves regulation is valid, and -- and the
2 PUB does not have jurisdiction to stray away from its
3 requirements, you have not expressed an opinion in
4 your report as to what the appropriateness of the
5 proposed Capital Management Plan by Manitoba Public
6 Insurance would be, correct?

7 MS. ANDREA SHERRY: We have not, no.

8

9 (BRIEF PAUSE)

10

11 MR. ANTHONY GUERRA: My Friend touched
12 upon the area of the purpose of the RSR, and I think
13 it's important that we -- we talk about that a little
14 bit more from your perspective, because I -- I -- we
15 don't -- I want to hear from your perspective.

16 It's been stated, I think, fairly
17 frequently what the purpose of the RSR is, but just to
18 confirm, you would agree with me that the purpose is
19 to protect motorists from rate increases that would
20 otherwise have been necessary due to unexpected
21 variances from forecasted results and due to events
22 and losses arising from non-reoccurring events or
23 factors?

24 MS. ANDREA SHERRY: That sounds

25 correct.

1 MR. ANTHONY GUERRA: Okay. And -- and
2 subject to check. I may have missed a word or two (2)
3 there, but I think I got it down pretty good.

4 MS. ANDREA SHERRY: Yeah.

5 MR. ANTHONY GUERRA: And -- and in
6 your report, yourself and -- and Dr. Simpson have --
7 have focused -- or zeroed in on the word 'motorists'.
8 You agree with me that -- that's an
9 important consideration for you within the context of
10 that statement?

11 MS. ANDREA SHERRY: I would agree that
12 it's the treatment -- and the fair treatment of
13 motorists is important to us, yes.

14 MR. ANTHONY GUERRA: Right. So we go
15 back to the statement, to protect motorists. You're
16 saying that's important. We have to step back and say
17 that the purpose of the RSR is to protect motorists.
18 It's not to protect MPI. It's to protect motorists,
19 correct?

20 MS. ANDREA SHERRY: Correct.

21 MR. ANTHONY GUERRA: And -- and what
22 we're protecting motorists from with the -- the RSR is
23 -- is from rate shock, correct?

24 MS. ANDREA SHERRY: Yes.

25 MR. ANTHONY GUERRA: And --

1 MS. ANDREA SHERRY: I would say that -
2 - I would agree with that, yeah.

3 MR. ANTHONY GUERRA: Okay. And -- and
4 have you formulated -- have you thought about what the
5 term rate shock means to you?

6 MS. ANDREA SHERRY: I've read some of
7 the transcripts, and I know it's been heavily talked
8 about and debated. What -- I think rate shock means
9 different things to every individual.

10 But I've seen the 5 percent has been
11 the general consensus, that that would be a large
12 enough rate increase.

13 MR. ANTHONY GUERRA: And -- and to
14 confirm, we are talking about rate increases? We're
15 not talking about a 5 percent dec -- decrease being
16 shocking to anyone, correct?

17 MS. ANDREA SHERRY: Right. I would
18 probably agree with that.

19 MR. ANTHONY GUERRA: And -- and in
20 fairness, the -- the purpose -- the real purpose, it -
21 - aside from what we've talked about in terms of the -
22 - the caption I read to you, is more than just
23 protecting motorists from rate shock.

24 And -- and the reason why I'm saying
25 that -- and -- and I will put it to you, and you can

1 agree with me if you want, is that the term rate shock
2 doesn't actually appear in that statement that I read
3 to you? There -- there's no indication --

4 MS. ANDREA SHERRY: I agree. Yeah. I
5 was going to clarify that, but I thought that was.

6 MR. ANTHONY GUERRA: And -- and
7 another thing I want to point out, and -- and you can
8 agree with me if you -- if you choose to, which is the
9 statement of the Board in the 2000 -- in the context
10 of the 2018 GRA, and in particular, in referring to
11 PUB Order 130-'17, where the PUB said:

12 "The lower threshold mitigates the
13 risk of insolvency and protect the
14 interests of ratepayers, and in
15 particular, claimants. It insures
16 that Basic insurance is sufficiently
17 capitalized to provide a reasonable
18 comfort that it will be able to meet
19 its policyholders' obligations."

20 Would you agree with me that that's
21 also a purpose of the RSR, or even effect of the RSR?

22 MS. ANDREA SHERRY: Can you --

23 MR. ANTHONY GUERRA: Absolutely. Yes.
24 You can turn to page 78, Ms. Schubert. Thank you.

25

1 (BRIEF PAUSE)

2

3 MS. ANDREA SHERRY: Whereabouts is it?

4 MR. ANTHONY GUERRA: It starts with
5 the -- the phrase, "The lower threshold mitigates."

6 MS. ANDREA SHERRY: Yeah. Can you go
7 up a little bit, please? There we go.

8 MR. ANTHONY GUERRA: There we go,
9 right in the middle of that paragraph, there.

10

11 (BRIEF PAUSE)

12

13 MS. ANDREA SHERRY: That's
14 interesting.

15 MR. ANTHONY GUERRA: Why do you say
16 it's interesting, Ms. Sherry?

17 MS. ANDREA SHERRY: Well, because it
18 says the lower threshold mitigates the risk of
19 insolvency and protects the interests of ratepayers,
20 and in particular, claimants.

21 MR. ANTHONY GUERRA: Would you agree
22 with that statement?

23 MS. ANDREA SHERRY: I've always...

24

25 (BRIEF PAUSE)

1 MS. ANDREA SHERRY: I don't know that
2 it's possible for MPI to go insolvent. I don't know
3 how that would occur.

4 MR. ANTHONY GUERRA: Right. We've had
5 this discussion before.

6 MS. ANDREA SHERRY: Yeah. This --
7 we've gone back and forth on that, so I -- I -- that's
8 why the word 'insolvency' made me pause.

9 MR. ANTHONY GUERRA: And I'm putting
10 to you what is in this Board Order.

11 MS. ANDREA SHERRY: I know.

12 MR. ANTHONY GUERRA: You -- you may
13 not agree with it, and that's I guess what I'm asking
14 you, is -- is this something that you agree with?

15 MS. ANDREA SHERRY: I would say that
16 the lower threshold mitigates the risk of large rate
17 change -- changes being required more so than the risk
18 of insolvency.

19 MR. ANTHONY GUERRA: What about the
20 sentence:

21 "It insures that Basic insurance is
22 sufficiently capitalized to provide
23 a reasonable comfort that it will be
24 able to meet its policyholders
25 obligations."

1 Do you agree with that statement?

2 MS. ANDREA SHERRY: That I would agree
3 with, yes.

4 MR. ANTHONY GUERRA: In other words,
5 motorists must have faith that MPI will always be able
6 to pay its claims, correct, or pay their claims?

7 MS. ANDREA SHERRY: Correct.

8

9 (BRIEF PAUSE)

10

11 MR. ANTHONY GUERRA: And would you
12 agree with me that from another perspective, from the
13 perspective of the government, the government might be
14 interested in making sure that MPI has sufficient
15 capital to pay claims when they become due?

16 MS. ANDREA SHERRY: Of course.

17

18 (BRIEF PAUSE)

19

20 MR. ANTHONY GUERRA: There's a
21 discussion in your report about the -- the concept of
22 absolute protection. And -- and there's a statement
23 in the report about -- or the statements to the extent
24 of absolute protection would be prohibitively
25 expensive and unaffordable for most uti -- for most

1 motorists. That's at page 6 of your report.

2 Do you recall that?

3 MS. ANDREA SHERRY: Yes, I do.

4 MR. ANTHONY GUERRA: Can -- can you
5 tell me what you mean by the term absolute protection?

6 MS. ANDREA SHERRY: Pardon me.

7 MR. ANTHONY GUERRA: Is that just
8 absolute protection from rate shock, or is that
9 something bigger?

10

11 (BRIEF PAUSE)

12

13 MR. ANTHONY GUERRA: Sorry.

14

15 (BRIEF PAUSE)

16

17 MS. ANDREA SHERRY: It seems when I
18 talk, it gets worse. What we were talking about
19 there, and Wayne can step in if he would like as well,
20 but the hot -- the more you hold in an RSR, the more
21 costly it becomes for the motorists of Manitoba.

22 And there is a trade-off, right, from
23 MPI holding money that the consumer could hold. And
24 if the consumer is holding that money, there's all
25 sorts of other economic benefits to that in our

1 community, right?

2 So if you hold enough money to feel a
3 hundred percent confident that nothing could ever
4 happen that would hurts -- or get MPI's total equity
5 below zero, you're taking way too much money from
6 people, right?

7 So it is about a balance. And the
8 question we're raising in that is how much does your
9 average person -- how much risk are they willing to
10 assume -- them -- without having to pay every year for
11 MPI to hold it?

12 Do you know -- does that make sense
13 somewhat?

14 MR. ANTHONY GUERRA: I -- I think I'm
15 following you.

16 MS. ANDREA SHERRY: Okay.

17 MR. ANTHONY GUERRA: Okay. And -- and
18 --

19 MS. ANDREA SHERRY: Wayne can step in,
20 because he's got a voice.

21 DR. WAYNE SIMPSON: Sure.

22 MR. ANTHONY GUERRA: And if you've got
23 -- Dr. -- sorry, Dr. Simpson, if you do have something
24 -- and -- and I apologize, but there is going to be
25 some, you know --

1 DR. WAYNE SIMPSON: No, you -- you --

2 MR. ANTHONY GUERRA: -- connection

3 between --

4 DR. WAYNE SIMPSON: -- you referred to
5 the combine centre, for example. So it -- it draws
6 from -- from the different adverse scenarios you --
7 you describe in the DCAT. And the total equity
8 scenario would be one (1). The interest rate scenario
9 would be another. And the claims -- the high loss
10 claims scenario would be the third.

11 And you're drawing from that 2.5
12 percent tail for a 1:40. But to get absolute
13 protection, you're not even drawing from the very
14 worst case in each of those opportunities, because
15 that's based on just recent experience with the data.

16 So you might imagine that there's
17 actually worse cases out there, you know, so-called
18 black swan effect. But if you did that, you would at
19 least be approaching what you would call absolute
20 protection. And we have no idea what kind of a -- a
21 reserve ratio that would imply, because even the
22 hundred percent MCT at .02 percent wouldn't qualify as
23 absolute protection.

24 MR. ANTHONY GUERRA: Okay. And -- and
25 I think you've --

1 DR. WAYNE SIMPSON: And that's the
2 1:15 figure.

3 MR. ANTHONY GUERRA: Right, and -- and
4 I think you have stolen a bit of my -- my thunder,
5 because I was going to talk about this 1:5000 year
6 scenario, or the -- the 0.0002 percent probability of
7 occurrence.

8 And -- and if I can clarify or confirm,
9 your position is even that although perhaps critical
10 of -- of MPI in -- in indicating that 100 percent MCT
11 would -- running the sim -- simulations using the
12 hundred percent MCT, that would not result in -- in
13 any scenario within those five thousand (5000) runs
14 that would draw down the RSR below zero.

15 Your position would still be that that
16 -- even that is not sufficient enough to provide what
17 you would call absolute protection, correct?

18 DR. WAYNE SIMPSON: A -- a motorist
19 may be so risk-averse. I cannot conceive of such a
20 person, but, you know, I mean, you would -- you would
21 think it would be, they would have problems,
22 significant problems, but a motorist could be so risk-
23 averse that even a .02 percent possibility of
24 occurrence would not be satisfactory to them, that
25 they would want further insurance, and further risk

1 protection than -- than that.

2 The floodway is an example. We want
3 1:700 year protection there, but that's a much bigger
4 consequence if things go badly than -- than if there's
5 rate shock.

6 MR. ANTHONY GUERRA: Right. And so
7 using the floodway as a perfect example, 1:700 year
8 scenario, I believe it's what it's supposed to
9 represent, correct?

10 DR. WAYNE SIMPSON: That's the
11 educated guess, I would say, yes.

12 MR. ANTHONY GUERRA: And -- and so
13 obviously running the 100 percent MCT criterion,
14 assuming management action, by the way, gets us to a
15 1:5000 year scenario -- or probability of occurrence.

16 Your -- that was clearly above what
17 occurrence levels lead -- the floodway would -- would
18 protect against, correct?

19 DR. WAYNE SIMPSON: Yes.

20 MR. ANTHONY GUERRA: Although not
21 representing absolute protection, you would agree with
22 me would offer most motorists what they might
23 characterize as absolute protection, or protection --
24 such a high protection that they need not worry?

25 MR. ANTHONY GUERRA: Well, the basic

1 principle here is the more protection you buy, the
2 more it costs. It's a pretty simple principle.

3 DR. WAYNE SIMPSON: And at some point,
4 it becomes cost prohibitive, correct?

5 DR. WAYNE SIMPSON: At some point,
6 well, yes, at some -- different points for different
7 people, depending upon their preferences and their
8 incomes.

9 MR. ANTHONY GUERRA: Would it be fair
10 to say, though, in -- in your opinions and -- and
11 hopefully you agree on this; if not, let me know --
12 that -- that protection at the 100 percent MCT level
13 is not -- or is cost prohibitive for motorists?

14 That's your -- is that your position?

15 DR. WAYNE SIMPSON: I would imagine
16 that for some, that is the case, yes. There's an
17 affordability question based on -- on income.

18 MS. ANDREA SHERRY: I would agree.

19 MR. ANTHONY GUERRA: So what I want to
20 do, then, is I want to turn your attention to MPI
21 Exhibit number 66, which is the quarter -- second
22 quarter financial results for MPI. And if we can go
23 down to the next page. Thank you, Ms. Schubert.
24 Another page down, please.

25 All right. So what we see here, and

1 I'm particularly interested in the -- the box under
2 organizational health.

3 What we see here is the -- the minimum
4 capital test status for each of the three (3) lines of
5 business, Basic being at 97 percent MCT as it
6 currently stands, with a target of 100 percent, and so
7 on. But I'm most interested in the Basic level right
8 now.

9 So you agree with me -- or have no
10 reason to disagree with me that as it currently
11 stands, Basic's RSR is currently at an MCT ratio of 97
12 percent, correct?

13 MS. ANDREA SHERRY: I would agree,
14 yeah.

15

16 (BRIEF PAUSE)

17

18 MR. ANTHONY GUERRA: And I'm going to
19 refer you to another MPI exhibit. This is MPI Exhibit
20 number 42, please.

21

22 (BRIEF PAUSE)

23

24 MR. ANTHONY GUERRA: This is a letter
25 from MPI to the Board. And in particular, I'm -- I'm

1 referring to page 3.

2

3

(BRIEF PAUSE)

4

5

MR. ANTHONY GUERRA: And sorry, if you
6 can scroll to the top, there, please, the paragraph
7 that starts, "Given Basic's." So:

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

"Given Basic's progression towards
the 100 percent MCT capital target,
there was no requirement for a bill
provision under the Capital
Management Plan. MPI still seeks
approval of the overall Capital
Management Plan, and will continue
to apply the Capital Management Plan
as intended in the next year's GRA
based on the revised 2020 GRA
forecast. If favourable results
continue, a capital release may be
appropriate at that time."

Do -- do you see that paragraph, Ms.

Sherry and Dr. Simpson?

MS. ANDREA SHERRY: I do, yes.

MR. ANTHONY GUERRA: And so what I --

what I'm going to suggest to you is that what MPI is

1 doing in the context of this rate application is not
2 asking for a bill provision under its proposed Capital
3 Management Plan, and is in fact suggesting that there
4 may be a position where it can release capital in the
5 future forecast.

6 Do you agree with that?

7 MS. ANDREA SHERRY: I agree with the
8 fact -- like, what you just said, laying out the
9 facts. I don't think that really has any bearing on
10 the determination of what the RSR levels should be,
11 though, right?

12 And this is the result, and that's --
13 that's good that MPI has had a good year. It's good
14 that MPI doesn't have to take rate increases. But if
15 they are still, in fact, holding more capital than
16 they should in terms -- in relation to the -- the
17 purpose of MPI, I suppose, and what the ratepayers
18 should be paying, then that's -- that's two (2)
19 different things.

20 MR. ANTHONY GUERRA: There's a
21 critique in your report about being socially wasteful.

22 Do -- do you recall that? It's page --
23 page 6 --

24 MS. ANDREA SHERRY: I don't know where
25 it is.

1 MR. ANTHONY GUERRA: -- of the report.

2 MS. ANDREA SHERRY: Page 6?

3 MR. ANTHONY GUERRA: Yes, please.

4 There's a sentence that says in the
5 report:

6 "Unless motorists value absolute
7 protection more than other goods and
8 services, this would be a
9 misallocation of their resources and
10 socially wasteful, from a
11 utilitarian perspective."

12 MS. ANDREA SHERRY: That's right. And
13 that's basically what I was talking about just now.

14 MR. ANTHONY GUERRA: Right.

15 MS. ANDREA SHERRY: M-hm.

16 MR. ANTHONY GUERRA: So is the
17 critique that money held by MPI is money that is no
18 longer available to ratepayers to spend on goods or
19 services, or to invest?

20 MS. ANDREA SHERRY: Well, it's money
21 out of their pocket that they may need for other
22 things. And yes, it does have an impact on the
23 economy.

24 MR. ANTHONY GUERRA: Right. And so
25 your -- your argument, or your position is that having

1 MPI hold onto that money would essentially hurt the
2 Manitoba economy.

3 Is that correct?

4 MS. ANDREA SHERRY: I think a -- the
5 other way of saying it is that releasing money that
6 MPI does not need to hold would have a positive effect
7 on the economy.

8 MR. ANTHONY GUERRA: Right. And --
9 and we can use -- so we can go back this term that is
10 coined -- or at least referenced in the report, which
11 is this utilitarian --

12 MS. ANDREA SHERRY: M-hm.

13 MR. ANTHONY GUERRA: -- term. And my
14 understanding is that utilitarian refers, at least
15 according to -- to you in your report, that a --
16 utilitarian means that not -- or maximizing the well-
17 being of a majority of the population, correct?

18 MS. ANDREA SHERRY: I think I should
19 give that question to my economist --

20 MR. ANTHONY GUERRA: Sure. Thank you.

21 DR. WAYNE SIMPSON: Yes. Well, I -- I
22 qualified this comment by being precise about what I
23 meant by socially wasteful, because -- but it's the
24 economist's standard notion, which is that you're
25 looking for the best outcome for the best -- largest

1 number of people, assuming that individuals are a
2 better judge of how to spend their money to -- for
3 their own satisfaction than MPI, or other public
4 bodies, or other benevolent agents.

5 MR. ANTHONY GUERRA: Fair enough, Dr.
6 Simpson, but -- and -- and I think that you -- you've
7 said it correctly when you -- you say there's an
8 assumption there on the part of Manitobans, you would
9 agree with me that it's impossible to predict, though,
10 with any level of certainty, what, in fact, Manitobans
11 would do with money rebated from the RSR, correct?

12 DR. WAYNE SIMPSON: I -- I think if
13 you look at -- at studies of consumption patterns and
14 studies of -- of spending by Canadians and Manitobans,
15 there are surveys on this -- it's pretty easy to
16 predict what -- what people might do with those kinds
17 of things, so -- with money, with money that came to
18 them that they did not expect to have.

19 All right. I don't -- I don't think
20 it's true that we can't predict it.

21 MR. ANTHONY GUERRA: Well, obviously,
22 it would depend on the amount of money, correct?

23 DR. WAYNE SIMPSON: Not in principle,
24 no.

25 MR. ANTHONY GUERRA: So you would

1 agree, though, that some Manitobans might not spend
2 their money on goods and services that would benefit
3 the Manitoba economy, correct?

4 DR. WAYNE SIMPSON: I disagree. They
5 would almost certainly spend it on -- money, some of
6 which would stay in Manitoba, would benefit the
7 Manitoba economy.

8 The multiplier for Manitoba studies of
9 that, with which I know quite a bit, are suggested.
10 In fact, a significant fraction of it would not only
11 be spent here, but also would be re-spent here.

12 MR. ANTHONY GUERRA: But my question
13 to you, Dr. Simpson, was about whether or not some
14 might not spend money on goods and services that
15 benefit the Manitoba economy. So --

16 DR. WAYNE SIMPSON: They might go to
17 Calgary --

18 MR. ANTHONY GUERRA: -- there's some
19 that might not?

20 DR. WAYNE SIMPSON: -- buy a trip, and
21 go elsewhere, but that's probably a minority.

22 MR. ANTHONY GUERRA: And -- and
23 there's some that might not choose to invest that
24 money in -- in companies that benefit the Manitoba
25 economy, correct?

1 DR. WAYNE SIMPSON: Anything's
2 possible, but those are not the normal activities of
3 Manitoba consumers.

4 MR. ANTHONY GUERRA: And -- and if
5 individuals were to spend money on goods and services
6 that were of no benefit to the Manitoba economy, or
7 were not to invest in companies that would benefit the
8 Manitoba economy, that would not be utilitarian,
9 correct?

10 DR. WAYNE SIMPSON: It would be
11 utilitarian, because they're getting their bit -- mat
12 -- their own personal highest benefit from it.

13 MR. ANTHONY GUERRA: But I thought the
14 definition of utilitarian, meaning to maximize the
15 well-being of the majority of the population?

16 DR. WAYNE SIMPSON: Yes, but for the
17 individual, they're maximizing their own personal
18 benefits. So you can't criticize the individual. You
19 can only criticize it from the social standpoint of
20 the group, which was -- you referred to socially
21 wasteful.

22 And so, in fact, since the majority of
23 people will not be doing as you suggest, then you
24 can't say that because one (1) person does, that, in
25 fact, that's not -- that's wasteful from a utilitarian

1 perspective. That person is doing what they think is
2 correct.

3 MR. ANTHONY GUERRA: Your opinion
4 about --

5 THE CHAIRPERSON: Mr. Guerra --

6 MR. ANTHONY GUERRA: Yes?

7 THE CHAIRPERSON: -- I'm going to stop
8 you here. You're dealing with economics issues, and I
9 would like to give PUB counsel an opportunity to
10 cross-examine Ms. Sherry before we're done today.

11 MR. ANTHONY GUERRA: I appreciate
12 that.

13 THE CHAIRPERSON: Thank you. Mr.
14 Watchman...?

15

16 (BRIEF PAUSE)

17

18 MR. ANTHONY GUERRA: I have further
19 questions for Ms. Sherry, but I -- I don't think
20 that's going to be allowed, so I'll -- I'll stop for
21 today.

22

23 CROSS-EXAMINATION BY MR. ROBERT WATCHMAN:

24 MR. ROBERT WATCHMAN: Thank you. Ms.
25 Sherry, I just have three (3) areas of actual practice

1 that I wanted to question you about, and I apologize
2 if the introduction's a little abrupt.

3 MS. ANDREA SHERRY: That's okay.

4 MR. ROBERT WATCHMAN: But to get right
5 to it --

6 MS. ANDREA SHERRY: M-hm.

7 MR. ROBERT WATCHMAN: -- Kristen, if
8 we could go to the bottom of page 3 of Dr. Simpson and
9 Ms. Sherry's report.

10

11 (BRIEF PAUSE)

12

13 MR. ROBERT WATCHMAN: And to put this
14 into context, this is addressing your concern with
15 respect to the significant change in procedure,
16 namely, the use of 100 percent minimum capital test.

17 And if we go to the last sentence in
18 that paragraph:

19 "While the MCT is recognized by the
20 Office of the Superintendent of
21 Financial Institutions for private
22 casualty insurers, in a competitive
23 insurance industry, to prevent
24 insolvency, it was unclear, at least
25 to stakeholders, how this applied to

1 a public Crown Corporation with a
2 monopoly over Basic insurance."

3 Do you -- do you recall that?

4 MS. ANDREA SHERRY: Yes. I -- m-hm.

5 MR. ROBERT WATCHMAN: And
6 specifically, is your concern here the applicable --
7 the applicability of the minimum capital test itself,
8 or is it the setting of the ratio at 100 percent?

9 MS. ANDREA SHERRY: I have concerns
10 with both. The MCT is a test, and it's calibrated on
11 private insurance companies, right? So for MPI to use
12 it, for a Crown monopoly to use it, we should be
13 looking at the -- all of the tests that are -- make up
14 the MCT calculation. And they're individual little
15 tests related to different types of risks. And we
16 should be looking at that and seeing if it even
17 applies to a Crown. That's my first concern.

18 And then the second concern is the 100
19 percent.

20 MR. ROBERT WATCHMAN: And you just --
21 could you explain the concern about the 100 percent?

22 MS. ANDREA SHERRY: Well, because
23 again -- I guess they were very related, right?
24 Because if the test is calibrated to prevent the
25 insolvency of a private insurance company writing

1 multiple products across the -- in many cases, in
2 several provinces across Canada, and something was
3 said earlier, too, saying that private insurance
4 company have to hold 150 percent MCT.

5 That is the supervisory target, but
6 insurance companies in Canada, generally speaking,
7 carry way more than that, depending if there is stock
8 company, or a mutual, et cetera, et cetera.

9 So all of these things make -- I think
10 it's really inappropriate just to say this task that
11 is created and calibrated for private insurance
12 companies that have a completely different risk
13 profile than -- than Manitoba Public Insurance should
14 be used for Manitoba Public Insurance, and we're going
15 to say a hundred percent.

16 But we -- we have nothing to say if
17 these -- this test is even applicable, right? So I --
18 they're related.

19 MR. ROBERT WATCHMAN: Okay. Kristen,
20 if we could turn to the application, Part 6, DCAT
21 Appendix 1(d).

22 And Ms. Sherry, perhaps this is
23 something you might be willing to undertake to take
24 away and get back to us on.

25 MS. ANDREA SHERRY: Okay.

1 MR. ROBERT WATCHMAN: So -- and -- and
2 you see here, this is the -- the determination of --
3 or the application of the minimum capital test.

4 MS. ANDREA SHERRY: M-hm.

5 MR. ROBERT WATCHMAN: And the question
6 is whether there are any specific elements within this
7 derivation of the minimum capital test ratio that you
8 believe are of questionable applicability to a public
9 Crown Corporation.

10 MS. ANDREA SHERRY: It would take me
11 some time to go through it, and I think that's
12 something that I -- that I think, quite frankly, was
13 on MPI's shoulders to do is to prove that this test
14 applied to them, to look at these elements, and to say
15 what applies to MPI, what doesn't, what should we
16 recalibrate for a Crown.

17 I certainly don't mind undertaking it,
18 but I'm not sure I'm the best person for the job.

19 MR. ROBERT WATCHMAN: Okay. Well, if
20 we could have that undertaking.

21 MS. ANDREA SHERRY: You -- pardon me?

22 MR. ROBERT WATCHMAN: If we could have
23 that undertaking, please?

24 DR. BYRON WILLIAMS: So --

25 MR. ROBERT WATCHMAN: M-hm.

1 DR. BYRON WILLIAMS: -- just so I
2 understand the undertaking, whether there are any
3 specific elements in the derivation of the min --
4 minimum capital test as set out in Appendix 1(d) of
5 the DCAT analysis.

6 You're asking for that undertaking for
7 Ms. Sherry?

8 MR. ROBERT WATCHMAN: Yes, we --

9 MS. ANDREA SHERRY: I would like the -
10 - if possible, to get the -- sorry.

11 MR. ROBERT WATCHMAN: Just hold --
12 hold on. Yes, whether she considers any of those
13 elements to be of questionable -- questionable
14 applicability to a public Crown Corporation.

15

16 (BRIEF PAUSE)

17

18 DR. BYRON WILLIAMS: Mr. Watchman, in
19 a -- or legal counsel for the PUB, and -- what would
20 be helpful would be to actually see the working papers
21 of MPI, so that -- and so she may be able to approach
22 this from a conceptual level. The entirety of the
23 answer would not be possible without having access to
24 the working papers, sir.

25 MS. ANDREA SHERRY: I can give you

1 theoretical reasons why it might not apply to MPI, but
2 to re-create their MCT myself would seem to be a waste
3 of time if I can get their Excel spreadsheet.

4 MR. ROBERT WATCHMAN: No, fair enough.
5 We -- we don't -- we're not asking you to re-create
6 it. I think just, you know, your --

7 MS. ANDREA SHERRY: Theoretically?

8 MR. ROBERT WATCHMAN: -- prin -- yes,
9 your theoretical --

10 MS. ANDREA SHERRY: Okay.

11 MR. ROBERT WATCHMAN: -- consideration
12 of the test as applied.

13 MS. ANDREA SHERRY: Okay.

14 DR. BYRON WILLIAMS: So we'll limit
15 the undertaking to the conceptual challenges, and not
16 to the practical applicability, as would be evidenced
17 by the -- an analysis of the MC -- of the Manitoba
18 Public Insurance working papers.

19 MR. ROBERT WATCHMAN: Yes, that's --
20 that's fine.

21 THE REPORTER: So what is the actual
22 undertaking?

23 DR. BYRON WILLIAMS: We're going to
24 leave that to PUB counsel, because he's got most of
25 the words in front of him.

1 MR. ROBERT WATCHMAN: So the
2 undertaking would be to provide a analysis on a
3 theoretical basis or a conceptual basis of Appendix
4 1(d) of the DCAT section of the application to
5 indicate whether there are any specific elements
6 within the derivation of the MCT ratio that are of
7 questionable applicability to a public Crown
8 Corporation.

9 DR. BYRON WILLIAMS: That's accepted.

10

11 --- UNDERTAKING NO. 36: CAC to provide a analysis
12 on a theoretical basis or
13 a conceptual basis of
14 Appendix 1(d) of the DCAT
15 section of the application
16 to indicate whether there
17 are any specific elements
18 within the derivation of
19 the MCT ratio that are of
20 questionable applicability
21 to a public Crown
22 Corporation

23

24 CONTINUED BY MR. ROBERT WATCHMAN:

25 MR. ROBERT WATCHMAN: Thank you. If

1 we could turn, Kristen, to Information Request PUB-
2 CAC-1-2.

3

4 (BRIEF PAUSE)

5

6 MS. ANDREA SHERRY: Okay.

7 MR. ROBERT WATCHMAN: And just -- just

8 quickly, the -- you see the -- the question there,

9 question A, related to the Corporation's proposed

10 management -- Capital Management Plan, which appears

11 to embed any resulting capital release provision into

12 the Basic -- or the proposed Basic rates.

13 And if we could scroll down to the

14 answer to Part A. There, it begins there.

15 And it's just the beginning of the

16 second sentence, there:

17 "The calculation of the actuarially

18 indicated rate should not be

19 complicated by the capital build or

20 release decisions."

21 And this is the part I want to focus

22 on.

23 "The investment income from the

24 investment fortpole -- portfolio

25 backing the Basic insurance

1 portfolio at the amount it is
2 expected to be for the rating year
3 in question should be part of the
4 actual -- actuarial indication --
5 sorry -- actuarial rate indication
6 calculation."

7 Do you recall that answer?

8 MS. ANDREA SHERRY: I do, yes.

9 MR. ROBERT WATCHMAN: And in earlier
10 discussions with MPI witnesses, both in this hearing
11 and in previous hearings, the matter of the expected
12 return on investment assets supporting Basic total
13 equity --

14 MS. ANDREA SHERRY: M-hm.

15 MR. ROBERT WATCHMAN: -- and the
16 recognition of that Basic insurance cash flow in -- in
17 estimated -- estimating the Basic rate indications has
18 been addressed.

19 You're familiar with that?

20 MS. ANDREA SHERRY: Yes, I recall.

21 MR. ROBERT WATCHMAN: And -- and
22 that's what you were -- in that last part there, that
23 -- does that -- that's what you're speaking about, the
24 investment income from the investment portfolio
25 backing the Basic insurance?

1 MS. ANDREA SHERRY: Well, I can't
2 resist an opportunity to bring it up, so I brought it
3 up there. Yes, I was talking about the investment
4 income, and I say from the investment portfolio
5 backing the Basic insurance portfolio, and to me,
6 that's the whole portfolio.

7 MR. ROBERT WATCHMAN: Okay. And now,
8 are you aware that it's MB -- MPI's position that the
9 expected return on investment assets supporting Basic
10 total equity is a capital adjustment and that they
11 prefer to address all capital adjustments separately
12 from the Basic rate indication as part of the capital
13 management plan?

14 MS. ANDREA SHERRY: Yes, I am aware of
15 that.

16 MR. ROBERT WATCHMAN: And is it -- is
17 it your view that that is a -- a cor -- a proper
18 approach or that the expected return on investment
19 assets supporting total -- Basic total equity should
20 be recognized in estimating the Basic rate indication?

21 MS. ANDREA SHERRY: That is my
22 preferred approach.

23 MR. ROBERT WATCHMAN: Okay.

24 MS. ANDREA SHERRY: That it should be
25 part of the actuarial rate indication.

1 MR. ROBERT WATCHMAN: So -- yeah. So
2 you -- you're -- you disagree with MPI's approach on
3 this.

4 MS. ANDREA SHERRY: I do.

5 MR. ROBERT WATCHMAN: Now, but do you
6 agree that accepted actuarial practice in Canada
7 permits derivation of rate indications either with or
8 without making provision for the expected return on
9 investment assets supporting Basic total equity?

10 MS. ANDREA SHERRY: I don't have the
11 standards in front of me, but my recollection was that
12 it should be the present value of all cashflow related
13 to the -- the book that you are pricing for.

14 MR. ROBERT WATCHMAN: And so you
15 understand MPI's position?

16 MS. ANDREA SHERRY: Pardon me?

17 MR. ROBERT WATCHMAN: And you
18 understand MPI's position with respect to that?

19 MS. ANDREA SHERRY: I do. I -- I've
20 seen -- I've read -- I believe it was on some of the
21 record, and I've seen the IRs, and I know the PUB
22 asked some question about that, and I asked some
23 questions about that. So it's fairly clear that I
24 don't agree with MPI in terms of the approach in
25 regards to the investment income on the total equity.

1 MR. ROBERT WATCHMAN: And -- and does
2 your disagreement extend to the point that you would
3 say that what MPI is doing is not within accepted
4 actuarial practice in Canada?

5

6 (BRIEF PAUSE)

7

8 MS. ANDREA SHERRY: I would hate to
9 say that, because I -- I do believe that the chief
10 actuary at MPI is trying to pra -- follow accepted
11 actuarial practice, but I think it could be a -- a
12 good debate, because if you look at the standards,
13 there is some vagueness there.

14 MR. ROBERT WATCHMAN: Okay. So --

15 MS. ANDREA SHERRY: But I would also
16 question why -- you know, why we are having this
17 conversation two (2) or three (3) years later. You
18 know, what the -- what the issue is with including it,
19 I suppose, would be my question.

20 MR. ROBERT WATCHMAN: Well, so at this
21 point, though, would you say it's a difference --
22 difference of opinion or difference of preference?

23 MS. ANDREA SHERRY: I think I would
24 have to go with that. Yeah, difference in opinion. A
25 difference of interpretation.

1 MR. ROBERT WATCHMAN: If we could
2 turn, Kristen, to page 9 of Dr. Simpson's and Ms.
3 Sherry's report, and the second paragraph.

4 In the second paragraph, you actually
5 quote from the chief actuary for MPI. It says:

6 "Without consultation with
7 stakeholders, MPI announced that
8 going forward, the chief actuarial -
9 - actuary will select assumptions
10 that more closely align with the
11 risk appetite of the MPI board of
12 directors, including a 1:100 year,
13 ninety-ninth (99th) percentile
14 outcome level."

15 Do you recall that?

16 MS. ANDREA SHERRY: I do. I do, yes.

17 MR. ROBERT WATCHMAN: And is it your
18 understanding that this statement was made in the
19 context of Basic dynamic capital adequacy testing?

20 MS. ANDREA SHERRY: It was, yes. It
21 was in response to a question related to that, yeah.

22 MR. ROBERT WATCHMAN: And is it your
23 understanding as well that if the reserves regulation
24 is not found to be invalid, then the Basic target
25 capital level is not linked to dynamic capital

1 adequacy testing?

2 MS. ANDREA SHERRY: I do understand
3 that, yes.

4 MR. ROBERT WATCHMAN: And -- but would
5 you agree -- going back to this statement, would you
6 agree that the use of a ninety-ninth (99th) percentile
7 adverse event modelling assumption for the purposes of
8 dynamic capital adequacy testing is in compliance with
9 accepted actuarial practice in Canada?

10 MS. ANDREA SHERRY: Again, I would go
11 to the statement that the DCAT, for purposes of
12 private insurance companies -- it's to test your risk
13 of insolvency.

14 So I would make the same argument I
15 make with the MCT in that, you know, the 1:40 year
16 event for MCT -- or, sorry, DCAT for MPI seemed to be
17 the reasonable level to which we were heading. I
18 don't think they -- if we're going to use DCAT to set
19 the RSR, I think 1:100 would be extreme, very extreme.

20 MR. ROBERT WATCHMAN: But -- but
21 again, not contrary to accepted actuarial practice in
22 Canada, just a difference in preference.

23 MS. ANDREA SHERRY: You have to look
24 at the DCAT for -- I -- I'd have to go back and look
25 at the DCAT, because a DCAT is not even required to be

1 done for MPI. MPI is not a federally regulated
2 company, so a DCAT's not required.

3 So I'm not sure that you could apply
4 the actuarial standards of practice to a DCAT done by
5 a non-federally regulated company. It's their choice
6 to do it, but the government doesn't require them to
7 do it.

8 MR. ROBERT WATCHMAN: All right.

9

10 (BRIEF PAUSE)

11

12 MR. ROBERT WATCHMAN: Thank you, Ms.
13 Sherry. Those are all my questions.

14 MS. ANDREA SHERRY: Thank you.

15 MR. ROBERT WATCHMAN: Madam Chair,
16 those are all my questions of this part of the panel.

17 THE CHAIRPERSON: Thank you very much.
18 One moment, please. Mr. Guerra, have you got five (5)
19 minutes' worth of questions?

20 MR. ANTHONY GUERRA: At this point,
21 I'm just going to reserve the remainder of my
22 questions to Dr. Simpson to tomorrow. Thank you.

23 THE CHAIRPERSON: Okay. Thank you
24 very much for that. I would like to adjourn now for
25 the evening. What I'm going to ask Board counsel to

1 do is speak with counsel for MPI and for the
2 Interveners. We've got a pretty tight schedule based
3 on the schedule that was agreed to by counsel at the
4 meeting that was held in June, and we need to be able
5 to adhere to it as a result -- we've got a very tight
6 schedule that we need to adhere to, so I'm going to
7 ask Board counsel to have discussions with all other
8 counsel and look at what kind of time frames we can
9 look at to ensure that we're going to complete within
10 time, both in terms of the panel that's going to be
11 presented tomorrow, the remainder of the panel from
12 today, and closing remarks that are scheduled for
13 October 24th. So I would appreciate your cooperation
14 in that.

15 And with that, we're adjourned until
16 tomorrow morning at nine o'clock. Thank you.

17

18 --- Upon adjourning at 4:52 p.m.

19

20 Certified correct,

21

22 _____

23 Cheryl Lavigne, Ms.

24

25