



“When You Talk - We Listen!”



MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA PUBLIC INSURANCE CORPORATION (MPI)  
2023/2024 GENERAL RATE APPLICATION  
HEARING

Before Board Panel:

Irene Hamilton, K.C.- Panel Chairperson  
Robert Gabor, K.C. - Board Chair  
Susan Nemec - Board Member  
George Bass - Board Member  
Susan Boulter - Board Member

HELD AT:

Public Utilities Board  
400, 330 Portage Avenue

Winnipeg, Manitoba

October 21, 2022

Pages 618 to 836

Day 3

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

APPEARANCES

Kathleen McCandless ) Board Counsel  
 Robert Watchman ) Board Counsel  
 Kara Moore (remote) ) Board Counsel  
 Roger Cathcart ) Board Advisor  
 Blair Mantketelow-Eckler (remote) ) Board Advisor  
 Steve Scarfone ) Manitoba Public  
 Michael Triggs ) Insurance  
 Anthony Guerra )  
 Jordan Lang (Student-at-law) )  
 Byron Williams ) CAC (Manitoba)  
 Chris Klassen )  
 Karen Wittman ) Taxi Coalition  
 Charlotte Meek ) CMMG  
 Jennifer Sokal ) IBAM  
 Michael Weinstein )  
 Christian Monnin ) Bike Winnipeg  
 Charles Feaver (np) )

1	TABLE OF CONTENTS	
2		Page No.
3	List of Undertakings	621
4	List of Exhibits	625
5		
6	MPI ACCEPTED ACTUARIAL PRACTICE/RATEMAKING PANEL	
7	KHURRAM MASUD, Affirmed	
8	CHERITY OSTAPOWICH, Sworn	
9	CARA LOW, Sworn	
10		
11	Examination by Mr. Anthony Guerra	633
12	Cross-examination by Ms. Kathleen McCandless	663
13	Cross-examination by Dr. Byron Williams	760
14	Cross-examination by Mr. Chris Klassen	792
15	Cross-examination by Ms. Charlotte Meek	797
16	Cross-examination by Ms. Karen Wittman	808
17	Re-Direct Examination by Mr. Anthony Guerra	833
18		
19		
20		
21		
22	Certificate of Transcript	836
23		
24		
25		

1	List of Undertakings		
2	No.	Description	Page No.
3	15	MPI to provide an update to Figure EXP-1, Figure EXP-2, Figure EXP-5, Figure EXP-9, Figure EXP-38, Expenses Appendix 2, Expenses Appendix 5, Expenses Appendix 6 and 6A; to provide detail of the full-time equivalent budget for 2023/'24 in the same level of detail as Appendix 1 and an updated Appendix 2; to provide an update to Figure EXP-11, adding a column reflecting the revised full-time equivalent budget for 2023/'24; to provide a table reflecting the staff budget figure EXP-11 from 2020, 2021, 2022, and 2023 GRA and the October update for the comparative years 2019/'20 through 2025/'26; to provide an updated table in the same format as MPI Exhibit number 55, slide 14 for total corporate, adding columns for 2021 actual, 2021/'22 actual, a column providing the change in 2022/'23 from 2021/'22; to provide a similar schedule as the requested revised table	

1		List of Undertakings	
2	No.	Description	Page No.
3		based on MPI Exhibit number 55, slide	
4		14, for total corporate staffing	
5		levels; to provide a general	
6		description of the annual staff	
7		budgeting process and a description of	
8		the process followed to support the	
9		October update, including any analysis	
10		prepared and presented to the board of	
11		directors and the associated minutes	
12		approving the updated full-time	
13		equivalent budget; and an update to MPI	
14		Exhibit number 38, if necessary, or	
15		confirm that the schedule has not	
16		changed with the October update; and if	
17		it has changed, MPI to provide an	
18		update with a narrative description of	
19		the changes.	628
20	16	For the Corporation to provide the	
21		dollar amount of the increase for each	
22		of weekly indemnity and accident	
23		benefits other indexed for each fiscal	
24		year	668
25			

1	List of Undertakings		
2	No.	Description	Page No.
3	17	Corporation to provide rate indication using the marketable bond yield of 4.24 percent.	672
4	18	MPI to provide documentation validating the \$78.2 million increase in forecasted PIPP and liability	687
5	19	MPI to provide documentation validating the decrease of \$48.9 million in lower than forecast collision claims; decrease of .75 million in lower than forecasted non-proportional ILAE; the \$8.2 million increase in forecasted ILAE; and the \$4.6 million increase in forecasted comprehensive claims claims.	689
6	20	MPI to provide, with respect to each of the changes set out at PF-6 under net claims incurred, explanation of variances, the calculations underlying the projected claims for each and every coverage for which the change is over \$1 million in either direction.	698
7			

	List of Undertakings		
1	No.	Description	Page No.
2			
3	21	MPI to explain calculation of decrease	
4		of \$5.388 million in claims expenses	
5		and to provide explanation for the	
6		increase of \$2.308 million in road	
7		safety, loss prevention reconciled	
8		against lines 26 and 27 at page 2 of	
9		pro forma 6 in MPI-58. And to provide	
10		the explanation for the increase of	
11		\$2.308 million in road safety, loss	
12		prevention reconciled against lines 26	
13		and 27 at page 2 of pro forma 6 in MPI	
14		Exhibit number 58.	705
15	22	MPI to provide explanation for claims	
16		expense and road safety, loss	
17		prevention expenses in pro forma 7	
18		reconciled against item number 4 at	
19		page 2 of pro forma 7.	707
20	23	MPI to file the project plan for	
21		generalized linear module for	
22		ratemaking.	730
23			
24			
25			

1	List of Exhibits		
2	Exhibit No.	Description	Page No.
3	PUB-17	Part 5 Expenses, EXP-5 from the 2022	
4		GRA	631
5	PUB-18	Part 5 Expenses, Appendix 12 from the	
6		2022 GRA	631
7	PUB-19	Part 5 Expenses, EXP-10 from the 2022	
8		GRA	631
9	PUB-20	MPI Exhibit 18 from the 2022 GRA	631
10	PUB-21	CAC/MPI 1-69 from the 2022 GRA	632
11	MPI-56	MPI Benchmarking Presentation from	
12		October 19, 2022	632
13	MPI-57	PUB Pre-Ask 2 with Appendix 1	632
14	MPI-58	PUB Pre-Ask 1 with Appendices 1	
15		and 2	633
16	MPI-59	Ratemaking Claims Forecasting	
17		Presentation	633
18	PUB-22	Excerpt from the Actuarial Standards of	
19		Practice	702
20	TC-4	Table RM Appendix 9, table 9.	817
21			
22			
23			
24			
25			



1 --- Upon commencing at 9:02 a.m.

2

3 THE PANEL CHAIRPERSON: Good morning,  
4 Mr. Guerra. Would you please introduce your panel and  
5 then we'll have them sworn in.

6 MR. ANTHONY GUERRA: Thank you, Madam  
7 Chair. Before we do that, we do have a couple of  
8 housekeeping issues, so I'll turn it over to my friend  
9 Ms. McCandless to read in an undertaking that we  
10 agreed to last night.

11 THE PANEL CHAIRPERSON: Thank you.

12 MS. KATHLEEN MCCANDLESS: Thank you.  
13 Good morning. So as a result of the staffing update  
14 that we received in yesterday's hearing, MPI and PUB  
15 advisors conferred offline and have agreed to an  
16 undertaking to be provided, as I understand early next  
17 week.

18 And that would be to -- for MPI to  
19 provide an update to Figure EXP-1, Figure EXP-2,  
20 Figure EXP-5, Figure EXP-9, Figure EXP-38, Expense --  
21 Expenses Appendix 2, Expenses Appendix 5, Expenses  
22 Appendix 6 and 6A; to provide detail of the full-time  
23 equivalent budget for 2023/'24 in the same level of  
24 detail as Appendix 1 and an updated Appendix 2.

25 For MPI to provide an update to Figure

1 EXP-11, adding a column reflecting the revised full-  
2 time equivalent budget for 2023/'24; to provide a  
3 table reflecting the staff budget figure EXP-11 from  
4 2020, 2021, 2022, and 2023 GRA and the October update  
5 for the comparative years 2019/'20 through 2025/'26.

6 For MPI to provide an updated table in  
7 the same format as MPI Exhibit number 55, slide 14 for  
8 total corporate -- adding columns for 2021 actual,  
9 2021/'22 actual, a column providing the change in  
10 2022/'23 from 2021/'22.

11 Also for MPI to provide a similar  
12 schedule as the requested revised table based on MPI  
13 Exhibit number 55, slide 14, for total corporate  
14 staffing levels.

15 MPI to provide a general description of  
16 the annual staff budgeting process and a description  
17 of the process followed to support the October update,  
18 including any analysis prepared and presented to the  
19 board of directors and the associated minutes  
20 approving the updated full-time equivalent budget; and  
21 an update to MPI Exhibit number 38, if necessary, or  
22 confirm that the schedule has not changed with the  
23 October update. If it has changed, please provide an  
24 update with a narrative description of the changes.  
25 And that's the undertaking.

1  
2 --- UNDERTAKING NO. 15: MPI to provide an update  
3 to Figure EXP-1, Figure  
4 EXP-2, Figure EXP-5,  
5 Figure EXP-9, Figure EXP-  
6 38, Expenses Appendix 2,  
7 Expenses Appendix 5,  
8 Expenses Appendix 6 and  
9 6A; to provide detail of  
10 the full-time equivalent  
11 budget for 2023/'24 in the  
12 same level of detail as  
13 Appendix 1 and an updated  
14 Appendix 2; to provide an  
15 update to Figure EXP-11,  
16 adding a column reflecting  
17 the revised full-time  
18 equivalent budget for  
19 2023/'24; to provide a  
20 table reflecting the staff  
21 budget figure EXP-11 from  
22 2020, 2021, 2022, and 2023  
23 GRA and the October update  
24 for the comparative years  
25 2019/'20 through 2025/'26;

1 to provide an updated  
2 table in the same format  
3 as MPI Exhibit number 55,  
4 slide 14 for total  
5 corporate, adding columns  
6 for 2021 actual, 2021/'22  
7 actual, a column providing  
8 the change in 2022/'23  
9 from 2021/'22; to provide  
10 a similar schedule as the  
11 requested revised table  
12 based on MPI Exhibit  
13 number 55, slide 14, for  
14 total corporate staffing  
15 levels; to provide a  
16 general description of the  
17 annual staff budgeting  
18 process and a description  
19 of the process followed to  
20 support the October  
21 update, including any  
22 analysis prepared and  
23 presented to the board of  
24 directors and the  
25 associated minutes

1 approving the updated  
2 full-time equivalent  
3 budget; and an update to  
4 MPI Exhibit number 38, if  
5 necessary, or confirm that  
6 the schedule has not  
7 changed with the October  
8 update; and if it has  
9 changed, MPI to provide an  
10 update with a narrative  
11 description of the  
12 changes.

13

14 MR. ANTHONY GUERRA: Sorry, I didn't  
15 get all that. If you can just repeat that, please.  
16 No, that -- that's very good. Thank you very much.  
17 And the time line I think is -- is correct. It's  
18 supposed to be sometime mid next week.

19 THE PANEL CHAIRPERSON: Thank you very  
20 much.

21 MS. KATHLEEN MCCANDLESS: And, Madam  
22 Chair, I just want to read in a few exhibits to the  
23 record. They were documents that I referred to in my  
24 cross-examination of the Expenses and IFRS Panel  
25 yesterday.

1                   So PUB-17 will be Part 5 Expenses, EXP-  
2 5, from the 2022 GRA.

3

4 --- EXHIBIT NO. PUB-17:       Part 5 Expenses, EXP-5  
5                                   from the 2022 GRA

6

7                   MS. KATHLEEN MCCANDLESS:   PUB-18 will  
8 be Part 5 Expenses, Appendix 12 from the 2022 GRA.

9

10 --- EXHIBIT NO. PUB-18:       Part 5 Expenses, Appendix  
11                                   12 from the 2022 GRA

12

13                   MS. KATHLEEN MCCANDLESS:   PUB-19 is  
14 from Part 5 Expenses, EXP-10 from the 2022 GRA.

15

16 --- EXHIBIT NO. PUB-19:       Part 5 Expenses, EXP-10  
17                                   from the 2022 GRA

18

19                   MS. KATHLEEN MCCANDLESS:   PUB-20 is  
20 MPI Exhibit number 18 from the 2022 GRA.

21

22 --- EXHIBIT NO. PUB-20:       MPI Exhibit 18 from the  
23                                   2022 GRA

24

25                   MS. KATHLEEN MCCANDLESS:   PUB-21 is

1 CAC/MPI-1-69 from the 2022 GRA.

2

3 --- EXHIBIT NO. PUB-21: CAC/MPI 1-69 from the 2022

4 GRA

5

6 MS. KATHLEEN MCCANDLESS: Thank you.

7 THE PANEL CHAIRPERSON: Thank you, Ms.

8 McCandless.

9 Mr. Guerra...?

10 MR. ANTHONY GUERRA: Thank you, and I

11 Just have four (4) exhibits of my own to read into the

12 record. So MPI number 56 is the Benchmarking

13 Presentation from yesterday.

14

15 --- EXHIBIT NO. MPI-56: MPI Benchmarking

16 Presentation from October

17 19, 2022

18

19 MR. ANTHONY GUERRA: MPI Exhibit

20 number 57 is PUB Pre-Ask number 2 with Appendix 1.

21

22 --- EXHIBIT NO. MPI-57: PUB Pre-Ask 2 with

23 Appendix 1

24

25 MR. ANTHONY GUERRA: MPI Exhibit

1 number 58 is PUB Pre-Ask number 1 with Appendices 1  
2 and 2.

3

4 --- EXHIBIT NO. MPI-58: PUB Pre-Ask 1 with  
5 Appendices 1 and 2

6

7 MR. ANTHONY GUERRA: And Appendix --  
8 or, sorry, and MPI Exhibit number 59 is the Ratemaking  
9 Claims Forecasting Presentation.

10

11 --- EXHIBIT NO. MPI-59: Ratemaking Claims  
12 Forecasting Presentation

13

14 THE PANEL CHAIRPERSON: Thank you.

15 MR. ANTHONY GUERRA: Okay. I think  
16 we're ready to have the witnesses sworn or affirmed,  
17 please.

18

19 MPI ACCEPTED ACTUARIAL PRACTICE/RATEMAKING PANEL

20

21 CHERITY OSTAPOWICH, Sworn

22 CARA LOW, Affirmed

23 KHURRAM MASUD, Affirmed

24

25 EXAMINATION-IN-CHIEF BY MR. ANTHONY GUERRA:



1 MR. ANTHONY GUERRA: And for the  
2 benefit of the Panel, I can advise that in the front  
3 row this morning, Mr. Khurram Masud, who is our  
4 director of pricing; Ms. Cara Low, who you met  
5 yesterday who is our vice-president, chief actuary,  
6 and chief risk officer; and Cherity Ostapowich, who is  
7 our director of valuation and capital management.

8 And behind me, I can advise there are  
9 three (3) members of our back panel, Tyler Clearwater,  
10 an actuarial analyst II, Ngoc Ly, an actuarial analyst  
11 II, Christie Way, director of injury claims  
12 management.

13 And appearing in our back row but  
14 virtually this -- this morning is Christine Zhou,  
15 director business insights and analytics, and Glen  
16 Bunston, our director of ALM and investment  
17 management.

18 Just before we begin, just -- again,  
19 just a reminder for our -- our panel witnesses. If  
20 you can please state your name before providing your  
21 evidence just for the benefit of our court reporter.

22 So, good morning, everyone. And before  
23 we begin, I just want to confirm that before us you  
24 have a presentation titled, 'Ratemaking under accepted  
25 actuarial practice in claims forecasting.'

1                   Is this presentation to be part of your  
2 direct evidence that you will give this morning?

3                   MS. CARA LOW:    Yes.

4                   MR. ANTHONY GUERRA:   Okay.  I will  
5 turn it to -- over to yourselves to introduce  
6 yourselves and give some background for your -- your  
7 experience, your education, where the panel may not be  
8 aware of -- of that particular part of your evidence,  
9 and then to get into the presentation itself.

10                   If you -- if you want to start,  
11 Cherity.  You can introduce yourself and give some  
12 background.

13                   MS. CHERITY OSTAPOWICH:   Hi.  Sorry.  
14 My name's Cherity Ostapowich.  I'm the director of  
15 valuation and capital management.  I've been with MPI  
16 since January of 2022, so going on ten (10) months.

17                   Prior to that, I was with the Wawanesa  
18 Mutual Insurance company where I worked in both the  
19 actuarial pricing and corporate actuarial department  
20 for about eleven (11) years.

21                   MS. CARA LOW:    Cara Low, VP, chief  
22 actuary, chief risk officer.  I started at MPI last  
23 September, so just over a year ago.  I did start my  
24 career at Wawanesa Insurance back in 1992.  I spent  
25 sixteen (16) years at Wawanesa over two (2) different

1 stints. I left and went back.

2 I was the first in-house actuary at  
3 SGI. I was there from 2003 to 2011, so I built the  
4 actuarial team from scratch at SGI. I did spend some  
5 time at two (2) smaller insurance companies.

6 MR. KHURRAM MASUD: Good morning. My  
7 name is Khurran Masud. I joined MPI in August. Prior  
8 to that, I was working for a consulting in Toronto. I  
9 have in total in excess of twenty (20) years worth of  
10 experience in insurance and actuarial.

11 I'm a fully qualified actuarial from  
12 (INDISCERNIBLE). I'm also an associate from Institute  
13 and Faculty of Actuaries UK and an associate from  
14 Canadian Institute of Actuaries.

15 MS. CARA LOW: So, this is Cara. And  
16 so, I'm going to get started with our presentation.  
17 If you can go to the next slide. So, we were -- we're  
18 here to talk about ratemaking and claims forecasting,  
19 but you can see there's three (3) agenda items.

20 I was hoping to take a few minutes to  
21 talk about the evolution of the actuarial function.

22 I sat in this hearing room last year,  
23 back row, for the Ratemaking Panel. And the first  
24 thing I noticed was that there was many times that  
25 undertakings were requested and the team couldn't

1 handle the work because the entire actuarial team was  
2 either front row or back row and there was no one back  
3 in the office to actually do the work.

4           The second thing I noticed was the  
5 front row really struggled to answer simple actuarial  
6 questions. So, that's when I knew that I needed to  
7 mature, grow, and evolve the actuarial function at  
8 MPI.

9           So, a little bit about myself. I  
10 already mentioned most of this. I am responsible for  
11 the strategic leadership of the Company, both the --  
12 the actuarial investment and risk division, or what we  
13 call the AIR division. I bring over thirty (30) years  
14 of experience. I have worked with public auto before,  
15 and SGI.

16           I do hold a bachelor of science degree  
17 in actuarial math from the University of Manitoba. I  
18 am a qualified actuary, both -- or through the  
19 Casualty Actuarial Society, the Canadian Institute of  
20 Actuaries, as well as American Academy of Actuaries.

21           In addition to that, I do hold a CFA  
22 charter, a fellow of the Insurance Institute of  
23 Canada, and a certified risk manager.

24           I do believe I have a deep  
25 understanding of P&C insurance in Canada because I

1 have spent thirty (30) years working in the field.

2 Next slide.

3                   So, to really understand why the  
4 actuarial function at MPI needs to evolve, you really  
5 have to understand the history of it. Luke Johnston,  
6 which you guys all recognize from the last -- for many  
7 years at the PUB, he was with MPI for over eighteen  
8 (18) years, with many of those years as the Chief  
9 Actuary.

10                   He was the only credentialed actuary in  
11 his last few years with the Company. Luke worked with  
12 a very small actuarial team. Although the team was  
13 small, they were extremely hard working and very  
14 dedicated. I have a lot of respect for what Luke did  
15 with very limited resources.

16                   Within the past year, two (2) of those  
17 team members left, along with Luke. So with those  
18 three (3) departures, a lot of the institutional  
19 knowledge also left the Corporation.

20                   And this is where we were at the end of  
21 2021. There was a large gaping hole in a very, very  
22 core function.

23                   So I really have spent the last year  
24 rebuilding the actuarial team. But building back  
25 better and stronger because we need to address key

1 person risk to succession planning.

2                   So we now have four (4) credentialed  
3 actuaries as of today. Between the four (4) of us, we  
4 have over eighty (80) years of combined actuarial  
5 experience, over at least a dozen insurance companies  
6 or consulting firms.

7                   This is how MPI is going to be moving  
8 to industry best practice; by bringing in industry  
9 knowledge and building the team.

10                   We also have implemented an actuarial  
11 development program to ensure that the actuarial staff  
12 are progressing through their journey to become  
13 credentialed actuaries. This is industry best  
14 practice within the field.

15                   We are starting to also have regular  
16 actuarial interns from the University of Manitoba, as  
17 well as other post-secondary institutions. And this  
18 is how we're going to build a future pipeline for  
19 actuarial talent. Next slide.

20                   So who are these four (4) actuaries?  
21 Well, we have Christine Zhou. She is our new Director  
22 of Business Insights and Analytics. She just joined  
23 us a few weeks ago. So we gave her a pass. She's not  
24 here on front row. She is back row.

25                   Her most recent experience was with

1 ICBC, so she has had other public auto insurance  
2 experience. You will see her next year front row as  
3 her focus will be on claims forecasting.

4           Beside me is Khurram Masud. He joined  
5 in August. We did twist his arm. He is here with us  
6 today. He is the Director of Pricing. Khurram comes  
7 with extensive international experience and his most  
8 recent position was with a consulting firm in Toronto.

9           Cherity Ostapowich joined MPI in  
10 January of this year. Her -- Cherity and I worked  
11 very closely together at Wawanesa. And very happy to  
12 have her here as well.

13           So why do we need three (3) different  
14 actuarial functions? If we can flip to the next  
15 slide. We're going to focus on each of the areas.

16           So business insights and analytics is a  
17 new team that Christine is heading up. So it just was  
18 started last month. The primary focus of this team  
19 will be mainly claim forecasting and insights.

20           This will mean that you will see more  
21 sophisticated trend analysis and (INDISCERNIBLE)  
22 measures over the next couple of GRAs.

23           In addition, Christine's team will be  
24 spending time on ensuring that the executive team and  
25 the Board of Directors have better insight into what's

1 going on in the business, so we can move to a data-  
2 driven entity -- data-driven decision making entity.

3           As we move on to the pricing slide,  
4 Khurram is new to MPI, but this function, obviously,  
5 is not new.

6           Khurram will continue to focus on the  
7 rate adequacy of all three (3) lines of business. So  
8 this is the Basic line of business, the Extension line  
9 of business, and the Special Risk Extension line of  
10 business. As well as enhancing the risk  
11 classification, especially the implementation of  
12 generalized linear modelling.

13           Khurram works very closely with the  
14 customer value proposition team on such projects as  
15 the Driver Safety Rating, fleet rating, and Vehicle  
16 for Hire.

17           Many of these projects have been very  
18 slow on being implemented because the actuarial team  
19 did not have the resources to support the products  
20 team.

21           And then on to valuation and capital  
22 management. Cherity is leading this team. This  
23 function has always existed. It's a core function of  
24 any insurance company. But we're adding additional  
25 senior leadership role. This will provide actuarial



1 oversight in order to mature and expand the function.

2                   This team works with the external  
3 appointed actuary to ensure the accuracy of the  
4 financial statements in regards to the unpaid claims  
5 liability.

6                   It also prepares and stress tests the  
7 five (5) year financial forecast through the financial  
8 condition test. And this team also manages the  
9 Capital Management Plan, so the Rate Stabilization  
10 Reserve, and our re-insurance program.

11                   So, what benefits can we see from the  
12 expanded actuarial function? More sophistication in  
13 pricing, including generalized linear modeling; review  
14 of serious loss loadings, credibility standards -- a  
15 lot of the issues have been raised in this hearing  
16 over the last few years, that the Actuarial Team did  
17 not have the talent or the resources to review.

18                   We will bring quicker and more in-depth  
19 insight into the operational results to the management  
20 team and to the Board of Directors, so we can be more  
21 reactive.

22                   More capacity to provide more detailed  
23 information, including during the PUB Hearings.  
24 Successful IFRS 17 implementation, as you heard  
25 yesterday. It's not just -- and -- financial reporting

1 for the accountants, but there's also actuarial  
2 components.

3                   Increased oversight of pricing risk,  
4 reserving risk, inflation risk, catastrophe risk and  
5 re-insurance risks. Those are risks that all  
6 insurance companies base and you need your actuaries  
7 to be monitoring and mitigating those risks.

8                   And support to assure the successful  
9 release of NOVA, will -- especially release 3 as we  
10 need to ensure the pricing is accurately coded and  
11 picked up in the system.

12                   So, in summary, building a strong  
13 actuarial team is important to ensure the financial  
14 integrity and rate stability for Manitobans.

15                   I'm going to turn it now over to our  
16 Director of Pricing.

17                   MR. ANTHONY GUERRA:    Sorry, before we  
18 -- we do that, I just have one (1) quick question for  
19 you, Ms. Low, and thank you very much for getting  
20 through the details that you -- you were able to get  
21 through.

22                   You did testify earlier, though, about  
23 your experience with SGI and rebuilding the actuarial  
24 team at SGI.

25                   Can you provide us with some more

1 details about what it is that you -- you found when  
2 you were at -- at SGI, the need to revamp their  
3 actuarial staff and then what the benefit of doing  
4 that was?

5 MS. CARA LOW: I was the first in-house  
6 actuary, so I was not revamping. I was building from  
7 scratch. So, when I was hired I was a team of one  
8 (1). It was right after they had purchased Coachman  
9 Insurance, an insurance company of P.E.I. So, they  
10 had subsidiaries, so they weren't just dealing with  
11 the Province of Saskatchewan.

12 So, yeah, they -- we were working with  
13 external actuaries. I was working very, very closely  
14 with their external appointed actuary. We were  
15 bringing talent into Regina 'cause it's important to  
16 bring -- build local talent, but you can't always hire  
17 experience local talent. So, you bring in experienced  
18 talent and then you build it locally.

19 MR. ANTHONY GUERRA: And what benefits  
20 did SGI reap from the work that you did to build the  
21 actuarial department there?

22 MS. CARA LOW: The vast majority of  
23 the actuarial analysts I hired are now in senior  
24 management positions at SGI.

25 MR. ANTHONY GUERRA: And -- and how

1 many actuaries does SGI work with or have in its -- in  
2 its complement?

3 MS. CARA LOW: Currently, I don't  
4 know. I -- when I left, we were about a team of  
5 sixteen (16) perhaps.

6 MR. ANTHONY GUERRA: Thank you.

7 MR. KHURRAM MASUD: Good morning and  
8 thank you very much for providing us the opportunity  
9 to do -- speak today.

10 My name is Khurram Masud and I'm the  
11 Director of Pricing here. I'm one of the fully  
12 qualified actuaries that Cara referred to in her  
13 slides earlier.

14 In the next few slides I'll be talking  
15 about the ratemaking for the Basic product for the GRA  
16 application 2023.

17 We continue to use the same methodology  
18 as used before for several years. This methodology  
19 has been proven and tested to generate stable rates  
20 over time. The -- the methodology conforms to the  
21 actuarial -- actuarial accepted practice.

22 The rates are generated on a zero  
23 profit margin basis, that is, they do not contain any  
24 explicit provision for profits or surplus.

25 Currently we are employing the minimum

1 bias procedure, with the intention to move to GLM very  
2 soon, which is a more modern and a sophisticated way  
3 of ratemaking. The plan is to file a transition plan  
4 for private passengers in 2025 GRA, with the other  
5 major classes to follow in the subsequent years.

6 For this year's rate application, we  
7 have enhanced the DSR scale to 17 grids, compared to  
8 the previous 16 grids.

9 One (1) aspect that we changed in the  
10 current rate application, is that instead of using the  
11 duration for the unpaid claims reserve, we are now  
12 using the duration of the premium liabilities.

13 The reason for this change is that  
14 unpaid claims reserve have a significant buildup of  
15 paid benefits for the past several years, and  
16 therefore, they have a disproportionately large  
17 complement of PIPP benefits compared to any particular  
18 rating year.

19 Benefits is -- some of it is more long  
20 term in nature, that's why this tends to overstate the  
21 liabilities that you would expect from any particular  
22 policy year.

23 On this slide, we draw a comparison of  
24 the composition of the claims liabilities to the  
25 projected loss costs for the 2023/2024 policy year.

1                   On the left chart, you will see the  
2 composition of the claims outgo from different  
3 benefits for the forthcoming policy year. You can see  
4 that PIPP constitutes only 25 percent of the total  
5 claims outgo, whereas most of the claims outgo  
6 emanates from physical damage.

7                   Compare this to the chart on the right,  
8 which shows the breakdown of the unpaid claims  
9 provision. This is highly skewed towards PIPP  
10 benefit. A large component of that comes from PIPP.

11                  To understand this skew, consider the  
12 example of a policy year, where most of the claims are  
13 under physical damage and TPL, as you could see on the  
14 left pie chart. These claims are paid off relatively  
15 quickly, in a few years, but a smaller proportion of  
16 the claims are for PIPP benefits, some of which are  
17 for a much longer duration. These stay in the unpaid  
18 claims -- claims provision for a much longer period.

19                  Now imagine what happens the next  
20 policy year, where we have some more physical damage  
21 and TPL claims, which are, again, paid off much  
22 quicklier (sic) and the PIPP benefits that come on  
23 board and then they stay in the claims provision for a  
24 much longer period of time.

25                  Year on year, there is a

1 disproportionate accumulation of PIPP benefits in the  
2 unpaid claims provision and, therefore, the unpaid  
3 claims provision as a result will have a much longer  
4 duration than you would expect from any particular  
5 policy year.

6           Moreover, the Canadian Institute of  
7 Actuary Standard of Practice requires us to use the  
8 investment return that is representative of the cash  
9 flows to be invested from the future revenue generated  
10 from the premiums indicated. So, we're talking about  
11 the future revenue that comes from the pricing of --  
12 of -- of the business that is yet to be written.

13           The overall impact of these changes was  
14 a positive point .2 percent. Had we used the duration  
15 of the unpaid claims liabilities, the indicated rate  
16 would have been negative .3 percent. Based on the  
17 premium liabilities, the indicated rate is negative .1  
18 percent. So, there's a change or difference of  
19 positive .2 percent.

20           In this light, we enlist some of the  
21 major assumptions that is used in the current rate  
22 application. We understand that a large number of  
23 Manitobans would continue to work from home, despite  
24 the lock-down and the restrictions being lifted. We  
25 have, therefore, assumed a 5 percent reduction in the

1 claims frequency on account of this.

2                   On the severity front, we are  
3 experiencing -- we are witnessing larger than regular  
4 inflation. At the same time, we have also observed an  
5 emerging trend of growing severity due to supply chain  
6 issues. For example, difficulty in getting the parts  
7 or a delay in -- in -- in repair works.

8                   In addition for PIPP benefits, we have  
9 used a high indexation during this year's rate  
10 application, compared to the previous years.  
11 Historically, we have been using a 2 percent  
12 indexation on PIPP benefit. For this year, on account  
13 of the larger inflation, we have used 7.6 percent for  
14 2023, 3.7 percent for 2024, 2.5 percent for 2025, and,  
15 then, it levels off to 2 percent from 2026 years  
16 onwards.

17                   At the same time, the investment year  
18 is higher for this year. We have used an investment  
19 yield of 4.05 percent, net of investment expenses.  
20 This is using the gradation of (INDISCERNIBLE). Next  
21 slide, please.

22                   We had originally filed a provisional  
23 rate indication of negative .9 percent; that is a 9.9  
24 percent decrease from last year's. We have since then  
25 updated our assumptions, which has resulted in updated



1 rate indication of negative .1 percent. The original  
2 .9 percent was updated for claims forecast as at July,  
3 resulting a .9 percent increase, which is indicated by  
4 the arrow on the left of the bar. It takes it up to  
5 .1 percent. So, the negative .9 percent goes up by .9  
6 -- .9 percent and it becomes .1 percent. The small  
7 difference is due to the effect of rounding.

8           We updated the assumption for inflation  
9 or the indexation on the PIPP benefit; that results in  
10 an increase of .5 percent, taking a .1 percent to .6  
11 percent.

12           We updated the assumption for the money  
13 yield or the interest rate. This has a positive  
14 impact. So, this brings the rate down by 1.3 percent,  
15 indicated by the orange arrow to the left of the bar  
16 and that brings the rate indication to negative .7  
17 percent. Subsequently, we updated the assumption for  
18 expenses. Now, this takes the rate up by 1.4 percent,  
19 taking the rate indication to positive .7 percent.

20           Finally, we updated the definition for  
21 the internal loss adjustment expenses, which brings  
22 the rate down by .8 percent to the negative .1  
23 percent, which we are recommending now.

24           On this slide we see the makeup of the  
25 .1 percent reduction in the rate indication. At a

1 high level, this comes from a required change of .6  
2 percent positive with a concurrent reduction in  
3 natural upgrade of negative .7 percent, leading to a  
4 .1 percent reduction in the rate as we indicated  
5 above.

6                   Natural upgrade is basically a change  
7 in the premium for all factors other than the rate  
8 change. This includes factors such as mix of the  
9 vehicle population, vehicles being one (1) year older  
10 than before; change in the insurance classes, or  
11 insurance users. Basically, all other factors that  
12 are not to do with the rate change.

13                   The required change of .6 percent is  
14 made up of several components. The money year brings  
15 it down by 4.1 percent. All other factors are pushing  
16 it up, including the claim cost by 1.6 percent; the  
17 operating expense by 1.6 percent; increase in  
18 commission due to a higher commission rate by .7  
19 percent; decreasing driver premium by .2 percent; and  
20 all other expenses by .6 percent.

21                   On this slide we see the average rate  
22 change from the last year. This is basically a  
23 weighted average rate and this is based off the  
24 vehicle population as of November 1st, 2021. So, this  
25 is based on a static population.

1                   For private passenger we see there's a  
2 minor increase of .4 percent; for commercial the  
3 increase is 4.8 percent; for public the increase is  
4 2.2 percent; for motorcycle there's an increase of 3  
5 percent.

6                   This increases largely driven by the  
7 increase in PIPP costs. For motorcycle, PIPP  
8 constitutes are a major component of the claims  
9 outgoing of nearly 93 percent.

10                  PIPP benefit has experienced an  
11 increase due to the high inflation. This is one of  
12 the major drivers of the increase in the motorcycle  
13 rates.

14                  Trailers and off-road that are small  
15 (INDISCERNIBLE) book of business. In total, this  
16 leads to a .5 percent increase on an aggregate  
17 business based on the population as of November 1st,  
18 2021.

19                  You can see that this is heavily tilted  
20 toward the private major class, which by -- by far  
21 constitutes the largest segment of the book. There is  
22 a -- I just -- yeah.

23                  There is a concurrent decrease of .6  
24 percent due to the DSR scale movement, leading to a .1  
25 percent negative rate indication change. Next slide,

1 please.

2                   This slide reiterates the message from  
3 the earlier table of a .5 percent increase in the  
4 rates, which is offset by a negative .6 percent  
5 decrease in the DSR scale leading to a negative .1  
6 percent rate change, as indicated above.

7                   This is all I have for -- for the rate  
8 making first slide, and I will now gladly pass it over  
9 to my colleague Cherity, who will talk about claims  
10 forecasting. Thank you.

11                   MS. CHERITY OSTAPOWICH: Cherity  
12 Ostapowich. Good morning. We will now turn our  
13 attention to claims forecasting. So, for the claims  
14 forecasting section we'll touch briefly on the  
15 composition of the claims incurred, the comparison of  
16 the claims incurred to the current GRA verses last  
17 years GRA.

18                   We'll touch on the working-from-home  
19 assumption, inflation assumptions, an update to the  
20 repair trade agreement, and the changes included in  
21 the October rate update.

22                   So, the five (5) that we're looking at  
23 right now, so this is the composition. So the pie  
24 chart on this slide shows the net claims incurred for  
25 fiscal year '23/'24.

1                   This is different from what Khurram had  
2 shown earlier in his slides as this shows the  
3 composition on a fiscal-year basis, not a policy-year  
4 basis. So this is the composition that makes up the  
5 net claims incurred on the income statement which  
6 would be PF-1.

7                   So a large portion of the net claims  
8 incurred is physical damage, which is comprised of  
9 collision and comprehensive coverages. The second  
10 largest category is PIPP, which comprises 25 percent  
11 of the incurred claim costs. And then third-party  
12 liability, this includes bodily injury and property  
13 damage claims, and this makes up 6 percent.

14                  And the 'Other' category makes up the  
15 remaining 5 percent. The 'Other' category includes  
16 internal loss adjustment expenses and the interest  
17 rate impact. Next slide, please.

18                  The comparison of the net claims  
19 incurred between the 2022 GRA and the 2023 GRA is  
20 shown in the table on this slide. This -- the left-  
21 hand side of the table shows fiscal years, and then  
22 the columns show the net claims incurred for the 2023  
23 GRA and the 2022 GRA, respectively, and then the last  
24 column is the difference between the two (2) GRA  
25 columns.

1                   The largest difference comes from the  
2 '21/'22 fiscal year where the claims incurred estimate  
3 decreased by 150 million. This was largely due to  
4 interest rate impacts, and the estimate also came down  
5 to better than expected experience for physical damage  
6 and third-party liability claims.

7                   For the other forecast years, the  
8 decreases are mostly attributable to lower expected  
9 frequency of PIPP claims, and this is mostly due to  
10 the work-from-home adjustment and interest rate  
11 impacts.

12                   On the next slide, we're going to take  
13 a closer look at the '23/'24 year. The waterfall  
14 chart on this slide shows how we get from the 2022 GRA  
15 net claims incurred estimate to the 2023 GRA net  
16 claims incurred estimate for the 2023/'24 fiscal year.

17                   The amounts shown in the waterfall are  
18 cumulative. So, for example, the first blue bar on  
19 the left is the starting amount, so you'll see that's  
20 956 million. The second blue bar, about 7.3 million,  
21 brings the total to 963.4 million. The last bar, the  
22 green one on the far right, this is the ending amount.  
23 So if you add up all the bars, you'll end up with  
24 932.5 million.

25                   So let's walk through each of these

1 changes. Just a sec.

2

3

(BRIEF PAUSE)

4

5

MS. CHERITY OSTAPOWICH: Okay.

6

Apologies. All right. So we can see that collision

7

is increasing the net claims incurred by 7.3 million.

8

So even though frequency of these claims is lower, the

9

severity of the collision claims is up. The higher

10

severity is due to rising costs to repair or replace

11

vehicles. Higher inflation and supply chain issues

12

are contributing factors.

13

The next bar is saying that the net

14

claims incurred are coming down by 18.1 million for

15

PIPP claims. Even though the indexation has

16

increased, the estimate for PIPP claims is more than

17

offsetting the -- that increase due to lower frequency

18

of these claims. This lower frequency is due to the

19

work-from-home adjustment.

20

Interest rate impacts are further

21

reducing the net claims incurred estimate by 7

22

million, and then property damage is adding 6.4

23

million. In the 2022 GRA, the CERP impact -- so that

24

the Compulsory and Extension Revision Project -- so

25

that impact to property damage was included with

1 collision.

2 In this GRA, that impact was moved to  
3 property damage as it applies to third-party  
4 deductible transfer. And since the deductible was  
5 increased, the severity has increased.

6 I want to point out that since this  
7 impact was included in collision last year, it was  
8 taken in -- into account in the 2022 GRA rate  
9 indication. They essentially switched buckets. They  
10 went from collision to property damage.

11 Comprehensive net incurred claim  
12 estimate is reducing the cumulative estimate by 3.1  
13 million. This is driven by the hail forecast which  
14 brought down the estimate due to favourable experience  
15 in the '21/'22 year.

16 The 'Other' category consists of  
17 internal loss adjustment expenses and deferred policy  
18 acquisition costs which is reducing the net claims  
19 incurred by 9.1 million, bringing the total to 932.5  
20 million. This will line up with the 2023 GRA income  
21 statement line.

22 So next we'll go through a few of the  
23 assumptions. So the working-from-home assumption. So  
24 as a result of the pandemic, many organizations  
25 changed their policies regarding remote work. The



1 frequency of automobile accidents was substantially  
2 lower during the pandemic.

3           And when restrictions were lifted, it  
4 was assumed that people may decide to continue to work  
5 from home or attend school remotely. This means that  
6 the historical frequent -- frequency patterns may  
7 change.

8           In order to gauge the potential change  
9 to frequency after the pandemic, MPI conducted a  
10 survey which asked Manitobans about their commute  
11 prior to the pandemic, during the pandemic, and their  
12 expectations after the pandemic.

13           The chart on the right of this slide,  
14 which can also be found as Attachment A as part of the  
15 claims incurred chapter, this shows the percentage of  
16 survey respondents -- so that's the left axis -- and  
17 whether they worked from home or attended class from  
18 home before, during, and after the pandemic.

19           Pre-pandemic indicates that 5 percent  
20 of respondents were working from home, while during  
21 the pandemic about 35 percent were working from home.

22           The last category, far right, the  
23 percentage of respondents who expect to continue to  
24 work from home after the pandemic. This says that  
25 about half of the respondents who worked from home

1 during the pandemic expect to continue to do so after  
2 the pandemic.

3                   So we had 5 percent in the pre-  
4 pandemic; during the pandemic it was 33 to 41 percent;  
5 and then after the pandemic about 21 percent, and the  
6 last category is 13 percent.

7                   So collision frequency -- so actual  
8 collision frequency in '21/'22 was about 10 percent  
9 lower than the collision frequency prior to the  
10 pandemic.

11                   So based on survey results, about half  
12 of the respondents say they will continue to work from  
13 home after the pandemic, so MPI assumed that the  
14 frequency will not return to pre-pandemic levels but  
15 will be about half of what was seen during the  
16 pandemic, so, about half of that 10 percent.

17                   For insurance years '22, '23, and on,  
18 five (5) -- a 5 percent frequency adjustment was  
19 applied to collision, property damage, weekly  
20 indemnity, ABO index claim frequency as these claims  
21 showed a change in claim frequencies during the  
22 pandemic. Next slide, please.

23                   So inflation. Most of PIPP coverages,  
24 they are indexed to Manitoba inflation, and prior to  
25 2021, inflation was stable, around 2 percent.

1                   Earlier this year, Manitoba inflation  
2 began to rise to record levels. So at year end, the  
3 inflation assumption was revised from 2 percent to the  
4 amounts shown in the 2023 GRA column.

5                   The future estimates of inflation are  
6 based on the average of several banks' forecasts, so  
7 at year end this resulted in about a \$64 million  
8 increase to claim liabilities. So that's as at March  
9 31st, 2022.

10                  MPI also revised its forecasted  
11 inflation in the 2023 GRA using the same inflation  
12 factors from year end. The inflation was then updated  
13 for the rate update.

14                  The inflation was updated using the  
15 inflation as of July -- so that means the average of  
16 year-over-year inflation for each month from January  
17 to July -- and then the banks' forecast for the  
18 remaining forecast years.

19                  These assumptions can be found in the  
20 last column on the chart on this slide. In the rate  
21 update, the inflation assumption results in a \$14  
22 million increase to PIPP claim costs per year. Next  
23 slide, please.

24                  There was also an update to the Repair  
25 Trade Agreement, so the LVAA. So initially, MPI had

1 estimated a \$7 million impact through forecast years  
2 in the 2022 GRA. However, upon implementation, as  
3 costs were finalized, the amounts were higher than the  
4 7 million estimate.

5                   The table shows the Repair Trade  
6 Agreement forecasted impacts as presented in the 2023  
7 GRA which was filed in July for the collision  
8 coverages -- for -- for the collision coverage and the  
9 comprehensive coverage.

10                   For the 2023 GRA rate update, a further  
11 \$4 to \$5 million was added. These additions were due  
12 to increased labour rates and materials. Next slide,  
13 please.

14                   So this slide, it shows the changes  
15 made from the 2023 GRA, which we submitted in July, to  
16 the rate update submitted in October. This is again  
17 for the 2023/'24 fiscal year.

18                   The changes that occurred from the  
19 application to the rate update include updating data  
20 to be as of July 31st, 2022, interest rates and  
21 inflation as of August, and changes to the LVAA.

22                   So the starting point is nine hundred  
23 and thirty-two point five (932.5), which you'll notice  
24 matches to the ending value of the first waterfall  
25 chart I showed on slide 24.

1                   The second bar shows \$5.9 million  
2 coming from collision. This was mostly due to a  
3 change in the Repair Trade Agreement and due to higher  
4 costs. PIPP is -- is adding 6.6 million, which is  
5 mostly due to higher inflation amounts.

6                   The interest rate impact is reducing  
7 the estimate by 5.1 million which is due to changes in  
8 the forecast in interest rates. The 'All Other'  
9 category is reducing the total by 1.8 million, which  
10 is attributable to a decrease in the internal cost  
11 adjustment expenses.

12                   This brings the total to 938.1 million,  
13 which is the net claims incurred for '22/'23 year in  
14 the rate update. Next slide, please. Oh.

15                   So the next two (2) slides are quite  
16 detailed, so I'm just going to speak to them high  
17 level. So these two (2) slides outline the claims  
18 forecasting model and assumptions.

19                   Different actuaries may use different  
20 models, which is okay as long as the model is  
21 appropriate for the work being done. It is important  
22 to understand the data and trends that feed into the  
23 model. Equally important is the understanding of the  
24 underlying business so meaningful forecasts can be  
25 made.

1                   As Cara mentioned earlier, we have a  
2 new team: Business Insights and Analytics. This team  
3 will be focussed on improving the claims forecasting  
4 methodology and deepening our understanding of MPI's  
5 business.

6                   This concludes our presentation.

7                   THE PANEL CHAIRPERSON: Thank you.

8                   Mr. Guerra...?

9                   MR. ANTHONY GUERRA: Thank you. I  
10 don't have any questions further at this point, so  
11 just if we can please just be prepared for cross-  
12 examination. Thank you.

13                  THE PANEL CHAIRPERSON: Thank you.

14                  Ms. McCandless...?

15                  MS. KATHLEEN MCCANDLESS: Thank you.

16

17 CROSS-EXAMINATION BY MS. KATHLEEN MCCANDLESS:

18                  MS. KATHLEEN MCCANDLESS: Good  
19 morning. I am Board counsel, and I'll have some  
20 questions for you today. I'm not going to direct my  
21 questions to a particular member of the panel, so  
22 whomever feels it's most appropriate to answer the  
23 question, please proceed.

24                  I'm going to start with the October  
25 update and the changes in drivers of the update. So

1 first, with respect to the change in the AAP rate  
2 indication, Kristen, could we please go to Exhibit MPI  
3 number 58. Thank you. And scroll down to response  
4 2(b). Thank you.

5 So this table provides an explanation  
6 of changes from the filing to the update.

7 MS. CARA LOW: Correct.

8 MS. KATHLEEN MCCANDLESS: And they are  
9 due to the following: so the claims forecast per unit?

10 MS. CARA LOW: Correct.

11 MS. KATHLEEN MCCANDLESS: And so,  
12 there's an increase -- an impact of .9 percent?

13 MS. CARA LOW: Correct.

14 MS. KATHLEEN MCCANDLESS: And that's  
15 based on the increase in the light vehicle  
16 accreditation agreement, correct?

17 MS. CARA LOW: Correct.

18

19 (BRIEF PAUSE)

20

21 MS. KATHLEEN MCCANDLESS: Inflation at  
22 item C, 4.2, 2.4, and 2.3, and 2.0 percent for 2023  
23 versus 7.6 percent, 3.7 percent, 2.5, and 2.0 percent  
24 for 2023 and thereafter?

25 MS. CARA LOW: Correct. That's for

1 the indexation of the PIPP benefits in the future.

2 MS. KATHLEEN MCCANDLESS: What did  
3 inflation affect and how much was the impact on each  
4 of those -- those factors?

5 MS. CARA LOW: Sorry, could you repeat  
6 that question?

7 MS. KATHLEEN MCCANDLESS: What did  
8 inflation affect and how much was the impact on each  
9 of those things that were affected.

10 MS. CARA LOW: These inflation factors  
11 are being applied to the indexation of PIPP benefits.  
12 So, PIPP benefits are a regulated product. And they  
13 do go up every year, April 1st, based on Manitoba CPI  
14 from the previous calendar year.

15 MS. KATHLEEN MCCANDLESS: Did  
16 inflation have an impact on claims?

17 MS. CARA LOW: That is built into the  
18 claim severity trends.

19 MS. KATHLEEN MCCANDLESS: Did it have  
20 an impact on particular coverage?

21 MS. CARA LOW: The index benefit. So,  
22 that would be your weekly indemnity and your accident  
23 benefit 'other' indexed, yeah.

24 MS. KATHLEEN MCCANDLESS: And can the  
25 Corporation provide details on all of the changes in



1 the forecasted claims cost by coverage and year?

2 MS. CARA LOW: Sorry, could you repeat  
3 that?

4 MS. KATHLEEN MCCANDLESS: Can you  
5 provide details on all of the changes in forecasted  
6 claims cost by coverage and year?

7 MS. CARA LOW: One (1) minute, please.

8

9 (BRIEF PAUSE)

10

11 MS. CARA LOW: Sorry. The items that  
12 we have listed here are the only things that change  
13 between the provisional filing and the updated filing  
14 of October 12th. There is no additional detail.

15

16 (BRIEF PAUSE)

17

18 MS. KATHLEEN MCCANDLESS: And did  
19 inflation have an impact on expenses?

20 MS. CARA LOW: Yes, it did.

21 MS. KATHLEEN MCCANDLESS: And can you  
22 explain what the impact was?

23 MS. CARA LOW: No. That would have  
24 been done by the finance team, and that was discussed  
25 yesterday, so the actuary operating expenses. It did

1 impact salaries, yes.

2 MS. KATHLEEN MCCANDLESS: Thank you.  
3 With respect to the change in the discount rate, there  
4 was a movement of sixty-two (62) basis points based on  
5 a two (2) year duration or eighty-one (81) basis  
6 points based on a ten (10) year duration for an impact  
7 of --

8 MS. CARA LOW: Subject to check. One  
9 (1) minute.

10

11 (BRIEF PAUSE)

12

13 MS. CARA LOW: Sorry, could you repeat  
14 the question?

15 MS. KATHLEEN MCCANDLESS: With respect  
16 to the change in the discount rate, there was a  
17 movement of sixty-two (62) basis points based on a two  
18 (2) year duration or eighty-one (81) basis points  
19 based on a ten (10) year duration for an impact of --  
20 a downward impact of 1.3 percent?

21 MS. CARA LOW: Sorry, we're getting a  
22 different number. We're getting eighty-four (84)  
23 basis points.

24 MS. KATHLEEN MCCANDLESS: The impact  
25 that we see here is negative 1.3 percent?

1 MS. CARA LOW: That is correct, yes.

2 MS. KATHLEEN MCCANDLESS: Now, just to  
3 take you back to my question about the impact of  
4 inflation on coverages, does the Corporation have  
5 detail on the dollar amount of the increase for each  
6 of weekly indemnity and accident benefits other  
7 indexed for each fiscal year?

8 MS. CARA LOW: Yes, we have that.

9 MS. KATHLEEN MCCANDLESS: Could that  
10 be provided by way of undertaking, please?

11

12 (BRIEF PAUSE)

13

14 MR. ANTHONY GUERRA: Yes. If we can  
15 just confirm for the record what the undertaking is.  
16 Thank you.

17 MS. KATHLEEN MCCANDLESS: Yes. That's  
18 for the Corporation to provide the dollar amount of  
19 the increase for each of weekly indemnity and accident  
20 benefits other indexed for each fiscal year.

21 MR. ANTHONY GUERRA: Thank you,  
22 Counsel. Yes, we will.

23

24 --- UNDERTAKING NO. 16: For the Corporation to  
25 provide the dollar amount

1 of the increase for each  
2 of weekly indemnity and  
3 accident benefits other  
4 indexed for each fiscal  
5 year.

6  
7 CONTINUED BY MS. KATHLEEN MCCANDLESS:

8 MS. KATHLEEN MCCANDLESS: Thank you.  
9 Now, back to the interest rate. Instead of using the  
10 marketable bond yield of 4.24 percent as requested,  
11 consistent with the current methodology for the new  
12 money yield, it has been reduced by expenses of seven  
13 (7) basis points to 4.17 percent, correct?

14 MS. CARA LOW: Sorry, could you repeat  
15 that?

16 MS. KATHLEEN MCCANDLESS: The  
17 Corporation has changed its methodology in terms of  
18 the new money yield, correct?

19 MS. CARA LOW: Correct.

20 MS. KATHLEEN MCCANDLESS: And the  
21 result of that change is, rather than a marketable  
22 bond yield of 4.24 percent, the Corporation is using  
23 4.17 percent, correct?

24 MS. CARA LOW: Correct.

25 MS. KATHLEEN MCCANDLESS: Can the

1 Corporation provide the rate indication using the  
2 marketable bond yield as requested, the 4.24 percent?

3 MS. CARA LOW: That was provided in  
4 the pre-ask, and it was a negative 0.3 instead of the  
5 0.1 percent.

6

7 (BRIEF PAUSE)

8

9 MS. KATHLEEN MCCANDLESS: With respect  
10 to the increase in expenses at item E, that's an  
11 increase of 194.54 to 206.11?

12 MS. CARA LOW: Correct.

13 MS. KATHLEEN MCCANDLESS: Or an  
14 increase of 1.4 percent due to additional headcounts?

15 MS. CARA LOW: Correct. Additional  
16 head counts and, also, salary increases, as we talked  
17 about yesterday.

18 MS. KATHLEEN MCCANDLESS: Thank you.  
19 Our information is that the Corporation did not  
20 provide the rate indication with 4.24 percent, it was  
21 just provided with 4.17 percent?

22 MS. CARA LOW: One (1) minute, please.

23

24 (BRIEF PAUSE)

25

1 MS. KATHLEEN MCCANDLESS: Kristen,  
2 perhaps in the meantime, could you pull up MPI Exhibit  
3 number 58, page 5.

4

5 (BRIEF PAUSE)

6

7 MS. CARA LOW: So, in the pre-ask 1,  
8 we used 4.17 percent. That was at a ten (10)  
9 duration. But we also removed seven (7) basis points  
10 for investment expenses.

11 MS. KATHLEEN MCCANDLESS: Kristen,  
12 could we just see the page number on this. Okay.

13 So it should actually be labelled 5 of  
14 56. I think there are a couple of... Continue to  
15 here. Thank you.

16 So here, we see the new money yield  
17 that was used in the rate update at line 3, 4.17  
18 percent.

19 MS. CARA LOW: Correct.

20 MS. KATHLEEN MCCANDLESS: And -- and  
21 so, it is accurate that the Corporation did not  
22 provide the update with 4.24 percent. Correct?

23 MS. CARA LOW: That would be correct.  
24 Because we did remove the investment expenses. So  
25 4.25 would be gross of investment expenses, but we do

1 pay our investment managers. So we don't realize the  
2 full yield.

3 MS. KATHLEEN MCCANDLESS: Can the  
4 Corporation provide the rate indication using 4.24  
5 percent as the new money yield?

6 MR. ANTHONY GUERRA: Yes, counsel. We  
7 can undertake to do that.

8 So just to confirm the undertaking on  
9 the record, please.

10 MS. KATHLEEN MCCANDLESS: The  
11 Corporation to provide the rate indication using the  
12 marketable bond yield of 4.24 percent.

13 MR. ANTHONY GUERRA: Thank you,  
14 counsel. Yes, we will.

15

16 --- UNDERTAKING NO. 17: Corporation to provide  
17 rate indication using the  
18 marketable bond yield of  
19 4.24 percent.

20

21 CONTINUED BY MS. KATHLEEN MCCANDLESS:

22 MS. KATHLEEN MCCANDLESS: Then if we  
23 could just go back to the previous exhibit, please,  
24 Kristen. Thank you.

25 Just finally, the ILAE adjustment at

1 item F. There was a reduction from 19 percent to 18  
2 percent. Correct?

3 MR. KHURRAM MASUD: That's correct.

4 MS. KATHLEEN MCCANDLESS: And that had  
5 an impact of .8 percent, correct?

6 MR. KHURRAM MASUD: That is correct.

7 MS. KATHLEEN MCCANDLESS: Now, if we  
8 could go to PUB-MPI-1-33, Appendix 1. And this is  
9 with respect to the new money yield.

10

11 (BRIEF PAUSE)

12

13 MS. KATHLEEN MCCANDLESS: It'll be  
14 Appendix 1-2, please. Thank you.

15 So looking to line 9, the original  
16 naive new money yield was 3.43 percent in the filing?

17 MR. KHURRAM MASUD: That is correct.

18 MS. KATHLEEN MCCANDLESS: And,  
19 Kristen, could we please go to MPI Exhibit number 50,  
20 figure INV-13.

21

22 (BRIEF PAUSE)

23

24 MS. KATHLEEN MCCANDLESS: I believe  
25 it's page 53 of 55. Thank you.



1                   And so, this is the INV-13 based on the  
2   October rate update -- or October update?

3

4                                   (BRIEF PAUSE)

5

6                   MS. CARA LOW:    Could we defer this  
7   line of questioning to Monday for the Investment  
8   Panel?  Because we do get this information from our  
9   Director of Investments.

10                   MS. KATHLEEN MCCANDLESS:    I -- I  
11   simply just wanted the panel to confirm that line 9  
12   for 2023/'24 shows 4.24 percent for the marketable  
13   bond yield.

14                   MS. CARA LOW:    That would be correct,  
15   yes.

16                   MS. KATHLEEN MCCANDLESS:    And I don't  
17   think I need to take you there, but in the filing, in  
18   RM Appendix 8, the Corporation advised that there were  
19   no significant changes in methodology or assumption  
20   changes from the 2022 GRA to this GRA.

21                                   Would that be fair?  Would you like to  
22   see the reference for that?

23                   MS. CARA LOW:    Yes, please.

24                   MS. KATHLEEN MCCANDLESS:    So that's RM  
25   Appendix 8.

1 (BRIEF PAUSE)

2

3 MS. KATHLEEN MCCANDLESS: So Ms. Low,  
4 you would accept that as the Corporation's evidence on  
5 summary --

6 MS. CARA LOW: Yes.

7 MS. KATHLEEN MCCANDLESS: -- of  
8 methodology and assumption changes?

9 MS. CARA LOW: Yes, I would.

10 MS. KATHLEEN MCCANDLESS: Thank you.  
11 Now, if we could go to MPI Exhibit number 4. This is  
12 from -- this is investments, page -- I think it's page  
13 9 of 86.

14

15 (BRIEF PAUSE)

16

17 MS. KATHLEEN MCCANDLESS: Thank you.  
18 Just scroll up a little bit. With respect to interest  
19 rate forecasting here.

20 So the Corporation states that:

21 "The Board of Directors and  
22 management of MPI continue to  
23 believe that a naive interest rate  
24 forecast is the best estimate of  
25 future interest rates.

1 Forecast for each category of fixed  
2 income assets uses the yield on the  
3 Government of Canada ten (10) year  
4 bond as the base, to which a spread  
5 is added in order to arrive at the  
6 absolute yield for the fixed income  
7 asset.

8 The naive forecast holds the  
9 Government of Canada ten (10) year  
10 bond yield as of March 31, 2022,  
11 constant for the entire five (5)  
12 year forecast.

13 The actual yield on the Government  
14 of Canada ten (10) year bond on  
15 March 31, 2022, was 2.41 percent.  
16 This rate forms the basis for all  
17 interest rate forecasts in this  
18 application.

19 All fixed income asset types are  
20 also assumed to maintain a constant  
21 spread above the yield of the  
22 Government of Canada ten (10) year  
23 bond."

24 And, Ms. Low, you would accept that as  
25 the Corporation's evidence?

1 MS. CARA LOW: Yes, I would.

2 MS. KATHLEEN MCCANDLESS: Does MPI  
3 have one (1) investment portfolio for all Basic  
4 claims?

5 MS. CARA LOW: Yes, it does.

6 MS. KATHLEEN MCCANDLESS: The duration  
7 of the investments supporting all of the Basic claims  
8 is about nine (9) years, correct?

9 MS. CARA LOW: Just over nine (9)  
10 years, yeah. Between nine (9) and ten (10).

11 MS. KATHLEEN MCCANDLESS: And there is  
12 no segregation of assets by coverage?

13 MS. CARA LOW: No, there is not.

14 MS. KATHLEEN MCCANDLESS: So cash flow  
15 generated by insurance operations would flow into  
16 Basic claims investment portfolio?

17 MS. CARA LOW: Yes, it would.

18 MS. KATHLEEN MCCANDLESS: And this  
19 morning, I provided your counsel with a copy of the  
20 standards of practice of the Canadian Institute of  
21 Actuaries and, in particular, Section 2620. Could we  
22 please pull that up, Kristen? Thank you.

23 And I'm looking at sections 2620.15  
24 through .16 with respect to the time value of money.

25 So Kristen, it's a few pages down.

1 Here. Perfect. Thank you.

2 So with respect to the time value of  
3 money, the standards state:

4 "The investment return rate for  
5 calculating the present value of  
6 cash flows would reflect the  
7 expected investment income to be  
8 earned on assets that might be  
9 acquired with the net cash flows,  
10 resulting from the revenue at the  
11 indicated rate."

12 MS. CARA LOW: Correct.

13 MS. KATHLEEN MCCANDLESS: At .16:

14 "Among the various possible sets of  
15 such assets, the actuary would  
16 consider risk-free assets of  
17 appropriate duration, fixed income  
18 assets of appropriate duration, and  
19 assets which are expected to be  
20 acquired."

21 MS. CARA LOW: Correct.

22 MS. KATHLEEN MCCANDLESS: Would you  
23 agree that the Corporation invests new cash flow in  
24 provincial and corporate bonds within the Basic claims  
25 investment portfolio?

1 MS. CARA LOW: Could you repeat that,  
2 please?

3 MS. KATHLEEN MCCANDLESS: The  
4 Corporation invests new cash flow in provincial and  
5 corporate bonds --

6 MS. CARA LOW: Yes, it does. Yeah.

7 MS. KATHLEEN MCCANDLESS: -- in the  
8 Basic claims investment portfolio.

9 MS. CARA LOW: Yes. And we keep also  
10 an operating cash.

11 MS. KATHLEEN MCCANDLESS: And the  
12 Basic claims investment portfolio is invested in bonds  
13 with an average duration of about nine (9) years?

14 MS. CARA LOW: Yeah, between nine (9)  
15 and ten (10).

16 MS. KATHLEEN MCCANDLESS: Thank you.  
17 Now, I'm going to ask some questions about changes in  
18 expenses. And I appreciate we did hear from the  
19 expenses panel yesterday. These do relate to rate  
20 making as well, so.

21 If we could go to MPI Exhibit 50, PF-6.

22

23 (BRIEF PAUSE)

24

25 MS. KATHLEEN MCCANDLESS: Thank you.

1 Now, this is a statement of operations that compares  
2 what was in the original filing with what's been filed  
3 in the October update. Yes?

4 MS. CARA LOW: Yes, that is true.

5 MS. KATHLEEN MCCANDLESS: And starting  
6 at line 22, we can see that the 2023/'24 forecast for  
7 operating expenses has increased by \$11.5 million.  
8 Yes?

9 MS. CARA LOW: Yes.

10 MS. KATHLEEN MCCANDLESS: And then,  
11 Kristen, could you please go to MPI exhibit number 58,  
12 page 13. I'm looking for another pro forma. I think  
13 it will be PF-5. Yes, please. Go back up. Pardon  
14 me, PF-7. Thank you.

15 And so, here, if we could just scroll  
16 to the top again, please. So, this is with respect to  
17 the 2024/'25 forecast, comparing what was in the  
18 original filing with what's now been updated.  
19 Correct?

20 MS. CARA LOW: Correct.

21 MS. KATHLEEN MCCANDLESS: And at line  
22 22 for 2024/'25 forecast, operating expenses have  
23 increased by 11.8 million from what was filed. Yes?

24 MS. CARA LOW: Correct.

25 MS. KATHLEEN MCCANDLESS: And most of

1 the increase would be related to compensation  
2 expenses?

3 MS. CARA LOW: I -- I assume so. I  
4 believe so.

5 MS. KATHLEEN MCCANDLESS: And then if  
6 we could jump back to pro forma 6 from MPI number 50,  
7 at line 25 we see that regulatory and appeal expenses  
8 have increased from 4.5 million, or 4.48 million, to  
9 4.8 million. Correct?

10 MS. CARA LOW: Yes.

11 MS. KATHLEEN MCCANDLESS: The increase  
12 in expenses has resulted in an impact on rates of  
13 about a 1.4 percent increase?

14 MS. CARA LOW: Yes, that is true.

15 MS. KATHLEEN MCCANDLESS: Thank you.

16 Now Kristen, could we please go back to the actuarial  
17 standards. And this time, I'm looking at 26.10, so on  
18 the previous page, thank you.

19 And at the very bottom. And this  
20 relates to NOVA expenses. So at 2620.10, the standards  
21 state, for provision for expense costs:

22 "The actuary would determine the  
23 provision for expense costs that is  
24 appropriate for the period during  
25 which the rates are expected to be



1 in effect."

2 MS. CARA LOW: That is true, yes.

3 MS. KATHLEEN MCCANDLESS: And if we  
4 scroll down to point 11, in selecting a provision for  
5 expense costs, the actuary would consider, among other  
6 things, that one time expense costs may need to be  
7 amortized, and that's the last bullet there. Yes?

8 MS. CARA LOW: Yes, that is also true.

9 MS. KATHLEEN MCCANDLESS: Did you  
10 consider whether the NOVA system development costs  
11 that benefit future years of policyholders, that are  
12 currently being expensed, should instead be amortized  
13 for the purposes of ratemaking?

14 MS. CARA LOW: One (1) minute please.

15

16 (BRIEF PAUSE)

17

18 MS. CARA LOW: Sorry. No, we did not  
19 consider the amortization of the NOVA cost.

20 MS. KATHLEEN MCCANDLESS: Bearing in  
21 mind what the standards of practice provide, is that  
22 something that the Corporation may consider going  
23 forward?

24 MS. CARA LOW: It's -- it's definitely  
25 something we could look at in the future. I mean,

1 it's to prevent rate shock, so when you have large one  
2 time costs, the rates don't go up in order to cover  
3 that -- those costs and then go down after the costs  
4 are -- haven't been incurred and are finished.

5 MS. KATHLEEN MCCANDLESS: Would the  
6 Corporation consider it prudent to consider amortizing  
7 large -- these one time large expense costs?

8 MS. CARA LOW: It would be something  
9 we would need to consider.

10 MS. KATHLEEN MCCANDLESS: Now, with  
11 respect to the change in claims incurred, first with  
12 respect to net claims incurred, and we're going to go  
13 back to MPI Exhibit number 50, pro forma 5. Thank  
14 you.

15 At line 14 we see net claims incurred  
16 and the difference between the filing and the rate  
17 update shows a decrease of \$31.1 million in net claims  
18 incurred.

19 MS. CARA LOW: Yes.

20 MS. KATHLEEN MCCANDLESS: And now, if  
21 we could go to MPI Exhibit 58, pro forma 5, please.  
22 Thank you.

23 Now, this exhibit shows an increase in  
24 net claims incurred of 3 -- \$38.3 million at line 14.  
25 Yes?

1 MS. CHERITY OSTAPOWICH: Yes.

2 MS. KATHLEEN MCCANDLESS: Okay. And  
3 so that's clearly a significant change between what  
4 was filed in the initial rate update and what's been  
5 filed in the, I'll call it corrections, to some of  
6 this in MPI Exhibit number 58.

7 MS. CHERITY OSTAPOWICH: It was an  
8 update, not a correction.

9 MS. KATHLEEN MCCANDLESS: Okay.  
10 Accepting that, this is the same pro forma, the first  
11 one in MPI Exhibit number 50 was for the same time  
12 period and it was the rate update.

13 So this -- but this is now the current  
14 information that the Corporation has on net claims  
15 incurred. Correct?

16 MS. CHERITY OSTAPOWICH: Correct.

17 MS. KATHLEEN MCCANDLESS: And so,  
18 there is, then what was filed in MPI Exhibit number  
19 50, was a decrease of \$31 million in net claims  
20 incurred, and now we see an increase of \$38.3 million.

21 So, can the Corporation explain the  
22 reason for that significant swing?

23 MS. CHERITY OSTAPOWICH: Yeah, just a  
24 minute.

25

1 (BRIEF PAUSE)

2

3 MS. CHERITY OSTAPOWICH: That was due  
4 to inflation update.

5 MS. KATHLEEN MCCANDLESS: Kristen,  
6 could we go to the next page of pro forma 5. And so,  
7 this -- this page then provides an explanation for the  
8 changes that we saw on the previous page, correct?

9 MS. CHERITY OSTAPOWICH: Correct.

10 MS. KATHLEEN MCCANDLESS: And with  
11 respect to net claims incurred, we see at line 8 that  
12 there was a decrease of \$48.9 million due to lower  
13 than forecasted collision claims.

14 MS. CHERITY OSTAPOWICH: Yes.

15 MS. KATHLEEN MCCANDLESS: What is the  
16 basis for this decrease?

17 MS. CHERITY OSTAPOWICH: The -- it's  
18 due to frequency.

19 MS. KATHLEEN MCCANDLESS: So a  
20 decrease in claims frequency from what was -- what was  
21 forecasted in the filing?

22

23 (BRIEF PAUSE)

24

25 MS. CHERITY OSTAPOWICH: So, it's due

1 to actual lower frequency. So, we based -- when we  
2 did the update, we based it on July 2022, versus the  
3 original, would have been based on March 31st, 2022,  
4 data.

5

6 (BRIEF PAUSE)

7

8 MS. KATHLEEN MCCANDLESS: Thank you.  
9 We also see at line 9 an increase in PIPP and  
10 liability claims, correct?

11 MS. CHERITY OSTAPOWICH: Correct.

12 MS. KATHLEEN MCCANDLESS: What is the  
13 basis for these changes?

14 MS. CHERITY OSTAPOWICH: It's  
15 inflation.

16 MS. KATHLEEN MCCANDLESS: And does the  
17 Corporation have documentation validating this?

18 MS. CHERITY OSTAPOWICH: Yes, it does.

19 MS. KATHLEEN MCCANDLESS: Can that be  
20 provided?

21

22 (BRIEF PAUSE)

23

24 MR. ANTHONY GUERRA: Yes, Counsel, we  
25 can undertake to provide that. So, just for the

1 record, if you can clarify the nature of the  
2 undertaking.

3 MS. KATHLEEN MCCANDLESS: To provide  
4 documentation validating the \$78.2 million increase in  
5 forecasted PIPP and liability claims.

6 MR. ANTHONY GUERRA: Yes. Thank you,  
7 Counsel. We will get the undertaking.

8 MS. KATHLEEN MCCANDLESS: Thank you.

9  
10 --- UNDERTAKING NO. 18: MPI to provide  
11 documentation validating  
12 the \$78.2 million increase  
13 in forecasted PIPP and  
14 liability claims.

15

16 CONTINUED BY MS. KATHLEEN MCCANDLESS:

17 MS. KATHLEEN MCCANDLESS: There's also  
18 a \$3 million decrease in property damages claims?

19 MS. CHERITY OSTAPOWICH: Yes.

20 MS. KATHLEEN MCCANDLESS: What is the  
21 basis for this decrease?

22 MS. CHERITY OSTAPOWICH: That'll be  
23 due to the July update.

24 MS. KATHLEEN MCCANDLESS: When you say  
25 "July update"?

1 MS. CHERITY OSTAPOWICH: Using actual  
2 data as of July 31st rather than March.

3 MS. KATHLEEN MCCANDLESS: And can you  
4 provide the back-up documentation validating this  
5 change, as well?

6 MS. CHERITY OSTAPOWICH: Yes.

7 MR. ANTHONY GUERRA: So, just confirm,  
8 Counsel, for the record, what the undertaking is, and  
9 I'll -- I'll agree to it.

10 MS. KATHLEEN MCCANDLESS: And perhaps  
11 I'll just jump ahead, Mr. Guerra, because I'm going to  
12 be asking for the same information with respect to all  
13 of the variances and net claims incurred. I'm  
14 assuming that they'll need to be answered by way of  
15 undertaking.

16 So, if the Corporation could provide  
17 documentation, in addition to the undertaking already  
18 given, validating the decrease of \$48.9 million in  
19 lower than forecast collision claims; decrease of .75  
20 million in lower than forecasted non-proportional  
21 ILAE; the \$8.2 million increase in forecasted ILAE;  
22 and the \$4.6 million increase in forecasted  
23 comprehensive claims.

24 MR. ANTHONY GUERRA: One (1) moment,  
25 Counsel.

1 (BRIEF PAUSE)

2

3 MR. ANTHONY GUERRA: Yes, Counsel,  
4 we'll get the undertaking. Thank you.

5 MS. KATHLEEN MCCANDLESS: Thank you.

6

7 --- UNDERTAKING NO. 19: MPI to provide  
8 documentation validating  
9 the decrease of \$48.9  
10 million in lower than  
11 forecast collision claims;  
12 decrease of .75 million in  
13 lower than forecasted non-  
14 proportional ILAE; the  
15 \$8.2 million increase in  
16 forecasted ILAE; and the  
17 \$4.6 million increase in  
18 forecasted comprehensive  
19 claims.

20

21 CONTINUED BY MS. KATHLEEN MCCANDLESS:

22 MS. KATHLEEN MCCANDLESS: And so I  
23 appreciate we'll get detail when that undertaking is  
24 provided, but maybe just generally at this point, the  
25 decrease in lower than -- in forecasted non-



1 proportional ILAE, can you explain the basis for that  
2 decrease?

3 MS. CHERITY OSTAPOWICH: So, you're  
4 talking about the eight point two eight (8.28) -- or  
5 eight two three eight (8238) or...?

6 MS. KATHLEEN MCCANDLESS: The point  
7 seven five (.75). The decrease.

8

9 (BRIEF PAUSE)

10

11 MS. CHERITY OSTAPOWICH: So, we don't  
12 have that information.

13 MS. KATHLEEN MCCANDLESS: But when the  
14 undertaking is provided, presumably that information  
15 would be included?

16 MS. CHERITY OSTAPOWICH: Correct.

17 MS. KATHLEEN MCCANDLESS: Thank you.  
18 Can you advise as to the reason for the increase in  
19 forecasted ILAE?

20 MS. CHERITY OSTAPOWICH: Yeah. The  
21 increase to forecasted IL -- ILAE, you're talking  
22 about line 12, eight two three eight (8238), that is  
23 mostly going to be due to the increase from inflation  
24 on PIPP claims 'cause it tends to be quite long tail.

25 MS. KATHLEEN MCCANDLESS: And the

1 increase in forecasted comprehensive claims,  
2 generally, what's the reason for that?

3 MS. CHERITY OSTAPOWICH: So, that'll  
4 be due to the July update.

5 MS. KATHLEEN MCCANDLESS: Subject to  
6 check, would you accept that if we add up the decrease  
7 of 48.9 million with the increase of 78.2 million, the  
8 decrease of 3.3 million and .75 million, and add back  
9 to the 8.2 million and 4.6 million, we would get to an  
10 overall increase of \$38.3 million?

11 MS. CHERITY OSTAPOWICH: Subject to  
12 check.

13 MS. KATHLEEN MCCANDLESS: And that  
14 would match the new version of Pro Forma 5, page 9, so  
15 on the same exhibit at line 14. Just scrolling up to  
16 the previous page. We see that \$38.3 million there on  
17 the right-hand side of the table, yes?

18 MS. CHERITY OSTAPOWICH: Correct.

19 MS. KATHLEEN MCCANDLESS: Thank you.  
20 So, just going back to what we saw in pro forma 5 in  
21 MPI Exhibit number 50, which was the October update  
22 filed on the 12th. And that pro forma 5...

23

24 (BRIEF PAUSE)

25

1 MS. KATHLEEN MCCANDLESS: So, this is  
2 the Exhibit 58; Kristen, could we go to 50 and maybe  
3 put it side by side.

4

5 (BRIEF PAUSE)

6

7 MS. KATHLEEN MCCANDLESS: Perfect.  
8 Thanks.

9 So, on the right-hand side of the page  
10 we see MPI Exhibit number 50. And that's dated  
11 October 12th, correct?

12 MS. CHERITY OSTAPOWICH: Correct.

13 MS. KATHLEEN MCCANDLESS: On the left-  
14 hand side we see October 20, 2022. And that is the  
15 same pro forma just filed eight (8) days later,  
16 correct?

17 MS. CHERITY OSTAPOWICH: Correct.

18 MS. KATHLEEN MCCANDLESS: And we see  
19 that on fifty (50), net claims incurred as of October  
20 12th were estimated -- or there was a difference from  
21 the filing of a reduction of \$31 million, yes?

22 MS. CHERITY OSTAPOWICH: Correct.

23 MS. KATHLEEN MCCANDLESS: Okay. And  
24 then that was changed to \$38.3 million this week,  
25 correct?

1 MS. CHERITY OSTAPOWICH: Correct.

2 MS. KATHLEEN MCCANDLESS: Thank you.

3 And then if we scroll to the explanation of the  
4 variances...

5 Thank you. So, I just took you through  
6 the variances on the October 20th MPI Exhibit number  
7 58, right? Correct?

8 MS. CHERITY OSTAPOWICH: Yes.

9 MS. KATHLEEN MCCANDLESS: And we see  
10 that the variances in MPI Exhibit number 50, as filed,  
11 are the same with respect to net claims incurred,  
12 correct?

13 MS. CHERITY OSTAPOWICH: Yes.

14

15 (BRIEF PAUSE)

16

17 MS. KATHLEEN MCCANDLESS: And -- and  
18 so, you had mentioned this -- that MPI Exhibit number  
19 58 was not a correction, it was an update. But it  
20 seems to me that it actually was a correction.

21 Would that be fair?

22 MS. CHERITY OSTAPOWICH: Yes, that was  
23 a correction.

24 MS. KATHLEEN MCCANDLESS: Thank you.

25 Can you describe the controls procedures that are

1 followed to make sure -- make certain that the claimed  
2 incurred numbers in the financial statements are  
3 correct, as we have an unreconciled difference of  
4 nearly \$70 million here.

5

6

(BRIEF PAUSE)

7

8 MS. CARA LOW: Usually we do have a  
9 peer review and it was missed between -- on October  
10 12th. Usually our investment team would look at the  
11 interest rate impact. And so we did -- there was an  
12 oversight and the July numbers didn't get updated to  
13 the August figures.

14 MS. KATHLEEN MCCANDLESS: Okay. Thank  
15 you. Now, if we go to Pro Forma 6 -- and Kristen, you  
16 can put aside Exhibit 50 for now.

17 Thank you. And so this is Pro Forma 6  
18 from Exhibit number 58, which was filed earlier this  
19 week. Line 14. And so this is statement of  
20 operations comparing what was filed with the rate  
21 update, correct?

22 MS. CHERITY OSTAPOWICH: Correct.

23 MS. KATHLEEN MCCANDLESS: Line 14  
24 shows an increase in net claims incurred of \$10.7  
25 million?

1 MS. CHERITY OSTAPOWICH: Correct.

2

3

(BRIEF PAUSE)

4

5 MS. KATHLEEN MCCANDLESS: And then if  
6 we could go to Pro Forma 1 from the filing, please.

7

8

(BRIEF PAUSE)

9

10 MS. KATHLEEN MCCANDLESS: So, for  
11 2024/'25 in the filing, we see forecasted net claims  
12 incurred at line 16 of \$970.7 million?

13 MS. CHERITY OSTAPOWICH: Correct.

14 MS. KATHLEEN MCCANDLESS: And then if  
15 we compare that to Exhibit 58...

16

17

(BRIEF PAUSE)

18

19 MS. KATHLEEN MCCANDLESS: Kristen, can  
20 we go to Exhibit 58, please. And I think we'll need  
21 to go down to Pro Forma 7. Thank you.

22

23 So, there we see at net claims  
24 incurred, based on the rate update, the forecast for  
25 2024/'25 is \$987.4 million, yes?

25

MS. CHERITY OSTAPOWICH: Yes.

1 MS. KATHLEEN MCCANDLESS: So, subject  
2 to check, that would be an increase of roughly \$16.6  
3 million?

4 MS. CHERITY OSTAPOWICH: Yes.

5 MS. KATHLEEN MCCANDLESS: Thank you.

6

7

(BRIEF PAUSE)

8

9

MS. KATHLEEN MCCANDLESS: And then if  
10 we could go to page 12 of this exhibit, so PF-6.  
11 Scrolling down, please.

12

Looking at the explanation of  
13 significant variances, MPI appears to have changed the  
14 following. At net claims incurred line 5, we see  
15 lower forecasted ILAE, a reduction of 1.799 million?

16

MS. CHERITY OSTAPOWICH: Correct.

17

MS. KATHLEEN MCCANDLESS: Lower than  
18 forecasted comprehensive claims by .29 million?

19

MS. CHERITY OSTAPOWICH: Correct.

20

MS. KATHLEEN MCCANDLESS: Lower than  
21 forecasted property damage claims of .068 million?

22

MS. CHERITY OSTAPOWICH: Correct.

23

MS. KATHLEEN MCCANDLESS: An increase  
24 in forecasted PIPP and liability claims of 6.6  
25 million?

1 MS. CHERITY OSTAPOWICH: Correct.

2 MS. KATHLEEN MCCANDLESS: Increase  
3 forecasted collision claims of 5.9 million?

4 MS. CHERITY OSTAPOWICH: Correct.

5 MS. KATHLEEN MCCANDLESS: And given  
6 the \$48 million decrease for 2022/'23, why is  
7 collision increasing?

8

9 (BRIEF PAUSE)

10

11 MS. CHERITY OSTAPOWICH: Can you  
12 repeat the question, please.

13 MS. KATHLEEN MCCANDLESS: Given the  
14 \$48 million decrease for 2022/'23, why is collision  
15 increasing?

16 MS. CHERITY OSTAPOWICH: This is due  
17 to the LVAA.

18 MS. KATHLEEN MCCANDLESS: Thank you.  
19 Line 12 is increase forecasted non-proportional LAE of  
20 .38 million?

21 MS. CHERITY OSTAPOWICH: Yes.

22 MS. KATHLEEN MCCANDLESS: And for each  
23 of those changes, can the Corporation provide the  
24 calculations underlying the projected claims for each  
25 and every coverage for which the change is over \$1



1 million in either direction?

2

3

(BRIEF PAUSE)

4

5 MS. CHERITY OSTAPOWICH: Yes, we can  
6 provide that.

7

8 MR. ANTHONY GUERRA: So, Counsel, if  
9 you just clarify --

9

MS. KATHLEEN MCCANDLESS: Sure.

10

11 MR. ANTHONY GUERRA: -- the  
12 undertaking, I'll -- I'll answer it.

12

13 MS. KATHLEEN MCCANDLESS: Yes. So,  
14 with respect to each of the changes set out at PF-6,  
15 under net claims incurred, explanation of variances,  
16 for the Corporation to provide the calculations  
17 underlying the projected claims for each and every  
18 coverage for which the change is over \$1 million in  
19 either direction.

19

20 MR. ANTHONY GUERRA: Yes, counsel will  
21 undertake to provide that information. Thank you.

21

22 MS. KATHLEEN MCCANDLESS: Thank you.

22

23 --- UNDERTAKING NO. 20: MPI to provide, with  
24 respect to each of the  
25 changes set out at PF-6

1 under net claims incurred,  
2 explanation of variances,  
3 the calculations  
4 underlying the projected  
5 claims for each and every  
6 coverage for which the  
7 change is over \$1 million  
8 in either direction.

9

10 CONTINUED BY MS. KATHLEEN MCCANDLESS:

11 MS. KATHLEEN MCCANDLESS: Now going  
12 ahead to the comparative for Pro Forma 7, please. And  
13 the explanation of the variances on the next page.  
14 Thank you.

15 And so, these are the variances from  
16 the 2024 forecast -- 2024/'25 forecast, based on the  
17 filing and then compared with the rate update,  
18 correct?

19 MS. CHERITY OSTAPOWICH: Correct.

20 MS. KATHLEEN MCCANDLESS: And here  
21 under net claims incurred, at line 10 we see \$1.3  
22 million lower than forecasted ILAE?

23 MS. CHERITY OSTAPOWICH: Yes.

24 MS. KATHLEEN MCCANDLESS: Lower than  
25 forecasted comprehensive claims of .05 million?

1 MS. CHERITY OSTAPOWICH: Yes.

2 MS. KATHLEEN MCCANDLESS: A small  
3 amount of lower than forecasted property damage claims  
4 of .008 million?

5 MS. CHERITY OSTAPOWICH: Yeah.

6 MS. KATHLEEN MCCANDLESS: We're used  
7 to speaking in millions. I should probably switch to  
8 thousands for these numbers, but...

9 Increased forecast PIPP and liability  
10 claims of 9.87 million?

11 MS. CHERITY OSTAPOWICH: Yes.

12 MS. KATHLEEN MCCANDLESS: Increase in  
13 forecasted collision claims of 5.06 million?

14 MS. CHERITY OSTAPOWICH: Yes.

15 MS. KATHLEEN MCCANDLESS: And again,  
16 given the \$48 million decrease for 2022/'23, why is  
17 collision increasing?

18

19 (BRIEF PAUSE)

20

21 MS. CHERITY OSTAPOWICH: That's due to  
22 LVAA.

23 MS. KATHLEEN MCCANDLESS: Thank you.  
24 There's an increase in forecasted non-proportional LAE  
25 of 3.1 million at line 8?

1 MS. CHERITY OSTAPOWICH: Yes, that's  
2 correct.

3 MS. KATHLEEN MCCANDLESS: For each of  
4 these changes, we would assume that you're response to  
5 the 2023/'24 year would also provide details on the  
6 calculations for each of these changes which are over  
7 \$1 million in either direction?

8 MS. CHERITY OSTAPOWICH: Yes, that's  
9 correct.

10 MS. KATHLEEN MCCANDLESS: Okay. Thank  
11 you. Madam Chair, I have a fair amount of cross-  
12 examination left, so there's no real natural break at  
13 this point. Perhaps you'd like the morning break.

14 THE PANEL CHAIRPERSON: Thanks, Ms.  
15 McCandless.

16 Yes, let's break now and we'll come,  
17 please, at a quarter to 11:00. Thank you.

18

19 --- Upon recessing at 10:35 a.m.

20 --- Upon resuming at 10:49 a.m.

21

22 THE PANEL CHAIRPERSON: Ms.  
23 McCandless...?

24 MS. KATHLEEN MCCANDLESS: Thank you.  
25 Just before I resume my cross-examination, I did want

1 to enter the excerpt from the Actuarial Stand --  
2 Standards of Practice to which I referred this morning  
3 as the next PUB exhibit. So that will be Exhibit  
4 number 22. Thank you.

5

6 --- EXHIBIT NO. PUB-22: Excerpt from the Actuarial  
7 Standards of Practice

8

9 CONTINUED BY MS. KATHLEEN MCCANDLESS:

10 MS. KATHLEEN MCCANDLESS: And just one  
11 (1) follow-up to my question a little bit earlier  
12 about ex -- amortizing the NOVA expenses.

13 Are you able to state what the impact  
14 would be on the rate indication of NOVA expenses were  
15 amortized and allocated to years in which the benefits  
16 of the new system would be realized?

17 MS. CARA LOW: We haven't done that  
18 analysis.

19 MS. KATHLEEN MCCANDLESS:  
20 Directionally, are you able to speak to that?

21 MS. CARA LOW: No.

22 MS. KATHLEEN MCCANDLESS: Now getting  
23 back to the pro formas from Exhibit number 58, and  
24 this is pro forma 6, please. Thank you.

25 If we move to line 18 of pro forma 6,

1 so the 2023/'24 forecast, we see a decrease of \$5.38  
2 million for claims expense, correct?

3 MS. CARA LOW: Correct.

4 MS. KATHLEEN MCCANDLESS: And it has a  
5 reference number beside it of four (4), just in  
6 brackets there?

7 MS. CARA LOW: Correct.

8 MS. KATHLEEN MCCANDLESS: And we also  
9 -- we see an increase of two point three zero eight  
10 (2.308) for road safety and loss prevention?

11 MS. CARA LOW: Yes, that is true.

12 MS. KATHLEEN MCCANDLESS: So if we go  
13 to the -- the next page, so page 12, could you  
14 identify which numbers we add up to get to the  
15 decrease of \$5.388 million for claims expense?

16

17 (BRIEF PAUSE)

18

19 MS. CARA LOW: Can you give us a  
20 minute, please?

21 MS. KATHLEEN MCCANDLESS: Yes.

22

23 (BRIEF PAUSE)

24

25 MS. CARA LOW: The reference number 4

1 doesn't appear to have the claims adjusting expenses  
2 in there.

3 MS. KATHLEEN MCCANDLESS: Okay. So  
4 just to understand your answer then, the -- we don't  
5 have the detail of which numbers would add up to get  
6 to that decrease of \$5.38 million for claims expenses?

7 MS. CARA LOW: No. That analysis is  
8 not on the page that you have up.

9 MS. KATHLEEN MCCANDLESS: Has that  
10 analysis been -- well, presumably it's been done to  
11 get to that number.

12 MS. CARA LOW: We would have that  
13 number, yes, so just not -- it's a reference to number  
14 4, and it's not in number 4.

15 MS. KATHLEEN MCCANDLESS: Can the  
16 Corporation please just provide that information?

17 MR. ANTHONY GUERRA: Yes, Kathleen.  
18 We can undertake to provide that information if you  
19 can just clarify for the record, please.

20 MS. KATHLEEN MCCANDLESS: Yes. The --  
21 the calculation -- or explain the calculation of the  
22 decrease of \$5.388 million in claims expenses.

23 MR. ANTHONY GUERRA: Yes, counsel.  
24 Thank you.

25 MS. KATHLEEN MCCANDLESS: Thank you.

1  
2 --- UNDERTAKING NO. 21: MPI to explain calculation  
3 of decrease of \$5.388  
4 million in claims expenses  
5 and to provide explanation  
6 for the increase of \$2.308  
7 million in road safety,  
8 loss prevention reconciled  
9 against lines 26 and 27 at  
10 page 2 of pro forma 6 in  
11 MPI-58. And to provide the  
12 explanation for the  
13 increase of \$2.308 million  
14 in road safety, loss  
15 prevention reconciled  
16 against lines 26 and 27 at  
17 page 2 of pro forma 6 in  
18 MPI Exhibit number 58.

19

20 CONTINUED BY MS. KATHLEEN MCCANDLESS:

21 MS. KATHLEEN MCCANDLESS: And with  
22 respect to the -- the increase of \$2.308 million for  
23 road safety and loss prevention that we saw on the  
24 previous page, if -- if we add up lines 26 and 27, so  
25 higher than expected loss prevention, road safety



1 expense, and higher than expected driver education  
2 program expenses, we don't get to that \$2.308 million.

3 Can you explain?

4 MS. CARA LOW: No, I cannot. You want  
5 to just give us a minute, please?

6

7 (BRIEF PAUSE)

8

9 MS. CARA LOW: Sorry. The expense  
10 panel was yesterday, so we're trying to get some  
11 answers from the back row. They're online.

12 MS. KATHLEEN MCCANDLESS: Perhaps we  
13 can just do it a more efficient way then. Maybe just  
14 to add to that previous undertaking, to provide the  
15 explanation for the increase of \$2.308 million in road  
16 safety, loss prevention reconciled against lines 26  
17 and 27 at page 2 of pro forma 6 in MPI Exhibit number  
18 58.

19 MR. ANTHONY GUERRA: Yes, counsel. It  
20 makes sense to amalgamate that into one (1)  
21 undertaking. Thank you.

22

23 CONTINUED BY MS. KATHLEEN MCCANDLESS:

24 MS. KATHLEEN MCCANDLESS: And then if  
25 we could go forward to pro forma 7, please, I believe

1 we have the same question with respect to those  
2 expenses for the 2024/'25 year with respect to claims  
3 expense and road safety and loss prevention.

4 So could we also have an undertaking to  
5 provide the explanation for the claims expense and  
6 road safety, loss prevention expenses in pro forma 7  
7 reconciled against item number 4 at page 2 of pro  
8 forma 7?

9 MR. ANTHONY GUERRA: Yes, counsel.

10 MS. KATHLEEN MCCANDLESS: Thank you.

11

12 --- UNDERTAKING NO. 22: MPI to provide explanation  
13 for claims expense and  
14 road safety, loss  
15 prevention expenses in pro  
16 forma 7 reconciled against  
17 item number 4 at page 2 of  
18 pro forma 7.

19

20 CONTINUED BY MS. KATHLEEN MCCANDLESS:

21 MS. KATHLEEN MCCANDLESS: Now I'm  
22 going to go to Figure RM-20 of this same exhibit, and  
23 this is the impact on distribution of rate changes.  
24 RM-20.

25

1 (BRIEF PAUSE)

2

3 MS. KATHLEEN MCCANDLESS: Thank you.

4 And so what this figure shows is how the rate change

5 is distributed against all classifications of

6 vehicles, essentially, correct?

7 MR. KHURRAM MASUD: That is correct.

8 MS. KATHLEEN MCCANDLESS: Thank you.

9 And on the -- the first column on the left, we have

10 'all vehicles combined', correct?

11 MR. KHURRAM MASUD: Yes, that's

12 correct.

13 MS. KATHLEEN MCCANDLESS: If we ignore

14 the impact -- oh, I think we might be in the

15 ratemaking exhibit, Kristen. I think we should be at

16 Exhibit number 50 -- 58, pardon me, RM-20. It's the

17 same schedule, but it's just the updated version.

18 Thank you. Perfect.

19 So if we start with 'all vehicles

20 combined', again the first column here on the left,

21 and ignore the impact of the removal of the capital

22 management provision on the premium impact felt by

23 customers for the time being, on the left side there's

24 a row referred to as total decreasing, and we see that

25 it's 40.84 percent.

1                   So in other words, we can see that  
2 40.84 percent of all vehicles have a rate decrease  
3 indicated, correct?

4

5   (BRIEF PAUSE)

6

7                   MR. KHURRAM MASUD:    Yes, that is  
8 correct.

9                   MS. KATHLEEN MCCANDLESS:    Could we  
10 zoom in maybe a little bit, please, Kristen, for now,  
11 just on that first column? Perfect. Thank you.

12                   And so then no change, we see that  
13 12.89 percent would have no change, correct?

14                   MR. KHURRAM MASUD:    Yes, that is  
15 correct.

16                   MS. KATHLEEN MCCANDLESS:    And that  
17 would mainly relate to off-road vehicles and trailers?  
18 Would you accept that subject to check? Or we can run  
19 through the table, if you'd like.

20                   MR. KHURRAM MASUD:    Just one (1)  
21 second.

22

23   (BRIEF PAUSE)

24

25                   MR. KHURRAM MASUD:    Can we please

1 scroll to the right of the screen.

2 MS. KATHLEEN MCCANDLESS: Probably on  
3 the second page. There's trailers. And if we go a  
4 little bit farther. No, to the -- to the right.

5 Off-road vehicles we see 100 percent no  
6 change, correct?

7 MR. KHURRAM MASUD: Yes, that's  
8 correct.

9 MS. KATHLEEN MCCANDLESS: Thank you.  
10 Kristen, can we go back up to page 1 of RM-20. Thank  
11 you.

12

13 (BRIEF PAUSE)

14

15 MS. KATHLEEN MCCANDLESS: And then  
16 scroll down to the bottom there. Thank you. So, then  
17 there's a line for total increasing under 'all  
18 vehicles', and that's 46.27 percent would see a rate  
19 increase, correct?

20 MR. KHURRAM MASUD: Correct. That's  
21 correct.

22 MS. KATHLEEN MCCANDLESS: Does this  
23 reflect expected movement in the driver safety rater -  
24 - Driver Safety Rating scale?

25

1 (BRIEF PAUSE)

2

3 MR. KHURRAM MASUD: Yes, but it as a  
4 point in time, it's not prospective.

5

6 (BRIEF PAUSE)

7

8 MS. KATHLEEN MCCANDLESS: So, our  
9 understanding was that this figure would not reflect  
10 expected movement in the Driver Safety Rating scale.  
11 That's not accurate?

12 MR. KHURRAM MASUD: It does not  
13 capture the expected moments.

14 MS. KATHLEEN MCCANDLESS: Thank you.  
15 Now, if we move to the second column. And maybe we'll  
16 have to zoom out a little bit to be able to see the  
17 headings here.

18 So private passenger vehicles, or the  
19 second column here. And the corresponding numbers for  
20 that class we see total decrease of 49.09 percent, the  
21 percentage of total seeing a decrease?

22 MR. KHURRAM MASUD: Yes, that is  
23 correct.

24 MS. KATHLEEN MCCANDLESS: .35 percent  
25 would see no change?

1 MR. KHURRAM MASUD: Yes, that is  
2 correct.

3 MS. KATHLEEN MCCANDLESS: And 50.56 at  
4 the bottom would see an increase, correct?

5 MR. KHURRAM MASUD: Yes, that is  
6 correct.

7 MS. KATHLEEN MCCANDLESS: And then  
8 moving over to commercial vehicles, the next column,  
9 total decreasing would be 6.03 percent?

10 MR. KHURRAM MASUD: Yes, that is  
11 correct.

12 MS. KATHLEEN MCCANDLESS: .43 percent  
13 would see no change?

14 MR. KHURRAM MASUD: Correct.

15 MS. KATHLEEN MCCANDLESS: And 93.54  
16 percent would see an increase, correct?

17 MR. KHURRAM MASUD: Correct.

18 MS. KATHLEEN MCCANDLESS: And then to  
19 the next column, public vehicles on the far right,  
20 total decreasing would be 27.93 percent?

21 MR. KHURRAM MASUD: Correct.

22 MS. KATHLEEN MCCANDLESS: .02 percent  
23 would see no change?

24 MR. KHURRAM MASUD: That is correct.

25 MS. KATHLEEN MCCANDLESS: And 72.05

1 percent would see an increase, correct?

2 MR. KHURRAM MASUD: That's correct.

3 MS. KATHLEEN MCCANDLESS: Thank you.

4 Then the next page shows motorcycles, trailers, and  
5 off-road vehicles. And so, the same questions with  
6 respect to those classes.

7 We see a total decreasing for  
8 motorcycles would be 31.19 percent?

9 MR. KHURRAM MASUD: That is correct.

10 MS. KATHLEEN MCCANDLESS: .36 percent  
11 of vehicles would see no change?

12 MR. KHURRAM MASUD: Correct.

13 MS. KATHLEEN MCCANDLESS: And 68.45  
14 percent would see an increase, correct?

15 MR. KHURRAM MASUD: Correct.

16 MS. KATHLEEN MCCANDLESS: Trailers  
17 would -- 33.28 percent would see a decrease?

18 MR. KHURRAM MASUD: Correct.

19 MS. KATHLEEN MCCANDLESS: 33.72  
20 percent would see no change?

21 MR. KHURRAM MASUD: Correct.

22 MS. KATHLEEN MCCANDLESS: And 33  
23 percent would see an increase, correct?

24 MR. KHURRAM MASUD: Correct.

25 MS. KATHLEEN MCCANDLESS: And then we



1 already saw that there's no changes to off-road  
2 vehicles, right?

3 MR. KHURRAM MASUD: Right.

4 MS. KATHLEEN MCCANDLESS: Now, if we  
5 take into consideration the 57. -- or \$57,857,000  
6 capital release provision that was included in the  
7 2022/'23 rates -- and, first of all, subject to check,  
8 would you confirm that's the correct amount for the  
9 capital release?

10 MR. KHURRAM MASUD: Subject to check.

11 MS. KATHLEEN MCCANDLESS: So, that  
12 amount relative to the \$1.43 billion of motor vehicle  
13 written premium in 2022/'23 -- and if you'd like, I  
14 can take you to a reference, or you can accept that,  
15 subject to check, but that capital release would  
16 translate to about 5.54 percent, correct?

17 MR. KHURRAM MASUD: Subject to check.

18 MS. KATHLEEN MCCANDLESS: So, in other  
19 words, removal of the capital release provision would  
20 add 5.54 percent of premium back to the motor vehicle  
21 written premiums, correct?

22

23 (BRIEF PAUSE)

24

25 MS. CARA LOW: The capital release is

1 not a premium, it's releasing our capital. It does  
2 look like an applied discount, but it is not premium.

3 MS. KATHLEEN MCCANDLESS: Effectively  
4 though, what would happen is that the -- the ratepayer  
5 would be paying more to the tune of 5.54?

6 MS. CARA LOW: Bottom line, it does  
7 look like there's an increase.

8 MS. KATHLEEN MCCANDLESS: Okay.

9 MS. CARA LOW: But it was always put  
10 in there as a temporary measure in order to reduce our  
11 capital that was built up during COVID.

12 MS. KATHLEEN MCCANDLESS: Understood.  
13 And I understand the Corporation's position on that.  
14 Just trying to understand how that plays out in what  
15 ratepayers will ultimately have to pay in terms  
16 premiums.

17 So, if we combine the -- the .043  
18 percent -- sorry, .43 percent AAP rate decrease based  
19 on the nine (9) year bond duration yield and adjusted  
20 for seven (7) basis points to 4.24 percent, if we  
21 combine that with an impact of an increase of 5.54  
22 percent given removal of the capital release  
23 provision, that would translate to an overall  
24 effective -- or rate change of 5.11 percent increase,  
25 correct?

1 MR. KHURRAM MASUD: I'm not sure I  
2 followed that calculation.

3

4 (BRIEF PAUSE)

5

6 MS. KATHLEEN MCCANDLESS: Just to  
7 simplify it then, if we took the -- the .43 -- a .43  
8 AAP rate decrease and combined it with the impact of  
9 an increase of 5.54 percent resulting from removal of  
10 the capital release provision, that translates to an  
11 increase of point -- or 5.11 percent, correct, just  
12 that math?

13

14 (BRIEF PAUSE)

15

16 MS. CARA LOW: We're still struggling  
17 to follow the math. So, you're saying, with the  
18 capital release, it was minus 5.54. And now you're  
19 talking about the updated rate indication by using a  
20 ten (10) year -- nine (9) to ten (10) year duration  
21 gross of investment expenses?

22 MS. KATHLEEN MCCANDLESS: So, that --  
23 the rate decrease of negative -- or the rate decrease  
24 of .43 percent is based on the nine (9) year bond  
25 duration yield, and then adjusted for the seven (7)

1 basis points to get to 4.24 percent, okay. So, that -  
2 - that's how you get to the .43 AAP rate decrease.

3 So, I'm just -- you would accept that  
4 that's --

5 MS. CARA LOW: Yeah.

6 MS. KATHLEEN MCCANDLESS: -- that's  
7 what you would get to?

8 MS. CARA LOW: Yeah.

9 MS. KATHLEEN MCCANDLESS: Okay.

10 MS. CARA LOW: Yeah, correct.

11 MS. KATHLEEN MCCANDLESS: So, if you  
12 combine that with the impact of removing the capital  
13 release --

14 MS. CARA LOW: Oh, I see.

15 MS. KATHLEEN MCCANDLESS: -- that's a  
16 5.54 percent impact. So, simply, the math -- it would  
17 translate into an overall impact or rate change of  
18 5.11 percent?

19 MS. CARA LOW: I would accept that,  
20 but it would be what -- the bottom line of what the  
21 ratepayer is seeing, not their change to their rates,  
22 but I would accept that math, yes.

23 MS. KATHLEEN MCCANDLESS: Right. And  
24 so, I think that's just a question of how we're  
25 characterizing the impact of the removal of the

1 capital release. But the math, it works out to plus  
2 5.11 percent?

3 MS. CARA LOW: Yes.

4 MS. KATHLEEN MCCANDLESS: Okay. Thank  
5 you. So, if we again take a look at figure RM-20.  
6 And I think we should go to the first page of that  
7 again. And there's going to be some math on the fly  
8 here, so I apologize in advance, although you're much  
9 better equipped to do it than I am.

10 So, if we see how many overall vehicles  
11 have rate decreases of 6 percent or more, that would  
12 roughly -- that would likely be roughly comparable to  
13 the numbers -- number of vehicles that would see a  
14 premium decrease on renewal once the capital release  
15 provision has been removed?

16 MR. KHURRAM MASUD: Yeah. I would  
17 think so, yeah.

18 MS. KATHLEEN MCCANDLESS: Thank you.  
19 And so, this is where the math comes in.

20 So if we look at all vehicles combined,  
21 and we were to add up the percentage of vehicles who,  
22 according to RM-20, are seeing a premium decrease of 6  
23 percent or greater. So that would be adding 6 to 7  
24 percent up to the very top line there of 20 percent or  
25 more.

1                   That would add up to 19.25 percent of  
2 all vehicles?

3                   MR. KHURRAM MASUD:     With a decrease  
4 of more than 6 to 7 percent, yes, that would add up  
5 to.

6                   MS. KATHLEEN MCCANDLESS:   And assuming  
7 that the 13 percent would still see no change, that  
8 would mean about 67.75 percent would see a premium  
9 increase on renewal.   Correct?

10                  MR. KHURRAM MASUD:   Yeah, the -- the  
11 money that they would pay out would be -- yeah.  
12 That's -- that's the right --

13                  MS. KATHLEEN MCCANDLESS:   Thank you.

14                  MR. KHURRAM MASUD:   -- that's the  
15 right number.

16                  MS. KATHLEEN MCCANDLESS:   And then,  
17 for private passenger, doing the same calculation from  
18 6 -- 6 to 7 percent and up in terms of increases -- or  
19 decreases, pardon me, 19.8 percent would see a premium  
20 decrease and most of the rest would see an increase.

21                  Is that right?   Again, I'm just adding  
22 up 6 to 7 percent and above in terms of --

23                  MR. KHURRAM MASUD:   Yes.

24                  MS. KATHLEEN MCCANDLESS:   Thank you.  
25 The same calculation with respect to commercial

1 vehicles would result in 2.9 percent seeing a premium  
2 decrease with most of the rest seeing a premium  
3 increase?

4 MR. KHURRAM MASUD: That's correct.

5

6 (BRIEF PAUSE)

7

8 MS. KATHLEEN MCCANDLESS: For public,  
9 3 percent would see a premium decrease and most of the  
10 rest would see an increase, correct?

11 MR. KHURRAM MASUD: Yes.

12 MS. KATHLEEN MCCANDLESS: On the next  
13 page, for motorcycles, 2.7 percent would see a premium  
14 decrease and most of the rest would see a premium  
15 increase?

16 MR. KHURRAM MASUD: Yes.

17 MS. KATHLEEN MCCANDLESS: Thank you.

18

19 (BRIEF PAUSE)

20

21 MS. KATHLEEN MCCANDLESS: I'm now  
22 going to move into the interest impact on claims  
23 incurred. And if we go to figure CI-5 from the  
24 filing.

25

1 (BRIEF PAUSE)

2

3 MS. KATHLEEN MCCANDLESS: So in the  
4 filing, the assumed claims liability discount rate for  
5 2022/'23 was -- for Q4 of 2022/'23 -- was 3.55  
6 percent?

7 MS. CHERITY OSTAPOWICH: Correct.

8 MS. KATHLEEN MCCANDLESS: And then,  
9 Kristen, could we please jump to PUB-MPI-2-2, Appendix  
10 2?

11

12 (BRIEF PAUSE)

13

14 MS. KATHLEEN MCCANDLESS: For the same  
15 time period -- so on the left-hand column, at 2022/'23  
16 Q4, at line 15, the claims discount rate is shown as  
17 4.19 percent.

18 MS. CHERITY OSTAPOWICH: Correct.

19 MS. KATHLEEN MCCANDLESS: And that is  
20 the claims discount rate for 2022/'23 Q4 based on  
21 interest rates as at August 31, 2022?

22 MS. CHERITY OSTAPOWICH: Correct.

23 MS. KATHLEEN MCCANDLESS: This would  
24 translate into an increase of sixty-four (64) basis  
25 points?



1 MS. CHERITY OSTAPOWICH: Subject to  
2 check.

3 MS. KATHLEEN MCCANDLESS: Why is the  
4 claims discount rate lower than the marketable bond  
5 yield?

6 MS. CARA LOW: Could we defer that  
7 question to the Director of Investments at the  
8 investment panel? Because those numbers come from  
9 him.

10 MS. KATHLEEN MCCANDLESS: Yes, we can  
11 do that.

12 We also note that MUSH bonds -- and  
13 this may be for the investments panel, but I'll --  
14 I'll ask it. We note that MUSH bonds now have yields  
15 close to the marketable bond yield.

16 So does that mean if MUSH bonds were  
17 mark to market, they would now go down in value;  
18 whereas, in previous General Rate Applications, the  
19 expectation was that they would go up?

20 MS. CARA LOW: It's always going to  
21 depend on the point in time.

22

23 (BRIEF PAUSE)

24

25 MS. KATHLEEN MCCANDLESS: Now, with

1 respect to the interest rate impact on the investment  
2 income -- so that's shown on PF-5 of Exhibit 58.

3

4 (BRIEF PAUSE)

5

6 MS. KATHLEEN MCCANDLESS: So interest  
7 rate impact on investment income is seen at line 29.  
8 Correct?

9 MS. CARA LOW: Correct.

10 MS. KATHLEEN MCCANDLESS: And you  
11 would accept that the bond portfolio has a duration of  
12 about nine (9) years? It can take --

13 MS. CARA LOW: Yeah. Between nine (9)  
14 and ten (10), yes.

15 MS. KATHLEEN MCCANDLESS: And figure  
16 INV-2, from MPI Exhibit number 4.

17

18 (BRIEF PAUSE)

19

20 MS. KATHLEEN MCCANDLESS: INV-2,  
21 please.

22

23 (BRIEF PAUSE)

24

25 MS. KATHLEEN MCCANDLESS: Thank you.

1 So figure INV-2 show asset values for provincial and  
2 corporate bonds to be about \$1.8 billion. Correct?  
3 Do you see that on lines 3 and 4?

4 MS. CARA LOW: For which year are we  
5 looking at? Which column?

6 MS. KATHLEEN MCCANDLESS: We're  
7 looking at 2023/'24.

8 MS. CARA LOW: Yes, correct.

9 MS. KATHLEEN MCCANDLESS: And then, at  
10 MPI Exhibit 50, page 53. That's an update to figure  
11 INV-13. So MPI Exhibit 50, please. Thank you.

12 Page 53 of 55. Can we just scroll to  
13 the bottom of this page here. I think the PDF and the  
14 -- okay.

15 So the marketable bond yield has  
16 increased eighty-one (81) basis points from the 2023  
17 GRA to the rate update shown here. Correct? I -- I  
18 should be looking at 2022/'23, pardon me.

19 MS. CARA LOW: Sorry, and what was the  
20 question?

21 MS. KATHLEEN MCCANDLESS: So the  
22 marketable bond yield has increased eighty-one (81)  
23 basis points from the filing to the rate update as  
24 shown here?

25 MS. CARA LOW: Agreed. Yes.

1 MS. KATHLEEN MCCANDLESS: If we  
2 multiply three (3) numbers together -- so the change  
3 in yield times the duration, times market value -- so  
4 nine (9) -- nine (9) years duration times 1.8 roughly  
5 billion times eighty-one (81) basis points, we get  
6 about \$131 million? Subject to check?

7 MS. CARA LOW: Subject to check.  
8 Khurram has his calculator open, so.

9 MS. KATHLEEN MCCANDLESS: So \$1.8  
10 billion in -- in market value times nine (9) years in  
11 duration times eighty-one (81) basis points change in  
12 yield.

13

14 (BRIEF PAUSE)

15

16 MR. KHURRAM MASUD: Could you repeat  
17 that again?

18 MS. KATHLEEN MCCANDLESS: \$131  
19 million, roughly.

20 MS. CARA LOW: Agreed. Yes.

21 MS. KATHLEEN MCCANDLESS: Thank you.  
22 So then, can you explain why the interest rate impact  
23 on the investment income, that we saw at PF-5 of  
24 Exhibit 58, line 29 is only 124.4 million?

25 MS. CARA LOW: One (1) minute, please.

1

2

(BRIEF PAUSE)

3

4

MR. BYRON WILLIAMS: Madam Chair,  
could -- through you, just I -- I wonder, just for  
clarification, are we referring to the 2023/'24 year?

7

MS. KATHLEEN MCCANDLESS: If we scroll  
up to the top, then we'll see. Yeah. By '22/'23,  
pardon me, yes. Yeah.

10

MR. BYRON WILLIAMS: Thank you. Sorry  
for that interruption.

12

MS. KATHLEEN MCCANDLESS: That's fine.  
I was unclear.

14

MS. CARA LOW: Subject to check, we  
believe this is just rounding, because the duration is  
not exactly nine (9), and the ALM matches a -- a  
fairly strong match, but it's never going to be a  
hundred percent match.

19

20 CONTINUED BY MS. KATHLEEN MCCANDLESS:

21

MS. KATHLEEN MCCANDLESS: So, then  
would you accept that large movements in interest  
rates caused the impact to vary somewhat from the  
calculations? And -- and so --

25

MS. CARA LOW: Yes.

1 MS. KATHLEEN MCCANDLESS: -- given the  
2 matching of assets and liability durations, it's  
3 difficult to have a perfect match. That would explain  
4 --

5 MS. CARA LOW: You can have a close  
6 match, but not -- never a perfect match.

7 MS. KATHLEEN MCCANDLESS: So, it would  
8 be a -- a matching issue that would explain the impact  
9 on claims, liabilities being favourable at about -- of  
10 about 131 million and the impact on the investment  
11 portfolio, unfavourable, being 124.4 million.

12 MS. CARA LOW: Yes.

13 MS. KATHLEEN MCCANDLESS: Thank you.  
14 With respect to MPI Exhibit number 57, and I think  
15 we're looking at appendix 1. Thank you.

16 So, this schedule shows the rate  
17 indication table and the MCT percentage after rebate  
18 and Capital Management Plan. Yes?

19 MS. CARA LOW: Correct.

20 MS. KATHLEEN MCCANDLESS: So, line 2  
21 shows, with the capital release, that there would be -  
22 - the Capital Release Provision would be 4.86 percent.  
23 Correct?

24 MS. CARA LOW: Yes. That would be  
25 correct.

1 MS. KATHLEEN MCCANDLESS: And with the  
2 Capital Release Provision in the 2023/'24 rating year,  
3 the indicated MCT, on the right-hand side would be  
4 112.3 percent. Yes?

5 MS. CARA LOW: Yes.

6 MS. KATHLEEN MCCANDLESS: And then  
7 111.5 percent in 2024/'25.

8 MS. CARA LOW: Yes.

9 MS. KATHLEEN MCCANDLESS: And a 121  
10 percent in '25/'26?

11 MS. CARA LOW: Correct.

12 MS. KATHLEEN MCCANDLESS: So, if the  
13 Capital Release Provision was 5 percent instead of  
14 4.86 percent, the MCT would still remain above 100  
15 percent, based on the forecast provided. Correct?

16 MS. CARA LOW: That is correct.

17 MS. KATHLEEN MCCANDLESS: Thank you.  
18 Now moving to ratemaking --

19 MS. CARA LOW: Can I add one (1) more  
20 thing?

21 MS. KATHLEEN MCCANDLESS: Yes.

22 MS. CARA LOW: When we do our  
23 forecast, there is no increase in there at all for  
24 additional rate or any sustained inflation. So, we're  
25 always going to be assuming that the trends that we

1 have in our rate app, for the rating year, are going  
2 to be sustained going forward.

3 MS. KATHLEEN MCCANDLESS: Understood.  
4 Thank you.

5 So, in -- in the filing in RM appendix  
6 3 and I -- I don't think, 13, pardon me, I don't think  
7 we need to go there, but there are details about a  
8 request for proposal for generalized linear modeling  
9 with a submission deadline of June 20, 2022?

10 MS. CARA LOW: Sorry. Could you  
11 repeat that please?

12 MS. KATHLEEN MCCANDLESS: The --

13 MS. CARA LOW: Oh, yes. Yes. Yes.

14 MS. KATHLEEN MCCANDLESS: Yes? Okay.

15 MS. CARA LOW: Yeah.

16 MS. KATHLEEN MCCANDLESS: And it had  
17 an estimated date for finalization of the agreement  
18 and commencement of services of August of 2022.

19 Is that right?

20 MS. CARA LOW: Yes.

21 MS. KATHLEEN MCCANDLESS: Okay.

22 MS. CARA LOW: That is true.

23 MS. KATHLEEN MCCANDLESS: And was the  
24 request for proposal completed on schedule?

25 MS. CARA LOW: It was slightly



1 delayed, yes.

2 MS. KATHLEEN MCCANDLESS: Has a vendor  
3 been selected at this point?

4 MS. CARA LOW: A vendor has now been  
5 selected.

6 MS. KATHLEEN MCCANDLESS: And who is  
7 the vendor?

8 MS. CARA LOW: Willis Towers Watson.  
9 Willis Towers Watson.

10 MS. KATHLEEN MCCANDLESS: Thank you.  
11 And is there a project plan for -- for the generalized  
12 linear module available at this time?

13 MR. KHURRAM MASUD: Yes, there is.

14 MS. KATHLEEN MCCANDLESS: Could that  
15 be provided?

16 MR. KHURRAM MASUD: Yes, that can be  
17 provided.

18 MS. KATHLEEN MCCANDLESS: So, the  
19 undertaking would be for MPI to file the project plan  
20 for generalized linear module for ratemaking.

21 MR. ANTHONY GUERRA: Yes. Counsel,  
22 with the undertaking.

23

24 --- UNDERTAKING NO. 23: MPI to file the project  
25 plan for generalized

1 linear module for  
2 ratemaking.

3

4 CONTINUED BY MS. KATHLEEN MCCANDLESS:

5 MS. KATHLEEN MCCANDLESS: Thank you.

6 With respect to trending, if we go to RM-4.2.4 from  
7 the filing. Thank you.

8 This sets out the calculation of the  
9 overall required rate. Yes?

10 MR. KHURRAM MASUD: That is correct.

11 MS. KATHLEEN MCCANDLESS: The claims  
12 cost component, at line 15, of 690 is based on the  
13 frequency and severity trend assumptions from the  
14 claims incurred section of the GRA?

15 MR. KHURRAM MASUD: Okay. Yes, that's  
16 correct.

17 MS. KATHLEEN MCCANDLESS: Okay. If we  
18 scroll further to RM-4.3, there is discussion of the  
19 pure premium trends. Yes? They are discussed here.  
20 And those trends are used to calculate the indicated  
21 major class claims costs. Correct?

22 MR. KHURRAM MASUD: Yes. That's  
23 right.

24 MS. KATHLEEN MCCANDLESS: Then the  
25 major class claims cost are re-balanced to the overall

1 claims cost component of six ninety ten (69010), that  
2 we just looked at. Is that right?

3 MR. KHURRAM MASUD: Yeah.

4 MS. KATHLEEN MCCANDLESS: As such,  
5 then, the pure premium trends could be considered to  
6 determine the allocation of the overall claims costs  
7 to the major class level. Correct?

8 MR. KHURRAM MASUD: Yes, that is  
9 right.

10 MS. KATHLEEN MCCANDLESS: Thank you.  
11 And if we go to the response to PUB-MPI-2-45. Thank  
12 you. And just scrolling down a little bit, keep going  
13 please, Kristen.

14 And so based on MPI's response here, in  
15 general the pure premium trends are consistent with  
16 the claims trends in the claims incurred section, with  
17 the exception of property damage. Is that correct?  
18 We can scroll down a little bit more here. I believe  
19 there's some explanation.

20

21 (BRIEF PAUSE)

22

23 MR. KHURRAM MASUD: Can you repeat the  
24 question?

25 MS. KATHLEEN MCCANDLESS: Yes. So, in

1 general the pure premium trends are consistent with  
2 the claims trend in the claims incurred section with  
3 the exception of property damage.

4 Is that fair?

5 MR. KHURRAM MASUD: Yeah, that is  
6 correct.

7 MS. KATHLEEN MCCANDLESS: Thank you.  
8 Now, if we get into some of the selected severity  
9 trends and starting with one (1) of the coverages in  
10 which severity groups are used to select overall  
11 trends.

12 If we -- and we'll compare them to  
13 those calculated in PUB-MPI-2-34. So, first I'd like  
14 to go to figure CI-19.

15

16 (BRIEF PAUSE)

17

18 MS. KATHLEEN MCCANDLESS: Thank you.  
19 And so, this shows the index ultimate severity for  
20 accident benefits 'other', yes?

21 MS. CHERITY OSTAPOWICH: Yes.

22 MS. KATHLEEN MCCANDLESS: And the  
23 overall trend on the grouping is 2 percent?

24 MS. CHERITY OSTAPOWICH: Yes.

25 MS. KATHLEEN MCCANDLESS: At line 21.

1 And that's mainly based on the large number of smaller  
2 claims with an average severity of two (2)s to three  
3 thousand (3,000)?

4 MS. CHERITY OSTAPOWICH: Yes.

5 MS. KATHLEEN MCCANDLESS: And they had  
6 a severity trend of 2.01 percent, yes, at 19?

7 MS. CHERITY OSTAPOWICH: Yeah,  
8 correct.

9 MS. KATHLEEN MCCANDLESS: This trend  
10 does not include the impact of inflation, which is  
11 added on to the indicated trend.

12 Is that right?

13 MS. CHERITY OSTAPOWICH: Correct.  
14 Correct.

15 MS. KATHLEEN MCCANDLESS: And then if  
16 we go to figure 2 of PUB-MPI-2-34, thank you. And so,  
17 this compares to an indicated trend without grouping  
18 of negative .57 percent there, at line 20?

19 MS. CHERITY OSTAPOWICH: Correct.

20 MS. KATHLEEN MCCANDLESS: If we look  
21 at the average severity in column -- in the fourth  
22 column of this exhibit, so column C, it starts at  
23 around six thousand dollars (\$6,000) and it ends at  
24 around six thousand dollars (\$6,000) in 2019/'20 at  
25 line 17, more or less?

1 MS. CHERITY OSTAPOWICH: More or less.

2 MS. KATHLEEN MCCANDLESS: Looking at  
3 the average severity values, can you see a 2 percent  
4 trend in overall severity occurring or is it possible  
5 that a more likely estimate would be around 0 percent?

6

7 (BRIEF PAUSE)

8

9 MS. CARA LOW: As we're waiting on  
10 Cherity, I just want to point out this is the exact  
11 reason we created a business insight analytics team,  
12 because we understand that some of this trending  
13 analysis is very basic and we do want to be able to  
14 dig into it.

15 It's a very summarized exhibit that  
16 doesn't tell us a lot about the goodness of fit or the  
17 coverages under -- like within the groupings, so.

18

19 (BRIEF PAUSE)

20

21 MS. CARA LOW: Sorry, it's obviously  
22 not an easy answer. There's a lot of different  
23 factors going into this calculation and considerations  
24 that we haven't been able to deta -- explore in  
25 detail.

1                   There are large losses in here.  
2 There's a lot of uncertainty in the more immature  
3 years, because when people are injured, we don't know  
4 the cost of their claim for a long time, because we  
5 don't know exactly how they're going to do with their  
6 injuries and whether they're going to return to work  
7 and whatnot.

8                   So, there is a lot of uncertainty in  
9 here and we feel like we've selected the appropriate  
10 trend with the knowledge that we have.

11                   MS. KATHLEEN MCCANDLESS: Thank you  
12 for that. If we were to assume using a 0 percent  
13 trend, what would the -- before inflation, what would  
14 the impact be on the rate indication for accident  
15 benefits other indexed?

16                   MS. CARA LOW: We don't have the  
17 analysis completed.

18                   MS. KATHLEEN MCCANDLESS: Would you  
19 accept that given the number of years the trend is  
20 effective, the change in severity would be about 10  
21 percent?

22

23                   (BRIEF PAUSE)

24

25                   MS. CARA LOW: No, I don't think it

1 would be that large. You're saying instead of a 2  
2 percent increase, taking a 1 -- 0 percent trend for a  
3 very small piece of the claims that we are rating for.  
4 It would be -- yeah, it would not be material. There  
5 would be an impact.

6 MS. KATHLEEN MCCANDLESS: Okay. So,  
7 you would not accept that the change in severity would  
8 be about 10 percent?

9 MS. CARA LOW: Oh, the change in  
10 severity. Sorry, I thought you meant the change in  
11 the rate indication.

12 MS. KATHLEEN MCCANDLESS: No. Pardon  
13 me, the change in severity to be about 10 percent?

14 MS. CARA LOW: So -- oh, okay. Yes,  
15 that I would accept then. Sorry, I didn't understand  
16 the question.

17 MS. KATHLEEN MCCANDLESS: I probably  
18 didn't phrase it properly.

19 And -- and so, 10 percent of the rating  
20 year 2023/'24 discounted claims cost for accident  
21 benefits 'other' indexed would be, and we'd need to go  
22 to figure RM'2.

23 That would be 10 percent of...

24

25

(BRIEF PAUSE)



1 MS. KATHLEEN MCCANDLESS: Thank you.  
2 Here we are. So, it would be 10 percent of the 59.48  
3 million at line 6 in accident benefits 'other'  
4 indexed?

5 MS. CARA LOW: Correct.

6 MS. KATHLEEN MCCANDLESS: Okay. So,  
7 for about 5.95 million then, correct?

8 MS. CARA LOW: Correct.

9 MS. KATHLEEN MCCANDLESS: And so, if  
10 we took that roughly 6 million and divided it by the  
11 total number of insured units, which is shown on the  
12 next page, I believe, yes.

13 So, if we took that and divided it by  
14 the one million two hundred and seventy-six thousand  
15 four hundred and fifty-three million (1,263,453)  
16 units, that would be about four dollars and sixty-six  
17 cents (\$4.66) per vehicle?

18 MS. CARA LOW: The calculator is at  
19 work. Four dollars (\$4), yes.

20 MS. KATHLEEN MCCANDLESS: So, about  
21 .66 percent of the total of six ninety ten (69010),  
22 correct?

23

24 (BRIEF PAUSE)

25

1 MS. CARA LOW: About 6 percent, yeah,  
2 .6 percent -- .6 percent.

3 MS. KATHLEEN MCCANDLESS: And so a  
4 reduction of four dollars and sixty-six cents (\$4.66)  
5 in claims costs per vehicle would translate into how  
6 much of a change in the rate indication?

7 MS. CARA LOW: One (1) minute, please.

8

9 (BRIEF PAUSE)

10

11 MS. CARA LOW: Sorry. This may take a  
12 few minutes. We're updating the spreadsheet.

13 MS. KATHLEEN MCCANDLESS: Perhaps I'll  
14 -- I'll just continue with my questions, and when you  
15 have a response, if that's okay. Yeah. Okay.

16 Now, switching to collision total loss  
17 severity at PUB-MPI-2-38, first to the preamble. And  
18 so that just recites what was provided in the 2022 GRA  
19 in the first two (2) paragraphs here.

20 So you would agree that, in the 2022  
21 GRA, MPI estimated the collision total loss severity  
22 growth rate for 2022/'25 -- '22 to '25 to be 4.25  
23 percent?

24 MS. CHERITY OSTAPOWICH: Correct.

25 MS. KATHLEEN MCCANDLESS: And that was

1 based on 2015 to 2019?

2

3

(BRIEF PAUSE)

4

5

MS. KATHLEEN MCCANDLESS: If we can  
6 just scroll down, I believe that should provide some  
7 assistance to you.

8

9

(BRIEF PAUSE)

10

11

MS. CHERITY OSTAPOWICH: Yes, 2015 to  
12 2019.

13

MS. KATHLEEN MCCANDLESS: Thank you.  
14 And in the 2022 October updated, selected trend was --  
15 was 2.26 percent, and that was based on 2016 to 2022?  
16 We can go back up.

17

MS. CHERITY OSTAPOWICH: Yes, that's  
18 correct.

19

MS. KATHLEEN MCCANDLESS: Okay. And  
20 keep going to the preamble. Thank you.

21

And now in this GRA, the selected trend  
22 is 6 percent based on the average of the three (3)  
23 changes from 2019 -- 2018/'19 to 2021/'22?

24

MS. CHERITY OSTAPOWICH: Yes.

25

MS. KATHLEEN MCCANDLESS: Was there

1 any change in the selected trend in the rate update?

2 MS. CHERITY OSTAPOWICH: No. None --  
3 none of the trends changed in the rate update.

4 MS. KATHLEEN MCCANDLESS: Would MPI  
5 agree that the selected trend appears to be very  
6 volatile and highly dependent on a small number of  
7 data points?

8 MS. CHERITY OSTAPOWICH: Can you  
9 repeat the question? Sorry.

10 MS. KATHLEEN MCCANDLESS: Would you  
11 agree that the selected trend appears to be very  
12 volatile and highly dependent on a small number of  
13 data points?

14 MS. CHERITY OSTAPOWICH: No. No.

15 MS. KATHLEEN MCCANDLESS: Would you  
16 agree that the selected trend -- it's a bit of a  
17 compound question. Would you agree that it appears to  
18 be volatile?

19

20 (BRIEF PAUSE)

21

22 MS. CHERITY OSTAPOWICH: It can be  
23 volatile, yes. There is a lot of uncertainty around  
24 it 'cause of supply chain issues and all the things  
25 that are going on in inflation.

1 MS. KATHLEEN MCCANDLESS: You are  
2 aware of the evidence provided by Oliver Wyman on  
3 behalf of CAC?

4 MS. CHERITY OSTAPOWICH: Yes.

5 MS. KATHLEEN MCCANDLESS: And you're  
6 aware that their recommended severity trend was based  
7 on 2015/'16 to 2021/'22, yes?

8 MS. CHERITY OSTAPOWICH: Yes.

9 MS. KATHLEEN MCCANDLESS: Using a log  
10 linear approach generating an indicated 3.8 percent  
11 trend?

12 MS. CHERITY OSTAPOWICH: Yes.

13 MS. KATHLEEN MCCANDLESS: And you're  
14 also aware that Oliver Wyman recommended not starting  
15 from a single point, correct?

16 MS. CHERITY OSTAPOWICH: Yes.

17 MS. KATHLEEN MCCANDLESS: And MPI's  
18 collision claims for 2022/'23 just decreased by \$48  
19 million, correct?

20 MS. CHERITY OSTAPOWICH: Subject to  
21 check.

22 MS. KATHLEEN MCCANDLESS: Does MPI  
23 have any views on the reasonableness of Oliver Wyman's  
24 alternate trend model?

25

1 (BRIEF PAUSE)

2

3 MS. CARA LOW: Sorry. Yeah, we're  
4 well aware of the Oliver Wyman study. There is  
5 different ways of doing trend analysis. Where there's  
6 disconnect we feel is in understanding the business.

7 So at MPI, we do talk to our claims  
8 team. We know that there's issues with total losses.  
9 People are not able to buy new cars, and so therefore  
10 they're negotiating to keep their current vehicles.  
11 There are supply issues. Prices are skyrocketing.

12 So if anything, we think the total loss  
13 severity claim is understated at this point, and so we  
14 are selecting trends for the ratemaking years, so the  
15 rating year. And, yes, it is going to be volatile,  
16 but we think it's applicable, if not understated,  
17 trend needed for the appropriate rating year.

18 MS. KATHLEEN MCCANDLESS: If average  
19 severity for total losses was based on the alternative  
20 estimate, so about 10 percent lower than the current  
21 estimate, would you agree that this would translate to  
22 about twenty-three dollars (\$23) lower costs per  
23 vehicle? And I can --

24 MS. CARA LOW: If -- if trends are  
25 going down, it's going to make the indication go down.

1 If trends are going to go up, it's going to make the  
2 indication go up. We could do these scenarios.  
3 They're very hard to update big spreadsheets on the  
4 fly, but if you need us to run some scenarios, we can  
5 run some scenarios.

6 MS. KATHLEEN MCCANDLESS: So, my  
7 question would be: How much of a change in the rate  
8 indication would a reduction of twenty-three dollars  
9 (\$23) of collision claims costs be?

10 MS. CARA LOW: It would take us a  
11 little while to do that. But we do have the answer to  
12 the previous question now.

13 MS. KATHLEEN MCCANDLESS: Excellent.  
14 Thank you. If you wanted to give the previous answer,  
15 that would be helpful.

16 MR. KHURRAM MASUD: So, if we did  
17 reduce the claims cost by four dollars (\$4) per  
18 vehicle, that results in a decrease of forty-six (46)  
19 basis points on the indicated rate. That's .46  
20 percent.

21 And can you repeat the new question so  
22 I can get going?

23 MS. KATHLEEN MCCANDLESS: How much of  
24 a change in the rate indication would a reduction of  
25 twenty-three dollars (\$23) of collision claims costs

1 be?

2 MR. KHURRAM MASUD: Oh.

3 MS. KATHLEEN MCCANDLESS: That may  
4 take a while, as well, I'm assuming. So, we'll just -  
5 - we can wait to have that answered on the record  
6 later on today if that's fine.

7 MR. KHURRAM MASUD: About the same  
8 amount of time, yeah.

9

10 (BRIEF PAUSE)

11

12 MS. KATHLEEN MCCANDLESS: Now moving  
13 to the alternative rate indication based on claims  
14 duration by major class. So, MPI Exhibit 5, figure RM  
15 APP 11-1, please, Kristen.

16

17 (BRIEF PAUSE)

18

19 MS. KATHLEEN MCCANDLESS: Thank you.  
20 And I think we're going to page 2. Scroll down a  
21 little bit more. Yes. Thank you.

22 So, figure RM APP 11-1 indicates that  
23 the duration of claims liabilities by major class is  
24 all between nine (9) and ten (10) years for classes  
25 other than trailers, correct, line 5 --



1 MS. CARA LOW: Yeah.

2 MS. KATHLEEN MCCANDLESS: -- being  
3 trailers?

4 MS. CARA LOW: Correct.

5 MS. KATHLEEN MCCANDLESS: And so, the  
6 impact of using the duration of claims liabilities by  
7 major class to select the new money yield is minimal.  
8 Is that right?

9 MS. CARA LOW: That is correct because  
10 these are numbers sitting on our balance sheet, so  
11 it's a buildup of long-term PIPP claims regardless of  
12 what type of vehicle they were in.

13 MS. KATHLEEN MCCANDLESS: And then at  
14 PUB-MPI-1-8, MPI provided the results of an alternate  
15 indication using collision claim accounts to spread  
16 large losses by vehicle type.

17 Is that right?

18 MS. CARA LOW: Correct. Yes.

19 MS. KATHLEEN MCCANDLESS: And I don't  
20 think we actually need to go through that IR response.  
21 I would like to jump to PUB-MPI-2-4, please.

22

23 (BRIEF PAUSE)

24

25 MS. KATHLEEN MCCANDLESS: Thank you.

1 And let's scroll down to the responses. So, MPI was  
2 asked here with respect to advantages of using the  
3 alternative methodology.

4 And one (1) advantage was that it  
5 allocates serious losses across all segments of the  
6 business, yes?

7 MR. KHURRAM MASUD: That's correct,  
8 yeah.

9 MS. KATHLEEN MCCANDLESS: Phrased  
10 another way, it recognizes the potential for a large  
11 loss to occur in any segment of the business, correct?

12 MR. KHURRAM MASUD: It -- it assumes  
13 that, yes, it's across the business irrespective of  
14 the actual loss experience.

15 MS. KATHLEEN MCCANDLESS: One (1) of  
16 the disadvantages noted by MPI is that MPI sees that  
17 some segments may be more prone to serious losses than  
18 others, right?

19 MR. KHURRAM MASUD: That's correct,  
20 yeah.

21 MS. KATHLEEN MCCANDLESS: Does MPI  
22 have any thoughts on how the methodology could  
23 recognize that some segments may be more prone to  
24 serious losses than others?

25 MR. KHURRAM MASUD: This is something

1 that is in consideration and we may look to review in  
2 the future GRAs, but for sure it's in our radar.

3 MS. KATHLEEN MCCANDLESS: Currently,  
4 the methodology is based on the number of collision  
5 claims and vehicle type.

6 What other criteria would MPI add to  
7 the methodology?

8 MR. KHURRAM MASUD: There could be --  
9 there could be several judgment and qualitative  
10 aspects to that, as well, so I would perhaps just --  
11 yeah, just give me a second.

12

13 (BRIEF PAUSE)

14

15 MR. KHURRAM MASUD: Another aspect  
16 could be credibility rating, so if -- in case the  
17 experience is not large enough we attached a smaller  
18 credibility. There are other weighting methods as  
19 well, that we can potentially look into.

20 MS. KATHLEEN MCCANDLESS: And are you  
21 able at a high level to outline some of those?

22 MR. KHURRAM MASUD: One (1) that comes  
23 to mind is using severity and frequency using  
24 (INDISCERNIBLE) distribution. It's typically used in  
25 capital modelling. It could potentially be used for

1 pricing, as well, in case the data is scarce.

2 MS. KATHLEEN MCCANDLESS: Would a  
3 weighting between the existing methodology and the  
4 alternative methodology manage the advantages and  
5 disadvantages that MPI sees?

6 MR. KHURRAM MASUD: Not necessarily.

7 MS. KATHLEEN MCCANDLESS: Would that  
8 weighting recognize actual large losses in a given use  
9 and territory and also reflect a potential for large  
10 losses in all uses in territories?

11 MR. KHURRAM MASUD: It does combine  
12 the two (2) matters, yeah.

13 MS. KATHLEEN MCCANDLESS: And if we  
14 were to look at combining the two (2) methods, would a  
15 50/50 weighting seem to be reasonable?

16 MR. KHURRAM MASUD: I would not  
17 imagine a 50 -- a direct 50/50 would be reasonable, so  
18 I think there should be more -- some -- some more  
19 numerical analysis before we assess on what should be  
20 the right credibility.

21 MS. KATHLEEN MCCANDLESS: Thank you.  
22 With respect to COVID-19 impact, we know that MPI has  
23 assumed a 5 percent reduction in claims frequency for  
24 collision, weekly indemnity, accident benefits, other  
25 indexed, bodily injury, and property damage due to

1 expected permanent changes in driving behaviour for  
2 2022/'23 fiscal years and thereafter, correct?

3 MR. KHURRAM MASUD: That is right.

4 MS. KATHLEEN MCCANDLESS: This is  
5 about -- this 5 percent is about half the observed  
6 reduction in collision claims frequency in 2021/'22,  
7 correct?

8

9 (BRIEF PAUSE)

10

11 MR. KHURRAM MASUD: 2022.

12 MS. KATHLEEN MCCANDLESS: So, the  
13 answer is 'yes'?

14 MR. KHURRAM MASUD: Yes.

15 MS. KATHLEEN MCCANDLESS: And if we go  
16 to figure CI10, please.

17

18 (BRIEF PAUSE)

19

20 MS. KATHLEEN MCCANDLESS: Thank you.

21 So, the magnitude of this reduction is what we see at  
22 figure CI-10. And it is -- on the right-hand side  
23 under, 'Totals', we see the magnitude is approximately  
24 \$35 million to 35 -- \$39 million for each of '22/'23  
25 to 2024/'25?

1 MR. KHURRAM MASUD: Yes. That is  
2 correct, yeah.

3 MS. KATHLEEN MCCANDLESS: And based on  
4 experience so far in 2022/'23, does MPI have any  
5 insights as to the reasonableness of this assumption?

6 MS. CARA LOW: Yeah. We know the  
7 frequency continues to be lower than the 5 percent  
8 adjustment, but we were still uncertain terms --  
9 times, I should say. Even coming into work most days  
10 there's more traffic.

11 We do know that ICBC and SGI are seeing  
12 very similar decreases in their collision frequency.  
13 And they're also being very conservative in dropping  
14 the collision frequency.

15 MS. KATHLEEN MCCANDLESS: So, when you  
16 say lower than the 5 percent, what you mean is that  
17 the collision claims frequency is actually understated  
18 by using the 5 percent, is that fair, in some --

19 MS. CARA LOW: Overstated. Like,  
20 we're assuming collision frequency is 5 percent lower  
21 because people working from home. It could actually  
22 be even -- it could go lower than that if we were to  
23 base it on today's claims.

24 MS. KATHLEEN MCCANDLESS: Okay.

25 MS. CARA LOW: But we don't expect

1 today's claims are necessarily going to be reflective  
2 of tomorrow's claims.

3 MS. KATHLEEN MCCANDLESS: With respect  
4 to IFRS 17, risk adjustments, does a higher or lower  
5 selected percentile for risk adjustment provide any  
6 benefit to the policyholder?

7

8 (BRIEF PAUSE)

9

10 MS. CARA LOW: IFRS 17, again, it's an  
11 accounting presentation. It doesn't impact  
12 ratemaking. In the end, we have the same product.  
13 We're paying all the same claims. And we need to  
14 collect enough premium to pay for the claims in the  
15 rating year.

16 Does it provide Manitobans comfort that  
17 we have enough money to pay claims? Yes, it does.

18 MS. KATHLEEN MCCANDLESS: A lower  
19 percentile would reduce the carried liabilities for  
20 incurred claims?

21 MS. CARA LOW: That would be true.

22 MS. KATHLEEN MCCANDLESS: And that  
23 would increase the equity, correct?

24 MS. CARA LOW: Correct.

25 MS. KATHLEEN MCCANDLESS: And that

1 would, in turn, increase the likelihood or amount of a  
2 rebate?

3 MS. CARA LOW: Correct.

4 MS. KATHLEEN MCCANDLESS: What --

5 MS. CARA LOW: It also increases a  
6 probability of not having enough money to pay for past  
7 claims.

8 MS. KATHLEEN MCCANDLESS: Understood.  
9 What benefit is given to the policyholder by using the  
10 higher percentile, given your testimony that it does  
11 not affect the amount of capital that MPI needs to  
12 carry to protect against reserve misestimation?

13 MS. CARA LOW: Sorry, could you repeat  
14 that?

15 MS. KATHLEEN MCCANDLESS: So in your  
16 earlier testimony, you stated that a higher percentile  
17 does not affect the amount of capital that the Company  
18 needs to carry to protect against reserve  
19 misestimation. Yes?

20 MS. CARA LOW: Yeah.

21 MS. KATHLEEN MCCANDLESS: So with that  
22 in mind then, what benefit does the policyholder gain  
23 from selecting a higher risk adjustment percentile?

24

25 (BRIEF PAUSE)



1 MS. CARA LOW: The risk adjustment  
2 doesn't impact rating, but it does impact capital  
3 release, capital build. And the last thing we want to  
4 be doing is doing a capital build because we have to  
5 go back to the ratepayers and say, We don't have  
6 enough money to pay past claims.

7 Overall, we're booking -- I think we  
8 talked about this yesterday -- to a ninetieth (90th)  
9 percentile is what was selected for the risk  
10 adjustment. When we talk about our capital position,  
11 we need it for other risks, like market risk,  
12 liquidity risks. We also want to book to a higher  
13 percentile in our RSR.

14 MS. KATHLEEN MCCANDLESS: Does a  
15 higher or lower selected percentile for risk  
16 adjustment provide any benefit to the Corporation?

17 And if so, can you explain?

18 MS. CARA LOW: Higher or lower --  
19 sorry?

20 MS. KATHLEEN MCCANDLESS: Risk  
21 adjustment profile -- or risk adjustment -- percentile  
22 for risk adjustment. So the benefit of the higher  
23 would be what to the Corporation?

24 MS. CARA LOW: All we're -- by doing a  
25 higher percentile, you're taking out a retained

1 earnings and you're putting into the claims  
2 liabilities. Because it's saying that there is known  
3 uncertainty in the claims liability. So these are the  
4 past claims.

5 And we want to ensure that we have  
6 enough money to pay for past claims. So we're  
7 ensuring that there's financial stability and,  
8 therefore, rate stability, so we don't have to go with  
9 a capital build.

10 MS. KATHLEEN MCCANDLESS: How does the  
11 risk adjustment increase the possibility of a capital  
12 build? You had mentioned you wouldn't want to have to  
13 go to a capital build.

14 So can you explain the impact of the  
15 risk adjustment percentile on the possibility of a  
16 capital build?

17 MS. CARA LOW: There will be less --  
18 there's more certainty that there's enough money  
19 sitting in liabilities, so we won't have to dip into  
20 the RSR in order to cover past claims.

21 MS. KATHLEEN MCCANDLESS: Would a  
22 lower percentile for risk adjustment reduce the  
23 likelihood that a portfolio is deemed onerous?

24

25

(BRIEF PAUSE)

1 MS. CARA LOW: Sorry, can you repeat  
2 the question?

3 MS. KATHLEEN MCCANDLESS: Would a  
4 lower percentile for risk adjustment reduce the  
5 likelihood that a portfolio is deemed onerous?

6 MS. CARA LOW: The onerosity  
7 calculation is always going to be on our best  
8 expectations. And whether we believe the -- whether  
9 we believe there's going to be profitability or not.

10 MS. KATHLEEN MCCANDLESS: And just --  
11 just to be clear. So what is the benefit of selecting  
12 a high percentile, such as 90 percent?

13 MS. CARA LOW: To ensure there's  
14 enough money in our liabilities to pay for past  
15 claims. Because there are PIPP benefits that can be  
16 paid out for a long time. There's a lot of  
17 uncertainty. There's -- we're uncertain how long  
18 someone's going to survive. Uncertain what the  
19 inflation is going to look like. You never know if  
20 someone's going to return to PIPP benefits because of  
21 their injuries. There's a lot of uncertainty.

22 And so, it's saying that there's enough  
23 money to pay for claims for Manitobans who have been  
24 injured.

25 MS. KATHLEEN MCCANDLESS: Why is the

1 selection of a risk adjustment that is equal to the  
2 current provision for adverse deviation considered an  
3 appropriate choice?

4 MS. CARA LOW: One (1) minute, please.

5

6 (BRIEF PAUSE)

7

8 MS. CARA LOW: Currently, there is  
9 agreement between the appointed actuary and the in-  
10 house actuarial team and the management that our  
11 claim's PfAD is sufficient. So the thinking, when I  
12 went to the risk committee of the Board, is that we  
13 wanted something very similar because they were very  
14 comfortable with it.

15 And when you read the IFR-17 standards,  
16 your risk adjustment is based on the risk of the  
17 Corporation and the -- what the entity feels like it  
18 should be accepting for risk.

19 MS. KATHLEEN MCCANDLESS: What does  
20 the selected confidence level affect other than the  
21 amount of retained earnings?

22 MS. CARA LOW: Available capital,  
23 which is your retained earnings. And then, of course,  
24 your MCT calculation.

25 MS. KATHLEEN MCCANDLESS: And I -- I

1 think I'm just about to wrap up.

2                   So I just wanted to take you back to  
3 our discussion about the 5 percent assumption.

4 Because I'm not sure it was clear based on the way I  
5 asked the question.

6                   But my understanding is that, based on  
7 experience to date, for 2022/'23, that the savings  
8 estimated or forecasted by MPI, based on working from  
9 home, are actually greater than what was forecasted.

10                   Is that right?

11

12                                   (BRIEF PAUSE)

13

14                   MS. CARA LOW:    So to date, yes.  But  
15 we haven't had our winter months yet, so it's only --  
16 you know, it would be seasonality.  Affected by  
17 seasonality.

18                   MS. KATHLEEN MCCANDLESS:  But to date,  
19 compared to the same months, you're -- you're -- you  
20 underestimated as opposed to savings.

21

22                                   (BRIEF PAUSE)

23

24                   MS. CARA LOW:    Can you repeat the  
25 question?

1 MS. KATHLEEN MCCANDLESS: So you had  
2 mentioned that we haven't entered into the winter  
3 months yet. But my question is: Based on experience  
4 to date, for the same time period, is it -- have the  
5 savings been underestimated?

6 MS. CARA LOW: Yes. So we said 5  
7 percent work from home and, so far, it is lower than  
8 the 5 percent.

9 MS. KATHLEEN MCCANDLESS: And I do  
10 have one (1) final question. And it's likely for Ms.  
11 Low. It just follows on our previous discussion of  
12 risk adjustment.

13 So in the calculation of loss  
14 component, the selected risk adjustment is used in the  
15 calculation. And higher risk adjustment results in a  
16 greater chance of a loss component being needed.

17 Is that correct?

18 MS. CARA LOW: So you're talking about  
19 the onerous calculation.

20 MS. KATHLEEN MCCANDLESS: Yes.

21 MS. CARA LOW: Yes, that would be  
22 true.

23 MS. KATHLEEN MCCANDLESS: Thank you.  
24 Those are all my questions for this panel.

25 THE PANEL CHAIRPERSON: Thank you, Ms.

1 McCandless.

2

3

(BRIEF PAUSE)

4

5 THE PANEL CHAIRPERSON: We'll take our  
6 noon hour break now. Could we, please, come back at  
7 1:15. Thank you.

8

9 --- Upon recessing at 12:11 p.m.

10 --- Upon resuming at 1:15 p.m.

11

12 THE PANEL CHAIRPERSON: Good  
13 afternoon. Everyone appears to be back. It's not  
14 quite 1:15. Mr. Guerra, are you ready to go?

15 MR. ANTHONY GUERRA: Yes, I believe we  
16 are, Madam Chair.

17 THE PANEL CHAIRPERSON: Thank you.  
18 Mr. Williams...?

19 DR. BYRON WILLIAMS: Yes, and lest I  
20 forget, I'll indicate that, while I'll be doing the  
21 bulk of the cross, my colleague, Mr. Klassen, will be  
22 batting cleanup. And good afternoon to the Panel.

23 THE PANEL CHAIRPERSON: Thank you.

24

25 CROSS-EXAMINATION BY DR. BYRON WILLIAMS:

1 DR. BYRON WILLIAMS: And it's a  
2 pleasure to meet you, Ms. Ostapowich, and I'm going to  
3 work on my pronunciation. We'll talk offline on that,  
4 okay? And Mr. Masud, it's nice to meet you as well.

5 As always, my questions will be kind of  
6 aimed at Ms. Low, and then you guys can -- you folks  
7 can figure out who -- who to answer.

8 And, Ms. Schubert, we're not going to  
9 go there quite yet, but perhaps you can pull up Figure  
10 CI-14 from the General Rate Application.

11 And, Ms. Low, at a very high level --  
12 we're not going to CI-14 yet. I just did that to  
13 distract you just for a second.

14 But at a high level, when we think of  
15 Manitoba Public Insurance developing its forecast of  
16 claims incurred, I'll suggest to you that it  
17 essentially undertakes a two (2) part process, with  
18 the first being the weighting of the historical exter  
19 -- historical experience period, and the second being  
20 the application of a trend to pro -- to project that  
21 historical weighted average into the future.

22 Would that be fair?

23 MS. CARA LOW: One (1) minute, please.

24

25 (BRIEF PAUSE)



1 MS. CARA LOW: The weighting doesn't  
2 always apply. It depends on which coverage you're  
3 talking about. Why I wanted to confirm.

4 DR. BYRON WILLIAMS: Okay. So at a  
5 high level, it's a two (2) -- two (2) part process.  
6 First of all, you take a look at the historical  
7 period, and then you try to project the trend into the  
8 future, agreed?

9 MS. CARA LOW: That would be correct,  
10 yes.

11 DR. BYRON WILLIAMS: Okay. Thank you.  
12 And Manitoba Public Insurance does that separately for  
13 frequency and for severity, agreed?

14 MS. CARA LOW: Correct, yes.

15 DR. BYRON WILLIAMS: Thank you. And  
16 we are going to go in a couple of minutes both to  
17 weekly indemnity and to collision, but I do want to  
18 just start to make sure we're on the same page  
19 definitionally, if that's a word, in terms of  
20 definitions, in any event.

21 And at a really high kind of parenthood  
22 level, you would agree that a regression model is a  
23 statistical model that estimates the relationship  
24 between one (1) dependent variable and one (1) or more  
25 independent variables, agreed?

1 MS. CARA LOW: Agreed.

2 DR. BYRON WILLIAMS: And, for example,  
3 in the case of Manitoba Public Insurance, the  
4 dependent variable could be severity, correct?

5 MS. CARA LOW: Correct.

6 DR. BYRON WILLIAMS: And the  
7 independent variable is often time.

8 MS. CARA LOW: Correct.

9 DR. BYRON WILLIAMS: Okay. And when  
10 we undertake that regression analysis, that helps us  
11 to determine a trend rate, which is a change from  
12 period to period, correct?

13 MS. CARA LOW: Correct.

14 DR. BYRON WILLIAMS: And in terms of  
15 the term 'a regression line', that would be -- you'd  
16 accept a definition of that as a straight line that  
17 describes how a response or dependent variable changes  
18 as a consequence of the explanatory or independent  
19 variable, agreed?

20 MS. CARA LOW: Agreed.

21 DR. BYRON WILLIAMS: And when we do  
22 undertake regression analysis, we're trying to  
23 determine the best fit to explain a set of data  
24 observations, agreed?

25 MS. CARA LOW: Agreed.

1 DR. BYRON WILLIAMS: Yeah. And when  
2 it comes to the amazing tool kit of actuaries,  
3 regression analysis is an important tool for property  
4 and casualty insurers.

5 MS. CARA LOW: Yes.

6 DR. BYRON WILLIAMS: And it would be  
7 fair to say that linear models are commonly used in  
8 the actuarial determination of trend rates.

9 MS. CARA LOW: Yes.

10

11 (BRIEF PAUSE)

12

13 DR. BYRON WILLIAMS: And going back to  
14 that concept of a trend rate for a second, it  
15 basically measures the change in a value; for example,  
16 severity from period to period, i.e., year 1 to year  
17 2. Agreed?

18 MS. CARA LOW: Agreed.

19 DR. BYRON WILLIAMS: And of course, we  
20 can estimate a trend rate from a regression model,  
21 correct?

22 MS. CARA LOW: That's true.

23 DR. BYRON WILLIAMS: And you'd agree  
24 as well that there are different types of regression  
25 models, agreed?

1 MS. CARA LOW: Yes.

2 DR. BYRON WILLIAMS: And at a high  
3 level, if we use the term -- or if I use the term  
4 'linear regression', that's an approach that considers  
5 change on an amount basis, agreed?

6 MS. CARA LOW: Agreed.

7 DR. BYRON WILLIAMS: And just for  
8 example, if we were trying to do a simple interest  
9 model and modelling the growth of money over a three  
10 (3) year period using an annual ten (10) -- ten dollar  
11 (\$10) growth factor, that would be a linear regression  
12 type of analysis.

13 MS. CARA LOW: Agreed.

14 DR. BYRON WILLIAMS: Yeah. And if we  
15 want to contrast that with log linear or exponential,  
16 it would be fair to say that a log linear regression  
17 model, it models percentage change over time, correct?

18 MS. CARA LOW: That would be correct.

19 DR. BYRON WILLIAMS: Again, if we were  
20 using a financial example, we -- that would be like  
21 compound interest, agreed?

22 MS. CARA LOW: Agreed.

23 DR. BYRON WILLIAMS: Just to make sure  
24 we're clear on this point, linear and log linear  
25 relationships differ in the way that the 'Y' values,

1 the dependent variational -- variable, changes when the 'X'  
2 values increase by a constant amount, agreed?

3 MS. CARA LOW: Agreed.

4 DR. BYRON WILLIAMS: And again, in a  
5 linear relationship, the 'Y' values have equal  
6 differences?

7 MS. CARA LOW: Correct.

8 DR. BYRON WILLIAMS: And in an  
9 exponential or log linear relationship, the 'Y' values  
10 have equal ratios --

11 MS. CARA LOW: Yes.

12 DR. BYRON WILLIAMS: -- percentages.

13 MS. CARA LOW: That would be correct.

14 DR. BYRON WILLIAMS: And we're agreed  
15 that simple averages are not a form of regression  
16 analysis, agreed?

17 MS. CARA LOW: Agreed.

18 DR. BYRON WILLIAMS: And at a high  
19 level -- probably at more than a high level -- you're  
20 familiar with the term 'least squares method'?

21 MS. CARA LOW: Yes.

22 DR. BYRON WILLIAMS: And so when we're  
23 trying to determine fit, you would agree that the  
24 least squares method is a commonly used statistical  
25 procedure to find the best fit for a set of data

1 points.

2 MS. CARA LOW: Correct, yes.

3 DR. BYRON WILLIAMS: Lest I go beyond  
4 my empirical limits, you'd also agree, Ms. Low, that  
5 there is judgment involved in fitting a regression  
6 model, agreed? I can give you some examples if you'd  
7 like.

8 MS. CARA LOW: No. That would be  
9 true.

10 DR. BYRON WILLIAMS: Okay.

11 MS. CARA LOW: The number of data  
12 points to include would be an example.

13 DR. BYRON WILLIAMS: Yeah. And so you  
14 might use that judgment in the number of data points  
15 or in the set of specific data points to be included  
16 or -- or included --

17 MS. CARA LOW: Agreed.

18 DR. BYRON WILLIAMS: -- excluded --

19 MS. CARA LOW: Yeah.

20 DR. BYRON WILLIAMS: -- agreed? And  
21 you might use judgment in selecting the relationship  
22 between the dependent and the independent variable,  
23 whether you approach it from a linear or log linear  
24 perspective, agreed?

25 MS. CARA LOW: Agreed.

1 DR. BYRON WILLIAMS: And you might use  
2 judgment in the interpretation of statistical results,  
3 agreed?

4 MS. CARA LOW: Very true, yeah.

5 DR. BYRON WILLIAMS: At this point in  
6 time, I'm not going to ask you to define these terms--

7 MS. CARA LOW: Good.

8 DR. BYRON WILLIAMS: -- but you are  
9 familiar with the meaning of the term 'P value'?

10 MS. CARA LOW: Yes.

11 DR. BYRON WILLIAMS: Okay. And of  
12 course, you're familiar with the term R-squared?

13 MS. CARA LOW: Yes.

14 DR. BYRON WILLIAMS: And, of course,  
15 the -- the much loved -- you're familiar with the much  
16 loved adjusted R-squared?

17 MS. CARA LOW: Yes.

18 DR. BYRON WILLIAMS: And you would  
19 agree that these are statistics that provide  
20 information about the goodness of fit of the model?

21 MS. CARA LOW: I would agree.

22 DR. BYRON WILLIAMS: And these  
23 statistics, being p-value, R-squared, adjusted R-  
24 squared, can provide information to support our  
25 judgment in -- in looking at regression analysis?

1 MS. CARA LOW: Exactly. Yes.

2 DR. BYRON WILLIAMS: And, of course,  
3 these statistics, such as p-value, et cetera, can  
4 provide information regarding the predictive value of  
5 the model, agreed?

6 MS. CARA LOW: The goodness of fit,  
7 not necessarily how predictive it is. No one knows  
8 what's going to happen in the future.

9 DR. BYRON WILLIAMS: So, in terms of  
10 p-value, R-squared, adjusted R-squared, it gives  
11 insight into the goodness of fit, agreed?

12 MS. CARA LOW: Yes, agreed.

13 DR. BYRON WILLIAMS: Okay. Thank you  
14 for that clarification. Okay. There's figure C-14,  
15 weekly indemnity ultimate losses.

16 And, Ms. Low, at a high level, this  
17 section and this figure presents the development of  
18 accident year ultimate losses for weekly indemnity,  
19 agreed?

20 MS. CARA LOW: Agreed.

21 DR. BYRON WILLIAMS: And if we go to  
22 lines number 1 through 15 on the left-hand side, they  
23 capture data for different accident years between  
24 2007/'08 and 2021/'22, agreed?

25 MS. CARA LOW: Agreed.



1 DR. BYRON WILLIAMS: And down below,  
2 lines 19 to 23 are the -- are projections into the  
3 future for the years '22/'23 through '26/'27, agreed?

4 MS. CARA LOW: Agreed.

5 DR. BYRON WILLIAMS: And when we're  
6 thinking of weekly indemnity ultimate losses at a high  
7 level to -- to develop the ultimate estimates, you're  
8 taking the product of frequency measured here as  
9 claims counts times severity, agreed?

10 MS. CARA LOW: We are taking claim  
11 counts times severity. I would suggest a frequency is  
12 not the same thing as claim count. Frequency is  
13 usually a relative measure relative to the number of  
14 vehicles.

15 DR. BYRON WILLIAMS: Right. And we'll  
16 come to that in a minute. But, for example, if we  
17 were to take claims counts and divide that by the  
18 number of HTA vehicles in a year, that would get us  
19 our -- our frequency ratio?

20 MS. CARA LOW: Correct, because your  
21 claim counts could be up, but your frequency --

22 DR. BYRON WILLIAMS: Exactly.

23 MS. CARA LOW: -- could be down, yeah.

24 DR. BYRON WILLIAMS: Yeah. Okay.

25 We'll come to that with a bit more clarity, but thank

1 you for that.

2                   And just to -- to make the point that  
3 claims count incurred times severity yields the  
4 ultimate estimate, if we went to '18/'19, so that's  
5 line 12, and we took that claim count number of one  
6 thousand eight hundred and ninety-eight (1,898) and  
7 multiplied it by the severity figure of forty-three  
8 eight five seven (43,857), that would yield the  
9 ultimate estimate of eighty-three two two seven  
10 (83,227), agreed?

11                   MS. CARA LOW: I hope so because  
12 that's how it should work.

13                   DR. BYRON WILLIAMS: Yeah. If you  
14 trust my math and you trust your math, then you'll  
15 accept that? That's your work?

16                   MS. CARA LOW: I'll accept that.

17                   DR. BYRON WILLIAMS: Okay. And if we  
18 go still staying on that '18/'19 line, being line 12,  
19 to the extreme right you'll see the heading, "Variance  
20 to forecast." Do you see that, Ms. Low?

21                   MS. CARA LOW: Yes, I do.

22                   DR. BYRON WILLIAMS: And if we go down  
23 again to line 12 to the figure of negative -- you see  
24 a figure of negative \$8.4 million approximately?

25                   MS. CARA LOW: Yes, I do.

1 DR. BYRON WILLIAMS: Okay. And so, in  
2 that particular year, the negative variance or  
3 reduction in that last column is the difference  
4 between last year's forecast at ninety-one six two two  
5 (91,622) minus the ultimate estimate of eighty-three  
6 two two seven (83,227), agreed?

7 MS. CARA LOW: Agreed.

8 DR. BYRON WILLIAMS: And that negative  
9 variance or reduction would be due to the net impact  
10 in changes either in the claim counts or the severity  
11 assumptions, agreed?

12 MS. CARA LOW: Agreed.

13 DR. BYRON WILLIAMS: And when we see  
14 those brackets, that's telling us that, in hindsight,  
15 at least one (1) of those assumptions was probably too  
16 conservative, agreed?

17 MS. CARA LOW: I would agree. But  
18 these are longtail claims. There's a lot of  
19 uncertainty. The more mature the block of claims get,  
20 the less uncertainty there is.

21 So, you always build in a little ounce  
22 of conservatism because we don't know how the claims  
23 are going to play out.

24 DR. BYRON WILLIAMS: Okay. Thank you  
25 for that. If we can turn to the -- just one second.

1 If we look at claim counts, which is the second column  
2 still on figure C1-14, and the time period between  
3 accident year 1 and accident year 14 -- 15, excuse me,  
4 I'll suggest to you that we see a fair bit of claim  
5 count variance.

6 For example, in '07/'08, we're at two  
7 thousand sixty-three (2,063). In 2021, we're at one  
8 thousand two hundred and seventy-three (1,273).

9 You'd accept that?

10 MS. CARA LOW: Yes.

11 DR. BYRON WILLIAMS: Okay. Now, if we  
12 go down to lines 19 to 23, the estimated claim counts  
13 for each of those years, being the years 2022 through  
14 '23 through 2026 to '27 is constant, agreed?

15 MS. CARA LOW: Agreed.

16 DR. BYRON WILLIAMS: Okay. It's at a  
17 flat one seven seven four (1,774), correct?

18 MS. CARA LOW: Correct.

19 DR. BYRON WILLIAMS: And we'll come  
20 back to that in a -- in a few minutes. If we could  
21 turn to page 23 of claims incurred, lines 7 to 10.  
22 And, again, this is just at a high level so we can  
23 make sense of how you arrive at your estimates.

24 If we're looking at the Corporation's  
25 estimate for weekly indemnity for 2023, it got to that

1 \$92.7 million figure by taking the forecasted claims  
2 counts and severity, and -- and then, of course, doing  
3 that 5 percent reduction for the expected reduction  
4 and pandemic -- post-pandemic driving, kind of work  
5 from home, or WFH, agreed?

6 MS. CARA LOW: Agreed.

7 DR. BYRON WILLIAMS: And in developing  
8 the trend, the Corporation picked the years 2015/'16  
9 through 2019/'20, agreed? We'll -- we'll come to an  
10 IR if you'll accept that subject to check.

11 MS. CARA LOW: Subject to check. He's  
12 right there, so, yeah.

13 DR. BYRON WILLIAMS: I wonder if we  
14 can turn to CAC-1-45, the Information Request. And  
15 let's go to figure 1 on the -- page 3. Thank you.

16

17 (BRIEF PAUSE)

18

19 DR. BYRON WILLIAMS: In estimating  
20 weekly indemnity ultimate losses for '22/'23 and  
21 beyond, first of all, we've agreed that the time  
22 period that the Corporation looked at was data from  
23 the 2015/'16 to the 2019/'20, agreed?

24 MS. CARA LOW: Agreed.

25 DR. BYRON WILLIAMS: And the

1 Corporation used a linear trend of claims frequency,  
2 correct? It's -- it's up previously in the -- the  
3 answer if you want -- want to scroll up, if you'd like  
4 to check my work.

5 MS. CARA LOW: Yeah, no, I agree.  
6 Yeah.

7

8 (BRIEF PAUSE)

9

10 DR. BYRON WILLIAMS: And just if we --  
11 if we could just orientate ourselves with figure 1 for  
12 a moment from CAC-1-45.

13 It, again, is -- provides insight into  
14 the -- how the calculations for weekly indemnity  
15 ultimate losses were determined, agreed?

16 MS. CARA LOW: Agreed.

17 DR. BYRON WILLIAMS: And so, if we  
18 look at the accident years 1 through 15, so from  
19 '07/'08 to 2021 to '22, of those fifteen (15) years,  
20 the Corporation used five (5) -- five (5) years of  
21 data points, agreed?

22 MS. CARA LOW: Agreed.

23 DR. BYRON WILLIAMS: Okay. And for  
24 frequency, and we talked about this a little while  
25 ago, but what it did -- and if we look at 2015/'16,

1 which is line 9, it took that claims count of one  
2 seven eight five (1,785), divided it by the eight four  
3 eight six three five (848,635) of highway traffic  
4 earned units. And that's how it achieved the two  
5 point ten (2.10), two point one zero (2.10) frequency  
6 estimate, agreed?

7 MS. CARA LOW: Agreed.

8 DR. BYRON WILLIAMS: And if we take  
9 the five (5) years that you used in your data point,  
10 being 2015/'16 through 2019/'20, we'll see those in  
11 the fourth column in. Two-ten (2.10) for '15/'16;  
12 two-ten (2.10) for '16/'17; two-twenty-one (2.21) for  
13 '17/'18; two-fifteen (2.15) for '18/'19; and one-  
14 point-nine-seven (1.97) for '19/'20. Agreed?

15 MS. CARA LOW: Agreed.

16 MR. BYRON WILLIAMS: Now we've got  
17 those data points. You then plug it into your linear  
18 model to get the estimated trend for weekly indemnity  
19 claims frequency. Agreed?

20 MS. CARA LOW: Agreed.

21

22 (BRIEF PAUSE)

23

24 MR. BYRON WILLIAMS: And, again, we're  
25 using the term 'linear model'. And that means that

1 you are assuming that, in terms of the trend, it would  
2 change by a set amount, rather than a percentage.  
3 Agreed?

4 MS. CARA LOW: Agreed.

5 MR. BYRON WILLIAMS: So this is a  
6 linear approach, rather than a log linear or  
7 exponential approach. Correct?

8 MS. CARA LOW: Correct.

9 MR. BYRON WILLIAMS: And in essence,  
10 you're assuming that frequency is decreasing at a  
11 constant amount in this -- in your linear model for  
12 weekly indemnity?

13 MS. CARA LOW: One (1) second.

14

15 (BRIEF PAUSE)

16

17 MR. BYRON WILLIAMS: Ms. Schubert,  
18 we'll be going to figure 1 from the evidence.

19

20 (BRIEF PAUSE)

21

22 MS. CARA LOW: Sorry, could you repeat  
23 the question?

24 MR. BYRON WILLIAMS: Sure. In the  
25 model that you developed for MPI weekly indemnity



1 frequency, you assumed that frequency decreased at a -  
2 - a rate that is constant in amount?

3 MS. CARA LOW: Yes.

4 MR. BYRON WILLIAMS: And, Ms. Low, I'm  
5 going to show you -- and up on the screen is figure 1  
6 from the evidence of Oliver -- I should know our  
7 witnesses' names -- Oliver Wyman. Maybe we'll strike  
8 that from the record so people can't tell.

9 But this is a document that your team  
10 is familiar with, you've reviewed it?

11 MS. CARA LOW: I have seen it.

12 MR. BYRON WILLIAMS: And I'm not going  
13 to ask you to comment on the ultimate accuracy of it,  
14 but just for illustrative purposes, what they're  
15 trying to do here is represent what you did in your  
16 linear model. Agreed?

17 MS. CARA LOW: Agreed.

18 MR. BYRON WILLIAMS: And if we look at  
19 the bright red dots, those are the -- the data inputs  
20 that we just talked about from CAC-1-45, those  
21 frequency assumptions. Agreed?

22 MS. CARA LOW: Agreed.

23 MR. BYRON WILLIAMS: So if we go on  
24 the 'X' axis and we kind of move up from 2015, we'll  
25 see the two-point-one-zero (2.10) figure. Agreed?

1 MS. CARA LOW: Agreed.

2 MR. BYRON WILLIAMS: And we move a  
3 year over to the right. We again see a two-point-one-  
4 zero (2.10) figure. Subject to check?

5 MS. CARA LOW: No, that's a -- I  
6 agree. I'm just looking at the 'X' axis. It's  
7 missing year, so -- yeah.

8 MR. BYRON WILLIAMS: Yeah.

9 MS. CARA LOW: Yeah.

10 MR. BYRON WILLIAMS: And if we go up  
11 to 2017, that's the two-point-two-one (2.21). Agreed?

12 MS. CARA LOW: Correct. Yeah.

13 MR. BYRON WILLIAMS: And then, we get  
14 down to our two-point-one-five (2.15) in 2018,  
15 correct?

16 MS. CARA LOW: Correct. Yeah.

17 MR. BYRON WILLIAMS: And then, we get  
18 down to our one-point-nine-seven (1.97) in 2019.  
19 Agreed?

20 MS. CARA LOW: Correct.

21 MR. BYRON WILLIAMS: Okay. And then,  
22 what Oliver Wyman is trying to show with the red, but  
23 with the -- the not full circles -- the -- is the MPI  
24 fitted linear model. Agreed?

25 MS. CARA LOW: Agreed.

1 MR. BYRON WILLIAMS: And what that's  
2 showing conceptually is that frequency is decreasing  
3 at a rate that is constant in amount.

4 That's what you did?

5 MS. CARA LOW: Yes.

6 MR. BYRON WILLIAMS: Yeah.

7 MS. CARA LOW: And then, of course,  
8 you applied your 5 percent VW -- work-from-home  
9 discount. Correct?

10 MS. CARA LOW: Exactly. Yes.

11 MR. BYRON WILLIAMS: So conceptually,  
12 they've got what you did in terms of your estimate of  
13 weekly indemnity. Agreed?

14 MS. CARA LOW: Agreed.

15 MR. BYRON WILLIAMS: We can keep that  
16 -- we'll come back to that page in just a second. If  
17 we could go back, Ms. Schubert, to figure CI-14.

18

19 (BRIEF PAUSE)

20

21 MR. BYRON WILLIAMS: So go back one  
22 more page, please. And at the bottom.

23 Ms. Low, you'll recall -- again, this  
24 is the -- from your application, the weekly indemnity  
25 ultimate losses. Agreed?

1 MS. CARA LOW: Agreed.

2 MR. BYRON WILLIAMS: And again, lines  
3 19 to 23, we're looking at the Corporation's estimates  
4 for the '22/'23 through '26/'27 years. Correct?

5 MS. CARA LOW: Correct.

6 MR. BYRON WILLIAMS: And in terms of  
7 the claims count incurred, we've already agreed that -  
8 - that it is flat for those five (5) years, being the  
9 one-point-seven-seven-four (1.774) claims count  
10 figure. Agreed?

11 MS. CARA LOW: Correct.

12 MR. BYRON WILLIAMS: And so, assuming  
13 a growth in highway traffic units, a flat claim counts  
14 projection implies a decreasing frequency.

15 Is that correct?

16 MS. CARA LOW: That would be correct.

17 MR. BYRON WILLIAMS: Okay. We're  
18 going to just flip back to Oliver Wyman -- that  
19 figure. And then, we'll be almost done weekly  
20 indemnity.

21 Perhaps if we can go to the next page,  
22 Ms. Schubert. Perfect. Right there.

23 Ms. Low, you recall us talking about  
24 the use of statistics like e-value, R-squared and  
25 adjusted R square to test goodness of fit.

1                   You recall that discussion?

2                   MS. CARA LOW:    Yes, I do.

3                   MR. BYRON WILLIAMS:   And you're aware  
4 that, in the Oliver Wyman evidence, they present e-  
5 values in the regression analysis?

6                   MS. CARA LOW:    Yes.

7                   MR. BYRON WILLIAMS:   Okay.  And -- and  
8 that they also present R-square and adjusted R-square  
9 values in the regression output.  Agreed?

10                  MS. CARA LOW:    Yes.  That is true.  
11 Yeah.

12                  MR. BYRON WILLIAMS:   So in terms of  
13 the linear trend for weekly indemnity frequency, did  
14 MPI calculate similar regression statistics for the  
15 linear MPI model, being P-value, R-squared value, and  
16 adjusted R-square value?

17                  MS. CARA LOW:    I would have to check.  
18 No, we did not.

19                  MR. BYRON WILLIAMS:   Thank you.  I  
20 want to turn now to collision severity and that's part  
21 5 of the General Rate Application, CI-9, page 43.

22                  And at a high level -- and I believe  
23 this was your evidence from your PowerPoint this  
24 morning -- collision coverage is responsible for the  
25 largest percentage of the loss costs of Manitoba

1 Public Insurance. Agreed?

2 MS. CARA LOW: Agreed. Yeah.

3 MR. BYRON WILLIAMS: At well over 50

4 percent?

5 MS. CARA LOW: Well over, yeah.

6 MR. BYRON WILLIAMS: From your 60

7 percent? Fair enough --

8 MS. CARA LOW: I'd agree.

9 MR. BYRON WILLIAMS: Yeah.

10 MS. CARA LOW: I don't recall the

11 exact number, but...

12 MR. BYRON WILLIAMS: Yeah. Fair

13 enough. Now if we can turn to figure CI-35, please.

14 Now, we're leaving the world of weekly

15 indemnity frequency, and we're moving to the world of

16 ultimate collision severity.

17 And that's what figure CI-35 attempts

18 to portray. Agreed, Ms. Low?

19 MS. CARA LOW: Agreed.

20 MR. BYRON WILLIAMS: And at the top,

21 again, we can see those familiar terms: accident year,

22 repair severity, total loss severity, total severity.

23 Agreed?

24 MS. CARA LOW: Agreed.

25 MR. BYRON WILLIAMS: And with

1 collision total severity, I'm -- it would be correct  
2 to suggest that Manitoba Public Insurance analyzes  
3 collision costs separately in that it looks at repair  
4 severity and the -- and also looks at total loss  
5 severity. Agreed?

6 MS. CARA LOW: Agreed. We look at  
7 them separately.

8 DR. BYRON WILLIAMS: Okay. And for  
9 each of these perils, being repairs and total loss,  
10 Manitoba Public Insurance projects claims incurred is  
11 a function of the claims count times the severity  
12 model -- times severity. Agreed?

13 MS. CARA LOW: Agreed.

14 DR. BYRON WILLIAMS: Just looking at  
15 figure CI-35 for a moment, lines 12 through 14,  
16 Manitoba Public Insurance is sharing the results of  
17 its calculation of the street average -- for a three  
18 (3) year -- for three (3) years, five (5) years and 10  
19 years. Agreed?

20 MS. CARA LOW: Agreed.

21 DR. BYRON WILLIAMS: And we've agreed  
22 before, this is not a regression analysis, it's just a  
23 straight old average.

24 MS. CARA LOW: It's just a simple  
25 average.

1 DR. BYRON WILLIAMS: Something even  
2 Mr. Williams could do.

3 MS. CARA LOW: That's fantastic  
4 (INDISCERNIBLE).

5 DR. BYRON WILLIAMS: You're not --  
6 you're not -- touche. Touche.

7 And then line 16 to 18, we're looking  
8 at Manitoba Public Insurance is using an exponential  
9 regression model to estimate total loss severity.  
10 Agreed?

11 MS. CARA LOW: Agreed.

12 DR. BYRON WILLIAMS: Yeah, and it's  
13 looking at a five (5) year, seven (7) year, 10 year  
14 estimates. Agreed?

15 MS. CARA LOW: Agreed.

16 DR. BYRON WILLIAMS: And in -- in  
17 doing that exponential trend captured in line 16 to  
18 18, would MPI be using a -- a least square's approach?

19 MS. CARA LOW: Let me check.

20

21 (BRIEF PAUSE)

22

23 DR. BYRON WILLIAMS: The test for fit.  
24 Excuse me.

25



1 (BRIEF PAUSE)

2

3 MS. CARA LOW: It is a least squares.  
4 We just don't spit out the goodness of fit.

5 DR. BYRON WILLIAMS: Yeah, fair  
6 enough. And thank you for confirming that.

7 If we can now go to CI section 9.2.2,  
8 page 47, lines 11 to 14 please.

9 In estimating the 2022/'23 severity  
10 ultimate, Ms. Low, my understanding is that Manitoba  
11 Public Insurance selected the latest severity, reduced  
12 it by a hundred and twenty-five (125) bucks to account  
13 for the compulsory and Extension revision project.  
14 And then applied a 6 percent severity growth factor,  
15 which follows a three (3) year line -- year trend.

16 Agreed?

17 MS. CARA LOW: Agreed.

18 DR. BYRON WILLIAMS: And so if you can  
19 -- let's go to figure CI-37 and, Ms. Low, what this is  
20 capturing is -- is three (3) lines, the red line being  
21 the -- the data points and estimates for total loss.

22 Agreed?

23 MS. CARA LOW: Agreed.

24 DR. BYRON WILLIAMS: And then the  
25 green line, being the data points and estimates for

1 total.

2 MS. CARA LOW: Agreed. Yeah.

3 DR. BYRON WILLIAMS: Yeah.

4 MS. CARA LOW: Yes.

5 DR. BYRON WILLIAMS: And then the -- I  
6 don't have my glasses on, but I'm going to say that's  
7 either a blue or a purple line, being the data points  
8 and estimates for repair severity. Agreed?

9 MS. CARA LOW: Agreed.

10 DR. BYRON WILLIAMS: Okay. So I want  
11 to focus on the 2020 -- on the red line, the total  
12 loss and go to the year 2021.

13 And I'll suggest to you that in terms  
14 of -- in terms of the -- what Manitoba Public  
15 Insurance did, it took that one data point, being the  
16 seven seven-o-five (7705). It made its usurp  
17 adjustment and then it trended it forward at a rate of  
18 6 percent. Is that right?

19 MS. CARA LOW: Correct.

20 DR. BYRON WILLIAMS: And, so in effect  
21 for total loss, you gave a hundred percent weight to  
22 one observation. Agreed?

23 MS. CARA LOW: That is true, yes.

24 DR. BYRON WILLIAMS: So, if we can go  
25 back to figure CI-35 please.

1 Ms. Low, what I'm trying to do is  
2 locate that figure of seven seven-o-five (7705) on the  
3 total loss severity column. And so, it -- it would  
4 appear on line 10, I'll suggest to you, in the  
5 2021/'22 year at -- and you'll see it the fourth  
6 column in. Agreed?

7 MS. CARA LOW: Agreed. Yes.

8 DR. BYRON WILLIAMS: And to the right  
9 is a column that measures the percent change year over  
10 year in total loss severity. Agreed?

11 MS. CARA LOW: Agreed.

12 DR. BYRON WILLIAMS: And so, in column  
13 5, line 10, when we see that figure of 14.76 percent,  
14 that tells us that the percentage change, in terms of  
15 total loss severity from 2020/'21 to '21/'22, was an  
16 increase of 14.76 percent. Agreed.

17 MS. CARA LOW: Agreed.

18 DR. BYRON WILLIAMS: And, in terms of  
19 the percentage change column for total severity, which  
20 is the fifth column in -- you'll see 10 years of  
21 information there Ms. -- Ms. Low. Agreed?

22 MS. CARA LOW: I -- yes, agreed.

23 DR. BYRON WILLIAMS: And, in  
24 comparison to the 14.76, the next highest percent  
25 change, we would see at line 4, the 2015 year, of 7.1

1 percent. Agreed?

2 MS. CARA LOW: Agreed.

3 DR. BYRON WILLIAMS: So the magnitude  
4 of the change in '21/'22 was more than double any of  
5 the other years. Agreed?

6 MS. CARA LOW: Agreed.

7 DR. BYRON WILLIAMS: And if we go one  
8 column to the left, to total loss severity -- column,  
9 the fourth column. In terms of your estimate, of  
10 those 10 data points you used one. Agreed?

11 MS. CARA LOW: I -- agreed, but there  
12 was business reasons that we chose to use one point,  
13 and that is because we are talking to our claims team.  
14 We know that total losses are spiking, or the total --  
15 the severity for total losses, I meant to say. And  
16 that's because of supply chain issues.

17 So, internal reports, as of July, we  
18 know the average loss, for a total loss now is over  
19 nine thousand dollars (\$9,000).

20 DR. BYRON WILLIAMS: Okay. Thank you  
21 for that. And you're suggesting, in essence in your  
22 trend selection, that the prior data points have no  
23 predictive value. Agreed?

24 MS. CARA LOW: Agreed.

25 DR. BYRON WILLIAMS: In terms of the 6

1 percent trend, Ms. Low, would we find that best  
2 represented on line 12, in the straight average for  
3 three (3) years being 5.99 percent?

4 MS. CARA LOW: Sorry. What was the  
5 question?

6 DR. BYRON WILLIAMS: We're trying to  
7 get at -- at your 6 percent trend moving forward.

8 MS. CARA LOW: Oh.

9 DR. BYRON WILLIAMS: And I'll suggest  
10 to you that the basis for that, we see in the three  
11 (3) year straight average in line 12, being 5.99  
12 percent. Agreed?

13 MS. CARA LOW: Let me check. Correct.  
14 Yes.

15 DR. BYRON WILLIAMS: And to get that  
16 5.99 percent estimate, what you did was just move up  
17 column 5 to the 2019 year. You took the 5.44 percent  
18 change between '18/'19 and '19/'20, then the minus  
19 2.23 change between '19/'20 and '20/'21, and then the  
20 14.76 change between '20/'21 and '21/'22, and divided  
21 by three (3). Agreed?

22 MS. CARA LOW: Agreed.

23 DR. BYRON WILLIAMS: So, if we look on  
24 lines 12 to 18, and again, on column 5, in essence, we  
25 have six (6) different estimates of -- of change over

1 time, agreed?

2 MS. CARA LOW: Agreed.

3 DR. BYRON WILLIAMS: The first three  
4 (3) in lines 12 through 14 are based on straight  
5 averages, correct?

6 MS. CARA LOW: Correct.

7 DR. BYRON WILLIAMS: And the next  
8 three (3) under lines 16 to 18 are based upon the log  
9 linear or exponential trend?

10 MS. CARA LOW: Correct, yes.

11 DR. BYRON WILLIAMS: And would it be  
12 accurate to suggest that your selected trend is a full  
13 point above all the other averages? There's no other  
14 one that comes within 1 percentage point of it?

15 MS. CARA LOW: That is true.

16 DR. BYRON WILLIAMS: And we've  
17 clarified already that the exponential or log liner  
18 trends that you use use least squares, agreed?

19 MS. CARA LOW: Agreed.

20 DR. BYRON WILLIAMS: Okay. And the  
21 exponential trends captured in lines 16 to 18 are all  
22 about 2 percentage points below your selected trend,  
23 agreed?

24 MS. CARA LOW: That is true, but we  
25 also talked about the older years not being predictive

1 and what's going to happen for rating year '23/'24.

2 DR. BYRON WILLIAMS: Yeah, we -- we  
3 have your point and I truly appreciate it. I am going  
4 to turn things over to My Friend Mr. Klassen.

5

6 CROSS-EXAMINATION BY MR. CHRIS KLASSEN:

7 MR. CHRIS KLASSEN: Thank you, and  
8 thank you, Madam Chair. MPI witnesses, again, my name  
9 is Chris Klassen, co-counsel with Mr. Williams to CAC  
10 (Manitoba).

11 And as Ms. McCandless invited you to do  
12 during her cross-examination this morning, I'll direct  
13 my questions to the three (3) of you generally and any  
14 of you are welcome to answer.

15 And if you feel that it's more  
16 appropriate that I direct these questions to a  
17 different panel, you're, of course, welcome to -- to  
18 offer that suggestion as well.

19 Now, in beginning this question, I -- I  
20 understand that two (2) of the three (3) of you were  
21 not with MPI at this time, but I'm wondering if -- if  
22 you're familiar with Order 134 of '21 made by this  
23 Board after last year's General Rate Application?

24 MS. CARA LOW: I've read them.

25 MR. CHRIS KLASSEN: And --

1 MS. CARA LOW: Many times.

2 MR. CHRIS KLASSEN: Thank you. And --  
3 and in that Order, one (1) directive, specifically  
4 Directive 11.4 related to generalized linear models.

5 You're familiar with that directive?

6 MS. CARA LOW: Correct, I am.

7 MR. CHRIS KLASSEN: Thank you. And --  
8 and I won't ask you to read it into the record. We  
9 can -- we can pull it up for reference, if needed, but  
10 at a high level I'd -- I would appreciate it if you  
11 could confirm that that directive had two (2) parts:

12 1) that MPI would provide an  
13 alternative rate indication using a preliminary set of  
14 gen -- generalized linear models; and

15 2) that MPI would bring forward a plan  
16 to study the use of GLMs more broadly in MPI's rate  
17 setting?

18 MS. CARA LOW: That is true.

19 MR. CHRIS KLASSEN: Thank you. And I  
20 should have acknowledged this earlier, but you're  
21 aware as well, that following last year's General Rate  
22 Application, process MPI applied to this Board to  
23 review and vary certain aspects of Order 134/'21?

24 MS. CARA LOW: Yes, I am.

25 MR. CHRIS KLASSEN: And one (1) aspect



1 of that Order, addressed in MPI's review and vary  
2 application, was Directive 11.4?

3 MS. CARA LOW: Yes.

4 MR. CHRIS KLASSEN: And -- and so,  
5 you're aware than as well, that -- that following the  
6 Board's review of MPI's application, Directive 11.4  
7 was amended to require MPI instead to submit a plan  
8 for the possible implementation of GLMs.

9 Is that correct?

10 MS. CARA LOW: That is correct.

11 MR. CHRIS KLASSEN: Thank you. Now,  
12 the initial directive in Order 134 of '21 did not  
13 include a requirement to implement a pricing  
14 methodology using GLMs.

15 Is that correct?

16 MS. CARA LOW: Sorry? Could you  
17 repeat that?

18 MR. CHRIS KLASSEN: As you understood  
19 the initial directive in Order 134 of '21, was this  
20 Board requiring MPI to implement a pricing model that  
21 used GLMs?

22 MS. CARA LOW: No, it was a parallel.  
23 The request was a parallel --

24 MR. CHRIS KLASSEN: Right.

25 MS. CARA LOW: -- review, yes.

1 MR. CHRIS KLASSEN: Thank you. And  
2 then subsequently, your understanding of the revised  
3 directive, following the review and vary application,  
4 again, did not include a directive to implement a  
5 pricing model using generalized linear models,  
6 correct?

7 MS. CARA LOW: Correct.

8 MR. CHRIS KLASSEN: Thank you for the  
9 -- for those responses. I'll next refer to a document  
10 that Ms. McCandless directed your attention to earlier  
11 today. And I -- I don't think it's necessary to pull  
12 it up on the screen, but this was a request for  
13 proposals issued by MPI, relating to the generalized  
14 linear model solution, as it was referred to, and that  
15 was a request for proposals issued on May 18th of  
16 2022, correct?

17 MR. KHURRAM MASUD: That's right, yes.

18 MR. CHRIS KLASSEN: And we don't need  
19 to go there, but so that we're on the same page, we're  
20 referring to the document that's filed as Appendix 13  
21 to the ratemaking chapter?

22 MR. KHURRAM MASUD: Yeah.

23 MR. CHRIS KLASSEN: You'll -- you'll  
24 accept that. Thank you. And to confirm, based on  
25 your understanding, through that request for

1 proposals, MPI was seeking a vendor to provide a  
2 software solution for MPI's use in a potential new  
3 ratemaking methodology using GLMs, correct?

4 MR. KHURRAM MASUD: That's correct.

5 MR. CHRIS KLASSEN: And based on your  
6 understanding of -- of the RFP, can you confirm that  
7 the RFP did not contemplate all of the steps involved  
8 in the transition that MPI has proposed toward using  
9 GLMs?

10 MR. KHURRAM MASUD: The RFP was for a  
11 tool, not for a plan to implement GLM. So, the RFP  
12 went out to the software vendors who had solutions  
13 that could implement GLM. So, it wasn't a consulting  
14 arrangement, it was a software solution.

15 MR. CHRIS KLASSEN: I understand. And  
16 thank you very much for -- for that answer.

17 And so one (1) step in the transition  
18 process, for example, that -- that isn't contemplated  
19 by the work that the current vendor is doing is the  
20 consideration of the application of the new modelling  
21 to MPI's ratemaking methodology, correct?

22 MR. KHURRAM MASUD: That is correct,  
23 yes.

24 MR. CHRIS KLASSEN: And it's my  
25 understanding, and I'll ask you to confirm it, that --

1 that it's set out in the existing RFP that -- that MPI  
2 contemplates issuing a subsequent request for  
3 proposals for that particular task, correct?

4 MR. KHURRAM MASUD: For consulting, we  
5 may or may not.

6 MR. CHRIS KLASSEN: Thank you for that  
7 answer. And -- but you'll confirm, again, that that  
8 particular task is not contemplated in the existing  
9 request for proposals?

10 MR. KHURRAM MASUD: Yes, because the  
11 proposal was for software, not for consulting.

12 MR. CHRIS KLASSEN: Sure. Thank you.  
13 Those are my question. Madam Chair, those are  
14 questions on behalf of CAC.

15 DR. BYRON WILLIAMS: Madam Chair, I'll  
16 just say that we did not ask for any undertakings, but  
17 we are looking forward with great interest to some of  
18 the undertakings of the PUB. So, we would reserve our  
19 right to ask followup questions on those undertakings.

20 THE CHAIRPERSON: Certainly, Mr.  
21 Williams. Thank you, Mr. Williams. Thank you, Mr.  
22 Klassen. Ms. Meek...?

23

24 CROSS-EXAMINATION BY MS. CHARLOTTE MEEK:

25 MS. CHARLOTTE MEEK: Thank you, Madam

1 Chair. Good afternoon to the panel. My name is  
2 Charlotte Meek. I represent the Coalition of Manitoba  
3 Motorcycle groups.

4 I'll similarly, to other Interveners  
5 today, just direct my questions generally. Whoever  
6 feels best able to answer can -- can go ahead.

7 You are aware that this year MPI  
8 completed a large vehicle study, which was included as  
9 part of the road safety technical conference?

10 MS. CARA LOW: I honestly became aware  
11 when I was ready the IRs a couple weeks ago.

12 MS. CHARLOTTE MEEK: Okay. And I'm  
13 not going to get into the details. I appreciate it  
14 was part of the road safety conference, but I just  
15 want to look at some of the findings of that with you  
16 today.

17 So, if we could just bring up our --  
18 loss prevention, page 11. Thanks, Kristen. So, this  
19 page just highlights some of the key findings from  
20 that study, so I'm just going to go through a couple  
21 of those with you.

22 So, you'll agree -- so, if we look at  
23 line 11 there, you'll agree that this study found that  
24 the size of vehicle has an impact on collision costs.

25 Is that correct?

1 MS. CARA LOW: I would have to just  
2 take that as a given. I have not read the study.

3 MS. CHARLOTTE MEEK: But that is the  
4 evidence of MPI?

5 MS. CARA LOW: I -- I can see that on  
6 the screen --

7 MS. CHARLOTTE MEEK: Right.

8 MS. CARA LOW: Yes.

9 MS. CHARLOTTE MEEK: Right. Thank  
10 you. And you'll note further along in that paragraph  
11 MPI noted that pickup trucks, mid and full-size cars,  
12 and passenger and cargo vans all have a higher  
13 incident cost, higher injury cost, and higher  
14 vulnerable road user injury costs than compact cars?

15 MS. CARA LOW: I do read that. I  
16 don't know if it's true or not.

17 MS. CHARLOTTE MEEK: But this -- this  
18 is the evidence of MPI from their large vehicle study.

19 MS. CARA LOW: One (1) minute, please.

20

21 (BRIEF PAUSE)

22

23 MS. CARA LOW: I would agree that this  
24 is MPI's evidence, but I cannot speak to it. I don't  
25 know the methodology involved.

1 MS. CHARLOTTE MEEK: Sure, and I'll --  
2 I'll speak about the methodology with the road safety  
3 conference. I don't -- I don't need you to comment on  
4 the methodology, but just the -- the findings of this  
5 study and -- and what they are. I'm not going to get  
6 into too much more detail than that.

7 You'll see the paragraph underneath  
8 there. It states that for SUVs, the study found that:

9 "The average incident costs and  
10 physical damage costs were higher  
11 for SUVs, but overall injury and  
12 vulnerable road user injury costs  
13 were comparable to compact cars."

14 That's stated there.

15 MS. CARA LOW: Yeah. That is very  
16 true. It's on the screen.

17 MS. CHARLOTTE MEEK: Thank you. So  
18 then if we could scroll down a little bit to the next  
19 page, so we're on page 12 now looking at lines 3 to 5.

20 We see here that MPI acknowledges that  
21 the analysis shows us that certain vehicle types have  
22 higher collision costs relative to compact cars.

23 And then the Corporation goes on to  
24 note that:

25 "Collision cost -- collision loss

1                   experience is already considered in  
2                   the current rating structure."

3                   Do you see that there?

4                   MS. CARA LOW:    I do see that.

5                   MS. CHARLOTTE MEEK:   Okay.  And so  
6 this reference is a reference that -- so the reference  
7 that collision loss experience is already considered  
8 in the current rating structure, that's the reference  
9 to the ratemaking process that we currently have, and  
10 that includes things like the CLEAR rating system and  
11 the loss allocation methodology that we have?

12                  MS. CARA LOW:    I didn't write this  
13 statement so I'm not sure what they're referring to,  
14 but we do use claims experience in setting rates.

15                  MS. CHARLOTTE MEEK:   Okay.  And so I  
16 want to talk to you a little bit about -- about the  
17 CLEAR rating system first.  The CLEAR rating system is  
18 a system that's produced by the Insurance Bureau of  
19 Canada.  Is that correct?

20                  MS. CARA LOW:    That is correct, yes.

21                  MS. CHARLOTTE MEEK:   And the CLEAR  
22 rating system uses actual loss experience data from  
23 across Canada to determine relative loss cost indices  
24 for the make, model, and year of a vehicle.

25                  Is that correct?



1 MS. CARA LOW: That is correct.

2 MS. CHARLOTTE MEEK: Okay. And those  
3 indices consider costs of collision, comprehensive,  
4 and injury comes -- claims costs for each vehicle  
5 description. Is that correct?

6 MS. CARA LOW: That is correct, yes.

7 MS. CHARLOTTE MEEK: And you'd agree  
8 that the intent of the CLEAR system is to provide  
9 incentives to customers who purchase vehicles which  
10 are deemed safer or less susceptible to damage or more  
11 resistant to theft.

12 Do you agree that that's a fair  
13 statement?

14 MS. CARA LOW: That certainly would be  
15 one (1) of the purposes of the CLEAR system.

16 MS. CHARLOTTE MEEK: Okay. And so if  
17 we're talking about that incentive that the CLEAR  
18 system provides, that incentive would be in the form  
19 of a lower premium. Is that correct?

20 MS. CARA LOW: Correct.

21 MS. CHARLOTTE MEEK: Okay. And a  
22 vehicle that has a lower CLEAR rating will likely have  
23 a lower insurance premium, and then vice versa, a  
24 vehicle with a higher CLEAR rating has a higher  
25 insurance premium.

1 MS. CARA LOW: That is correct, yes.

2 MS. CHARLOTTE MEEK: Okay. And so a  
3 couple of features, for example, would be things like  
4 anti-lock brakes, dual inside air bags, side impact  
5 door reinforcements, anti-theft devices, et cetera.  
6 Those would all result in a vehicle having a lower  
7 CLEAR rating system --

8 MS. CARA LOW: That is true.

9 MS. CHARLOTTE MEEK: -- or CLEAR  
10 rating.

11 MS. CARA LOW: Yeah.

12 MS. CHARLOTTE MEEK: Thank you. And  
13 you'd agree that the CLEAR rating system does not  
14 account for third-party bodily injury claims.

15 Is that correct?

16 MS. CARA LOW: That is correct.

17 MS. CHARLOTTE MEEK: Okay. And so  
18 that means, in a collision, any bodily injury to a  
19 person in another vehicle or a pedestrian or a cyclist  
20 would not be considered in the CLEAR rating group  
21 assignment.

22 MS. CARA LOW: Correct.

23 MS. CHARLOTTE MEEK: Okay. So you  
24 would agree then, for example, a pick-up truck that  
25 has side impact door reinforcements, for example,

1 would receive a lower CLEAR rating as a result of that  
2 feature.

3 MS. CARA LOW: Well, there's many  
4 different features, so whether that one is enough to  
5 offset others, I don't know. But it would be one (1)  
6 of the reasons for a lower rate group --

7 MS. CHARLOTTE MEEK: Right. It might  
8 be a contributing factor to a lower rating.

9 MS. CARA LOW: -- (INDISCERNIBLE)  
10 yeah.

11 MS. CHARLOTTE MEEK: Okay. Thank you.  
12 And -- and you would agree that a feature like that,  
13 like side impact door reinforcements, could conversely  
14 increase the third-party bodily injury costs in the  
15 event that that pick-up truck is in a collision with  
16 another car or a vulnerable road user?

17 MS. CARA LOW: Sorry? 'Cause bodily  
18 injury third-party liability would be the injuries to  
19 the person in the other car, not the person in the car  
20 causing the accident.

21 MS. CHARLOTTE MEEK: Right. So --

22 MS. CARA LOW: So --

23 MS. CHARLOTTE MEEK: -- so -- exactly.  
24 So what I'm saying is a feature like side door  
25 reinforcements, that could cause increased third-party

1 injury costs to someone in another -- another vehicle  
2 or a vulnerable road user.

3 MS. CARA LOW: Oh. Yes, I guess so.  
4 Yes.

5 MS. CHARLOTTE MEEK: Thank you. And  
6 you're also aware that MPI currently employs a loss  
7 allocation methodology in its ratemaking calculations?

8 MS. CARA LOW: Are you talking claim  
9 cost allocation?

10 MS. CHARLOTTE MEEK: Yes. So I'm  
11 talking about the kind of loss transfer allocation  
12 that we have.

13 MS. CARA LOW: Okay. Yes, I am.

14 MS. CHARLOTTE MEEK: Okay. And so  
15 that methodology is pursuant to an Order of the Board  
16 following a special hearing that occurred back in 2005  
17 on the issue of the claims cost attribution  
18 methodology.

19 MS. CARA LOW: Right.

20 MS. CHARLOTTE MEEK: Is that correct?

21 MS. CARA LOW: Yes.

22 MS. CHARLOTTE MEEK: Okay. Thank you.  
23 And are you aware that that stemmed from issues  
24 arising from the introduction of the PIPP, or Personal  
25 Injury Protection Plan, that was announced by

1 government in around '93?

2 MS. CARA LOW: Correct, yes.

3 MS. CHARLOTTE MEEK: Okay. And so  
4 that current system of loss allocation that we use  
5 today is pursuant to Board Order 97/'05, and that  
6 Board Order requires that MPI allocate 50 percent of  
7 the total PIPP costs in a major -- to the major class  
8 in which the vehicle belongs that was involved in the  
9 collision, and then the other 50 percent is allocated  
10 to all other vehicle categories. Is that correct?

11 MS. CARA LOW: That is my  
12 understanding, yes.

13 MS. CHARLOTTE MEEK: Okay. Thank you.  
14 And then that same Order indicates that accidents  
15 involving only MPI-insured vehicles, the total PIPP  
16 costs are allocated equally across the rating  
17 categories to which the vehicles belong that were  
18 involved in that collision.

19 MS. CARA LOW: Correct, yes.

20 MS. CHARLOTTE MEEK: Thank you. And  
21 so based on this Order, if a compact car and a pick-up  
22 truck, for example, are involved in a collision, the  
23 entire PIPP costs are allocated to the private  
24 passenger class, assuming those vehicles were in that  
25 class. Is that correct?

1 MS. CARA LOW: That could be correct.

2 MS. CHARLOTTE MEEK: Okay. So what we  
3 understand then is that the Order only transfers PIPP  
4 costs between major classes, not between different  
5 kinds of vehicles.

6 MS. CARA LOW: That is my  
7 understanding, yes.

8 MS. CHARLOTTE MEEK: Thank you. And  
9 you would agree that, within the private passenger  
10 class, that there are different vehicles of different  
11 sizes which we know from the large vehicle study cause  
12 varying degrees of damage in collisions, correct?

13 MS. CARA LOW: There are different  
14 vehicles of different sizes in the private passenger  
15 vehicle, yes.

16 MS. CHARLOTTE MEEK: Right. And so we  
17 know that those different sizes of vehicles, they  
18 cause different kinds of damage who are located within  
19 the same major class.

20 MS. CARA LOW: I can't confirm or deny  
21 anything in the study. I haven't read the study, so I  
22 don't know. But if it's in there, I guess that's MPI  
23 evidence.

24 MS. CHARLOTTE MEEK: Okay. So -- so  
25 you would -- you accepted earlier what we talked

1 about, that the --

2 MS. CARA LOW: I accept that it's MPI  
3 evidence.

4 MS. CHARLOTTE MEEK: Okay. And you  
5 would agree then that MPI does not currently have its  
6 own vehicle rating groups for third-party bodily  
7 injury claims. Is that correct?

8 MS. CARA LOW: That is correct.

9 MS. CHARLOTTE MEEK: Okay. And can  
10 you confirm whether MPI has any intention to further  
11 investigate the impact that large vehicles have on  
12 smaller vehicles and vulnerable road users and how  
13 that might impact MPI's ratemaking methodology?

14 MS. CARA LOW: This is not on our  
15 plans right now to look at.

16 MS. CHARLOTTE MEEK: Okay. Those are  
17 my questions. Thank you very much.

18 THE PANEL CHAIRPERSON: Thank you, Ms.  
19 Meek.

20 Ms. Wittman...?

21

22 CROSS-EXAMINATION BY MS. KAREN WITTMAN:

23 MS. KAREN WITTMAN: Can you see me and  
24 hear me all right? I feel like I might be a bit of a  
25 talking chair at this point back here. As long as

1 they can see me, that's fine.

2 Good afternoon, everyone. I'm Karen  
3 Wittman, and I am counsel for the Taxi Coalition, and  
4 I'm going to have a few questions for you. And like  
5 the other people before me, I'm going to direct my  
6 questions to the panel, and whoever feels most able to  
7 answer it, please go ahead and do so, okay?

8 So what I'd like to talk to you about  
9 first is the issue of serious loss loading. And I  
10 just want to start off by -- by clarifying that I  
11 understand that serious losses refers to an incident  
12 where the total accident benefits, i.e., PIPP claims  
13 cost for the incident is greater than five hundred  
14 thousand (500,000). Have I got that right?

15 MR. KHURRAM MASUD: That's correct.

16 MS. KAREN WITTMAN: Now, as I  
17 understand it, MPI's method -- methodological approach  
18 to serious loss loading at a very high level goes  
19 something like this:

20 First, the serious losses are removed  
21 from the total loss amounts.

22 Then, second, MPI averages out the last  
23 ten (10) years of serious losses by insurance use.

24 And then, third, MPI allocates that  
25 average back by insurance use to the latest five (5)



1 years from the total loss amounts, excluding the  
2 actual serious losses.

3 Have I got that right at a high level?

4 MR. KHURRAM MASUD: Yeah, that is  
5 correct.

6 MS. KAREN WITTMAN: Okay. Now, Ms.  
7 Schubert, could you please pull up TC Exhibit 3-9?

8

9 (BRIEF PAUSE)

10

11 MS. KAREN WITTMAN: Now, in the  
12 Information Requests put forward by the Taxi  
13 Coalition, MPI was asked in 29(g) the following  
14 question.

15 Does MPI consider other insurance uses  
16 which have ten (10) years of data but no serious  
17 losses to be stat -- statistically credible for a  
18 serious loss loading?

19 And the answer was that MPI considers  
20 other insurance uses which have ten (10) years of data  
21 and larger exposure base but no serious losses to be  
22 statistically credible.

23 And that was the answer, right?

24 MR. KHURRAM MASUD: That's right.

25 MS. KAREN WITTMAN: Okay. So, just to

1 confirm then, what MPI does is that it -- in its  
2 current methodology, is that it's using the last ten  
3 (10) year actual serious losses to determine the  
4 loading applied to each insurance use, correct?

5 MR. KHURRAM MASUD: M-hm. Yes.

6 MS. KAREN WITTMAN: Okay. Now, I'd  
7 like to pull up at this point, Ms. Schubert, RM  
8 Appendix 9, table 9.

9

10 (BRIEF PAUSE)

11

12 MS. KAREN WITTMAN: And what I  
13 understand this table to be telling us is the reported  
14 serious losses and ALE (sic) for each insurance use  
15 for the past ten (10) years, correct?

16 MR. KHURRAM MASUD: That's right.

17 MS. KAREN WITTMAN: And it's broken  
18 down by territory and then totalled at -- at the  
19 bottom of each section, correct?

20 MR. KHURRAM MASUD: Yes.

21 MS. KAREN WITTMAN: Okay. And -- and  
22 ALE, that's an acronym for what? Can you remind me?

23 MR. KHURRAM MASUD: I just -- I just -  
24 - Allocated Loss Adjustment Expenses.

25 MS. KAREN WITTMAN: Okay. Now, if you

1 turn to page 90 of 165 of that table, and we look at,  
2 for example, a pleasure motorhome -- do you see that?

3 MR. KHURRAM MASUD: I do.

4 MS. KAREN WITTMAN: Okay. And if we  
5 look at this, my reading of it is is that in 2012  
6 there was a serious loss of two hundred and seventy-  
7 eight thousand seven hundred (278,700). Is that  
8 right?

9 MR. KHURRAM MASUD: Yes.

10 MS. KAREN WITTMAN: And then since  
11 then, there's been no other serious losses for that  
12 insurance use, correct?

13 MR. KHURRAM MASUD: Yes.

14 MS. KAREN WITTMAN: Okay. Can you  
15 tell me what load is applied to this insurance use in  
16 the current methodology?

17 MR. KHURRAM MASUD: I will have to  
18 check. I don't remember. I will have to check.

19

20 (BRIEF PAUSE)

21

22 MR. KHURRAM MASUD: So, that will be  
23 twenty-seven thousand eight hundred and seventy  
24 (27,870). That's -- we divided by ten (10).

25 MS. KAREN WITTMAN: Okay. Now,

1 assuming pleasure motorhome experiences no additional  
2 serious losses in the next year, what would be -- or  
3 sorry, this year -- what would be the loading in next  
4 year's GRA?

5 MR. KHURRAM MASUD: As per the current  
6 methodology we would exclude this, but we may consider  
7 adding a smallish loading. So, I cannot comment at  
8 this estate (sic) whether we'll be including a loading  
9 for large loss on pleasure motorhome or not.

10 MS. KAREN WITTMAN: Okay. So, you're  
11 saying that you may include a loading or you may not,  
12 it's not clear?

13 MR. KHURRAM MASUD: Yeah. It's -- we  
14 will -- we will review this and we will -- we may or  
15 may not include a loading. But as the current  
16 methodology stands, it should be removed, as per the  
17 current methodology.

18 MS. KAREN WITTMAN: So, if I'm  
19 understanding you correctly, under the current  
20 methodology what you would do is you would remove it  
21 and it would be reduced down to zero?

22 MR. KHURRAM MASUD: Correct. Yeah.

23 MS. KAREN WITTMAN: But you're  
24 considering whether or not you're going to change that  
25 for fut -- on a go-forward basis?

1 MR. KHURRAM MASUD: That's right.

2 That's --

3 MS. KAREN WITTMAN: Okay.

4

5 (BRIEF PAUSE)

6

7 MS. KAREN WITTMAN: And -- and part of  
8 the reason you're considering changing that, you'll  
9 agree with me, is because the risk of having a serious  
10 loss does not drastically change from this year to  
11 next year in terms of this insurance use, correct?

12 MR. KHURRAM MASUD: Yeah, that is one  
13 (1) of the considerations.

14 MS. KAREN WITTMAN: Okay. And if you  
15 turn to page 95 of 165, so still in the same table.  
16 So, we're now in major class 2. And if you take a  
17 look at petroleum/chemical truck as the insurance use.

18 MR. KHURRAM MASUD: Yes, I can see.

19 MS. KAREN WITTMAN: As I read this,  
20 there are no serious losses for major class 2  
21 petroleum/chemical truck in the 2023 GRA. Is that  
22 correct?

23 MR. KHURRAM MASUD: That's right.

24 MS. KAREN WITTMAN: Okay. And so in  
25 the current methodology, the serious loa -- loading

1 applied to this insurance use would be zero then,  
2 right?

3 MR. KHURRAM MASUD: I will check.  
4 Just a second.

5

6 (BRIEF PAUSE)

7

8 MR. KHURRAM MASUD: That's correct.

9 MS. KAREN WITTMAN: Right. And, Ms.  
10 Schubert, if we could, can we pull up the same figure  
11 for last year's GRA and have them side by side.

12

13 (BRIEF PAUSE)

14

15 MS. KAREN WITTMAN: And so if we look  
16 at last year's -- Ms. -- sorry, Ms. Schubert, can you  
17 just scroll down so I can see which one is which.

18 So, on the right-hand side of your  
19 screen we have the 2021 table and on the left-hand  
20 side of the screen we have the 2022 table. You see  
21 that?

22 MR. KHURRAM MASUD: Yes.

23 MS. KAREN WITTMAN: Okay. And then if  
24 we scroll down and compare the two (2) insurance uses,  
25 petroleum/chemical truck, last year there was a

1 reported serious loss from 2011 of six hundred and  
2 ninety-seven thousand seven ninety -- and seventy-nine  
3 dollars (\$697,079). You see that?

4 MR. KHURRAM MASUD: I can see.

5 MS. KAREN WITTMAN: Okay. So, that  
6 also meant that there was a loss loading included for  
7 that particular insurance use then. Is that right?

8 MR. KHURRAM MASUD: I will have to  
9 check. Yes.

10 MS. KAREN WITTMAN: Okay. And so the  
11 major difference between these two (2) charts, the one  
12 from 2021 and 2022, is that that loss loading was  
13 reduced from -- down to zero in 2022?

14 MR. KHURRAM MASUD: That's right.

15 MS. KAREN WITTMAN: But you'd agree  
16 with me that the definition of petroleum/chemical truck  
17 likely carries dangerous and inflammable materials --  
18 materials that would likely lead to a serious loss,  
19 correct?

20 MR. KHURRAM MASUD: Yeah, it can.

21 MS. KAREN WITTMAN: Okay. And so,  
22 when looking at the risk profile for this insurance  
23 use, being petroleum/chemical truck, other than  
24 serious losses dropping of the ten (10) year history,  
25 what else would change in the risk profile that would

1 justify reducing serious losses from a loading of  
2 greater than zero to less than zero?

3 MS. CARA LOW: I would also argue that  
4 they would have professional drivers driving these  
5 trucks, as well.

6 MS. KAREN WITTMAN: Okay. And that --  
7 that would be the justification for --

8 MS. CARA LOW: No, but just part of  
9 the risk profile.

10 MS. KAREN WITTMAN: Part of the risk  
11 profile, okay. Thank you for that.

12 And, Ms. Schubert, can we please mark  
13 this table as the next exhibit for Taxi Coalition, I  
14 think...

15

16 --- EXHIBIT NO. TC-4: Table RM Appendix 9, table  
17 9.

18

19 CONTINUED BY MS. KAREN WITTMAN:

20 MS. KAREN WITTMAN: Now, I'd like --  
21 Ms. Schubert, could you please pull up Appendix 9,  
22 table 11, from the ratemaking, Appendix 9, table 11,  
23 please.

24

25

(BRIEF PAUSE)



1 MR. ANTHONY GUERRA: Counsel, sorry to  
2 interrupt. If you could maybe just bring your  
3 microphone a little bit closer to you. It's just a  
4 little hard to hear. Thank you.

5 MS. KAREN WITTMAN: No problem. Is  
6 that better?

7 MR. ANTHONY GUERRA: Yes. Thank you  
8 so much.

9 MS. KAREN WITTMAN: Okay.

10

11 CONTINUED BY MS. KAREN WITTMAN:

12 MS. KAREN WITTMAN: And what this  
13 table seem -- is showing -- here, I'll move closer.  
14 Is that better now?

15 Yeah. Okay. And, as I understand it,  
16 what this table shows is each insurance use -- use's  
17 exposure in earned units by territory and year.

18 Is that right?

19 MR. KHURRAM MASUD: Yes.

20 MS. KAREN WITTMAN: Okay. Now, if we  
21 look at pleasure passenger vehicle, which is at page  
22 121 of 165.

23

24 (BRIEF PAUSE)

25

1 MS. KAREN WITTMAN: What I understand  
2 this table to be showing is a breakdown by year-end  
3 territory of all the earned units. So, for pleasure  
4 passenger vehicle, for example, this table tells that  
5 in 2017 there was a hundred and sixteen thousand one  
6 hundred and thirty-one (116,131) earned units in  
7 Territory 1, for example.

8 MR. KHURRAM MASUD: Yes.

9 MS. KAREN WITTMAN: Is that right?  
10 Yes.

11 And then, for all four (4) territories  
12 in that same year, there was a total of two hundred  
13 and ten thousand three hundred and eighty (210,380)  
14 earned units. Have I understood that correctly?

15 MR. KHURRAM MASUD: Yes.

16 MS. KAREN WITTMAN: And so, still  
17 looking at pleasure passenger vehicle insurance use,  
18 the total earned units for 2021 was two hundred and  
19 fifty thousand eight hundred and fifty-three  
20 (250,853). Is that correct?

21 MR. KHURRAM MASUD: Yes.

22 MS. KAREN WITTMAN: Okay. Now, would  
23 you consider this insurance use to have a large number  
24 of exposures? Or said another way, would you consider  
25 this to be a large exposure base?

1 MR. KHURRAM MASUD: I'll have to  
2 check.

3

4 (BRIEF PAUSE)

5

6 MR. KHURRAM MASUD: Yes.

7 MS. KAREN WITTMAN: Okay. Thank you.

8 And so, still on this same page of this table, if we  
9 look at pleasure motorhome -- do you see that?

10 Pleasure --

11 MR. KHURRAM MASUD: I can see it, yes.

12 MS. KAREN WITTMAN: Yes. Okay. So  
13 the total earned units for pleasure motorhome for all  
14 territories in 2021, as I read it, is two thousand  
15 eight hundred and sixty-three (2,863).

16 Have I got that right?

17 MR. KHURRAM MASUD: Yes.

18 MS. KAREN WITTMAN: Okay. Would you  
19 agree that this is not a large exposure base?

20 MR. KHURRAM MASUD: I agree.

21 MS. KAREN WITTMAN: And if you turn to  
22 page 125 of 165, and you look at the insurance use for  
23 -- petroleum/chemical trucks. Do you see that?

24 MR. KHURRAM MASUD: I can see it.

25 MS. KAREN WITTMAN: And so as I'm

1 reading it, the total earned units for all  
2 territories, for loss year 2021, was eight-hundred-  
3 and-thirty-seven (837). Have I got that right?

4 MR. KHURRAM MASUD: Yes.

5 MS. KAREN WITTMAN: And would you  
6 agree with me that this too is not a large insurance  
7 exposure base?

8 MR. KHURRAM MASUD: Yes, I agree.

9 MS. KAREN WITTMAN: Okay. So in the  
10 examples that I've just reviewed with you, you would  
11 agree with me, these last two (2) examples, that these  
12 are examples of serious losses for insurance uses --  
13 let me re -- back up.

14 These are examples of insurance uses  
15 with no serious losses, but which do not have a large  
16 exposure base. Would you agree with that?

17 MR. KHURRAM MASUD: Yes.

18 MS. KAREN WITTMAN: So if we look back  
19 at MPI's response to the Information Request, would  
20 you agree with me that these are insurance uses that  
21 you would not find to be statistically credible?

22 MR. KHURRAM MASUD: Let me check.

23

24 (BRIEF PAUSE)

25

1 MR. KHURRAM MASUD: They are not fully  
2 credible.

3 MS. KAREN WITTMAN: Okay. So would  
4 you also agree with me then that MPI's methodology to  
5 derive the serious loss load has limitations on  
6 insurance uses that are either small in size -- sorry,  
7 that are small in size and have no historical  
8 experience?

9 MR. KHURRAM MASUD: I would say every  
10 methodology will have its weaknesses no matter which  
11 one we adopt, so this method in particular has this  
12 weakness.

13 MS. KAREN WITTMAN: Okay.

14

15 (BRIEF PAUSE)

16

17 MS. KAREN WITTMAN: Now if -- you're  
18 familiar with -- or at least some of you, I think, are  
19 familiar with the PUB's order 134/'21. We went  
20 through that just a moment ago. I think Ms. Low  
21 indicated that she was and everybody else is new to  
22 the panel, but...

23 MS. CARA LOW: Correct.

24 MS. KAREN WITTMAN: All right. In  
25 that Order, what the PUB did -- and this was clarified

1 in PUB Information Request PUB-MPI 1/8 (sic) -- was to  
2 propose an alternative method of calculating or -- or  
3 developing the calculation related to serious loss  
4 loading, correct?

5 MR. KHURRAM MASUD: Yes.

6 MS. KAREN WITTMAN: And what that per  
7 -- method involved was to remove the actual serious  
8 losses which MPI already does, right?

9 MR. KHURRAM MASUD: That's right.

10 MS. KAREN WITTMAN: All right. And to  
11 create a serious loss loading dollar amount by  
12 collision claim by vehicle type, correct?

13 MR. KHURRAM MASUD: Yes.

14 MS. KAREN WITTMAN: And then -- sorry,  
15 and the rationale for using collision claims count is  
16 that you can't have a serious loss if you don't have a  
17 collision first, right?

18 MR. KHURRAM MASUD: Sorry, can you  
19 repeat that?

20 MS. KAREN WITTMAN: The rationale for  
21 using collision claims counts is that you can't have a  
22 serious loss if you don't have a collision first,  
23 correct?

24 MR. KHURRAM MASUD: I'm not sure I  
25 agree to that fully --

1 MS. KAREN WITTMAN: Okay.

2 MR. KHURRAM MASUD: -- yeah.

3 MS. KAREN WITTMAN: All right. But  
4 still the methodology is that second step is that  
5 you're going to create that serious loss loading  
6 dollar amount by collision claim by vehicle type,  
7 right?

8 MR. KHURRAM MASUD: 'Cause you can  
9 have collision claims and yet not have a serious loss,  
10 so it is possible.

11 MS. KAREN WITTMAN: Okay. All right.  
12 Thank you for that clarification. All right.

13 And then the next step in what the  
14 PUB's Order proposed -- or the proposed alternative  
15 method has you do is that, based on the vehicle type  
16 listed, you calculate the average serious loss loading  
17 dollar amount. Is that right?

18 MR. KHURRAM MASUD: Yeah.

19 MS. KAREN WITTMAN: And then this  
20 tells you how much serious loss you should add on a  
21 per collision claim for vehicle type. Is that right?

22 MR. KHURRAM MASUD: (NO AUDIBLE  
23 RESPONSE).

24 MS. KAREN WITTMAN: Okay. And then,  
25 after that you take into account insurance

1 use/territory by still taking collision claims by  
2 insurance -- sorry.

3                   So after that, you take into account  
4 the insurance use, but you're still taking into  
5 account collision claims by insurance use by territory  
6 by year. And then you multiply that by the amount  
7 calculated for the serious loss loading based on  
8 vehicle type.

9                   Have I got that right, in a general  
10 sort of approach?

11                   MR. KHURRAM MASUD: I think so. I  
12 lost you in the middle but I think that you've got it  
13 right.

14                   MS. KAREN WITTMAN: All right. So  
15 this mess that I've just tried to go through with you  
16 somewhat clumsily is what I'm going to call as 'the  
17 PUB's proposed method', okay? So when I refer to  
18 that, you'll know what I'm talking about, right?

19                   MR. KHURRAM MASUD: Yeah.

20                   MS. KAREN WITTMAN: Okay. And what  
21 MPI did in response to that -- the PUB's order -- was  
22 to produce -- and this directive -- was to produce  
23 Rate Making Appendix 12, correct?

24                   MR. KHURRAM MASUD: Yes.

25                   MS. KAREN WITTMAN: And then, also --



1 there's also sort of an addendum to that or an update  
2 to that that is in response to PUB-MPI 1-8, correct?

3 MR. KHURRAM MASUD: Yes.

4 MS. KAREN WITTMAN: So that work was  
5 done in response to this directive?

6 MR. KHURRAM MASUD: Yes.

7 MS. KAREN WITTMAN: Okay. Now, would  
8 you agree that PUB's proposed method is more of an  
9 exposure based approach?

10 MR. KHURRAM MASUD: What the weight  
11 allocates is it's using collision claims. So as I  
12 said earlier, collision -- you may have a lot of  
13 collision claims, yet not have a serious loss. So,  
14 yes, that method also has weaknesses.

15 MS. KAREN WITTMAN: Sorry, that last  
16 word you just said?

17 MR. KHURRAM MASUD: I said that method  
18 may also have weaknesses.

19 MS. KAREN WITTMAN: May also have --  
20 but would you say it's more of an exposure based  
21 approach?

22 MR. KHURRAM MASUD: It's more of a  
23 claims made approach rather than exposures --

24 MS. KAREN WITTMAN: Okay

25 MR. KHURRAM MASUD: -- because it's

1 based on -- off -- off collision claims that starts  
2 distributing the large loss load across the different  
3 vehicle categories of the insurance classes. So it's  
4 more on claims made.

5 MS. KAREN WITTMAN: All right.

6

7 (BRIEF PAUSE)

8

9 MS. KAREN WITTMAN: Would you agree  
10 with me that this approach is better aligned with the  
11 prospective nature of rate making?

12 MR. KHURRAM MASUD: Not necessarily.

13 MS. KAREN WITTMAN: Okay. Would you  
14 agree with me that PUB's proposed method allocates  
15 serious loss loading by vehicle type, while taking  
16 into account the relative frequency of collisions  
17 claims made by vehicle type?

18 MR. KHURRAM MASUD: By relative  
19 frequency of the collision claims, yes. Not  
20 necessarily serious loss.

21 MS. KAREN WITTMAN: Okay. And would  
22 you agree with me that PUB's proposed methods spreads  
23 out serious losses such that the insurance uses, which  
24 are smaller in size, or new classes with less  
25 historical experience, share in the risk of serious

1 losses?

2 MR. KHURRAM MASUD: Yes, but it would  
3 also include the serious losses, even where the  
4 exposure is large enough, yet they do not have a  
5 serious loss.

6 MS. KAREN WITTMAN: Okay.

7 MR. KHURRAM MASUD: Yeah.

8 MS. KAREN WITTMAN: Would you also  
9 agree with me that in the PUB's proposed method, if it  
10 was adopted, would result in less volatility for  
11 smaller uses or territories?

12 MR. KHURRAM MASUD: Again, not  
13 necessarily. Depends on what you're comparing it  
14 with.

15 MS. KAREN WITTMAN: Okay. Given all  
16 of the work that MPI has done, in terms of preparing  
17 the ratemaking index number 12 and responding to PUB  
18 MPI-1-8, would you agree with me that if MPI were to  
19 adopt this proposed method, all of the work that needs  
20 to be done in order to go ahead and follow through  
21 with it has already been done?

22 MR. KHURRAM MASUD: In terms of the  
23 effort? Yeah. It would not request significant  
24 amount of additional effort in order to implement  
25 this.

1 MS. KAREN WITTMAN: Okay. Thank you  
2 very much. Just, if my -- may I have one (1) moment?  
3 Please?

4

5 (BRIEF PAUSE)

6

7 MS. KAREN WITTMAN: Thank you very  
8 much. Those are my questions.

9 MR. KHURRAM MASUD: Thank you.

10 THE PANEL CHAIRPERSON: Thank you, Ms.  
11 Wittman. Mr. Guerra, do you have redirect?

12 MR. ANTHONY GUERRA: I -- I do. If  
13 there's any questions from the -- the Panel we can  
14 certainly do that.

15 THE PANEL CHAIRPERSON: I'm sorry.  
16 That's right.

17 MR. ANTHONY GUERRA: Yeah, no worries.

18 THE PANEL CHAIRPERSON: Friday  
19 afternoon. Mr. Gabor...?

20 BOARD CHAIR GABOR: I have two (2)  
21 brief questions.

22 Kristen, can you go to MPI's  
23 presentation Exhibit 59 please. And this is for Ms.  
24 Low. Could you go to page 8?

25 Ms. Low, is it your testimony that MPI

1 has three (3) lines of business?

2 MS. CARA LOW: There's three (3) lines  
3 that our pricing team works on, but there is fourth --  
4 the fourth line of business, which would be the DVA.

5 BOARD CHAIR GABOR: Okay. From your  
6 experience, have you ever seen a line of business that  
7 can't have a profit?

8 MS. CARA LOW: That can't have a  
9 profit? I've seen unprofitable business --

10 BOARD CHAIR GABOR: Right, but --

11 MS. CARA LOW: -- in a private market,  
12 yes.

13 BOARD CHAIR GABOR: -- can you explain  
14 to me how DVA -- the DVA line of business would have a  
15 profit?

16 MS. CARA LOW: No, I cannot.

17 BOARD CHAIR GABOR: Okay. Thank you.  
18 Second question is for Ms. Ostapowich.

19 You referred to the survey on people  
20 working from home and did the comparison. Do you know  
21 when you did the survey result, when you asked the  
22 questions, what's the frequency of them working from  
23 home?

24 Is it, when you say, will you be  
25 working from home, is it you're working from home

1 full-time? You're working from home one (1) day a  
2 week? When you're doing the comparisons. I mean I --  
3 I know there's a percentage, but I don't know how many  
4 days they're working from home versus working at the  
5 office.

6 MS. CHERITY OSTAPOWICH: Yeah, that  
7 survey never specified that. It did not.

8 BOARD CHAIR GABOR: So, it could be  
9 just one day a week, they're working from home?

10 MS. CHERITY OSTAPOWICH: Potentially.  
11 I think we captured the -- the mileage, but -- let me  
12 just check.

13

14 (BRIEF PAUSE)

15

16 MS. CHERITY OSTAPOWICH: Yeah, so when  
17 we asked the question it was just a 'yes' or 'no'  
18 question. So, it could, potentially, just --

19 BOARD CHAIR GABOR: It could be  
20 whatever --

21 MS. CHERITY OSTAPOWICH: Yeah.

22 BOARD CHAIR GABOR: -- it -- whatever  
23 they responded. Yeah.

24 MS. CHERITY OSTAPOWICH: Very true.  
25 Yes.

1 BOARD CHAIR GABOR: Sure. Thank you.  
2 Those are my questions.

3 THE PANEL CHAIRPERSON: Thank you.

4 Ms. Nemec...? Mr. Bass...?

5 MR. GEORGE BASS: No.

6 THE PANEL CHAIRPERSON: Ms.

7 Boulter...?

8 MS. SUSAN BOULTER: No.

9 THE PANEL CHAIRPERSON: Mr. Guerra...?

10

11

12 RE-DIRECT EXAMINATION BY MR. ANTHONY GUERRA:

13 MR. ANTHONY GUERRA: Thank you. I  
14 don't have a lot of questions for re-direct, but I do  
15 note that Ms. Low wanted to make a correction to one  
16 of the answers she provided in the exchange between  
17 herself and Ms. McCandless.

18 So, Ms. Low, I'm just going to ask you  
19 to comment more on your response to the question about  
20 that you were asked by Ms. McCandless about when  
21 premium comes in does it go into the claims liability  
22 portfolio? Do you recall that line of questioning?

23 MS. CARA LOW: I do recall that. I  
24 just wanted to clarify. We get money coming in from  
25 premiums every day. Claims go out every day, claims

1 payments. We don't buy bonds every day.

2                   What happens is it goes into operating  
3 cash. Operating cash is -- the target is \$80 million  
4 with a -- with a plus or minus \$20 million. When it  
5 exceeds that, then we put money over into our bond  
6 portfolio. If it goes under our target, we would sell  
7 bonds.

8                   So, they're not all going into the  
9 Basic claims portfolio where they're making the ten  
10 (10) year yield. Because a lot of it's just going in  
11 and out daily, and there is no interest being earned  
12 on that. So that's why I wanted to clarify.

13                   MR. ANTHONY GUERRA: Okay. Thank you  
14 Ms. Low.

15                   There was also an indication in the  
16 testimony about the severity numbers for total -- for  
17 -- for repair severities in July, I believe, it was  
18 being over nine thousand dollars (\$9,000).

19                   Do you recall that testimony?

20                   MS. CARA LOW: Oh, I -- July of 2022,  
21 the average severity for a total loss is over nine  
22 thousand (9000).

23                   MR. ANTHONY GUERRA: And -- and can  
24 you help us understand a little bit more about why  
25 that is, that specific number, because it does appear



1 to be significantly higher than we've seen in some of  
2 the other tables shown to you today.

3 MS. CARA LOW: Our understanding is  
4 that the cost of fixing cars are going up. While this  
5 is total losses, it's getting more expensive to buy a  
6 car. There's a lack of new cars in the market and  
7 even at -- whether it's a new car or whether it's a  
8 used car, it's very expensive to buy a car.

9 MR. ANTHONY GUERRA: Does MPI have any  
10 idea or any information about how long it expects that  
11 trend to continue in terms of the -- the difficulty in  
12 finding new vehicles or -- or used vehicles?

13 MS. CARA LOW: We have no idea.

14 MR. ANTHONY GUERRA: And you were  
15 asked by my friend from the -- representing the  
16 Coalition of motorcycle -- Manitoba Motorcycle Groups  
17 about the results of the loss -- the large vehicle  
18 study and -- and the question specifically about MPI  
19 not having a rating group for third-party injury  
20 claims.

21 Do you recall that line of questioning?

22 MS. CARA LOW: Yes, I do.

23 MR. ANTHONY GUERRA: And, can you help  
24 us understand, for the Board's benefit, why that is?

25 MS. CARA LOW: Why we don't have

1 rating groups for third-party bodily injury?

2 MR. ANTHONY GUERRA: Yes.

3 MS. CARA LOW: Because that's when you  
4 injured someone in another car, so it's their vehicle.  
5 So, when we're selling insurance for your vehicle, we  
6 don't know what kind of car you are going to hit.

7 MR. ANTHONY GUERRA: Okay. And so how  
8 does that play into the decision not to have a rating  
9 group for third-party bodily injury?

10 MS. CARA LOW: It's impossible to do.  
11 I've never heard of a fair rate group for a third-  
12 party liability bodily injury.

13 MR. ANTHONY GUERRA: Okay. Thank you.  
14 I have no further questions.

15 THE PANEL CHAIRPERSON: Thank you, Mr.  
16 Guerra. I believe we are now moving into Monday to  
17 the MPI investment, asset, liability, management study  
18 panel with Mercer in attendance.

19 So we can adjourn for the day now and  
20 be back on Monday morning at nine o'clock. I'd like  
21 to thank this panel very much and ask that, if  
22 possible, Mercer be available on Monday morning. I'm  
23 not sure what the planning was, in terms of timing,  
24 but just so that we're not inconveniencing them on  
25 Monday when we start that panel.

1 MR. ANTHONY GUERRA: That was our  
2 intention and we'll just make sure that our witness  
3 can be here as quickly as possible.

4 THE PANEL CHAIRPERSON: Okay, that's  
5 great. Thank you very much. Thank you. Have a good  
6 weekend everyone.

7 MR. ANTHONY GUERRA: Thank you. Good  
8 afternoon.

9

10 (PANEL STANDS DOWN)

11

12 --- Upon adjourning at 2:46 p.m.

13

14

15

16 Certificate of Transcript

17

18

19 \_\_\_\_\_

20 Wendy Woodworth, Ms.

21

22

23

24

25