



“When You Talk - We Listen!”



MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA PUBLIC INSURANCE CORPORATION (MPI)
2024/2025 GENERAL RATE APPLICATION
HEARING

Before Board Panel:

Irene Hamilton, K.C.- Panel Chairperson
Robert Gabor, K.C. - Board Chair
Susan Nemec - Board Member
George Bass, K.C. - Board Member
Susan Boulter - Board Member

HELD AT:

Public Utilities Board
400, 330 Portage Avenue
Winnipeg, Manitoba
Oct 12, 2023

Pages 613 to 893

1 APPEARANCES
2 Kathleen McCandless) Board Counsel
3 Todd Andres)
4
5 Steve Scarfone) Manitoba Public
6 Anthony Guerra) Insurance
7 Eric Wishnowski)
8
9 Byron Williams (np)) CAC (Manitoba)
10 Chris Klassen)
11 Katrine Dilay)
12 Victoria Cloutis (Student))
13 Anna Evans-Boudreau (Student) (np))
14
15 Karen Wittman) Taxi Coalition
16 Sharna Nelko)
17
18 Charlotte Meek) CMMG
19 Doug Houghton (np))
20
21
22
23
24
25

1	TABLE OF CONTENTS	
2		Page No.
3	List of Exhibits	616
4	List of Undertakings	617
5		
6	CONTINUED IT, IT BENCHMARKING AND VALUE ASSURANCE	
7	PANEL:	
8	LANI EDWARDS, Resumed	
9	SHAYON MITRA, Resumed	
10	SHAWN CAMPBELL, Resumed	
11	CHAD MUIR, Resumed	
12		
13	Cross-examination by Ms. Katrine Dilay	620
14	Re-direct examination by Mr. Anthony Guerra	672
15		
16	CLAIMS FORECASTING PANEL:	
17	CARA LOW, Affirmed	
18	CHRISTINE ZHOU, Affirmed	
19		
20	Examination-in-Chief by Mr. Steve Scarfone	685
21	Cross-examination by Ms. Kathleen McCandless	708
22	Cross-examination by Ms. Katrine Dilay	753
23	Re-direct examination by Mr. Steve Scarfone	801
24		
25		

1	TABLE OF CONTENTS	
2		Page No.
3	MPI RATEMAKING PANEL:	
4	CARA LOW, Resumed	
5	KHURRAM MASUD, Resumed	
6		
7	Examination-in-Chief by Mr. Steve Scarfone	811
8	Cross-examination by Ms. Kathleen McCandless	827
9	Cross-examination by Ms. Katrine Dilay	874
10	Cross-examination by Mr. Chris Klassen	881
11		
12		
13		
14		
15		
16		
17		
18		
19	Certificate of Transcript	893
20		
21		
22		
23		
24		
25		

1	LIST OF EXHIBITS		
2	EXHIBIT NO.	DESCRIPTION	PAGE NO.
3	MPI-64	Claims Forecasting Presentation	685
4	MPI-65	Ratemaking Presentation	752
5	CAC-9	CAC (Manitoba) response to MPI's	
6		confidentiality motion regarding the	
7		E&Y report and the Deloitte report	752
8			
9			
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1	LIST OF UNDERTAKINGS	
2	EXHIBIT NO.	PAGE NO.
3	6	MPI to provide an updated response,
4		if any, to PUB-CI-2-1, question part
5		(e). 657
6	7	MPI to provide the average of the three
7		point six (3.6) days for November '22
8		and three point eight (3.8) days for
9		November 2023 with the two decimal
10		points instead of one. 719
11	8	For MPI to provide, if instead of two
12		(2) separate models, a second time
13		parameter was incorporated in the model
14		to trend from 2020 onwards, what the
15		estimated impact of that change in
16		trend would have on the overall rate
17		indication 731
18	9	MPI to calculate the proportion of
19		claims for rating year 2025 that would
20		be paid in each of 2025, 2026, 2027 and
21		2028 and thereafter. To follow on that
22		undertaking, MPI then apply the paid-
23		to-paid ULAE ratios for 2025 through
24		2028 to each of these four (4) portions
25		to generate an average paid ULAE ratio

LIST OF UNDERTAKINGS		
EXHIBIT NO.	DESCRIPTION	PAGE NO.
	for the 2025 rating year. then apply	
	that average paid ULAE ratio to	
	generate a revised RI-10, performer 1,	
	2 and 3	749
10	MPI to advise how the claims experience	
	has tracked since CERP was introduced	
	and deductibles were increased	796
11	MPI to confirm, relative to the overall	
	5 percent, what would be the change in	
	the impact of the DSR discount, if DSR	
	18 had a discount of 46 percent instead	
	of 48 percent.	830
12	MPI to advise as to whether the total	
	premiums found in the far right column	
	in figure REV-11	865
13	MPI to provide revised RI-10 based on	
	correction to the severity trend for	
	accident insurance year 2021/'22	869
21		
22		
23		
24		
25		

1 --- Upon commencing at 9:01 a.m.

2

3 PANEL CHAIRPERSON: Good morning,
4 everyone. We will carry on this morning to conclude
5 the IT Benchmarking Value Management Panel.

6 Ms. Dilay...?

7

8 IT, IT BENCHMARKING AND VALUE ASSURANCE PANEL:

9 LANI EDWARDS, Resumed

10 SHAYON MITRA, Resumed

11 SHAWN CAMPBELL, Resumed

12 CHAD MUIR, Resumed

13

14 CROSS-EXAMINATION BY MR. KATRINE DILAY:

15 MS. KATRINE DILAY: Thank you, Madam
16 Chair. Good morning. My name is Katrine Dilay. I'm
17 legal counsel to the Manitoba branch of the Consumers
18 Association of Canada, and I'll refer to my clients as
19 CAC (Manitoba).

20 I'll address my questions generally to
21 the panel, and then I'll invite whoever is best suited
22 to respond.

23 I have questions first on IT business
24 cases, and then towards the end I will have questions
25 as well on IT Benchmarking.

1 At a high level, you'll agree that, for
2 large corporations, significant decisions involving
3 monetary expenditures are typically rooted in a
4 comprehensive business case.

5 Would that be fair?

6 MR. SHAWN CAMPBELL: Shawn speaking.
7 Yes.

8 MS. KATRINE DILAY: And you'll agree
9 that standard business case practices typically
10 include a decision-making criteria with a financial
11 analysis?

12 MR. SHAWN CAMPBELL: Yes.

13 MS. KATRINE DILAY: And this financial
14 analysis will typically require a defined return on
15 investment?

16 MR. SHAWN CAMPBELL: Not always 'cause
17 your business case itself may be risk based, so you're
18 dealing with a vitality issue versus an addition of
19 capability that you would look for return on
20 investment.

21 MS. KATRINE DILAY: For those business
22 cases that do include a defined return on investment,
23 you'll agree this is referred to as a positive net
24 present value?

25 MR. SHAWN CAMPBELL: Yes.

1 MS. KATRINE DILAY: And standard
2 business cases will typically stipulate a reasonable
3 payback period as well?

4 MR. SHAWN CAMPBELL: Correct.

5 MS. KATRINE DILAY: And just going
6 back to -- when we refer to a positive net present
7 value, it means that a project's financial return will
8 be more than the current investment, correct?

9 MR. SHAWN CAMPBELL: Correct.

10 MS. KATRINE DILAY: And typically, a
11 positive net present value is a good thing because it
12 means the company will get more benefits from the
13 project or asset than the amount it is spending on a
14 project or asset, correct?

15 MR. SHAWN CAMPBELL: Correct.

16 MS. KATRINE DILAY: And for MPI in
17 particular, you'll -- you will agree that funds that
18 MPI spends on a specific project are then not
19 available to spend on another project?

20 MR. SHAWN CAMPBELL: Correct.

21 MS. KATRINE DILAY: And those funds
22 that are spent on a project are also not available to
23 reduce premiums for ratepayers, correct?

24 MR. SHAWN CAMPBELL: Correct.

25 MS. KATRINE DILAY: And you'll agree

1 that MPI funds come from premiums that are paid by
2 Manitoba ratepayers?

3 MR. SHAWN CAMPBELL: Correct.

4 MS. KATRINE DILAY: And just to
5 clarify, in terms of MPI funds, a portion of MPI funds
6 also come from investment income, correct?

7 MR. SHAWN CAMPBELL: Yes.

8 MS. KATRINE DILAY: And looking to --
9 prior to the year 2022/'23, the capital master summary
10 annual budget was supported by detailed business cases
11 and supporting financial analysis business cases for
12 each initiatives (sic), correct?

13 MR. SHAWN CAMPBELL: Yes.

14 MS. KATRINE DILAY: And in that
15 previous framework, before 2022/'23, the tools that
16 were used were a value management thin and detailed
17 business case template?

18 MR. SHAWN CAMPBELL: Yes.

19 MS. KATRINE DILAY: And that detailed
20 business case document presented project objectives,
21 costs, and benefits?

22 MR. SHAWN CAMPBELL: Yes.

23 MS. KATRINE DILAY: And you'll agree
24 that, in 2022/'23, MPI shifted its methodology for
25 project management of IT initiatives to the Scaled

1 Agile Framework?

2 MR. SHAWN CAMPBELL: Yes, it did.

3 MS. KATRINE DILAY: And this is also
4 referred to as the S-A-F-E or SAFE Frame -- Framework?

5 MR. SHAWN CAMPBELL: Yes, that is
6 correct.

7 MS. KATRINE DILAY: And this is a
8 method -- methodology intended to guide enterprises
9 who use lean portfolio management, correct?

10 MR. SHAWN CAMPBELL: Yes. Lean
11 portfolio management is part of the mechanism for
12 SAFE.

13 MS. KATRINE DILAY: Thank you for that
14 clarification. And so for the year 2022/'23, the
15 shift in methodology meant that MPI identified key
16 focus areas for investment as part of the corporate
17 strategic planning process?

18 MR. SHAWN CAMPBELL: Correct.

19 MS. KATRINE DILAY: And then
20 established corresponding high-level funding envelope
21 amounts for MPI board approval?

22 MR. SHAWN CAMPBELL: Correct.

23 MS. KATRINE DILAY: And just to take
24 you to an example of what we mean here, Ms. Schubert,
25 could we turn to the -- part 5 of the GRA information

1 technology. And if we look at -- my apologies. Just
2 one minute.

3

4 (BRIEF PAUSE)

5

6 MS. KATRINE DILAY: Ms. Schubert, if
7 we could turn to page 11 of this -- the IT chapter.
8 Thank you.

9 And so at the -- the first half of the
10 page we see that this is an example of those high-
11 level funding envelope amounts where the funding
12 allocations are established for various initiatives
13 for the year 2022/'23, correct?

14 MR. SHAWN CAMPBELL: Correct.

15 MS. KATRINE DILAY: And then the year
16 2023/'24 towards the bottom half of the page, correct?

17 MR. SHAWN CAMPBELL: Correct.

18 MS. KATRINE DILAY: And this new
19 process since 2022/'23 involves the creation of an
20 Epic hypothesis statement?

21 MR. SHAWN CAMPBELL: For every
22 initiative we create an Epic hypothesis statement, and
23 that's also accompanied with a lean business case.

24 MS. KATRINE DILAY: And so it would be
25 fair to say, and I think you've just confirmed that,

1 that MPI now employs Epics to justify specific
2 initiatives?

3 MR. SHAWN CAMPBELL: A lean business
4 case that's associated with the Epic is at the part
5 that actually justifies the business case. The Epic
6 is just a high-level definition of what the business
7 case is going to cover.

8 MS. KATRINE DILAY: Thank you. And
9 just to -- for -- for our understanding of what an
10 Epic is, you'll confirm that an Epic is essentially a
11 body of work that can be broken down into specific
12 tasks?

13 MR. SHAWN CAMPBELL: Yes, that is
14 correct.

15 MS. KATRINE DILAY: And those specific
16 tasks are called user stories?

17 MR. SHAWN CAMPBELL: Yes, that is
18 correct.

19 MS. KATRINE DILAY: And those stories
20 are based on the needs of the Corporation or the
21 overall strategic direction of the Corporation?

22 MR. SHAWN CAMPBELL: They are the
23 fundamental lowest layer of what that looks like, but,
24 yes. So an Epic decomposes into typically feature
25 sets. The features then decompose into user stories.

1 And the user stories are the small tasks that the
2 individual developer would work on to build out the
3 change.

4 MS. KATRINE DILAY: Thank you for
5 that. And the new methodology since 2022/'23 also
6 includes providing a weighted shortest job factor?

7 MR. SHAWN CAMPBELL: Yes.

8 MS. KATRINE DILAY: And that's a
9 document that helps define the priority of the work
10 and compares into all other potential projects?

11 MR. SHAWN CAMPBELL: That is correct.

12 MS. KATRINE DILAY: And you've already
13 referred to this, but for each specific initiative
14 there is also a lean business case provided, correct?

15 MR. SHAWN CAMPBELL: Yes.

16 MS. KATRINE DILAY: And this lean
17 business case describes in greater detail the
18 anticipated project outcomes and costs, including
19 short-term outcomes that prove the viability of the
20 overall project?

21 MR. SHAWN CAMPBELL: Yes, that is
22 correct.

23 MS. KATRINE DILAY: And the allocation
24 within the funding envelopes to epics or to specific
25 initiatives are approved by the lean portfolio

1 management committee meeting?

2 MR. SHAWN CAMPBELL: Yes, that is
3 correct.

4 MS. KATRINE DILAY: And that approval
5 is based on the epics that are created for the
6 specific initiatives, correct?

7 MR. SHAWN CAMPBELL: Yes, that is
8 correct.

9 MS. KATRINE DILAY: And you've already
10 canvassed this yesterday with my friend, Ms.
11 McCandless, but funds can also be reallocated across
12 focus areas, correct?

13 MR. SHAWN CAMPBELL: Correct.

14 MS. KATRINE DILAY: And so, based on
15 what we have reviewed, you'll agree that one (1)
16 change in MPI's methodology has been going from a
17 detailed business case to a lean business case?

18 MR. SHAWN CAMPBELL: Yes, that is
19 correct.

20 MS. KATRINE DILAY: And switching
21 gears a little bit, I can bring you to a reference if
22 you need, but you'll agree that MPI is currently
23 working on a number of other IT projects apart from
24 Project NOVA?

25 MR. SHAWN CAMPBELL: Yes, that is

1 correct.

2 MS. KATRINE DILAY: And, again, I can
3 take you to a reference if we need, but MPI has
4 indicated that since May 2023, it has discontinued IT
5 projects that are unrelated to Project NOVA or deemed
6 not critical?

7 MR. SHAWN CAMPBELL: Can you pull up
8 that reference?

9 MS. KATRINE DILAY: Of course. Ms.
10 Schubert, could we go to CAC/MPI-2-1, at page 3 of
11 that response.

12 And if we look here, so the -- I guess,
13 the first sentence before the bullets, you see there,
14 it says:

15 "Examples of actions taken by the
16 Board of Directors since May 2023."

17 And then, if we look at -- sorry, you
18 see that, Mr. Campbell?

19 MR. SHAWN CAMPBELL: Yes.

20 MS. KATRINE DILAY: And if you look at
21 the fifth bullet, you see that it refers to
22 discontinuing IT projects unrelated to Project NOVA or
23 deemed not critical?

24 MR. SHAWN CAMPBELL: Correct.

25 MS. KATRINE DILAY: And this is

1 projected to save 11.6 million in the current fiscal
2 year?

3 MR. SHAWN CAMPBELL: Yes. Correct.

4 MS. KATRINE DILAY: And can you
5 confirm that this would be in recognition of the
6 Corporation's significant resource commitment to NOVA?

7 MR. SHAWN CAMPBELL: Yes. Correct.

8 MS. KATRINE DILAY: And when we talk
9 about resource commitment to NOVA, that would include
10 both financial as well as staffing resources?

11 MR. SHAWN CAMPBELL: Yes, it would.

12 MS. KATRINE DILAY: And you'll agree
13 that it's possible that some of these projects that
14 have been discontinued related to in these IRs might
15 have a higher return on investment than Project NOVA
16 for MPI and for ratepayers?

17

18 (BRIEF PAUSE)

19

20 MR. SHAWN CAMPBELL: It would depend
21 on the project itself. So we would have to do a
22 detailed dive into which projects.

23 MS. KATRINE DILAY: Thank you. So
24 without a detailed analysis, we can't say for sure,
25 but it's possible, that there may be some within these

1 projects that may have a higher return on investment
2 than Project NOVA. Correct?

3 MR. SHAWN CAMPBELL: There is a
4 chance. Yes.

5 MS. KATRINE DILAY: Thank you, Mr.
6 Campbell. I'll turn now to the subject of IT
7 benchmarking, so I think that might be for Mr. Muir.

8 MR. SHAWN CAMPBELL: That's correct.

9 MS. KATRINE DILAY: Thank you. At a
10 high level, you'll agree that benchmarking compares
11 overall spend levels and IT maturity as compared to a
12 selected peer group?

13 MR. CHAD MUIR: Yes.

14 MS. KATRINE DILAY: And at a high
15 level again, the IT benchmarking activities can assist
16 MPI Board and executive to determine whether IT
17 spending and investments are appropriate at MPI?

18 MR. CHAD MUIR: Can you repeat the
19 question?

20 MS. KATRINE DILAY: Of course. At a
21 high level, MPI's IT benchmarking activities can
22 assist the MPI Board and its executive to determine
23 whether IT spending and investments are appropriate
24 for MPI?

25 MR. CHAD MUIR: I wouldn't completely

1 agree with that statement. The benchmarking provides
2 generally what the spend level is or what the staffing
3 level is. But it doesn't get project specific.

4 And the results of the report from
5 Gartner would not influence the executive or Board to
6 approve or disapprove a project.

7 MS. KATRINE DILAY: Understood. So --
8 so, sir, you're referring here to whether the IT
9 benchmarking activities would influence decisions on
10 specific projects?

11 MR. CHAD MUIR: Correct.

12 MS. KATRINE DILAY: In terms of
13 overall IT spending and investments, is the IT
14 benchmarking activities a tool that can be used to
15 look at overall, whether IT spending and investments
16 are appropriate at MPI?

17 MR. CHAD MUIR: Yes, correct.

18 MS. KATRINE DILAY: And you've already
19 referenced to this, but you'll agree that MPI retains
20 Gartner to conduct its benchmarking as it relates to
21 information technology?

22 MR. CHAD MUIR: Correct.

23 MS. KATRINE DILAY: And Gartner
24 provided its final report to MPI for the last
25 benchmarking exercise in July of 2023?

1 MR. CHAD MUIR: That is correct.

2 MS. KATRINE DILAY: And this was the
3 fourth report in a series spanning four (4) years to
4 date?

5 MR. CHAD MUIR: Correct.

6 MS. KATRINE DILAY: And I think you
7 referred to this yesterday, but there is going to be
8 one more report for a fifth year, if I remember
9 correctly?

10 MR. CHAD MUIR: No, this was the last
11 year. Sorry, this is --

12 MS. KATRINE DILAY: Thank you.

13 MR. CHAD MUIR: -- the fifth year.

14 Yeah.

15 MS. KATRINE DILAY: This is the fifth
16 year?

17 MR. CHAD MUIR: Correct, yeah.

18 MS. KATRINE DILAY: And you'll agree
19 that Gartner provides detailed recommendations to MPI
20 based on its analysis?

21 MR. CHAD MUIR: Correct.

22 MS. KATRINE DILAY: And my friend, Ms.
23 McCandless, went into this yesterday so I won't go
24 into detail.

25 But just to confirm, historically, MPI

1 reviews Gartner recommendations and then decides
2 whether or not to accept them?

3 MR. CHAD MUIR: Correct.

4 MS. KATRINE DILAY: And for example,
5 this year, MPI has accepted and reviewed the detailed
6 recommendations provided by Gartner, correct?

7 MR. CHAD MUIR: That is correct.

8 MS. KATRINE DILAY: And MPI has
9 prepared and provided, in this proceeding, an
10 implementation status and plan?

11 MR. CHAD MUIR: That is correct.

12 MS. KATRINE DILAY: And so, at a high
13 level, you'll agree that the Gartner benchmarking
14 exercise provides value to MPI?

15 MR. CHAD MUIR: Yes, I do agree.

16 MS. KATRINE DILAY: Again, at a high
17 level, you'll agree that MPI is a Crown corporation?

18 MR. CHAD MUIR: I agree.

19 MS. KATRINE DILAY: Meaning, it is
20 owned by the Government of Manitoba?

21 MR. CHAD MUIR: That's correct.

22 MS. KATRINE DILAY: And it's
23 accountable to Manitobans?

24 MR. CHAD MUIR: It is.

25 MS. KATRINE DILAY: And so, you'll

1 agree that MPI is not a private sector auto insurance
2 company?

3 MR. CHAD MUIR: Correct.

4 MS. KATRINE DILAY: And you'll agree
5 that MPI is a monopoly service provider when it comes
6 to Basic insurance. Correct?

7 MR. CHAD MUIR: Correct.

8 MS. KATRINE DILAY: And one (1) key
9 difference between MPI, and private sector auto
10 insurance companies, is that MPI does not compete with
11 other firms to get the business of customers for Basic
12 insurance products. Correct?

13 MR. CHAD MUIR: Correct.

14 MS. KATRINE DILAY: And you'll agree
15 that this legislative framework under which MPI
16 operates for Basic insurance, also means that it does
17 not compete with Insurtech firms?

18 MR. CHAD MUIR: Correct.

19 MS. KATRINE DILAY: And -- and
20 briefly, for -- for those of us, including me, who may
21 not be familiar with Insurtech, is that your
22 understanding that Insurtech refers to the use of
23 technology innovations designed to find cost savings
24 and efficiency from the current insurance industry
25 model?

1 MR. CHAD MUIR: Yes, it would be
2 parallel to FinTech.

3 MS. KATRINE DILAY: And just briefly,
4 can you indicate what FinTech would be?

5 MR. CHAD MUIR: For that -- that would
6 be the financial equivalent, so banking.

7 MS. KATRINE DILAY: Where -- where the
8 use of technology innovations designed to find cost
9 savings and -- and efficiency would be applied in the
10 financial sector, such as banking?

11 MR. CHAD MUIR: Correct.

12 MS. KATRINE DILAY: And you'll agree
13 that in the report by Gartner, filed on the -- the
14 record -- the record of this proceeding, pardon me,
15 the peers to which MPI is being compared operate in
16 the private sector. Correct?

17 MR. CHAD MUIR: Correct.

18 MS. KATRINE DILAY: And could we
19 please turn, Ms. Schubert, to CAC/MPI 2-38. And you
20 see that the Information Request reference at the top
21 there?

22 MR. CHAD MUIR: I do.

23 MS. KATRINE DILAY: And if we look to
24 exactly this -- the -- before us Part E of that
25 Information Request response -- so you'll agree there,

1 the first -- the first sentence there essentially
2 confirms that the current Gartner Report does not
3 include Crown corporations and public sector
4 organizations. Correct?

5 MR. CHAD MUIR: Correct.

6 MS. KATRINE DILAY: And the reasoning
7 provided by Gartner for the exclusion of these
8 organizations, is that the levels of IT intensity and
9 efficiency for public sector organizations, has
10 diverged from insurance industry peers. Correct?

11 MR. CHAD MUIR: That is correct.

12 MS. KATRINE DILAY: And so Gartner
13 indicates that the benchmark could be steered by the
14 inclusion of those peers in the peer group. Correct?

15 MR. CHAD MUIR: That is correct.

16 MS. KATRINE DILAY: But at the last
17 part of Part E here, to this IR, Gartner also
18 indicates that public sector organizations could be
19 shown as a separate benchmark upon request with an
20 applicable scope change order. Correct.

21 MR. CHAD MUIR: That is correct.

22 MS. KATRINE DILAY: And just to
23 confirm our understanding, the applicable scope change
24 order would have to come from MPI. Correct?

25 MR. CHAD MUIR: That is correct.

1 MS. KATRINE DILAY: I'd like to look
2 at a few specific results of the Gartner Benchmarking
3 Report. Ms. Schubert, could we turn to the Gartner
4 Report which is at GRA Part 5 IT and it's Attachment
5 A.

6 And if we look to page 11, which Ms.
7 Schubert already has before us, in the bottom left
8 corner, on this screen, you'll agree this is a summary
9 of MPI's IT expenses as a percentage of operating
10 expenses, as compared to industry peer average?

11 MR. CHAD MUIR: Yes, correct.

12 MS. KATRINE DILAY: And so, there's
13 three (3) numbers displayed here. Correct?

14 MR. CHAD MUIR: Correct.

15 MS. KATRINE DILAY: So at -- if we
16 look at the top number, you'll agree that this is the
17 percentage for MPI with NOVA included?

18 MR. CHAD MUIR: That is correct.

19 MS. KATRINE DILAY: And so with NOVA
20 included, that percentage for MPI is 10.3 percent.
21 Correct?

22 MR. CHAD MUIR: Correct.

23 MS. KATRINE DILAY: And if we look at
24 the description above the numbers provided by Gartner,
25 Gartner characterizes this as significantly higher

1 than the peer average?

2 MR. CHAD MUIR: Including NOVA,
3 correct.

4 MS. KATRINE DILAY: Thank you. And
5 then looking to the, I guess, the middle number, this
6 is the MPI percentage without NOVA. Correct?

7 MR. CHAD MUIR: That is correct.

8 MS. KATRINE DILAY: And that's 5.6
9 percent?

10 MR. CHAD MUIR: Correct.

11 MS. KATRINE DILAY: Which is 0.5
12 percent higher than the peer average?

13 MR. CHAD MUIR: Correct.

14 MS. KATRINE DILAY: Which is 5.1
15 percent.

16 MR. CHAD MUIR: Correct.

17 MS. KATRINE DILAY: And can you
18 confirm that the benefit of having the percentage for
19 MPI expressed both including and excluding NOVA is
20 that many of the NOVA costs are a one time cost rather
21 than ongoing cost?

22 MR. CHAD MUIR: There are absolutely
23 one-time costs related to NOVA in terms of
24 implementation of the solution. There will be some
25 costs that will carry over, but there will also be a

1 decrease from the existing costs.

2 The -- the intent of showing the
3 numbers, with and without NOVA, provide context.
4 Again, NOVA is a once in a generation transformation
5 project. So, it -- it's not a cost or a -- a level of
6 spending that would continue on past Project NOVA.

7 We wanted to make sure that in last
8 year's submission we showed not just a jump from, as
9 an example, if we had just shown ten point six (10.6),
10 there would be no context to show the pre-NOVA numbers
11 and the -- and the with-NOVA numbers. Going forward,
12 though, it is beneficial to show with and without.

13 MS. KATRINE DILAY: Thank you for that
14 explanation. Very helpful. You also confirmed that
15 there -- there are going to be ongoing implementation
16 costs associated with NOVA. Correct?

17 MR. CHAD MUIR: Correct.

18 MS. KATRINE DILAY: Which are in
19 addition to the one-time costs. Correct?

20 MR. CHAD MUIR: I'll let NOVA speak to
21 that. The one-time costs, I think, would be the
22 implementation costs, but that would be a better
23 question for NOVA.

24 MS. KATRINE DILAY: Thank you. And,
25 at a high level, you'll agree that MPI's IT expenses

1 must be recovered from ratepayers. Correct?

2 MR. CHAD MUIR: Correct.

3 MS. KATRINE DILAY: Including all of
4 Project NOVA costs?

5 MR. CHAD MUIR: Correct.

6 MS. KATRINE DILAY: Both one dtime and
7 ongoing NOVA costs. Correct?

8 MR. CHAD MUIR: Correct.

9 MS. KATRINE DILAY: And, if we look
10 to, again, page 11 of Attachment A to Part 5 of the
11 GRA, in the section just to the right of the one we
12 were looking to, so the second one from the left, that
13 relates to IT staffing as a percentage of enterprise
14 employees. Correct?

15 MR. CHAD MUIR: Correct.

16 MS. KATRINE DILAY: And, here, again,
17 when NOVA is included, that's the top number, the MPI
18 percentage is 24.9 percent?

19 MR. CHAD MUIR: Correct.

20 MS. KATRINE DILAY: And looking,
21 again, at the Gartner definition or, rather,
22 description, Gartner characterizes this as
23 significantly higher than the peer average?

24 MR. CHAD MUIR: Correct.

25 MS. KATRINE DILAY: And without NOVA,

1 the MPI percentage is 19.2 percent?

2 MR. CHAD MUIR: That is correct.

3 MS. KATRINE DILAY: Which is 2 percent
4 higher than the peer average. Correct?

5 MR. CHAD MUIR: That is correct.

6 MS. KATRINE DILAY: And, if we could
7 turn, Ms. Schubert, to page 13 of this document and,
8 again, you did go through some of these numbers
9 yesterday, but I'm hoping to confirm a few -- a few
10 items with you this morning.

11 So, if we look at the bottom of the
12 page, looking at MPI's maturity levels, you'll agree
13 that two of -- that the two (2) lowest scores here are
14 for strategy and execution, at one point three two
15 (1.32) and for program and portfolio management at one
16 point zero (1.0)?

17 MR. CHAD MUIR: Yes. Correct.

18 MS. KATRINE DILAY: And then, Ms.
19 Schubert, if we could turn to page 16 of this
20 document. Just looking at IT spending, historically,
21 which you'll agree is what we see on this page?

22 MR. CHAD MUIR: Correct.

23 MS. KATRINE DILAY: So, the light grey
24 line here represents the IT spending as a percentage
25 of operating expenses, excluding NOVA?

1 MR. CHAD MUIR: That is correct.

2 MS. KATRINE DILAY: And for 20 --
3 2021/'22, it was 5.6 percent, as we've seen
4 previously. Correct?

5 MR. CHAD MUIR: That is correct.

6 MS. KATRINE DILAY: And, then, the
7 darker line is for IT spending as a percentage of
8 operating expenses, including NOVA?

9 MR. CHAD MUIR: That is correct.

10 MS. KATRINE DILAY: And, so, that went
11 from 7.4 percent in 2020/'21 to 10.3 percent in
12 '21/'22. Correct?

13 MR. CHAD MUIR: Correct.

14 MS. KATRINE DILAY: So IT spending,
15 including NOVA, went up just under 3 percent of
16 operating expenses in one year. Correct?

17 MR. CHAD MUIR: Correct.

18 MS. KATRINE DILAY: And if we could
19 turn to page 33 of this document. Thank you, Ms.
20 Schubert.

21 You'll agree this relates to MPI's
22 maturity score for strategy and execution?

23 MR. CHAD MUIR: Yes.

24 MS. KATRINE DILAY: And, at a high
25 level, are you able to explain what Gartner means by

1 this category?

2 MR. CHAD MUIR: So, this is related to
3 the IT security and execution and this is what I
4 mentioned yesterday, which was something I could have
5 done better.

6 So, we put this to -- I provided
7 Gartner with the contact for our Enterprise Strategy
8 and Execution Group, which was not the correct
9 contact. The questions really related to the IT
10 strategy and execution and, so, we're taking a look at
11 how we get this evaluated by the correct group.

12 MS. KATRINE DILAY: Thank you for
13 that. And, so, just to confirm the numbers we see
14 here and, then, I'll -- I'll follow up a little on
15 what you just said, so, you'll agree here that, for
16 this report, MPI's overall score was one point three
17 two (1.32)?

18 MR. CHAD MUIR: Yes, correct.

19 MS. KATRINE DILAY: Which is lower
20 than the peer benchmark, correct?

21 MR. CHAD MUIR: That is correct.

22 MS. KATRINE DILAY: And it was also
23 lower than last year's overall score, correct?

24 MR. CHAD MUIR: That is correct.

25 MS. KATRINE DILAY: And then if we

1 look at the various functions, so in the -- in the
2 graph if we look at the various functions at the very
3 bottom that comprise this area, you'll agree that
4 MPI's maturity is below the peer benchmarks across all
5 functions, correct?

6 MR. CHAD MUIR: That is correct.

7 MS. KATRINE DILAY: And MPI's maturity
8 has also decreased against all functions since last
9 year, correct?

10 MR. CHAD MUIR: Correct.

11 MS. KATRINE DILAY: And you just spoke
12 to this yesterday, and then -- and then just now.

13 So, you indicated that the evaluation
14 for this -- for this area did not go to the right
15 team, in your view, correct?

16 MR. CHAD MUIR: That is correct.

17 MS. KATRINE DILAY: But you'll agree
18 that we don't currently have the information from the
19 team that -- that you would consider to be the right
20 team, correct?

21 MR. CHAD MUIR: Agreed.

22 MS. KATRINE DILAY: And if we turn to
23 page 39 of this document, Ms. Schubert, thank you.

24 You'll agree that this relates to MPI's
25 maturity score for program and portfolio management?

1 MR. CHAD MUIR: Yes.

2 MS. KATRINE DILAY: And at a high
3 level, are you able to explain what Gartner means by
4 this category?

5 MR. CHAD MUIR: For this category,
6 it's the -- it's the maturity in order to manage IT
7 projects and make sure that there is an understanding
8 of how projects are assessed, brought in, prioritized
9 and funded.

10 MS. KATRINE DILAY: Thank you for
11 that. Similarly here, MPI's overall maturity at 1.0
12 is below the peer benchmark?

13 MR. CHAD MUIR: That is the correct.

14 MS. KATRINE DILAY: If we look to the
15 top left. And MPI's overall maturity has decreased
16 since last year?

17 MR. CHAD MUIR: That is correct, with
18 the clarification, we're talking years, so it -- not
19 years being evaluated. Not physically last year, that
20 this is for '21/'22.

21 MS. KATRINE DILAY: Thank You. So,
22 for the last year evaluated?

23 MR. CHAD MUIR: Yes.

24 MS. KATRINE DILAY: Exactly. Thank
25 you for that clarification.

1 And MPI's maturity, if we look again at
2 the functions that are at the bottom of the graph,
3 MPI's maturity in all the various functions that
4 comprise this area have decreased since last year?

5 MR. CHAD MUIR: That is correct.

6 MS. KATRINE DILAY: And are below the
7 peer benchmark?

8 MR. CHAD MUIR: Correct.

9 MS. KATRINE DILAY: And just going
10 back to a response that you gave to my friend, Ms.
11 McCandless yesterday, or -- or pardon me, I think it
12 might have been in your direct examination, you
13 indicated that this score here does not include
14 Project NOVA, correct?

15 MR. CHAD MUIR: That is correct.

16 MS. KATRINE DILAY: But you'll agree,
17 we don't have a Gartner Assessment for program and
18 portfolio management as it relates for NOVA, correct?

19 MR. CHAD MUIR: That is correct.

20 MS. KATRINE DILAY: Or -- or any other
21 third-party evaluation of maturity as it relates to
22 NOVA?

23 MR. CHAD MUIR: Correct.

24 MS. KATRINE DILAY: Thank you. And
25 finally, if we could turn to page 41 of the...

1 MR. CHAD MUIR: Sorry, for
2 clarification, there has been a third-party governance
3 vendor for NOVA.

4 MS. KATRINE DILAY: Yes, thank you for
5 that, which is -- which is now, as of recently, MNP
6 LLP, correct? Perfect, Ms. Schubert. Thank you. So,
7 before us we have page 41 of the Gartner Report.

8 Do you see that?

9 MR. CHAD MUIR: Yes, I do.

10 MS. KATRINE DILAY: And this relates
11 to vender management?

12 MR. CHAD MUIR: Correct.

13 MS. KATRINE DILAY: In here, if we
14 look at the top left, you'll agree that MPI's overall
15 maturity has decreased from the previous year's
16 maturity levels?

17 MR. CHAD MUIR: That is correct.

18 MS. KATRINE DILAY: And if we look at
19 the various functions in the graph that comprise this
20 area, MPI's score has gone down since last year?

21 MR. CHAD MUIR: That is correct.

22 MS. KATRINE DILAY: And I should
23 clarify, in two (2) of those four (4) functions the
24 score has gone down, correct?

25 MR. CHAD MUIR: Yes. Thank you.

1 MS. KATRINE DILAY: And you'll agree
2 that vendor management is especially crucial, given
3 the majority of NOVA's costs are with vendors?

4 MR. CHAD MUIR: Correct.

5 MS. KATRINE DILAY: And I just have a
6 few -- a few more questions on Gartner's IT
7 benchmarking. Ms. Schubert, could we turn to CAC/MPI-
8 2-38, Attachment E to that response?

9 And you see that reference at the top
10 right, for the IR response?

11 MR. CHAD MUIR: Yes, I do.

12 MS. KATRINE DILAY: And you'll agree
13 that this is the Gartner report from June 13th, 2023?

14 MR. CHAD MUIR: Correct.

15 MS. KATRINE DILAY: And so we
16 confirmed earlier that the report -- the Gartner
17 report that was included with the General Rate
18 Application was from July 2023, correct?

19 MR. CHAD MUIR: Correct.

20 MS. KATRINE DILAY: So are we correct
21 in understanding that this would have been one (1) of
22 the versions essentially before the last version that
23 was included as part of the GRA?

24 MR. CHAD MUIR: That's correct, a
25 draft version.

1 MS. KATRINE DILAY: A draft version,
2 correct?

3 MR. CHAD MUIR: Correct, yeah.

4 MS. KATRINE DILAY: But you'll --
5 you'll agree it does say, under 'Findings and
6 Recommendations,' reported as a final version, 13
7 June, 2023?

8 MR. CHAD MUIR: It does state that,
9 yes.

10 MS. KATRINE DILAY: And could we turn
11 to page 5 of this report.

12 You'll agree this is a slide entitled
13 'Considerations for Project NOVA'?

14 MR. CHAD MUIR: Yes.

15 MS. KATRINE DILAY: And subject to
16 check, this page does not appear in the Gartner report
17 that was filed with the General Rate Application from
18 July 2023, correct?

19 MR. CHAD MUIR: Correct.

20 MS. KATRINE DILAY: And just to
21 confirm our understanding, if we look at the third
22 bullet on this page, Gartner says here that their
23 report does not provide an evaluation of Project NOVA
24 spend efficiency or effectiveness dimensions, correct?

25 MR. CHAD MUIR: That is correct.

1 MS. KATRINE DILAY: So is it fair to
2 say that Gartner is confirming that it is not
3 providing independent evidence on the reasonableness
4 of costs of Project NOVA?

5 MR. CHAD MUIR: That is correct. That
6 is the intent of a third-party vendor, a governance
7 vendor.

8 MS. KATRINE DILAY: Thank you. And
9 Gartner is not providing an opinion on whether Project
10 NOVA will be delivered on time and on budget, correct?

11 MR. CHAD MUIR: Correct.

12 MS. KATRINE DILAY: And I just have a
13 few -- and my last area here will be on Cityplace
14 renovations. I'm not sure who will be best placed for
15 those questions.

16

17 (BRIEF PAUSE)

18

19 MR. ANTHONY GUERRA: Sorry. Ms.
20 Dilay, just -- just a brief warning: We may not have
21 the expertise necessary to answer some of those
22 questions in this panel, so we'll do our best, but if
23 necessary, we may have to defer them to the Financial
24 Forecasting Panel for Monday.

25 MS. KATRINE DILAY: Thank you, Mr.

1 Guerra. So perhaps what we can do is -- is we can --
2 we can try. There is some information in -- in IR
3 responses that may be sufficient to respond to
4 questions, but of course, if there's any desire to --
5 to delay these questions, we can of course do that.

6

7 CONTINUED BY MS. KATRINE DILAY:

8 MS. KATRINE DILAY: So at a high
9 level, expenses relating to buildings and Cityplace
10 are one (1) of the key inputs in the 2023/'24 capital
11 budget. And we could go to -- to a reference if that
12 helps.

13 MR. SHAWN CAMPBELL: That is correct.

14 MS. KATRINE DILAY: And if we could
15 go, Ms. Schubert, to PUB/MPI-2-1, Appendix 2, page 5
16 of this appendix.

17 And so you'll agree here this is a
18 summary of the capital budget request for 2023/'24, or
19 part of it?

20 MR. SHAWN CAMPBELL: Shawn speaking.
21 Yes, that is correct.

22 MS. KATRINE DILAY: And if we look at
23 Cityplace including space plan, which is that first
24 item line in the table, you'll agree it's listed at
25 13.5 million?

1 MR. SHAWN CAMPBELL: Correct.

2 MS. KATRINE DILAY: And, Ms. Schubert,
3 if we could turn to PUB/MPI-CI-2-1 -- so it's a public
4 response to a confidential IR -- and looking to page 2
5 of this IR specifically, the response to part D.

6 So if you look at the top of that
7 response, MPI confirms there that in May of 2023 the
8 flexible work program was enhanced whereby hybrid,
9 remote, and on-site work types were introduced?

10 MR. SHAWN CAMPBELL: Yes, I see that.

11 MS. KATRINE DILAY: And to confirm the
12 response, just after this -- the Figure 1, so MPI
13 confirms that:

14 "Presently, approximately 30 percent
15 of all staff are hybrid and 50
16 percent are remote, but it's
17 anticipated that the number of
18 remote positions will drop to
19 approximately 30 percent and the
20 number of hybrid positions will
21 increase to 50 percent over the next
22 year."

23 MR. SHAWN CAMPBELL: Yes, that is what
24 it states.

25 MS. KATRINE DILAY: And looking at the

1 top of page 3, MPI states that:

2 "The current Cityplace space plan
3 assumes a 50 percent in-office
4 occupancy. So MPI would -- would
5 expect space to be inadequate if 100
6 percent of Cityplace staff would
7 attend in-office 60 percent or more
8 of the time."

9

10 (BRIEF PAUSE)

11

12 MR. ANTHONY GUERRA: Sorry, Ms. Dilay.
13 We're just -- we're just concerned that -- we just
14 want to make sure that this was not still a
15 confidential IR response.

16 It does say 'Public' there. I just
17 don't know exactly if -- if that was later unredacted
18 or -- so I just want to just -- just double-check to
19 make sure. Like I'm assuming that you confirmed that
20 it was, but I just -- can we just take a moment?

21 MS. KATRINE DILAY: Sure.

22 MR. ANTHONY GUERRA: Okay. Thank you.

23

24 (BRIEF PAUSE)

25

1 MR. ANTHONY GUERRA: Okay. I'm sorry.
2 Yeah, the clarification was it was initially a
3 Confidential Information Request but the response was
4 -- was public, so we're -- we're okay. Thank you.

5 MS. KATRINE DILAY: Thank you for
6 confirming. We -- we do -- yes. Anyways, we do try
7 to obviously be careful.

8

9 CONTINUED BY MS. KATRINE DILAY:

10 MS. KATRINE DILAY: And so just going
11 back to the top of page 3, so MPI states there that:

12 "The current Cityplace space plan
13 assumes a 50 percent in-office
14 occupancy, and so MPI would expect
15 space to be inadequate if 100
16 percent of Cityplace staff attend
17 in-office 60 percent or more of the
18 time."

19 Correct?

20 MR. SHAWN CAMPBELL: Shawn answering.
21 Yes, correct.

22 MS. KATRINE DILAY: And that is a
23 possibility, right, that 100 percent of Cityplace
24 staff could attend in-office 60 percent of the time or
25 more? That's what MPI is essentially saying here,

1 correct?

2 MR. SHAWN CAMPBELL: Correct.

3 MS. KATRINE DILAY: And this would be
4 a material shift in occupancy requirements from the
5 current design, correct?

6 MR. SHAWN CAMPBELL: Correct.

7 MS. KATRINE DILAY: And so, at a high
8 level -- and I believe you've indicated this in your
9 response -- you'll agree that MPI has not landed yet
10 on a specific direction for how often staff will be
11 required to attend in-office?

12

13 (BRIEF PAUSE)

14

15 MR. ANTHONY GUERRA: Ms. Dilay, this
16 is probably a question that's best responded to by way
17 of an undertaking.

18 MS. KATRINE DILAY: Mr. Guerra, that's
19 fine. I was just confirming -- it's actually right in
20 the IR response as well.

21 Ms. Schubert, if you could scroll down
22 a bit towards the middle of that paragraph, you'll see
23 there it says:

24 "MPI has not landed on a specific
25 direction currently."

1 MR. ANTHONY GUERRA: Correct. And,
2 you know, we can still take that by way of an
3 undertaking. I -- I don't think --

4 MS. KATRINE DILAY: That would be --

5 MR. ANTHONY GUERRA: -- it's going to
6 change, but we can just confirm that's the case. So
7 if you'd like, what we could do is we can undertake to
8 provide an updated response, if any, to PUB-CI-2-1,
9 question part (e).

10

11 --- UNDERTAKING NO. 6: MPI to provide an updated
12 response, if any, to PUB-
13 CI-2-1, question part (e).

14

15 MS. KATRINE DILAY: That would be very
16 helpful, Mr. Guerra. Thank you. And I do have just
17 two (2) more questions on this topic, so maybe I'll
18 pose them and if they're -- if it's appropriate to
19 include them in the undertaking, perhaps we could do
20 it that way?

21

22 CONTINUED BY MS. KATRINE DILAY:

23 MS. KATRINE DILAY: And if we look at
24 the bottom of this paragraph here, Mr. Campbell,
25 you'll see towards the bottom:

1 "MPI confirms that there is a
2 material difference in the cost
3 profile depending on the direction
4 taken by MPI."

5 MR. SHAWN CAMPBELL: Yes, agreed.

6 MS. KATRINE DILAY: And while MPI then
7 states that further investments at Cityplace will
8 likely be at 1.5 million, you'll agree that there is
9 significant uncertainty there, correct?

10 MR. SHAWN CAMPBELL: Correct.

11 MS. KATRINE DILAY: And that costs
12 could potentially be higher than that 1.5 million?

13 MR. SHAWN CAMPBELL: Correct.

14 MS. KATRINE DILAY: Thank you. Those
15 are all my questions for this Panel. Thank you for
16 your time.

17 PANEL CHAIRPERSON: Thank you, Ms.
18 Dilay. Mr. Gabor...?

19 BOARD CHAIR GABOR: As I understand
20 it, the Gartner contract ended July of 2023?

21 MR. SHAWN CAMPBELL: Yes, that is
22 correct.

23 BOARD CHAIR GABOR: Okay. Has the RFP
24 been prepared for a new consultant?

25 MR. SHAWN CAMPBELL: Not as -- at this

1 time.

2 BOARD CHAIR GABOR: Any idea when it
3 will be prepared?

4 MR. SHAWN CAMPBELL: It should be
5 before Christmas. Again, this is dependent on labour
6 interruption.

7 BOARD CHAIR GABOR: Okay. And any
8 idea how long it will take to evaluate the proposals
9 and select a new consultant?

10 MR. SHAWN CAMPBELL: The process would
11 be approximately three (3) months.

12 BOARD CHAIR GABOR: Okay. So the --
13 the last document you had was for '21/'22.

14 Is there -- is the -- is it anticipated
15 the new consultant would do a report for '22/'23?

16 MR. SHAWN CAMPBELL: That is correct.

17 BOARD CHAIR GABOR: Any idea when it
18 would be available?

19 MR. SHAWN CAMPBELL: It would be
20 available for submission to the PUB for 2025.

21 BOARD CHAIR GABOR: In the next year?

22 MR. SHAWN CAMPBELL: Correct.

23 BOARD CHAIR GABOR: Okay. Would
24 Gartner be able to file a proposal for that contract?

25 MR. SHAWN CAMPBELL: Yes, they would.

1 It'll be open market, so it'll be open to any vendor.

2 BOARD CHAIR GABOR: Okay. Sir, you
3 said that when discussing the maturity levels, you
4 thought that the information went to the wrong team.

5 Is that correct?

6 MR. SHAWN CAMPBELL: That was for one
7 (1) particular area, for strategy and execution.

8 BOARD CHAIR GABOR: Okay. Was Gartner
9 told that?

10 MR. SHAWN CAMPBELL: I have had
11 conversations with Gartner on this, yes, correct.

12 BOARD CHAIR GABOR: And was there any
13 proposal to redo that portion of the report?

14 MR. SHAWN CAMPBELL: Yes, that is the
15 intent.

16 BOARD CHAIR GABOR: And is it being
17 done now?

18 MR. SHAWN CAMPBELL: It has not
19 started yet, but we've identified who it should go to
20 and working with Gartner.

21 BOARD CHAIR GABOR: So Gartner would
22 be the one to do that aspect of the report?

23 MR. SHAWN CAMPBELL: That's correct.
24 There's two (2) components for the maturity; one is a
25 questionnaire and the second is an interview.

1 BOARD CHAIR GABOR: Okay. I'm going
2 to be sort of very careful in this. I see a lot of
3 new people here this year, and there seems to be quite
4 a bit of turnover.

5 In terms of the maturity level, was
6 that affected by the turnover of people?

7 MR. SHAWN CAMPBELL: The maturity
8 wasn't affected by the turnover of people. It -- as
9 stated yesterday, it was really around actually taking
10 a more critical look at our level of maturity based on
11 some of the shifts in strategy to move -- with a move
12 towards cloud, as well as a fresh perspective coming
13 in that has a different view or response to the
14 questions with that external lens.

15 BOARD CHAIR GABOR: The decision to
16 move from a more detailed business case to a lean
17 business case, who made the decision?

18 MR. SHAWN CAMPBELL: The decision
19 itself -- sorry -- Shawn speaking. The decision
20 itself was ultimately made by the -- the Executive
21 Group at MPI as part of the adoption of an agile
22 framework for delivery.

23 It bubbled up into we need to right set
24 our processes that we followed to align to what the
25 scaled Agile framework recommends in order to be

1 effective. And that, in turn, brought about the
2 changes to the -- detailed business case into the lean
3 business case.

4 And as part of that transformation, we
5 look to bring in the artifacts out of that detailed
6 business case into the lean business case where it
7 made sense; a simple example would be the financial
8 analysis spreadsheet that comes with our business
9 cases.

10 When you take a look at what scaled
11 Agile framework gives for a lean business case, it
12 does not call out that financial analysis component.
13 So we brought that component into that lean business
14 case.

15 BOARD CHAIR GABOR: Okay. And -- and
16 what do you lose when you go from a detailed business
17 case to a lean business case?

18

19 (BRIEF PAUSE)

20

21 MR. SHAWN CAMPBELL: Shawn speaking.
22 So when you do that transition there's pros and cons
23 that happen. So when you do a traditional business
24 case, it tends to go for waterfall model where it says
25 I want all of this. I list out a hundred things. I

1 want all of it, and you're expected to deliver all of
2 it. And the project ends when you deliver all of
3 that.

4 In addition to that, that level of
5 detail gives you all the -- the nuances to track out
6 what are the benefits of the -- the business case.

7 When you move into a lean business
8 case, the idea is to embrace Agile, in which case, you
9 do a little bit of work. You prove out that that work
10 is actually what you believe it will do and it is --
11 does have that benefit. And then you move on to
12 another section of that work.

13 So when you go into a lean business
14 case, you take a look in there. It'll have scope
15 statements, but it'll also have something called a
16 minimum viable product identified, and that's that
17 first litmus test on whether or not the project has
18 merit, if you made a mistake or missed assumption
19 along the way.

20 The idea is to learn upfront whether or
21 not your business case has legs and continue with it
22 or pivot and move a different direction versus the old
23 style, where you had a large business case, and you
24 did not get that insight until you were done. So you
25 could have made a very large financial mistake with

1 that business case.

2 BOARD CHAIR GABOR: Mr. Campbell, when
3 did -- when did MPI move to Agile?

4 MR. SHAWN CAMPBELL: Agile's been a
5 journey for MPI since -- I believe it was 2018 we
6 started doing small increments of Agile within our
7 software support group, and then it's evolved over
8 that time.

9 2020 was when we started to build out
10 larger teams, as -- and it coincided with the adoption
11 of NOVA. And now we're at the -- the state where the
12 majority of our delivery is Agile.

13 BOARD CHAIR GABOR: Okay. And the
14 move from a detailed business case to a lean business
15 case occurred in the last year, or was it prior to
16 that?

17 MR. SHAWN CAMPBELL: It was prior to
18 that. We moved that in -- sorry, I just have -- need
19 to check.

20 So we started using the lean business
21 case in the '21/'22 fiscal year.

22 BOARD CHAIR GABOR: Okay. Thank you.
23 Those are my questions.

24 PANEL CHAIRPERSON: Thank you. Ms.
25 Boulter...?

1 BOARD MEMBER BOULTER: Hi. We --
2 we've had some discussion in -- in this session about
3 the senior change, all the staff turnover. And on
4 page 903 of the GRA you talk about the people and
5 culture project being closed.

6 And I'm wondering, was this the best
7 time to shut down something that would be helping and
8 -- staff through all this churn that's going on?

9

10 (BRIEF PAUSE)

11

12 MR. SHAYON MITRA: It's Shayon here.
13 So the project was closed because the effort
14 associated with the tasks were completed. We haven't
15 stopped working on our culture.

16 So, right now, we are -- so the -- the
17 people in culture team continues to work on a
18 competency model and the changes needed coming out of
19 labour interruption and going forward.

20 So short answer is it was
21 operationalized and did not need project resources to
22 continue.

23 BOARD MEMBER BOULTER: Thank you very
24 much.

25 PANEL CHAIRPERSON: Ms. Nemec...?

1 BOARD MEMBER NEMEC: Hi. I've got a
2 couple questions. One about maybe Gartner report.
3 And the Gartner report talked a lot about change and
4 maturity levels in a vast majority of all the areas
5 that were analyzed.

6 I understand you've addressed the
7 strategy and the execution area.

8 And one of the significant changes, I
9 think, where I think the maturity went down to one-
10 point-zero (1.0) was the portfolio -- program and
11 portfolio management.

12 And we talk about a new external lens,
13 but I'm assuming -- and you've agreed -- that all of
14 the -- you've agreed to all of the recommendations so
15 that you would implement change in all the recommended
16 areas, I believe, that Gartner has required.

17 But if we just take an example of the
18 program and portfolio management, what -- what was the
19 change? Were there change in staff? Were there
20 change in methodologies that would impact that area,
21 as an example?

22 MR. CHAD MUIR: Yeah. So the -- the
23 change is that previously there were pockets of
24 program and project management throughout the
25 organization. So NOVA, as an example, had their own

1 PMO office.

2 This move was to create an enterprise
3 project management office. And so, with that lens,
4 when they took a look at the questions that were being
5 asked by Gartner, saying, Do you have a complete
6 enterprise program management system, the answer was
7 no. Because it was being stood up by -- by the new
8 hire.

9 Shawn, do you have anything to add to
10 that?

11 MR. SHAWN CAMPBELL: Shawn speaking.
12 So as part of this -- this is also the time when we
13 started to evolve our Agile adoption and the
14 frameworks that we were doing.

15 So prior to '21/'22, we had a mixed
16 model of waterfall projects and most of our
17 methodologies were around how to deliver in a
18 waterfall world.

19 As we are looking to grow our Agile
20 framework, our scale Agile framework, and
21 implementation, that required a significant reset of
22 those processes. And as such, in the '21/'22 year,
23 when you take a look at what were all the documented
24 processes around scaled Agile framework delivery,
25 there was limited documentation at that time.

1 So this individual, when they came in,
2 they took a look at that and said, If you want to be
3 an Agile shop, you need to make sure that you have all
4 these processes in place. As such, at this point in
5 time, we do not.

6 And so, now in order to fix this, we
7 are setting out a plan and a roadmap for EPMO, or
8 Enterprise Program Management Office, to right set all
9 of that.

10 BOARD MEMBER NEMEC: So if those
11 questions are asked today, would that maturity level
12 change?

13 MR. SHAWN CAMPBELL: Yes, you would
14 have a different score. A higher -- much higher
15 score.

16 BOARD MEMBER NEMEC: Okay. Another
17 question about the reallocation of funding in the
18 Capital Management Project.

19 And I believe that reallocation of
20 funding -- I believe it was between envelope -- not
21 sure if I'm using the right word about the envelope
22 funding -- funding envelopes.

23 That approval is made at a group called
24 the lean portfolio -- is it the lean portfolio
25 management group. Can you just describe that and

1 explain who's on that group and just the level of that
2 group compared to where the capital master project
3 would be -- would have been approved initially.

4 So who approves the Capital Master
5 Project, and then what level is the lean portfolio
6 management group that can approve the re-allocations?

7

8 (BRIEF PAUSE)

9

10 MR. SHAWN CAMPBELL: Shawn speaking.

11 So the capital master itself is reviewed by the
12 executive, the CFO, the CEO, and goes to the Board for
13 approval.

14 The lean portfolio management committee
15 is comprised of the executive council members, so the
16 -- both the CEO, the C-suite -- or the VPs within the
17 organization -- and a number of key directors within
18 the organization that are responsible for bringing
19 about change within the organization.

20 BOARD MEMBER NEMEC: Okay. Thank you.

21 Question about the RFP that will be coming out as
22 Gartner's term has now completed its five (5) years.

23 One of the questions was just asked
24 about public sector organizations not being part of
25 the eleven (11) that would be in the Gartner review.

1 When you re-analyze the scope for the
2 upcoming RFP, will that be a consideration as to who's
3 included in that grouping?

4 MR. CHAD MUIR: Yes -- it's Chad
5 speaking. Yes, it will be contemplated.

6 BOARD MEMBER NEMEC: Okay. Another
7 question on the -- there was a list of projects that
8 were deemed not critical. I think that was just
9 brought up in -- in a question.

10 That 11.6 million, is there a list of
11 those? And can you just high level explain -- I
12 believe that there was still some IT projects in the
13 HR area and the finance area.

14 Were those two (2) of the areas that
15 were deemed not critical, or are those still
16 continuing?

17 MR. SHAWN CAMPBELL: Shawn speaking.
18 So when we drew down the 11.9 million, I believe it
19 was, what we did is we limited the number -- or the --
20 the ability to bring in new projects. We didn't
21 actually cancel any existing projects that were in
22 flight.

23 So what we did is we took a look at
24 where programs were in their journey to see whether or
25 not there was -- they were ready to be closed out.

1 Anything new that needed to be brought in, we would
2 then go through a higher level of scrutiny to make
3 sure that whatever funds were left in the funding
4 envelopes were appropriately assigned to the highest
5 priority task or changes that the organization wanted
6 to bring about.

7 So essentially -- sorry, just to
8 clarify or summarize what I'm trying to say -- is that
9 when we did the -- the financial draw down, we didn't
10 stop any projects themselves. Rather, what we did is
11 we just reduced the ability to bring in new projects
12 due to the amount of projects that were already in
13 flight, as well as making sure that we were focused on
14 program NOVA.

15 BOARD MEMBER NEMEC: Did you decrease
16 the total cumulative funding envelopes down by 11.6 or
17 11.9 million?

18

19 (BRIEF PAUSE)

20

21 MR. SHAYON MITRA: This is Shayon
22 here. So we reduced our capital master summary by
23 11.9 million. So when you think of it, essentially,
24 the CMS was reduced by that amount. We didn't change
25 the funding envelopes. So under each funding envelope

1 you would have multiple epics or individual projects.
2 If the project was in flight, we continued. Where we
3 had the ability to stop or -- or stop the start of a
4 new epic, we have gone ahead and done that.

5 And that's how we derived the reduction
6 of 11.9 million.

7 BOARD MEMBER NEMEC: Thank you. And
8 my last question is under the -- when Gartner does its
9 review, does it define the definition of staffing or -
10 - I think, in the IT department, sometimes staffing
11 could be internal, external, contract.

12 Is there a definition so that when they
13 are making the comparatives between the different
14 organizations is there actually defined what
15 'staffing' means?

16 MR. CHAD MUIR: Yes. So staffing
17 includes both internal FTEs as well as external
18 contractors.

19 PANEL CHAIRPERSON: Thank you, Mr.
20 Guerra.

21 MR. ANTHONY GUERRA: Thank you, Madam
22 Chair. Just a few re-direct questions.

23

24 RE-DIRECT EXAMINATION BY MR. ANTHONY GUERRA:

25 MR. ANTHONY GUERRA: This first

1 question will be directed towards Mr. Mitra and Ms.
2 Edwards. Yesterday there were questions asked by My
3 Friend from the PUB respecting the recommendation put
4 forward for a reporting threshold of 50,000 for epics
5 in the 2025 GRA.

6 Do you recall that line of questioning?

7 MR. SHAYON MITRA: Shayon here. Yes,
8 I do.

9 MR. ANTHONY GUERRA: And perhaps just
10 for the benefit of the Panel, can either of you or
11 both of you, highlight the -- the rationale and the
12 reason why it would be most beneficial for that
13 threshold to be in place for the next GRA?

14 MR. SHAYON MITRA: Simplistically, but
15 the effort it took us in -- in listing all of the
16 initiatives that are under the funding envelope and
17 reporting on it. I think it was close to, subject to
18 check, a hundred and fifty (150) pages. And so we had
19 to list every project and epic under a fund -- funding
20 envelope.

21 So the request was to increase that
22 threshold to \$50,000 to reduce effort at our end.

23 MR. ANTHONY GUERRA: And -- and more
24 importantly then, if -- if one were to increase the
25 threshold, is it from thirty thousand (30,000) to

1 fifty thousand (50,000)?

2 MR. SHAYON MITRA: Sorry, could you
3 repeat that question?

4 MR. ANTHONY GUERRA: Would the -- the
5 threshold be moved up from thirty thousand (30,000) to
6 fifty thousand (50,000)?

7 MR. SHAYON MITRA: I believe it is all
8 initiative. So, it starts at -- so it could be as low
9 as ten (10), \$15,000. So, we are requesting to roll
10 it up to fifty thousand (50,000), in light of where
11 the Corporation's at and going forward.

12 MR. ANTHONY GUERRA: And do we have a
13 sense as to what that might mean in terms of the --
14 the level of production for the next year? You had
15 mentioned something around the -- you know, the basis
16 of a hundred and fifty (150) pages.

17 What does that look like for next rate
18 application?

19 MR. SHAYON MITRA: I -- I couldn't
20 comment, but hopefully a lot less than a hundred and
21 fifty (150) pages.

22 MR. ANTHONY GUERRA: And my next
23 question is for Mr. Muir.

24 In respect of the Gartner Report,
25 perhaps I can ask Ms. Schubert to bring up the Gartner

1 Report -- MPI Exhibit No.5, page 11, please.

2 You recall this line of questioning
3 from Ms. Dilay this morning in regards to IT spending
4 being significantly higher than peers?

5 MR. CHAD MUIR: Yes, I do.

6 MR. ANTHONY GUERRA: In terms of the
7 peers, which we understand there are eleven (11) of
8 them, are you aware of whether or not the other peers
9 -- well, first of all, let me ask the first question
10 which is: The Gartner Report, when it analyzes the
11 spending of MPI, it does so on a corporate-wide basis
12 or just in relation to its automobile insurance lines
13 of business.

14 MR. CHAD MUIR: This is corporate
15 wide.

16 MR. ANTHONY GUERRA: So, this would
17 include the Driver and Vehicle Administration line of
18 business as well. Correct?

19 MR. CHAD MUIR: Yes, it would.
20 Correct.

21 MR. ANTHONY GUERRA: And are you aware
22 of whether or not the eleven (11) other peers analyzed
23 by Gartner also provide services other than automobile
24 insurance?

25 MR. CHAD MUIR: Subject to check, I do

1 not believe they do.

2 MR. ANTHONY GUERRA: And then, finally
3 -- Ms. Schubert, if you can pull up slide 41 of this
4 presentation.

5 And Ms. Muir -- Mr. Muir, my apologies,
6 you recall this line of questioning from my friend,
7 Ms. Dilay, regarding vendor management maturity levels
8 decreasing?

9 MR. CHAD MUIR: Yes, I do.

10 MR. ANTHONY GUERRA: And, can you help
11 us understand what the impact of the decrease in the
12 maturity levels might mean for -- for Project NOVA?

13 MR. CHAD MUIR: Yes. So, for the two
14 (2) areas that decreased, I think the context is
15 really around the change to Cloud, so software as a
16 service, platform as a service.

17 So, when we talk about developing and
18 managing talent, it's really taking that group through
19 the increase in skills to address Cloud.

20 As well as with the partner
21 stakeholders, so as we move to Cloud, there is more
22 involvement internally stake -- with stakeholders for
23 security, privacy, et cetera. So, that's where the --
24 the decrease comes in.

25 Within NOVA, NOVA has its own vendor

1 management governance and strategy approach, as well
2 as relationship management, contract deliverables and
3 escalations within the program.

4 So, the -- the change in maturity in
5 this slide doesn't affect NOVA.

6 MR. ANTHONY GUERRA: Okay. Thank you
7 very much. No further questions.

8 PANEL CHAIRPERSON: Mr. Gabor...?

9 BOARD CHAIR GABOR: Sorry, just
10 following up on -- on Mr. Guerra's comment.

11 Mr. Muir, in terms of one (1) of the
12 reasons that was cited for the reduced maturity was
13 movement to the Cloud. Correct?

14 MR. CHAD MUIR: Correct.

15 BOARD CHAIR GABOR: Okay. Do you
16 expect next year that, since you've already started in
17 it, that your maturity level would go up or remain the
18 same or go down?

19 MR. CHAD MUIR: It will go up.

20 BOARD CHAIR GABOR: Thank you.

21 PANEL CHAIRPERSON: Thank you very
22 much. And I'd like to thank the MPI IT, IT
23 Benchmarking Value Management Panel for your
24 attendance and presentations.

25 Though you're certainly excused at this

1 point, Mr. Guerra, we would like to have a discussion
2 now with regard to the motion.

3

4 (PANEL STANDS DOWN)

5

6 PANEL CHAIRPERSON: So, just to put a
7 little bit of the emails that have been going back and
8 forth amongst counsel on the record, I think it might
9 be helpful just to note that the motion for
10 confidential treatments of the E -- E&Y and Deloitte
11 reports were received by Public Utilities Board
12 counsel and Intervener counsel, I believe, on October
13 the 9th, which was the Thanksgiving Monday, the day
14 before this hearing started.

15 Yesterday, we had set the motion to be
16 heard at the end of the day today and I believe that
17 MPI counsel has been advised by E&Y and Deloitte that
18 they are looking for an adjournment of that to
19 Tuesday.

20 There was a suggestion made that
21 perhaps we could have the CSI IT panel moved to
22 Monday. To try and comply with that request, counsel
23 for the Public Utilities Board has -- has had
24 conversations with our consultants and, unfortunately,
25 they are unavailable and cannot move their schedule so

1 we have to proceed with that panel on Tuesday.

2 So, it would mean that we would be
3 proceeding with this motion on Tuesday, after that
4 panel has concluded. But, I understand that that will
5 have some impact on MPI's presentation on Monday,
6 which is the Financial Forecasting Panel.

7 So, we -- we need to proceed. We need
8 to have the motion heard, but we have a couple of
9 questions for you, Mr. Guerra.

10 The first one is and, hopefully, you
11 can provide us with a response to this by end of
12 today, if possible, but certainly end of tomorrow.

13 Is there a way that those documents can
14 be revised to remove the information that those two
15 (2) consultants claim as proprietary, so that we can
16 proceed without having to use the resources that will
17 be required to hear this CSI motion?

18 If not, I would ask whether the
19 consultants are aware that the onus is on them to
20 prove that, in fact, that information is commercially
21 sensitive or confidential.

22 And, we would like to have the
23 opportunity to cross-examine the witnesses for E&Y and
24 Deloitte and I expect that there may be Interveners
25 who would appreciate that opportunity as well.

1 One final question for you is: Did
2 those consultants know that they were providing those
3 documents to you and that they would be included in
4 the General Rate Application for 2024?

5 So, if you can provide that information
6 now or at some other time, as I say, preferably by the
7 end of day -- today, or tomorrow, we would appreciate
8 it.

9 MR. ANTHONY GUERRA: Sure, Madam
10 Chair, I can do my best to answer those -- those four
11 (4) questions.

12 So, in respect to the first question,
13 can the documents be revised or edited so that
14 confidential information is removed?

15 We did have those discussions with --
16 with the consultants and -- and both indicated they're
17 -- they're -- that they -- they would not be
18 sufficiently -- it could not be sufficiently redacted
19 so as to remove the confidential information and still
20 make the document accessible or usable by members of
21 the public. So that was their concern.

22 Or that the redactions might actually
23 confuse and that may actually make things worse. So,
24 their -- their position is that the entire document
25 needs to be redacted, otherwise the information left

1 is -- is not usable, or potentially creates bigger
2 problems for them.

3 They are aware of the onus, so that
4 responds to the second question.

5 The -- the indication that indication
6 that we've received so far from counsel is that they
7 intend to present additional evidence from the
8 consultants. There was an expectation that we might
9 receive some -- some affidavits from them, but I can
10 certainly let them know that the expectation is that
11 they will have witnesses.

12 I believe one of them is outside of the
13 country at the moment. So, there may be some
14 difficulties practically, getting the -- the writers
15 of those two (2) reports available.

16 I understand that both counsel would be
17 requesting to appear virtually, 'cause they're both in
18 Toronto. We'll see if we can make those similar
19 arrangements for -- for their witnesses, as well, so
20 that they can be cross-examined, and, in respect of
21 the fourth question -- sorry -- I've lost my train of
22 thought. Yeah. What was the fourth ques?

23 PANEL CHAIRPERSON: It was did -- were
24 they aware that these documents were going to be filed
25 in the GRA?

1 MR. ANTHONY GUERRA: The short answer
2 is yes. They were aware that this was the purpose of
3 the -- the en -- the endeavour was to get information
4 that would be used in this public system.

5 They were made aware that there's a
6 confidentiality process in play and, that, if there
7 were claims of confidentiality over the documents,
8 that they would have to be resolved through this
9 process.

10 PANEL CHAIRPERSON: Okay. Yeah. So,
11 we will proceed, then, with that motion, late Tuesday.
12 I'm assuming that that provides CAC with sufficient
13 time to provide mat -- materials to counsel for MPI
14 and the PUB?

15 MR. CHRIS KLASSEN: CAC Manitoba's
16 position and written materials were filed late
17 yesterday afternoon.

18 PANEL CHAIRPERSON: Okay. Thank you
19 very much.

20 MR. ANTHONY GUERRA: And I can just
21 advise, 'cause there was a question asked this morning
22 by my friend, Mr. Klassen, MPI has no issues with the
23 material being filed publicly, the material from the
24 CAC.

25 PANEL CHAIRPERSON: Okay. Ms.

1 McCandless...?

2 MS. KATHLEEN MCCANDLESS: Just one (1)
3 comment. Because of the -- the need to keep the
4 Schedule for Financial Forecasting and Capital
5 Management Plan as they are, to proceed on Monday.
6 So, I'll just wait a minute, while MPI counsel are
7 conferring.

8 So, the -- the carve-out or the
9 compromise, pending hearing of the motion, would be
10 that any questions about the IFRS-14 opinion be
11 deferred, pending the outcome of the motion, also,
12 with respect to the FCT.

13 So, we would still proceed with
14 financial forecasting and capital management on
15 Monday, but there may need to be portions that get
16 deferred until it's decided whether or not they'll be
17 proceeding on the public record or in camera.

18 And the CAC comments were provided
19 yesterday. I believe that Ms. Schubert was waiting to
20 hear from MPI as to their position as to whether it
21 was going to be a public document or not before
22 circulating it and putting it on line. So, I -- I
23 think that should be available shortly.

24 PANEL CHAIRPERSON: Okay. Thank you
25 very much. It's quarter after 10:00, so, I think what

1 we'll do is take a break for the morning now, and ask
2 that MPI have its Claims Forecasting Panel -- sorry --
3 attending here. Thank you.

4

5 --- Upon recessing at 10:13 a.m.

6 --- Upon resuming at 10:30 a.m.

7

8 PANEL CHAIRPERSON: Good morning,
9 everyone.

10 Mr. Scarfone, would you introduce your
11 panel and then we'll have them sworn, please.

12 MR. STEVE SCARFONE: Yes. Good
13 morning, Madam Chair. The Claims Forecasting Panel is
14 comprised of Cara Low, and Cara, you'll recall from
15 last year, is vice-president, chief actuary, and chief
16 risk officer.

17 And beside her appearing again this
18 year is Christine Zhou. She is director of business
19 insights and analytics.

20 And just before the -- the two (2)
21 witnesses are sworn, I'll introduce the back-row
22 support. Behind me is Christie Way. She is the
23 senior director of ICM -- that's our Injury Claims
24 Management. And beside her on the Physical Damage
25 side is senior director Steve Lupky.

1 Tyler Clearwater is beside Mr. Lupky.
2 He is the Business Insights and Analytics analyst.
3 And beside Mr. Clearwater is Alina Rogozhnikova,
4 manager of Business Insights and Analytics.

5 PANEL CHAIRPERSON: Thank you.

6

7 CLAIMS FORECASTING PANEL:

8 CARA LOW, Affirmed

9 CHRISTINE ZHOU, Affirmed

10

11 EXAMINATION-IN-CHIEF BY MR. STEVE SCARFONE:

12 MR. STEVE SCARFONE: Thank you, and
13 good morning, Ms. Low. I understand you have a
14 presentation that both you and Ms. Zhou will share in
15 its presentation, and that MPIC will mark, if we
16 haven't already, as Exhibit number 64 in this
17 proceeding.

18

19 --- EXHIBIT NO. MPI-64: Claims Forecasting

20 Presentation

21

22 MR. STEVE SCARFONE: And if you're
23 ready to go, please proceed.

24 MS. CARA LOW: Good start in the
25 morning. Good morning. It's nice to be here again on

1 the front row and to talk about claims forecasting.

2 So if we could flip over to the agenda slide.

3 I'm going to just start off the
4 presentation by talking about a few key messages, and
5 then I'm going to hand it over to Ms. Zhou in order to
6 talk about methodology enhancements that we've been
7 working on this past year, and then to finish off with
8 the actual claims forecast.

9 So if we can skip to the next slide.

10 So let's talk first of all about why claims
11 forecasting is so important. If you look at the pie
12 chart on the left-hand side, that's a composition of
13 the projected average premium for the '24/'25 rating
14 year, which is what we're seeking approval for.

15 You'll see the different coverages.
16 You'll see the third-party liability, which is
17 property damage and bodily injury, comprehensive,
18 collision, and PIPP benefits composing 73 percent.
19 That's seventy-three (73) cents on every premium
20 dollar we collect would go to pay for claims
21 coverages.

22 And then you see the additional twenty-
23 seven (27) -- the remaining 27 percent is allocated to
24 expenses. Almost half of that would be to claims-
25 related expenses, and then of course you have broker

1 commission, premium taxes, operating expenses, other
2 expenses.

3 And of course, when you look at the
4 coverages, collision by far is the largest component
5 because that's the highest volume of claims that come
6 in every year to the MPI claims team.

7 So for the '24/'25 rating year, the
8 projected claims dollars is well over \$900 million.
9 That's a big number. So in the next few hours, you're
10 going to hear the actuaries talking about claim rates
11 -- or trend rates, I should say -- and maybe talking
12 about 2 percent versus 2.1 percent.

13 And it doesn't seem significant, but
14 these rates are applied to very large numbers. So
15 it's the most critical assumption in the entire rating
16 process, especially when we look at collision trends.
17 A small change in the claims trends can have a
18 significant shift in the indicated rates and what we
19 need to charge consumers.

20 These trend rates are so critical, we
21 have formed a new actuarial group at MPI called the
22 Business Insights Analytics Team. And they're
23 dedicated to monitoring, reviewing, and projecting
24 claims trends.

25 So we know that claims trends is the

1 biggest driver of the rates being charged to
2 Manitobans, so this is why this specific panel here
3 this morning is one (1) of the most important panels
4 of these proceedings. Next slide, please.

5 So actuaries are trained professionals.
6 We're trained in quantifying risk. Claims forecasting
7 isn't just a simple exercise where we take the data,
8 throw it into a model, and out pops a claims trend.
9 It is truly an art and a science. The science is the
10 math that goes into the modelling, and the art is
11 understanding and interpreting the data and making
12 correct selections.

13 There are many considerations an
14 actuary should really consider when they're doing
15 claims trending, and I've put on just a few of the
16 most common ones.

17 When you look at historical claims data
18 -- so the data we put into the model -- of course we
19 have to make sure it's accurate and complete, but we
20 also have to make sure that it's relevant.

21 So sometimes, historical data is no
22 longer relevant. So a prime example would be our base
23 deductible changed a few years ago from five hundred
24 (500) to seven fifty (750), so you have to understand
25 your data and how it needs to be adjusted.

1 The second one on the slide there is
2 the responsiveness to recent claims trends but
3 balanced with rate stability. This is where an art
4 comes in. If you see an emerging trend -- so you have
5 one (1) data point. Does one (1) data point make a
6 trend?

7 If we respond too quickly to the
8 emerging patterns, then we may have to reverse that
9 selection the following year. So we have to balance
10 with rate stability, but being responsive to what's
11 happening in our claims environment.

12 When we look at past trends, are they
13 predictive of what's going to happen in the future?
14 Actuaries are boring. We do not like change. If
15 there is consistent trends and patterns, it's easy to
16 say it's always been a 3 percent increase, it's going
17 to be a 3 percent increase next year.

18 And that would be easy, but we have to
19 take the new information that we're gathering and we
20 have to incorporate that into the future trend
21 selections.

22 A prime example here is we had a
23 minimum wage increase for October 1st of this month.
24 Well, that's not in our data because that hasn't even
25 happened yet until just a few days ago. So it's

1 taking that information and incorporating it in.

2 Then the actuaries run a variety of
3 models, and we have to look at the statistical
4 measures. Is the model predictive or not predictive?

5 I also have on there claim severity,
6 which is the average cost of a claim, and also the
7 claim frequency, the probability of having a claim.
8 If you look at them separately, they can be two (2)
9 very different stories, but we look at them
10 separately. We combine them to what's called a loss
11 cost or pure premium, which is the average cost per
12 vehicle, to make sure it's still reasonable.

13 And then forecasting to the best
14 estimates. When we look at our claims forecast, we're
15 looking at what we think is our best estimate. We're
16 not adding a lot of conservatism, nor are we adding a
17 lot of optimism. Conservatism isn't good for the
18 ratepayers; optimism can lessen a rate deficit, but
19 you gain -- it gets away from rate stability.

20 And the most important one is on the
21 bottom. All insurance companies have to deal with
22 macro-economic factors. So that's things like
23 inflation, supply chain issues, or even the lingering
24 impacts of a pandemic.

25 However, each company has their own

1 unique issues that they have to deal with. Maybe it's
2 changes to the claims reserving process. Maybe it's
3 changes to the product. There could be all kinds of
4 things in there.

5 So internal actuaries have a good sense
6 of what's going on within the MPI operations, and they
7 can marry this up within the macro-economic factors.
8 Next slide, please.

9 So last year when I was here, I spoke
10 about the evolution of the actuarial function at MPI
11 and building a strong, experienced team and moving
12 away from having one (1) qualified actuary.

13 And one (1) of the areas I spoke about
14 was the Business Insights and Analytics Team, and it
15 had just been newly created.

16 It is now fully staffed with five (5)
17 team members, two (2) of which are fully qualified
18 actuaries that bring extensive Canadian and global
19 experience to the team, and a third member of the team
20 has been doing claims forecasting at MPI for well over
21 a decade. The other two (2) are new grads who are
22 analysts who are supporting the team.

23 So the business insights and analytics
24 team, they meet on a regular basis with senior leaders
25 in the claims department to understand what's

1 happening in the operations and the processes. They
2 understand the backlog of claims. Because we
3 understand the longer a claim is open, the more it
4 costs to pay out that claim.

5 So they're having regular communication
6 with the claims team. They also meet with the two (2)
7 other actuarial departments, the pricing team and the
8 valuation team, so they fully understand what's going
9 on on those -- in those areas, as well.

10 In a few minutes you're going to be
11 hearing from Mrs. Zhou, who will be talking about the
12 improvements as BI and 'A' team has made in the last
13 year. She is a much more technical actuary than I
14 ever hope to be and has made some significant changes
15 which has improved the claims forecasting.

16 But before we hand it over, I do have
17 one (1) more slide I want to speak to. Even though
18 the actuarial team has put forward a strong and robust
19 claims forecast that we stand behind, we know there's
20 a lot of uncertainty in the claims forecast because we
21 live in uncertain times.

22 The team believes that we have put
23 together our best estimate with the knowledge that we
24 had at that point in time, but that knowledge changes
25 almost on a daily basis. We have more knowledge now

1 than we did a few months ago.

2 We have a labour interruption
3 internally and external as we watch the auto industry
4 workers across the continent who are on labour
5 interruption, as well, and we think both of those are
6 going to drive up severity.

7 There's still uncertainty about how
8 many Manitobans are going to return to the downtown
9 core of Winnipeg, which has a big impact in our
10 collision frequency.

11 And we also see a re-acceleration of
12 inflation, the CPI has risen in July and August. So
13 there's still uncertainty about the CPI and where
14 that's going ahead for the '24/'25 rating year.

15 So the sophistication and the
16 improvements that you're going to hear about in a
17 minute are being introduced to balance responsiveness
18 of what is happening within claims along with the rate
19 stability.

20 It's always great when we're in this
21 room and things are going down and we can offer a
22 decrease to auto insurance rates for Manitobans
23 because that is great news. However, if we react too
24 quickly to one (1) data point or not fully
25 understanding the claims trends, then we're not in

1 that situation and we will have to be looking at a
2 rate increase because then we'll have to move
3 backwards.

4 This is why it's important that we
5 truly understand the claims forecast and respect the
6 work that's been done by this dedicated team. I'm
7 going to turn it over to Ms. Zhou now.

8 MS. CHRISTINE ZHOU: Before we talk
9 about the technical enhancements to the trending
10 analysis and forecasting, we will start by
11 highlighting the design changes we made in 2024 GRA.

12 PANEL CHAIRPERSON: Excuse me, Ms.
13 Zhou. Could you please move your microphone closer to
14 yourself.

15 MS. CHRISTINE ZHOU: Cara led the
16 teams and redesigned the chapters to improve the
17 content and flow. This year, we split the old claims
18 incurred chapter into two (2) parts because a rate
19 filing deserves a standalone chapter on loss trends
20 and the application of the selected trend rates.

21 Part 6, the new claims forecasting
22 chapter, focusses on accident year claim forecasts.
23 Part 9, the new claims forecasting, the new claims
24 incurred chapter, takes the accident year claim
25 forecast from part 6, and then transform the figures

1 into fiscal year claims incurred, which is used for
2 financial forecasting.

3 As Cara indicated, future claim costs
4 drive the AAP rate indication, which is covered in
5 part 7, ratemaking.

6 As a Crown insurer with this GRA
7 redesign, we aim to improve transparency by fully
8 disclosing the analysis, key assumptions, and why and
9 how judgment is applied. The new claims forecasting
10 chapter contains sixteen (16) sections, a hundred
11 thirty-five (135) pages, excluding appendices, and it
12 covers our end-to-end analysis and claim forecasting
13 process.

14 Current events that impact claims, such
15 as inflation and continued work-from-home pattern
16 changes, were analyzed at length. All the underlying
17 data, exhibits, and summary of selected trend rates
18 provided in the appendices are added to enhance the
19 external review process, as well.

20 We welcome any feedback the Board or
21 other parties may have on how to better organize the
22 chapter and present MPI's analysis.

23 MPI adopted industry-best practice in
24 claim forecasting. In this GRA, a two (2) step claims
25 forecasting process was introduced. Step 1 is to

1 assess and select past loss trend, that is past change
2 in historical loss levels, with fit and analyzed
3 regression models, including time and working from
4 home factors, with start period data back to 2009.

5 All of the regression models, fit
6 stats, and indicator trends are disclosed in the GRA
7 to facilitate external review. The second half of
8 loss trending analysis is to select future trend; that
9 is expect a change in future cost levels of the rating
10 year.

11 In the case of vehicle repair severity,
12 recent five (5) to seven (7) years average growth rate
13 split by a cost type, such as labour rates, part
14 costs, is used as a guideline to determine future
15 repair costs.

16 In the case of vehicle total loss, MPI
17 has the view that used vehicle values are to revert to
18 pre-2020 growth rate. However, the timing and how
19 long it takes to normalize used vehicle value is
20 extremely uncertain and difficult to predict as it is
21 subject to macroeconomic and supply chain conditions.

22 As a result, MPI took a long-term
23 forecast approach, assuming an average of 3 percent
24 increase per year for the next five (5) years aligned
25 with the long-term growth rate prior to 2020.

1 Step 2 is about application of the
2 selected trend rates from step 1. We call it loss
3 cost projection. Historical loss cost are trended to
4 the current cost level, which is 2022 in this GRA.

5 A weighted average loss cost is derived
6 using five (5) years of experience. We will provide a
7 step-by-step example in the next slide to show you why
8 and how the calculation is done.

9 The very last step of claims
10 forecasting is to forecast into future years by
11 applying future trend rate to the weighted average
12 loss cost.

13 This two (2) step claims forecasting
14 process is disclosed in detail in the GRA from section
15 6 to sections 14 for each coverage. We believe the
16 process enhancements described here increases
17 accuracy, reliability of claim forecasting and, more
18 importantly, improve rate stability from one GRA to
19 another, which will be covered in the next two (2)
20 slides.

21 Loss cost is formally introduced in
22 this claim chapter this year. In prior GRA, claims
23 forecasting focusses on total claims dollar rather
24 than unit cost. Loss cost is total claims divided by
25 vehicle counts. It is a unit cost.

1 Accident year, also called loss year
2 based on the date of loss. All the claims occurred in
3 the particular year are grouped together and forms a
4 data point here.

5 In forecasting into future years, MPI
6 used historical loss costs from 2017 to 2020 in 2024
7 GRA. Historical loss cost is defined as an estimate
8 of final cost to insure a vehicle as true cost is only
9 known to MPI after all claims are settled, usually
10 around two (2) to three (3) for short-tail coverage,
11 such as collision.

12 Usually, loss cost increases over time,
13 especially on the long-term basis. As you can see,
14 the blue line has an upward slope with loss cost
15 ranging from roughly three hundred dollar (\$300) per
16 vehicle in 2009 to five hundred dollar (\$500) in 2022.

17 Next, trended loss cost. By applying
18 selected past trends, we will bring all historical
19 years' loss cost to a common cost level, that is,
20 accident year 2022.

21 We will know how much a loss occurred
22 in 20 -- in 2017 would cost if the same loss occurs in
23 2022. The purple trended line show -- showing all
24 historical loss cost trended to the same cost level
25 sits on top of the untrended line, and it's much

1 flatter. It's called being "unlevelled."

2 Next, loss cost is adjusted to reflect
3 working from home pattern changes. Less people worked
4 from home in 2017 than in 2020. That is why 2017 to
5 2019 loss cost were reduced or you can see dropped
6 down vertically in the green line.

7 On the other hand, more people worked
8 from home in 2020 and 2021 compared to 2022; that is
9 why those two (2) years loss cost were lifted
10 upwards.

11 With historical years loss cost being
12 adjusted to the same cost level and working from home
13 level, we can now take an apple-to-apple comparison
14 and tell which year is a bad year and which year is a
15 good year.

16 Set aside 2022. 2021, being the worst
17 year, is roughly 15 percent higher in loss cost than
18 2019, which is the best year in recent history; that
19 15 percent in actuarial terms is called variability.
20 And that variability is expected.

21 Next, historical loss cost can then be
22 combined and averaged out for the purpose of
23 forecasting into future years.

24 Averaging is achieved by applying
25 select accident year rates. MPI selected equal

1 rating, used five (5) years of experience. In other
2 words, MPI assumed 2017 experience is as likely to re-
3 occur in the future as 2022.

4 It also means that a recent bad year is
5 introduced slowly in ratemaking and wrote off slowly
6 after five (5) GRAs.

7 Selecting accident year rates rely on
8 judgment, especially for the first time.

9 But once the rates are approved by the
10 Board, objectivity could be achieved by adopting same
11 selection for future GRAs.

12 Extreme events, such as COVID, severely
13 distort loss experience and will call for special
14 treatment. In this case, it was removed in
15 forecasting loss cost.

16 From the previous slide, you see how
17 four-ninety-five (495) for 2024 GRA is calculated. It
18 is the weighted average collision loss cost.

19 Now, if we use the same average method
20 in prior GRAs, that is average in rolling five (5)
21 years of experience, average loss cost only vary by
22 ten dollars (\$10) per vehicle from one GRA to another.

23 Compared to solely based on the last
24 accident year's experience in forecasting into future,
25 using five (5) years average, smoothed the actual

1 experience and improved rate stability.

2 The longer the experience period, the
3 more stable but less reflective of the current book.
4 Five (5) years offers a good balance between rate
5 stability and responsiveness.

6 Last slide before we shift to 2024 GRA
7 claims summary, we would like to point out that the
8 reason we exclude accent year 2020 in forecasting
9 claims.

10 It is not due to concern related to
11 working from home data or regression model results.
12 Working from home adjustment factors are derived from
13 the regression model going through the same level of
14 due diligence as time based trend factors.

15 We exclude 2020 because it is the year
16 most impacted by stay at home orders. Working from
17 home adjustment and one's impact of working from home,
18 but did not account for the full impact of stay at
19 home orders. We don't believe 2020 claims experience
20 is relevant in forecasting future years' claim costs.

21 Now we have two (2) more slides that we
22 will go over on accident year claims. A summary of
23 2024 GRA claims estimates.

24 As you can see from the table on the
25 left side, between 2023 GRA and 2024 GRA, there's

1 little change in total Basic claims for the middle two
2 (2) accident years. That is accident year '24/'25 and
3 accident year '25/'26.

4 We will highlight three (3) main
5 inflationary related drivers that increase claim costs
6 from last year's GRA estimate. And then, on the
7 opposite side, two (2) main assumption changes that
8 offset the large increases.

9 On the adverse side, we have minimal
10 wage and labour rates driving claims up. In 2023 GRA,
11 we did not factor in any -- any minimal wage
12 increases. It was unknown when the rate filing was
13 prepared.

14 2024 GRA, we reflected three (3)
15 minimum wage increases from October 1st, 2022 to
16 October 1st, 2023.

17 Rising inflation, as we all feel daily,
18 severely impacted insurance costs. Vehicle related
19 CPI once surpassed general CPI and peaked at 9.3
20 percent last summer.

21 Two (2) changes in this GRA reduced
22 claims. First, working from home. In 2023 GRA, we
23 factor in a 5 percent working from home adjustment.
24 In this GRA, we refine our working from home
25 adjustment using Google mobility data and regression

1 analysis and that working from home adjustment was
2 used. And it was roughly minus 8.4 percent. And that
3 reduced collision -- for example, reduced collision
4 claims forecast by \$18 million.

5 Changes in PIPP trending assumption
6 also reduced claims for -- forecasted claims.

7 The reduced claims from both assumption
8 changes, being working from home or PIPP trending
9 approach, are expected to be one-time only in 2024
10 GRA. Not to be expected in future GRA. We do not
11 expect further large reductions in claims from refined
12 trending or forecasting approach.

13 This is the waterfall chart
14 (INDISCERNIBLE) 2023 GRA estimates on the left side to
15 2024 GRA estimates to the right side, breaking down by
16 coverage.

17 PIPP, the majority of the reduction is
18 due to the enhancement to trending approach. The
19 trending approach change is described in claim
20 forecasting chapter 4.7.

21 Both collision and the comprehensive
22 are subject to similar inflationary cost pressures.
23 However, collision benefited from a higher working
24 from home adjustment, a higher negative frequency,
25 lower than expected total claims to repairable claims

1 ratio.

2 On the other hand, comprehensive has a
3 higher frequency, driven by glass and theft claims.
4 Severity is also higher. Partially due to more total
5 claims from total vehicle theft and water damage
6 losses.

7 And this concludes our presentation.

8 PANEL CHAIRPERSON: Mr. Scarfone...?

9

10 CONTINUED BY MR. STEVE SCARFONE:

11 MR. STEVE SCARFONE: Thank you, Madam
12 Chair. And thank you for that presentation, Ms. Zhou
13 and Ms. Low. Just a -- I do have a couple of follow
14 up questions for you.

15 Last year -- so on the collision side,
16 physical damage claims, last year and in recent years,
17 we've heard that the trending would suggest that the
18 safer vehicles, the more sophisticated vehicles, are
19 resulting in less frequency.

20 And I'm wondering -- because, Ms. Low,
21 you indicated that having just one (1) or two (2) data
22 points is -- is problematic when trending.

23 And I'm wondering how that trend --
24 meaning the sophistication of vehicles resulting in
25 less accidents -- is that reflected in the -- in

1 today's trending?

2 MS. CHRISTINE ZHOU: As of now, it's
3 impossible to isolate the driving forces behind our
4 continuous downward trending collision frequency in
5 Manitoba. It's actually very unique.

6 And we've been gradually reducing rates
7 in the past several years. And one of the main
8 reasons is collision frequency continued to drop
9 slowly and gradually.

10 And the safety vehicle features, such
11 as ADAS, could contribute to that downward trend. And
12 that would be reflected in our experience.

13 MR. STEVE SCARFONE: It is. Thank
14 you.

15 MS. CARA LOW: Just one thing to add.
16 Overall, for quite a number of years in the industry
17 across Canada, you do see dropping collision frequency
18 because you do have safer vehicles with a crash
19 avoidance technology.

20 MR. STEVE SCARFONE: Thank you.
21 And at slide 11 of the presentation -- and so, I want
22 to put Ms. Zhou on the spot here because, Ms. Low, you
23 have indicated that she's brought significant changes
24 to your improved claims forecasting model.

25 So I'm looking at this particular

1 slide, Ms. Zhou. And is it the step 2 that's --
2 that's new to MPIC? The loss cost projection? Is
3 that what we can -- where we can find the improvements
4 to claims forecasting?

5 MS. CHRISTINE ZHOU: Yes, we made
6 improvement in both steps and we call out Step 2 as a
7 distinct step as part of claim forecasting. And we
8 made improvement in Step 2.

9 MR. STEVE SCARFONE: Okay. Thank you.
10 And then we saw at the outset that -- and rightfully
11 so, this presentation deals largely with physical
12 damage claims, 'cause they're about three (3) times
13 the amount of our PIPP claim cost. Correct?

14 MS. CHRISTINE ZHOU: Correct.

15 MR. STEVE SCARFONE: But I -- I was
16 interested in slide 17, where the PIPP trending
17 assumptions show a, what I would say, is a dramatic
18 improvement, but you've indicated that that is a one
19 time deal.

20 Can you explain why you're only
21 expecting that improvement for one year?

22 MS. CHRISTINE ZHOU: Absolutely. We
23 have refined our training approach and is fully
24 disclosed in the GRA.

25 And, once its approved by the Board, we

1 do not expect further technical changes or improvement
2 on this particular part of trending analysis. That's
3 why we benefit the reduction this year in 2024 GRA,
4 but once it's approved, we will continue to use the
5 2024 GRA approach.

6 MR. STEVE SCARFONE: And where would
7 we expect the PIPP trends to go next year? Or can you
8 say that at this point?

9 MS. CHRISTINE ZHOU: No, I'm not able
10 to comment on future trend.

11 MR. STEVE SCARFONE: Okay. Thank you.
12 And at slide 13, I heard you indicate that going back
13 further than five (5) years isn't recommended and that
14 there's a balance that's struck using five (5) years.

15 Is that correct?

16 MS. CHRISTINE ZHOU: Five (5) data
17 points.

18 MR. STEVE SCARFONE: Five (5) data
19 points, okay, thank you.

20 And is that an industry standard or is
21 that something that's employed by MPIC as a policy?

22 MS. CHRISTINE ZHOU: It is an industry
23 standard, but there are different options that's
24 suitable for the type of rate indication that we
25 speaking to.

1 For the size of Manitoba's Basic
2 insurance portfolio, five (5) years is a good balance.

3 MR. STEVE SCARFONE: Okay, thank you.
4 Those are my followup questions for the presentation.

5 PANEL CHAIRPERSON: Thank you. Ms.
6 McCandless...?

7

8 CROSS-EXAMINATION BY MS. KATHLEEN MCCANDLESS:

9 MS. KATHLEEN MCCANDLESS: Thank you.
10 Good morning, Ms. Low, Ms. Zhou. I'm Kathleen
11 McCandless, counsel to the Board. Thank you for being
12 with us this morning.

13 I'm not going to direct my questions to
14 any particular witness, but please feel free to jump
15 in where appropriate.

16 And, I'm going to start by asking some
17 questions on accident year weights in claims incurred.
18 So, first going to CF-1.3, here the Corporation
19 comments on some enhancements from the last GRA and
20 I'm looking at line 7 to 11.

21 MPI now explicitly applies accident
22 year weighting for projecting loss cost used in claims
23 forecasting, instead of projecting from the last data
24 point of the experience period. MPI improves the
25 forecasting methodology by applying future trends to a

1 weighted average loss costs calculated from the
2 selected experience period, generally, the most recent
3 five (5) accident years.

4 MS. CHRISTINE ZHOU: Correct.

5 MS. KATHLEEN MCCANDLESS: Then if we
6 go to CF 5.5, and this is a discussion about accident
7 year weighting.

8 Starting at line 5, MPI states that for
9 coverages where COVID-19 impacted frequency, accident
10 year 2020 was excluded from the experience period in
11 estimating future loss costs, and we heard you speak
12 about that Ms. Zhou.

13 MS. CHRISTINE ZHOU: Correct.

14 MS. KATHLEEN MCCANDLESS: MPI's work-
15 from-home adjustment is intended to adjust for
16 mobility changes related to commuting to workplaces
17 and it doesn't account for reductions in the other
18 mobility categories, for example, groceries and
19 pleasure?

20 MS. CHRISTINE ZHOU: Correct.

21 MS. KATHLEEN MCCANDLESS: But the
22 mobility adjustment factor was considered appropriate
23 for determining trends. Is that correct?

24 MS. CHRISTINE ZHOU: Working-from-home
25 mobility data.

1 MS. KATHLEEN MCCANDLESS: So that's
2 "yes"?

3 MS. CHRISTINE ZHOU: Yes.

4 MS. KATHLEEN MCCANDLESS: Okay. And
5 can you please explain why the mobility adjustment
6 factor was acceptable for purposes of including
7 accident year 2020 in the trending, but not sufficient
8 to give any weight to the accident year for the loss
9 costs calculation?

10 MS. CHRISTINE ZHOU: Yes. Because we
11 leveraged Google Mobility Data and the data is split
12 by type of mobility but there is not a blended total
13 mobility per se for us to use in the trending process.

14 As a result, we -- we chose to focus
15 working from home. We believe that shift to work from
16 home is just not a temporary trend. It will continue
17 in the future and we want to capture that in our
18 experience. We want to isolate the working from home
19 and from the time serious trend factors.

20 And we model that. We did not massage
21 any data, so we took the mobility data for 2020 --
22 '20, 2021, 2022. The data stopped at October 2022.

23 So, it's -- it's the same category of
24 data used. It's not like for one year we used
25 mobility and the other year we used, you know, total

1 mobility.

2 So, we don't treat one accident year
3 different than the other accident year.

4 MS. KATHLEEN MCCANDLESS: If MPI does
5 not believe 2020 is predictive of the future, why did
6 MPI not exclude it from all of the trending analysis
7 for the coverages that were deemed to be affected by
8 COVID?

9 MS. CHRISTINE ZHOU: Because we would
10 like to understand the working home -- working-from-
11 home effect on 2020 accident year results.

12 And there is no technical reason not to
13 include 2020 in our analysis, in our trending
14 analysis.

15 MS. KATHLEEN MCCANDLESS: Thank you.
16 If accident year 2020 was included instead of 2017 in
17 the weighted average loss costs, using even 20 percent
18 weightings for each of the five (five) most recent
19 accident years, would you agree, subject to check,
20 that the resulting rate indication would be negative
21 1.41 percent?

22 MS. CHRISTINE ZHOU: Yes. In that
23 magnitude, yeah.

24 MS. KATHLEEN MCCANDLESS: And that's
25 using the -- the March 31, 2023 yield?

1 MS. CHRISTINE ZHOU: Yeah. In that
2 range.

3 MS. KATHLEEN MCCANDLESS: Thank you.
4 And so, if we go to PUB/CAC Information Request
5 Response 1, this is just to confirm here that based on
6 something that MPI asked Oliver Wyman to -- to do, PUB
7 asked Oliver Wyman to do, the estimated loss cost
8 indication would be negative 1.4 percent and the rate
9 indication would be negative 1.41 percent. 1.54
10 percent and rate indication to be negative 1.41
11 percent. Correct?

12 MS. CHRISTINE ZHOU: Correct.

13 MS. KATHLEEN MCCANDLESS: And so
14 that's a decrease of negative 1.28 percent then?

15 MS. CHRISTINE ZHOU: Can you please
16 repeat that?

17 MS. KATHLEEN MCCANDLESS: Right. So,
18 from a starting point of negative 0.13.

19 MS. CHRISTINE ZHOU: Can you please
20 repeat the entire question?

21 MS. KATHLEEN MCCANDLESS: Okay. So
22 from a starting point of negative 0.13 looking at the
23 change to the rate indication of negative 1.41, that
24 would be then, a decrease of negative 1.28 percent?

25 MS. CHRISTINE ZHOU: In that range,

1 yes.

2 MS. KATHLEEN MCCANDLESS: And using
3 the weight suggested by Oliver Wyman which is the CAC
4 evidence and that's CAC Exhibit 5, if we go to table
5 7, which is at page 37, Ms. Zhou and Ms. Low, are you
6 familiar with this document?

7 MS. CHRISTINE ZHOU: Yes.

8 MS. KATHLEEN MCCANDLESS: Thank you.
9 So then using the -- the weight suggested by Oliver
10 Wyman, the rate indication would reduce by negative
11 2.52 percent?

12 We see that here at --

13 MS. CHRISTINE ZHOU: Yes, I see that,
14 based on their analysis.

15 MS. KATHLEEN MCCANDLESS: And do you
16 have any views on the Oliver Wyman proposed weights?

17 MS. CHRISTINE ZHOU: Yes, I do.

18 MS. KATHLEEN MCCANDLESS: Yes. Please
19 share them.

20 MS. CHRISTINE ZHOU: The approach
21 introduced in this report has never been seen in the
22 actuarial literature that I came across and, in my
23 view, it blended the variability and volatility
24 trending process is try to capture with another
25 important process called accident year weighting.

1 And the accident year weighting
2 approach, they introduced penalized volatility and the
3 accident year weighting system they introduced is the
4 opposite of the rate stability that we're hoping to
5 achieve because, based on their approach, by nature,
6 every year, depending on the last data point you
7 introduce, the weights shift around, based on the
8 standard deviation, the means.

9 We do not agree with the approach
10 that's introduced and we will recommend a more
11 traditional approach, a simpler approach, easy to
12 understand, more transparent, and totally separate
13 loss trending analysis, and accident year weighting, a
14 loss cost projection. That's just some of my views.
15 There are others, but those are the most important
16 ones.

17 MS. CARA LOW: And to just add to that
18 as well, MPI -- when we do our claim forecasting, we
19 want to look at rate stability. So, when 2019 drops
20 off, if you agree that it's going to be five (5) data
21 points, when 2019 drops off, then, we're going to see
22 rate increases.

23 So, we really took the view that it was
24 a abnormal year and shouldn't be included -- or 2020,
25 I should say, not 2019.

1 MS. KATHLEEN MCCANDLESS: Thank you.
2 On the working-from-home issue, if we could go to CF
3 2.2 and we're looking at page 16, starting at line 17,
4 MPI notes that Google discontinued publishing the
5 mobility data on October 15, 2022?

6 MS. CHRISTINE ZHOU: Correct.

7 MS. KATHLEEN MCCANDLESS: And, so, MPI
8 was unable to rely on this data for projecting out
9 mobility?

10 MS. CHRISTINE ZHOU: Correct.

11 MS. KATHLEEN MCCANDLESS: How did MPI
12 complete the estimated mobility for the remainder of
13 the 2022/'23 year to be able to use it as a variable
14 in its trending?

15 MS. CHRISTINE ZHOU: We continued our
16 customer survey which was done, initially, for the
17 2023 GRA and in this -- February of this year, we
18 followed the same approach, and there is a decent
19 amount of respondent and we surveyed their mobility
20 levels in November 2019, November 2022, and their
21 expected mobility level at November 2023.

22 And from those data points, we look at
23 the average number of commuting days per week and,
24 also, their estimated kilometres per se for those
25 three (3) data points, and we were able to capture the

1 change -- the future change -- the expected change in
2 2023, and we used that forecasting out to -- for the
3 forecasting years.

4 MS. KATHLEEN MCCANDLESS: So, for --
5 from the October 15 level of mobility, what was the
6 expectation for the remainder of 2022/'23?

7 MS. CHRISTINE ZHOU: 2022/'23 is the
8 current year. That's we use three point six (3.6)
9 commuting days per week and, in forecasted years,
10 meaning '23 and onwards, we expect three point six
11 (3.6) -- three point eight (3.8) days per week in
12 commuting. That's an increase of approximately five
13 six point -- 5.6 percent.

14 MS. KATHLEEN MCCANDLESS: In the
15 regression, MPI has a mobility factor for 2022/'23?

16 MS. CHRISTINE ZHOU: '22/'23?

17 MS. KATHLEEN MCCANDLESS: Yes.

18 MS. CHRISTINE ZHOU: Yes.

19 MS. KATHLEEN MCCANDLESS: And is that
20 regression based on the enti -- is it based on -- on
21 Google data to October 15, 2022 or do they -- do you
22 project the Google data to the end of 2022/'23?

23

24 (BRIEF PAUSE)

25

1 MS. CHRISTINE ZHOU: We assumed the
2 same level of mobility post-October 15, 2023 for the
3 remaining accident year.

4 MS. KATHLEEN MCCANDLESS: Post-October
5 15, 2022?

6 MS. CHRISTINE ZHOU: 2022. Correct.

7 MS. KATHLEEN MCCANDLESS: And can MPI,
8 by way of -- oh, we don't need this. Okay. Thank
9 you.

10 And you mentioned that MPI had
11 conducted a survey of Manitobans. I think that was
12 through the voice of the Customer E Panel?

13 MS. CHRISTINE ZHOU: Correct.

14 MS. KATHLEEN MCCANDLESS: And there
15 was also social media advertising?

16 MS. CHRISTINE ZHOU: Correct.

17 MS. KATHLEEN MCCANDLESS: Subject to
18 check, MPI would confirm that it received two thousand
19 fifty-eight (2,058) responses?

20 MS. CHRISTINE ZHOU: Correct.

21 MS. KATHLEEN MCCANDLESS: And, so, if
22 we look at -- you had mentioned that the re -- three
23 point six (3.6) days per week here. We see that at
24 line 22. That was expected average number of days
25 travelling to school or work?

1 MS. CHRISTINE ZHOU: Correct.

2 MS. KATHLEEN MCCANDLESS: Three point
3 six (3.6) days per week and, then looking at expecting
4 to commute three point eight (3.8) days per week, in
5 November of 2023?

6 MS. CHRISTINE ZHOU: Correct.

7 MS. KATHLEEN MCCANDLESS: Were there
8 any more decimal places captured, beyond the first
9 digit, for these averages?

10 (BRIEF PAUSE)

11

12 MS. CHRISTINE ZHOU: Three eight days
13 -- three point eight (3.8) days and three point six
14 (3.6) days are rounded to one decimal places in our
15 Excel worksheet.

16 MS. KATHLEEN MCCANDLESS: Does MPI
17 have the additional data?

18 MS. CHRISTINE ZHOU: Such as?

19 MS. KATHLEEN MCCANDLESS: More
20 decimals?

21 MS. CHRISTINE ZHOU: No.

22 MS. CARA LOW: We could get it from
23 our Customer Insights Team. They would have it. The
24 -- the information our team has was already rounded.

25 MS. KATHLEEN MCCANDLESS: So, yes,

1 that would be helpful. If we could have an
2 Undertaking to provide the average of the three point
3 six (3.6) days for November '22 and three point eight
4 (3.8) days for Novem -- November 2023 with the two
5 decimal points instead of one. Thank you.

6 MR. STEVE SCARFONE: Yes, we can make
7 that Undertaking, Ms. McCandless.

8 MS. KATHLEEN MCCANDLESS: Thank you.

9

10 --- UNDERTAKING NUMBER 7: MPI to provide the average
11 of the three point six
12 (3.6) days for November
13 '22 and three point eight
14 (3.8) days for November
15 2023 with the two decimal
16 points instead of one.

17

18 CONTINUED BY MS. KATHLEEN MCCANDLESS:

19 MS. KATHLEEN MCCANDLESS: Thank you.

20 So, the indicated increase of 5.56 percent from
21 November 2022, that would be the source of the
22 increase used for the work-from-home adjustment?

23 MS. CHRISTINE ZHOU: Correct. Future
24 working-from-home adjustment factors.

25 MS. KATHLEEN MCCANDLESS: Then, if we

1 go to CF Attachment A, page 10, and this reflects the
2 results of the survey. Correct?

3 MS. CHRISTINE ZHOU: Correct.

4 MS. KATHLEEN MCCANDLESS: So, on page
5 10, here, we see that the total kilometres driven for
6 all household veh -- household vehicles for the
7 sample, and I'm looking at the middle column -- middle
8 row, the year 2022, was -- nope -- we can go back up -
9 - thank you -- thirty five million three hundred and
10 sixty-seven thousand four hundred and thirty-one
11 (35,367,431) kilometres?

12 MS. CHRISTINE ZHOU: Correct.

13 MS. KATHLEEN MCCANDLESS: And, for
14 2023, thirty-seven million one hundred and sixty-four
15 thousand fifty-seven (37,164,057) kilometres?

16 MS. CHRISTINE ZHOU: Correct.

17 MS. KATHLEEN MCCANDLESS: And that
18 translates into an increase, from 2022 to 2023, of
19 5.08 percent?

20 MS. CHRISTINE ZHOU: Yep.

21 MS. KATHLEEN MCCANDLESS: So, that's
22 similar to the 5.56 percent MPI selected, but this
23 reflects total mileage changes?

24 MS. CHRISTINE ZHOU: Yes. It's
25 aligned.

1 MS. KATHLEEN MCCANDLESS: Would this
2 not have been adjusted for any drift in the number of
3 vehicles in the fleet?

4 MS. CARA LOW: Overall, the MPI fleet
5 tends to be very, very stable. There's very low
6 growth.

7 MS. KATHLEEN MCCANDLESS: So, that --
8 that means that it was adjusted for any --

9 MS. CARA LOW: It was not adjusted.
10 It wouldn't be material.

11 MS. KATHLEEN MCCANDLESS: Why was the
12 number of days travelling to work or school used,
13 instead of the total kilometres driven? ...

14 MS. CHRISTINE ZHOU: We're talking
15 about estimates here. And those kilometres are
16 aggregated for all the respondents together.

17 And in my personal experience, when we
18 analyze the self-reported kilometres by drivers, it
19 does not tend to be a reliable indicator. We end up
20 using more higher level number of days, rather than
21 the kilometres.

22

23 (BRIEF PAUSE)

24

25 MS. KATHLEEN MCCANDLESS: Thank you.

1 I'm moving on now to accident benefits other non-
2 indexed frequency trend selection.

3 And, Kristen, if we would go to claims
4 forecasting.

5

6 (BRIEF PAUSE)

7

8 MS. KATHLEEN MCCANDLESS: Page 56.

9 We've got that here. If we just scroll to the bottom
10 for a minute. All the way, please. Thank you. Okay.

11 So it's noted here, at line 11, that
12 MPI selected a past claim frequency trend rate of
13 negative 4.9 percent.

14 This would be a more negative frequency
15 trend than selected for any of the other driving-
16 related coverages. Is that right?

17 MS. CHRISTINE ZHOU: Correct.

18 MS. KATHLEEN MCCANDLESS: All the
19 other driving-related coverages have selected future
20 trends that are statistically significant and less
21 than zero (0)?

22 MS. CHRISTINE ZHOU: Correct.

23 MS. KATHLEEN MCCANDLESS: Why does MPI
24 believe that the best estimate of the future frequency
25 trend of zero percent for this coverage is higher than

1 that of any other driving related coverages?

2 MS. CHRISTINE ZHOU: First, we don't
3 believe a high negative trend of four-point-nine (4.9)
4 will continue indefinitely, even during the five (5)
5 year forecasting period. That level of negative
6 frequency is very unusual.

7 And also, as we pointed out in our GRA,
8 in the same section, there is lots of volatilities in
9 the actual year-over-year frequency.

10 And we reviewed the recent Intervener
11 request and we understand the concerns of this zero
12 percent judgment call. We did more loss cost
13 regression analysis, which we didn't do a loss cost
14 regression analysis directly because we did frequency
15 and severity.

16 And after PUB raised the question, we
17 did loss cost models to validate selected trends for
18 frequency and severity. We did that because loss cost
19 models implicitly account for correlations between
20 frequency and severity, partially reducing
21 volatilities of the data points.

22 We're not saying that we will convert
23 to do loss cost modelling in future GRAs, for this
24 particular case, because working-from-home mobility
25 adjustment is not required, and there is a change in

1 our ultimate claim counts. So that added additional
2 volatility in our frequency trend.

3 Because we started to recognize the
4 operational changes that we made in recent years in
5 2024 GRA. All those were documented in our GRA.

6 So to assess future trends, one of the
7 approach the actuary took is to look at recent
8 experience. You can see our past experiences dated
9 back to 2009. So to assess future trend, we look at
10 shorter time frame.

11 In this case, based on our loss cost
12 regression analysis, loss cost trend starting was 2018
13 and 2019. Our reliable regression models significant
14 'P' values and they produced an annual loss cost trend
15 between 5 to 8 percent.

16 And just to brief on the nature of the
17 coverage on the severity side, the maximum amounts
18 payable for ABO (phonetic) and then index benefit
19 increased annually. At Manitoba, CPI rate lack by one
20 (1) year, so future severity is expected to be higher
21 than recent levels.

22 And why we say that? Because we look
23 at MPI's trend, the implied trend, looking at a
24 combination of frequency and severity. And then we
25 compare to CPI expected, forecast the CPI in the

1 forecast years, and then we look at Oliver Wyman's
2 proposed trend.

3 And we try to look at the loss cost
4 trend. As I said, it's between 5 to 8 percent, so
5 that's loss cost trend based on recent experience
6 starting with 2018. And then we back out the CPI
7 impact. That CPI is a certainty, is a severity, and
8 by the nature of the coverages, and we realize 2
9 percent is the average CPI for that duration.

10 So we're talking about 5 to 8 percent.
11 Let's just say five (5), for example. You take out
12 the 2 percent, which is the certainty on the severity
13 side, and then you have 3 percent implied loss cost.

14 And then you add it back the
15 anticipated CPI, lack by one (1) year, of course,
16 which, for example, for 2024 is 4 percent. Then 3
17 percent plus 4 percent, that's 7 percent anticipated
18 loss cost trend.

19 So we look at this logic as a
20 validation, and we look at MPI's trend, one column.
21 We look at Oliver Wyman as proposed trend, and their
22 trend, in our view, starting '24 to '27, is very low.
23 Their loss cost trend is 2.48 percent to 50 basis
24 point in 2027.

25 We don't believe tempering the past

1 trend by half to two point four seven (2.47), it's
2 reasonable in the sense of, in our profession, we
3 don't usually jump from minus four point nine (4.9) to
4 zero. I acknowledge that. And we acknowledge the
5 concern.

6 And 50 percent is a reasonable
7 approach, but then we will look at the loss cost, and
8 when we look at the recent actual year-over-year
9 volatility and frequency and then we look at our loss
10 cost regression analysis, we don't believe minus two
11 point five (2.5) frequency assumption to be used in
12 the next five (5) years is reasonable.

13 MS. KATHLEEN MCCANDLESS: Thank you.

14 MR. STEVE SCARFONE: Could you repeat
15 that, Ms. Zhou?

16

17 CONTINUED BY MS. KATHLEEN MCCANDLESS:

18 MS. KATHLEEN MCCANDLESS: So if you
19 were to pick something other than zero, given the
20 historical frequency trend of a negative 4.9 percent
21 and considering the other driving-related coverage
22 frequency trends, what would that be? What would that
23 number be, other than zero?

24 MS. CHRISTINE ZHOU: I would not pick
25 anything other than zero. In this case, we definitely

1 need a few more years of data to emerge before we can
2 make better selections.

3 MS. KATHLEEN MCCANDLESS: Thank you.
4 Now, with collision severity trend selection, if we go
5 to the Oliver Wyman report -- and we'll be looking at
6 Figure 14, but before we do that, I just want to go up
7 one (1) page, so Figure -- yes, thank you.

8 Just a narrative of what Figure 14
9 presents. It's the trend models used by MPI in
10 forecasting collision claims. The upper panel --
11 we'll look at it in a second -- presents the
12 historical frequency data and the MPI model to fit to
13 the observations from accident years 2010 through
14 2022.

15 The middle panel presents severity data
16 and the MPI piece-wise model fit to the observations
17 from accident years 2010 through 2022.

18 And the lower panel presents loss cost
19 data and the model implied by MPI's frequency and
20 severity models.

21 And then we can go down and have a look
22 at these three (3) figures.

23 And, Ms. Low and Ms. Zhou, are you
24 familiar with -- with these figures?

25 UNIDENTIFIED SPEAKER: (NO AUDIBLE

1 RESPONSE).

2 MS. KATHLEEN MCCANDLESS: Thank you.
3 And when we look at Figure 14, would you agree that
4 the line for Model 1 and Model 2 for severity -- so
5 we're looking at the middle figure -- do not connect
6 at 2020?

7 MS. CHRISTINE ZHOU: Correct.

8 MS. KATHLEEN MCCANDLESS: Sorry. I
9 might need to zoom in. Okay. You -- you agree.
10 Thank you.

11 If instead of two (2) separate models a
12 second time parameter was incorporated in the model to
13 trend from 2020 onward, would you agree that the
14 resulting graph would likely look like Figure 16 -- so
15 that's down a few pages; thank you.

16 And would generate -- first of all,
17 would you agree that the resulting graph would likely
18 look like Figure 16?

19 MS. CHRISTINE ZHOU: Agreed.

20 MS. KATHLEEN MCCANDLESS: And it would
21 generate a slightly lower loss trend rate of 9.59
22 percent rather than the ten point six eight (10.68)
23 selected?

24 MS. CHRISTINE ZHOU: Yes.

25 MS. KATHLEEN MCCANDLESS: And this

1 model would be contiguous?

2 MS. CHRISTINE ZHOU: With regards to
3 the misalignment concern, yes, correct. This model
4 does not have misalignment concern, meaning the
5 prediction of the first model is different, slightly
6 off, from the prediction of the second model.

7 MS. KATHLEEN MCCANDLESS: Would you
8 agree that the estimate of the impact of this to be
9 negative .72 percent to the overall rate indication as
10 a reasonable estimate? So we can look at Table 7.

11 MS. CHRISTINE ZHOU: Yes, it's
12 reasonable.

13 MS. KATHLEEN MCCANDLESS: Okay. Thank
14 you. Then I don't think we need to go there.

15 MS. CHRISTINE ZHOU: The -- the
16 difference is reasonable, yes.

17 MS. KATHLEEN MCCANDLESS: Now, with
18 respect to comprehensive hail years of experience
19 used, at CF page 89 from the filing -- thank you -- if
20 we scroll down.

21 Here MPI notes that the repair costs of
22 hail claims were reduced significantly after MPI
23 adopted paintless dent repair, PDR, in 2017.

24 MS. CHRISTINE ZHOU: Correct.

25 MS. KATHLEEN MCCANDLESS: MPI believes

1 that the future cost of hail claims -- and we can
2 scroll down to the next page -- is likely to be
3 represented by the experience in accident years 2017
4 and thereafter?

5 MS. CHRISTINE ZHOU: Correct.

6 MS. KATHLEEN MCCANDLESS: Does MPI
7 have any meteorol -- meteorological information
8 available on the relative frequency of hail in 2017
9 and thereafter versus earlier years so that it can
10 determine if there is any bias in the use of only six
11 (6) years of history?

12 MS. CHRISTINE ZHOU: The answer is no.

13 MS. KATHLEEN MCCANDLESS: Now, with
14 respect to property...

15

16 (BRIEF PAUSE)

17

18 MS. KATHLEEN MCCANDLESS: Was there
19 something that you wanted to add or...?

20 MS. CARA LOW: Right now, with the
21 recent hail storms, we are using a scanning mechanism
22 that's been in the media. It's yet to see what the
23 severity is going to be with this different way of
24 estimating hail claims, and that's still an
25 uncertainty that we're needing to quantify, so.

1 MS. KATHLEEN MCCANDLESS: Thank you.
2 With respect to the severity trend for property
3 damage, third-party loss of use, if we look at the
4 Oliver Wyman report -- and this is Figure 20 on page
5 26.

6 And we're again looking at the
7 severity, so that's the middle figure, would you agree
8 that the lines for Model 1 and Model 2 do not connect
9 at 2020?

10 MS. CHRISTINE ZHOU: Yes.

11 MS. KATHLEEN MCCANDLESS: If instead
12 of two (2) separate models, a second time parameter
13 was incorporated in the model to trend from 2020
14 onward, would the indicated trend for either the prior
15 period of 2010 to 2020 be more negative, or the
16 indicated trend for the period of 2020 to 2022 be
17 smaller, or some combination of that?

18 MS. CHRISTINE ZHOU: Yes.

19 MS. KATHLEEN MCCANDLESS: And are you
20 able to estimate what the impact this change in trend
21 would have on the overall rate indication?

22 MS. CHRISTINE ZHOU: Yes, we could.

23 MS. KATHLEEN MCCANDLESS: So, by way
24 of undertaking then, we'd be looking at a response to,
25 if instead of two (2) separate models, a second time

1 parameter was incorporated in the model to trend from
2 2020 onwards, what the estimated impact of that change
3 in trend would have on the overall rate indication.

4

5 --- UNDERTAKING NO. 8: For MPI to provide, if
6 instead of two (2)
7 separate models, a second
8 time parameter was
9 incorporated in the model
10 to trend from 2020
11 onwards, what the
12 estimated impact of that
13 change in trend would have
14 on the overall rate
15 indication

16

17 MR. STEVE SCARFONE: Yes, that's --
18 and just to clarify, Ms. McCandless, that's only from
19 the years 2020 to 2022?

20

21 (BRIEF PAUSE)

22

23 MS. KATHLEEN MCCANDLESS: No. I'm not
24 sure if we need to maybe just clarify that off the
25 record. I believe the way it was asked is probably

1 understandable for the actuaries, but I may be
2 mistaken. So if we need to correct it after a break,
3 we can do so.

4 MR. STEVE SCARFONE: Okay. Thank you.

5 MS. KATHLEEN MCCANDLESS: Thank you.

6

7 CONTINUED BY MS. KATHLEEN MCCANDLESS:

8 MS. KATHLEEN MCCANDLESS: Now, with
9 respect to claims expenses, if we could go to figure
10 RI-1. Thank you. And so what we have on the screen
11 in front of us here is the rating year 2024/'25,
12 discounted claims costs.

13 MS. CARA LOW: Correct.

14 MS. KATHLEEN MCCANDLESS: And line 16
15 has claims incurred expenses of \$35.9 million?

16 MS. CARA LOW: Correct.

17 MS. KATHLEEN MCCANDLESS: And then, in
18 previous years, we can go to figure RM-2 of the 2023
19 GRA, line 16. This was labelled, "ULAE," so
20 unallocated loss adjustment expenses?

21 MS. CARA LOW: Correct. Yes.

22 MS. KATHLEEN MCCANDLESS: Okay. And
23 then if we go back to the previous schedule, and just
24 going down to the narrative, here we have a section
25 titled, "Unallocated loss adjustment expenses"?

1 MS. CARA LOW: Correct.

2 MS. KATHLEEN MCCANDLESS: And then
3 scrolling to the next page, at the top of the
4 following page, it indicates that the selected ULAE
5 ratio from part 10 external actuary review EAR
6 attachment B, and we can go there.

7 So that is -- it's MPI Exhibit 6, and
8 it's page 82 of Exhibit 5 within this document. I
9 believe it's 3,953 of the PDF. Kristen's got it.

10 So, first, the -- the selected ULA
11 ratio from the external actuary report was 18.50
12 percent?

13 MS. CARA LOW: Correct.

14 MS. KATHLEEN MCCANDLESS: MPI has
15 selected as ratio of 18.00 percent?

16 MS. CARA LOW: That is correct, yes,
17 for pricing, for ratemaking purposes.

18 MS. KATHLEEN MCCANDLESS: And that has
19 been applied to line 14 of RI-1?

20 MS. CARA LOW: Yes.

21 MS. KATHLEEN MCCANDLESS: Okay. And
22 that -- that generates then -- so that's -- maybe we
23 can go back to RI-1 for the minute. Thank you.

24 So here we see line 14 has incurred
25 claims of 869.1 million?

1 MS. CARA LOW: Correct.

2 MS. KATHLEEN MCCANDLESS: Okay. And
3 then, if we go -- and that excludes the impact of PIPP
4 enhancement and claims incurred expenses, yes?

5 MS. CARA LOW: Yes. I could clarify
6 this claims incurred expenses because I know it's kind
7 of confusing, and we tried to clarify it. I think
8 maybe we made it more confusing for the reader.

9 But ULAE, which is not directly
10 attributed to any specific claim, it's really running
11 the over -- the overhead of running a claims team,
12 they have proportional and non-proportional.

13 So 19 percent is proportional through
14 the claims costs. So, if the claims costs go up, the
15 18 percent is still applied and the expenses go up.
16 The non-proportional are flat amounts, and the vast
17 majority of that is the Manitoba health service costs
18 that we pay to the Provincial Government, so it's a
19 flat amount.

20 So it doesn't matter what the claims
21 cost does, it -- it's flat. So it's proportional and
22 non-proportional ULAE, but the labelling I don't think
23 was corrected in all the spots in the GRA.

24 MS. KATHLEEN MCCANDLESS: Thank you.
25 So the ratio of 18 percent applied to the 869.1

1 million in claims -- in incurred claims would generate
2 156.4 million, subject to check?

3 MS. CARA LOW: Subject to check, yes.

4 MS. KATHLEEN MCCANDLESS: Now then, if
5 we look at line 6 of the external actuary report, page
6 82, that we were just looking at, at line 6, on the
7 far right column for March 2023, unallocated loss
8 adjustment expenses paid was \$146.9 million for March
9 2023?

10 MS. CARA LOW: Correct.

11 MS. KATHLEEN MCCANDLESS: Does this
12 include any of the claims incurred expenses that make
13 up the 35.9 million in figure RI-1?

14 MS. CARA LOW: No, it does not. It's
15 a proportional ULAE --

16 MS. KATHLEEN MCCANDLESS: Thank you.

17 MS. CARA LOW: -- paid on a fiscal
18 year basis.

19 MS. KATHLEEN MCCANDLESS: So then, if
20 we go to PUB/MPI-1-3(a).

21

22 (BRIEF PAUSE)

23

24 MS. KATHLEEN MCCANDLESS: Go to
25 response A. Thank you. Okay, keep -- keep scrolling

1 down, please. Thank you.

2 MPI determined that using the average
3 incurred claims expense ratio for 2025 fiscal and 20 -
4 - or forecast -- pardon me -- and 2026 forecast
5 combined resulted in 15.03 percent. So we see that
6 here in the paragraph starting, "Nevertheless," end
7 line 2 of figure 1.

8 MS. CARA LOW: I see that.

9 MS. KATHLEEN MCCANDLESS: And that
10 resulted in a full credibility required change of
11 negative 2.46 percent, and that's -- we can scroll
12 down here. We may have to jump to another... Yeah,
13 at line 23.

14

15 (BRIEF PAUSE)

16

17 MS. KATHLEEN MCCANDLESS: Yeah. So
18 line -- line 23 says -- has a full credibility require
19 -- or required change of negative 2.5 percent.

20 So that's just 2.46 percent rounded up?

21 MS. CARA LOW: Sorry. Could you
22 repeat that.

23 MS. KATHLEEN MCCANDLESS: Okay. So
24 the -- MPI determined that using the 15.03 percent
25 resulted in a full credibility required change --

1 MS. CARA LOW: Oh.

2 MS. KATHLEEN MCCANDLESS: -- of
3 negative 2.5 percent?

4 MS. CARA LOW: Correct. Yes.

5 MS. KATHLEEN MCCANDLESS: And that was
6 confirmed by MPI in PUB/MPI-2-4, as well?

7 MS. CARA LOW: Yes. Correct.

8 MS. KATHLEEN MCCANDLESS: So that
9 would be a decrease of negative 2.33 percent, so that
10 would be from the negative .13 percent to the negative
11 2.46 or 2.5 percent?

12 MS. CARA LOW: Yes.

13 MS. KATHLEEN MCCANDLESS: And that's a
14 decrease in the overall rate indication.

15 MS. CARA LOW: Yes.

16 MS. KATHLEEN MCCANDLESS: Due to a
17 decrease in the claims expense ratio of 2.9 percent.
18 So that's 18 percent down to 15.03 percent?

19 MS. CARA LOW: Correct. Yes.

20 MS. KATHLEEN MCCANDLESS: Thank you.

21 And then, if we go to pro forma 1 from PUB/MPI-1-3;
22 it's page 5 of 7, on line 34 it indicates what the net
23 income for rate-setting purposes in 2025 would be.
24 And so we see the second column at line 34; that would
25 be 30. -- or 30.99 million?

1 MS. CARA LOW: Yes.

2 MS. KATHLEEN MCCANDLESS: And for
3 2026, would be 28.9 million?

4 MS. CARA LOW: Correct.

5 MS. KATHLEEN MCCANDLESS: Then if we
6 can go to MPI's response to 1-3A at page 2 of 7,
7 please.

8

9 (BRIEF PAUSE)

10

11 MS. KATHLEEN MCCANDLESS: MPI
12 indicated that:

13 "The financial statement incurred
14 claims include the time value of
15 money and risk adjustment which way
16 materially understate the ULAE
17 ratio."

18 And that's on the middle of the screen,
19 yes?

20 MS. CARA LOW: I see that, yes.

21 MS. KATHLEEN MCCANDLESS: And MPI goes
22 on to state that:

23 "The incurred claims are driven by
24 movement in provisions that may vary
25 considerably year over year."

1 MS. CARA LOW: That is true. Because
2 a fiscal year accounting standards, we're looking at
3 transactions in and out. So you have movement in
4 prior years, you recognize the time value of money,
5 and you do the contingency provision called risk
6 adjustments under IFRS-17.

7 MS. KATHLEEN MCCANDLESS: MPI goes to
8 say that:

9 "MPI believes that using the paid-
10 to-paid method provides a more
11 consistent and comparable basis year
12 over year."

13 MS. CARA LOW: Agreed. And it is very
14 standard in the industry.

15 MS. KATHLEEN MCCANDLESS: Thank you.
16 Then moving to PUB/MPI-2-3, which was a continuation
17 of the exploration from PUB-1-3, we can see here, at
18 the question, additional information was requested
19 breaking down the incurred claims into components in
20 figure 1. And the claims incurred expenses into
21 components in figure 3.

22 MS. CARA LOW: Correct.

23 MS. KATHLEEN MCCANDLESS: And if we
24 scroll down to the response. Thank you. We're going
25 to go to figure 4, please. Thank you.

1 So using the average ratio of
2 undiscounted claims expenses to undiscounted claims
3 incurred for '25 and '26, which is shown in figure 4,
4 yes?

5 MS. CARA LOW: Yes.

6 MS. KATHLEEN MCCANDLESS: So line 3,
7 for 2025, we have a ratio of 16.54 percent?

8 MS. CARA LOW: In between five (5) --
9 yes, that's correct.

10 MS. KATHLEEN MCCANDLESS: And then,
11 for 2026, the ratio is 16.23 percent?

12 MS. CARA LOW: Correct.

13 MS. KATHLEEN MCCANDLESS: For an
14 average of 16.38 percent?

15 MS. CARA LOW: Correct.

16 MS. KATHLEEN MCCANDLESS: And that
17 results in a full credibility required change of
18 negative 1.40 percent as shown as line 23 of figure 5?

19 MS. CARA LOW: Yes.

20 MS. KATHLEEN MCCANDLESS: On the --
21 the left-hand column?

22 MS. CARA LOW: Yes.

23 MS. KATHLEEN MCCANDLESS: So that
24 would be a decrease of negative 1.27 percent, so
25 that's the -- from the negative .13 percent to the

1 negative 1.4 percent we see on the screen?

2 MS. CARA LOW: Yes.

3 MS. KATHLEEN MCCANDLESS: And that's
4 to the overall rate indication?

5 MS. CARA LOW: Correct.

6 MS. KATHLEEN MCCANDLESS: Resulting
7 from a decrease in the claims expense ratio of 1.62
8 percent?

9 MS. CARA LOW: Correct.

10 MS. KATHLEEN MCCANDLESS: And just to
11 confirm for the record, that's the 18 percent down to
12 the 16.38 percent?

13 MS. CARA LOW: Right. So instead of
14 using a pay to pay, using an incurred method.

15 MS. KATHLEEN MCCANDLESS: Thank you.
16 However, in Response F, at PUB/MPI-2-3 -- and that's
17 at page 4 -- thank you -- MPI indicates that:

18 "The claims expenses incurred
19 includes changes in the ULAE
20 provision, which may not be
21 appropriate for projection of claims
22 expenses paid."

23 And that's at the beginning of 'F'?

24 MS. CARA LOW: I see that.

25 MS. KATHLEEN MCCANDLESS: MPI goes on

1 to state that:

2 "Also for projection of rating year
3 claims expenses, the average -- the
4 use of average of the next two (2)
5 years may not be appropriate as
6 claims runoff for the year 2024. It
7 may take several years."

8 MS. CARA LOW: Yes.

9 MS. KATHLEEN MCCANDLESS: From figure
10 3, on page 4 of 12, we have the paid claims expenses
11 for each fiscal year?

12 MS. CARA LOW: Yes.

13 MS. KATHLEEN MCCANDLESS: And if we
14 could go back to figure 2, at the bottom of page 3 of
15 12, we have the paid claims for east fiscal year from
16 2023 to --

17 MS. CARA LOW: For each fiscal year.
18 That's correct.

19 MS. KATHLEEN MCCANDLESS: If we start
20 with 2025, we have -- and we'll have to go back down
21 to the previous figure, so figure 3, I believe --
22 2025, line 1, we have paid claims expenses of 146.4
23 million?

24 MS. CARA LOW: Correct.

25 MS. KATHLEEN MCCANDLESS: And then

1 maybe, Kristen, if there's a way to shrink the screen
2 a little bit so we don't have to keep -- you don't
3 have to keep going back and forth. Thank you.
4 Perfect.

5 And then, we have paid claims at figure
6 2, line 1, of 892.2 million.

7 MS. CARA LOW: Correct.

8 MS. KATHLEEN MCCANDLESS: And if we
9 perform a calculation dividing the first number by the
10 second number, we should get 16.43 percent, subject to
11 check?

12 MS. CARA LOW: Sorry, so taking paid
13 claims divided by claims incurred?

14 MS. KATHLEEN MCCANDLESS: Yeah.
15 Expenses divided by paid claims.

16 MS. CARA LOW: Oh, so paid ULAE
17 divided by claims incurred. And then you would get --
18 by paid -- so paid to paid -- okay. Subject to check.

19 MS. KATHLEEN MCCANDLESS: So just for
20 the record then, we are looking at paid to paid. So
21 from figure 3, one-forty-six-point-four (146.4)
22 divided by the eight-ninety-two-point-two (892.2)?

23 MS. CARA LOW: Sorry, could you repeat
24 that?

25 MS. KATHLEEN MCCANDLESS: I just

1 wanted to repeat the calculation of the 16.43 percent.
2 That was from dividing line 1 from figure 3 for 2025
3 by line 1 from figure 2 for 2025.

4 MS. CARA LOW: For forecasted paid to
5 paid, rather than based on historical paid to paid.
6 And we know that has shifted over time because
7 expenses didn't change during the pandemic when we
8 weren't having claims coming in.

9 MS. KATHLEEN MCCANDLESS: Okay. Thank
10 you.

11 Similarly, if we take 2026 at figure 3,
12 line 1, paid claims expenses of 147.6 million, and
13 divide by the paid claims at figure 2 of 920 million,
14 we would get 16.04 percent, subject to check?

15 MS. CARA LOW: Subject to check.

16 MS. KATHLEEN MCCANDLESS: And again,
17 subject to check, if we perform the same exercise for
18 2027, we would get 14.81 percent?

19 MS. CARA LOW: Subject to check, yes.

20 MS. KATHLEEN MCCANDLESS: And for
21 2028, if we perform the same exercise, we would get
22 14.3 percent, subject to check?

23 MS. CARA LOW: Subject to check. Yes.

24 MS. KATHLEEN MCCANDLESS: There is no
25 projection for claims paid in 2029 or thereafter.

1 Correct?

2 MS. CARA LOW: Correct.

3 MS. KATHLEEN MCCANDLESS: And these
4 are all paid claims expensed to paid claims ratios?

5 MS. CARA LOW: Correct.

6 MS. KATHLEEN MCCANDLESS: All of them
7 less than 18 percent?

8 MS. CARA LOW: Sounds like it, yes.
9 Correct.

10 MS. KATHLEEN MCCANDLESS: And so, can
11 you explain why MPI is using 18 percent in its
12 ratemaking, but 16 percent or lower in its financial
13 forecasting?

14 MS. CARA LOW: Can we go back to the
15 external actuary report that shows the selection of
16 the eighteen-and-a-half (18 1/2) for financial
17 reporting purpose, where we mitigated it down to 18
18 percent for ratemaking?

19 So these are half numbers. You have to
20 double them. But historically, you can see 18 percent
21 has been very consistent year over year.

22 MS. KATHLEEN MCCANDLESS: Thank you.
23 Now, as MPI has said in PUB/MPI-2-3, Response F, we
24 should not just be using the average of the next two
25 (2) years as claims; runoffs take several years?

1 MS. CARA LOW: Very true.

2 MS. KATHLEEN MCCANDLESS: To get the
3 claims runoff, we would need to have the rating year
4 claims incurred and a payment pattern for each
5 coverage?

6 MS. CARA LOW: Yes. And that, we do
7 have. The amount of claim expenses -- so the time the
8 injury adjustors spend on different claims tied back
9 to loss years, that would be the difficulty.

10 MS. KATHLEEN MCCANDLESS: Now, would
11 the most up to date payment pattern be from the
12 external actuary report that we were just looking at,
13 but we would be going ahead four (4) and five (5)
14 pages. So to sheets 3 and 4.

15 That's sheet 4 and that's sheet 3?

16 MS. CARA LOW: Yes, that would be the
17 most recent. We only do them once a year.

18 MS. KATHLEEN MCCANDLESS: And it shows
19 for a given accident year, the percentage paid for
20 each coverage at the end of the first year, so twelve
21 (12) months, the second year twenty-four (24) months
22 and so forth?

23 MS. CARA LOW: Correct. Yes.

24 MS. KATHLEEN MCCANDLESS: If we are to
25 account for the fact that the rating year claims occur

1 over to successive accident years --

2 MS. CARA LOW: M-hm.

3 MS. KATHLEEN MCCANDLESS: -- half of
4 the payments would have to be pushed out one year
5 further. Right?

6 MS. CARA LOW: Correct. Yes, agreed.

7 MS. KATHLEEN MCCANDLESS: Now, if we
8 take the rating year claims incurred from figure CF-1,
9 line 1, and that starts with -- so, on the far right
10 column, column 3 - 2024/'25 rating year, line 1, it
11 starts with ninety five point one seven (95.17)
12 million of weekly indemnity claims?

13 MS. CARA LOW: Reclaimed indemnity,
14 yes, that is correct.

15 MS. KATHLEEN MCCANDLESS: And then,
16 down at line 6 we see it goes to one hundred and
17 eighteen million (118) of comprehensive claims?

18 MS. CARA LOW: Hundred and seventeen
19 point eight (117.8) is what I see.

20 MS. KATHLEEN MCCANDLESS: To be
21 precise, yes, hundred and seventeen point 8 (117.8).
22 If we were to apply the payment pattern from Exhibit
23 6, sheet 3 and 4 that we just looked at --

24 MS. CARA LOW: Yes.

25 MS. KATHLEEN MCCANDLESS: -- with half

1 the claims pushed out one year, we would have a
2 projected claims payment pattern for all coverages
3 combined for the 2025 rating year?

4 MS. CARA LOW: Correct.

5 MS. KATHLEEN MCCANDLESS: As an
6 undertaking, could MPI calculate the proportion of
7 claims for rating year 2025 that would be paid in each
8 of 2025, 2026, 2027 and 2028 and thereafter?

9 MR. STEVE SCARFONE: Yes, Ms.
10 McCandless, we'll take that undertaking.

11

12 --- UNDERTAKING NO. 9: MPI to calculate the
13 proportion of claims for
14 rating year 2025 that
15 would be paid in each of
16 2025, 2026, 2027 and 2028
17 and thereafter.
18 To follow on that
19 undertaking, MPI then
20 apply the paid-to-paid
21 ULAE ratios for 2025
22 through 2028 to each of
23 these four (4) portions to
24 generate an average paid
25 ULAE ratio for the 2025

1 rating year. Then apply
2 that average paid ULAE
3 ratio to generate a
4 revised RI-10, performer
5 1, 2 and 3
6

7 MS. KATHLEEN MCCANDLESS: Thank you.
8 And to follow on that undertaking, as part of the
9 undertaking, could MPI then apply the paid-to-paid
10 ULAE ratios for 2025 through 2028 as we calculated a
11 few minutes ago, to each of these four (4) portions to
12 generate an average paid ULAE ratio for the 2025
13 rating year?

14 MR. STEVE SCARFONE: Yes, I see Ms.
15 Low nodding her head.

16 MS. CARA LOW: Yes, we can.

17 MS. KATHLEEN MCCANDLESS: Okay. And
18 then, following on that undertaking, then apply that
19 average paid ULAE ratio to generate a revised RI-10,
20 performer 1, 2 and 3?

21 MS. CARA LOW: Yes, we can do that.

22 MR. STEVEN SCARFONE: Yes.

23 MS. KATHLEEN MCCANDLESS: Thank you.
24 Thank you. I have no further questions for this
25 panel.

1 MS. CARA LOW: Thank you.

2 PANEL CHAIRPERSON: Thank you. Ms.
3 Dilay, have you an estimate of how long you might be
4 cross-examining this panel?

5 MS. KATRINE DILAY: My rough estimate
6 would be forty-five (45) to sixty (60) minutes.

7 PANEL CHAIRPERSON: Thank you for
8 that. I think we'll take our noon hour break then now
9 and come back at one o'clock, please. Thank you.

10

11 --- Upon recessing at 11:58 a.m.

12 --- Upon resuming at 12:59 p.m.

13

14 THE PANEL CHAIRPERSON: Good
15 afternoon. Ms. Dilay...?

16 MS. KATRINE DILAY: Thank you, Madam
17 Chair. I think Mr. Scarfone has a few exhibits to
18 enter before I start.

19 THE PANEL CHAIRPERSON: Mr. Scarfone?

20 MR. STEVE SCARFONE: Thank you, Madam
21 Chair. Just -- yeah, just a couple that the
22 Corporation would like to mark. I think I did so this
23 morning or -- with claims forecasting presentation was
24 MPI Exhibit No. 64.

25 And then we've also just circulated

1 Exhibit -- MPI Exhibit No. 65 which is the ratemaking
2 presentation. And I also just wanted to read into the
3 record a response -- and we'll provide this in writing
4 as well -- but for Ms. McCandless in case she wants it
5 for the Undertaking Panel.

6 Undertaking number 7 was the rounding -
7 - the rounding undertaking for the 2023 driving
8 behaviour study.

9 So the numbers of three point six (3.6)
10 were rounded from three point five nine (3.59), and
11 the three point eight (3.8) number was rounded from
12 three point eight two (3.82).

13

14 --- EXHIBIT NO. MPI-65: Ratemaking Presentation

15

16 MS. KATHLEEN MCCANDLESS: Thank you.
17 And just perhaps one (1) matter of housekeeping while
18 I have Mr. Scarfone. I -- when I approached you just
19 before, it was actually about the pre-asks that were
20 sent last week, and -- and Board counsel is just
21 wondering when MPI might be expected to provide an
22 answer to the pre-asks.

23 MR. STEVE SCARFONE: On the MCT?

24 MS. KATHLEEN MCCANDLESS: Well, there
25 -- it was on MPI Exhibit number 50.

1 MR. STEVE SCARFONE: Okay. Yeah.

2 Thank you.

3 PANEL CHAIRPERSON: Anything further?

4 MR. STEVE SCARFONE: Nothing further.

5 Thank you, Madam Chair.

6 PANEL CHAIRPERSON: Okay. Thank you.

7 Ms. Dilay...?

8 MS. KATRINE DILAY: Thank you, Madam

9 Chair.

10

11 CROSS-EXAMINATION BY MS. KATRINE DILAY:

12 MS. KATRINE DILAY: Good afternoon,

13 Ms. Low and Ms. Zhou. My name is Katrine Dilay, and

14 I'm legal counsel to the Manitoba branch of the

15 Consumers Association of Canada, and I'll be asking

16 you a few questions today.

17 And actually, before I start, if I

18 could also enter an exhibit on behalf of CAC

19 (Manitoba). We -- we filed CAC's response to MPI's

20 confidentiality motion regarding the E&Y report and

21 the Deloitte report which should be marked as Exhibit

22 CAC-9.

23

24 --- EXHIBIT NO. CAC-9: CAC (Manitoba) response to

25 MPI's confidentiality

1 motion regarding the E&Y
2 report and the Deloitte
3 report
4

5 CONTINUED BY MS. KATRINE DILAY:

6 MS. KATRINE DILAY: Good afternoon.
7 So I'd like to start at a -- a pretty general level
8 with a few questions about MPI's procedure for
9 developing the future accident year claim projections.
10 So I'll start with a pretty dense statement, and then
11 hopefully break it down with both of you.

12 At a high level, you'll agree that, for
13 each coverage, MPI develops trends that are based on
14 the results of a regression analysis of adjusted
15 historical loss costs?

16 MS. CHRISTINE ZHOU: Agreed.

17 MS. KATRINE DILAY: And just to define
18 some of those terms, given that not all of us in the
19 room are actuaries, you'll agree that regression
20 analysis is a statistical method that attempts to
21 determine the strength or character of the
22 relationship between one (1) dependent variable and
23 one (1) or more independent variable?

24 MS. CHRISTINE ZHOU: Correct.

25 MS. KATRINE DILAY: And one (1)

1 example of a dependent variable would be frequency,
2 correct?

3 MS. CHRISTINE ZHOU: Correct.

4 MS. KATRINE DILAY: And another
5 example would be severity?

6 MS. CHRISTINE ZHOU: Correct.

7 MS. KATRINE DILAY: And one (1)
8 example of an independent variable would be time.

9 MS. CHRISTINE ZHOU: Correct.

10 MS. KATRINE DILAY: And a regression
11 model is able to show whether changes that we see in
12 the dependent variable are associated with changes in
13 one (1) or more of the independent variables, correct?

14 MS. CHRISTINE ZHOU: Correct.

15 MS. KATRINE DILAY: So essentially,
16 whether they are moving together.

17 MS. CHRISTINE ZHOU: Their
18 relationship.

19 MS. KATRINE DILAY: Their
20 relationship. Thank you. And the regression model
21 does this by, essentially, fitting a best-fit line and
22 seeing how the data is dispersed around this line?

23 MS. CHRISTINE ZHOU: Yeah.

24 MS. KATRINE DILAY: In order for
25 regression results to be properly interpreted, you'll

1 agree that there are several assumptions about the
2 data and the model itself that have to be made?

3 MS. CHRISTINE ZHOU: Yeah.

4 MS. KATRINE DILAY: And from MPI's
5 regression analyses, trend factors are developed,
6 correct?

7 MS. CHRISTINE ZHOU: Yes.

8 MS. KATRINE DILAY: And the trend
9 factor that MPI develops from the results of the
10 regression analysis provides a measure of change over
11 time?

12 MS. CHRISTINE ZHOU: Correct.

13 MS. KATRINE DILAY: And so the trend
14 factor is, essentially, telling the general direction
15 that the data is taking during a specified time
16 period.

17 MS. CHRISTINE ZHOU: Correct.

18 MS. KATRINE DILAY: And in this GRA,
19 in particular, MPI develops a past trend as well as a
20 future trend, correct?

21 MS. CHRISTINE ZHOU: Correct.

22 MS. KATRINE DILAY: And for the past
23 trend, the data in the experience period under
24 consideration is adjusted to reflect observed changes
25 in cost conditions that have taken place?

1 MS. CHRISTINE ZHOU: Correct.

2 MS. KATRINE DILAY: And for the future
3 trend the data is further adjusted -- sorry. One (1)
4 second.

5

6 (BRIEF PAUSE)

7

8 MS. KATRINE DILAY: So for the future
9 trend, the data is further adjusted to reflect future
10 changes in cost conditions that are expected to occur
11 between the end of the experience period and the
12 period the new premiums will be in effect?

13 MS. CHRISTINE ZHOU: Correct.

14 MS. KATRINE DILAY: And MPI relies on
15 regression analysis to determine past trend rates that
16 are applicable to the cost level changes occurring in
17 the experience period?

18 MS. CHRISTINE ZHOU: Correct. It's a
19 starting point.

20 MS. KATRINE DILAY: Thank you. And
21 past trends are required to trend the relevant
22 experience period to the current accident year's cost
23 level?

24 MS. CHRISTINE ZHOU: Correct.

25 MS. KATRINE DILAY: And this year --

1 so in this GRA, it's accident year 2022 that we're
2 talking about?

3 MS. CHRISTINE ZHOU: Correct.

4 MS. KATRINE DILAY: And then selected
5 accident year weights are applied to derive a weighted
6 average loss cost?

7 MS. CHRISTINE ZHOU: Correct.

8 MS. KATRINE DILAY: So that's about
9 past trends. Then for future -- future trend, MPI has
10 to select one, correct?

11 MS. CHRISTINE ZHOU: Yes.

12 MS. KATRINE DILAY: And the starting
13 point of how MPI selects the future trend is the
14 selected past trend that we just talked about based on
15 the regression analysis?

16 MS. CHRISTINE ZHOU: Correct.

17 MS. KATRINE DILAY: Then MPI assesses
18 additional information that's available, and that
19 provide -- that provides guidance on future cost
20 levels?

21 MS. CHRISTINE ZHOU: Correct.

22 MS. KATRINE DILAY: And you'll agree
23 that, in some cases, actuarial judgment is applied to
24 select the most appropriate future trend rate for the
25 forecast period?

1 MS. CHRISTINE ZHOU: Correct.

2 MS. KATRINE DILAY: And in addition to
3 the past and future trends, MPI also develops mobility
4 factors, correct?

5 MS. CHRISTINE ZHOU: Correct.

6 MS. KATRINE DILAY: And you had a bit
7 of a discussion about this this morning, but the
8 mobility factor that MPI develops as a result of the
9 regression analysis is considering the effect of
10 reduced traffic volumes during the COVID-19 pandemic?

11 MS. CHRISTINE ZHOU: The -- the
12 reduced mobility due to working from home.

13 MS. KATRINE DILAY: Thank you. And so
14 you'll agree MPI has introduced a mobility variable to
15 reflect the impacts of working from home on claims
16 incurred?

17 MS. CHRISTINE ZHOU: Correct.

18 MS. KATRINE DILAY: And we talked
19 about this a bit this morning, and I won't go into
20 detail, but MPI introduced this mobility variable by
21 using Google's COVID-19 community mobility report to
22 account for COVID-19 impact from historical data?

23 MS. CHRISTINE ZHOU: To account for
24 working from home mobility pattern changes.

25 MS. KATRINE DILAY: And MPI then

1 adjusts future trended loss costs to the degree the --
2 the pandemic or the working-from-home impact is
3 expected to impact claims costs during the proposed
4 rate program period, correct?

5 MS. CHRISTINE ZHOU: Correct.

6 MS. KATRINE DILAY: So in order to
7 come up with the claims forecasts that form the rating
8 period for this GRA, MPI applies its previously-
9 determined trend parameters to its final projected
10 accident year 2022 loss costs to then project loss
11 costs for accident years 2024 through 2026?

12 MS. CHRISTINE ZHOU: Correct.

13 MS. KATRINE DILAY: Thank you for
14 that. I'd like now to turn to just a few questions on
15 accident year weights.

16 Ms. Schubert, could we go to part 6 of
17 the GRA, which is Claims Forecasting, and specifically
18 page 33. Thank you.

19 And so looking at this -- this
20 paragraph that Ms. Schubert has before us, at the
21 bottom of -- of page 33, you'll agree here that MPI
22 indicates that after adjusting all historical years to
23 the same cost levels as the most recent accident year,
24 equal weight of 20 percent were applied to the most
25 recent five (5) accident years?

1 MS. CHRISTINE ZHOU: Yes.

2 MS. KATRINE DILAY: And then MPI goes
3 on to say:

4 "For coverages where COVID-19
5 impacted frequency, accident year
6 2020 was excluded from the
7 experience period in estimating
8 future loss costs."

9 Correct?

10 MS. CHRISTINE ZHOU: Correct.

11 MS. KATRINE DILAY: And, Ms. Zhou,
12 you'll agree that, where a regression model over-
13 predicts, that means that the fitted model values
14 applied to project future years exceed the actual data
15 values from historical years?

16 MS. CHRISTINE ZHOU: Over-estimate
17 versus under-estimate.

18 MS. KATRINE DILAY: Over-predicts.

19 MS. CHRISTINE ZHOU: Yes.

20 MS. KATRINE DILAY: And conversely,
21 where a model under predicts, that means that the
22 fitted values applied to project future years are less
23 than the actual data values from historical years?

24 MS. CHRISTINE ZHOU: Yeah.

25 MS. KATRINE DILAY: And at a high

1 level, Ms. Zhou, you'll agree that one (1) of the
2 impacts of the COVID-19 pandemic was that more people
3 worked from home?

4 MS. CHRISTINE ZHOU: Yeah.

5 MS. KATRINE DILAY: And you'll agree
6 this was due to government restrictions and
7 recommendations to avoid unnecessary contact with
8 others to avoid the spread of COVID-19?

9 MS. CHRISTINE ZHOU: Correct.

10 MS. KATRINE DILAY: And you'll agree
11 that government restrictions were in place for much of
12 the calendar year 2020?

13 MS. CHRISTINE ZHOU: Correct.

14 MS. KATRINE DILAY: And you'll agree
15 that government restrictions continued into the
16 calendar year 2021?

17 MS. CHRISTINE ZHOU: Not complete
18 lockdown. My understanding, based on our research, is
19 the full stay-at-home lockdown, meaning all the
20 businesses that's nonessential were shutting down,
21 zero capacity, that happens mostly in 2020. 2021 is
22 more going back and forth in terms of capacities.

23 MS. KATRINE DILAY: And, based on your
24 recollection, as late as November and December of
25 2021, additional restrictions were being announced by

1 the government of Manitoba, given the rise in cases of
2 the Omicron variant of COVID-19?

3 MS. CHRISTINE ZHOU: We have an
4 appendix capture the various government orders, yeah.

5 MS. KATRINE DILAY: Thank you. That's
6 -- that's helpful. Thank you.

7 MS. CHRISTINE ZHOU: Okay.

8 MR. STEVE SCARFONE: So perhaps Ms.
9 Dilay could repeat that last question with the
10 assistance of this visual.

11 MS. KATRINE DILAY: Based on your
12 recollection, Ms. Zhou, as late as November and
13 December of 2021, do you recall additional
14 restrictions were being announced given the rise in
15 cases of the Omicron variant?

16 MS. CHRISTINE ZHOU: I'm not able to
17 comment or confirm at the moment.

18 MS. KATRINE DILAY: Thank you. I now
19 have a few questions about accident benefits weekly
20 indemnity.

21 Ms. Schubert, could we turn to part 6
22 of the GRA claims forecasting, Appendix 3, at page 2.

23 And so here you'll agree that the --
24 the graph we see at the bottom -- in the bottom half
25 of this page provides the trend for weekly indemnity

1 frequency?

2 MS. CHRISTINE ZHOU: Agreed.

3 MS. KATRINE DILAY: And if we look at
4 the two (2) lines that are sort of pale pink in colour
5 right above the graph, and if we look at the one that
6 has -- that says, "current method," where Ms. Schubert
7 has her cursor -- do you see that?

8 MS. CHRISTINE ZHOU: Yeah.

9 MS. KATRINE DILAY: So you'll agree
10 here MPI is indicating that the current model is that
11 the trend for frequency is based on fourteen (14)
12 years of data starting 2009 and ending in 2022,
13 correct?

14 MS. CHRISTINE ZHOU: Correct.

15 MS. KATRINE DILAY: And if we go to
16 the same document but page 4, and if we look at the
17 graph here, you'll agree this provides the trend for
18 weekly indemnity severity?

19 MS. CHRISTINE ZHOU: Correct.

20 MS. KATRINE DILAY: And, again,
21 looking at the current method line that is pale pink
22 in colour above the graph, you'll agree that this is
23 the current method, right?

24 MS. CHRISTINE ZHOU: Correct.

25 MS. KATRINE DILAY: And MPI is

1 indicating that the current method is that the trend
2 is based on eleven (11) years of data starting in 2012
3 and ending in 2022, correct?

4 MS. CHRISTINE ZHOU: Correct.

5 MS. KATRINE DILAY: And so to confirm
6 the two (2) pages we just looked at, the time period
7 selected for severity and frequency for accident
8 benefits weekly indemnity are different?

9 MS. CHRISTINE ZHOU: Correct.

10 MS. KATRINE DILAY: One being from
11 2009 to 2022 and the other being from 2012 to 2022,
12 correct?

13 MS. CHRISTINE ZHOU: Correct.

14 MS. KATRINE DILAY: And at a high
15 level, you'll agree that if MPI had chosen to use the
16 2009 to 2022 time period for severity rather than
17 starting with 2020 -- 2012, pardon me -- the fit or
18 the regression coefficient will be different?

19 MS. CHRISTINE ZHOU: It will be.

20 MS. KATRINE DILAY: Thank you. If we
21 could go to page 6, still in this same document.

22 So here you'll see at the top of the
23 page we are talking about accident benefits other
24 indexed, correct?

25 MS. CHRISTINE ZHOU: Correct.

1 MS. KATRINE DILAY: And looking at the
2 graph in the bottom half of the page, this is the
3 frequency trend for accident benefits other indexed?

4 MS. CHRISTINE ZHOU: Correct.

5 MS. KATRINE DILAY: And, again,
6 looking at the current method two (2) lines above the
7 graph, MPI indicates that the trend is based on
8 fourteen (14) years of data, starting 2009 and ending
9 in 2002, correct?

10 MS. CHRISTINE ZHOU: Correct.

11 MS. KATRINE DILAY: And, Ms. Schubert,
12 if we could go to page 8.

13 So we're still looking at accident
14 benefits other indexed, but for severity, correct?

15 MS. CHRISTINE ZHOU: Correct.

16 MS. KATRINE DILAY: And two (2) lines
17 above the graph you will agree MPI indicates that the
18 trend is based on ten (10) years of data starting in
19 2012 -- 2012 and ending in 2022, correct?

20 MS. CHRISTINE ZHOU: Correct.

21 MS. KATRINE DILAY: And so to confirm,
22 for accident benefits other indexed MPI used different
23 time periods for severity and frequency, correct?

24 MS. CHRISTINE ZHOU: Correct.

25 MS. KATRINE DILAY: And, again, at a

1 high level, you'll agree that if the 2012 to 2022 time
2 period was considered for frequency like it was for
3 severity, the fit or the regression coefficient would
4 be different, correct?

5 MS. CHRISTINE ZHOU: Correct.

6 MS. KATRINE DILAY: I have a few
7 questions on accident benefits other non-indexed. And
8 I do -- I do remember that Ms. -- my friend, Ms.
9 McCandless, did ask you some questions this morning,
10 so I'll try not to repeat those questions. I think
11 I'll be going in a bit of a different direction.

12 Ms. Schubert, if we could turn to part
13 6 of the GRA claims forecasting at page 56. And
14 towards the bottom of this page -- thank you.

15 You'll agree that the past claim
16 frequency trend selected by MPI for accident benefits
17 other non-indexed is negative 4.90 percent?

18 MS. CHRISTINE ZHOU: Correct.

19 MS. KATRINE DILAY: And we see there
20 that's based on experience starting from 2009, so
21 fourteen (14) years of data, correct?

22 MS. CHRISTINE ZHOU: Correct.

23 MS. KATRINE DILAY: And then if we go
24 to the next page, page 57, at lines 13 and 14, we see
25 there MPI selected a zero percent future claim

1 frequency trend judgmentally, correct?

2 MS. CHRISTINE ZHOU: Correct.

3 MS. KATRINE DILAY: And the rationale
4 that is provided there is due to the volatility in
5 recent experience period?

6 MS. CHRISTINE ZHOU: Correct.

7 MS. KATRINE DILAY: And to follow up
8 on that, could we turn to page 55 of this document at
9 Figure CF-35. And so this is the frequency
10 experience, correct --

11 MS. CHRISTINE ZHOU: Yeah.

12 MS. KATRINE DILAY: -- for accident
13 benefit other non-indexed?

14 MS. CHRISTINE ZHOU: Correct.

15 MS. KATRINE DILAY: And so if we look
16 visually at the line, you'll agree -- at the graph
17 rather -- visually, one can see a decrease in the
18 experience from the beginning of the graph, 2009 to
19 2010, correct?

20 MS. CHRISTINE ZHOU: Yeah.

21 MS. KATRINE DILAY: And, again,
22 visually we can see a decrease in experience from
23 about 2011 until 2014, correct?

24 MS. CHRISTINE ZHOU: Correct.

25 MS. KATRINE DILAY: That represents

1 approximately a three (3) year period?

2 MS. CHRISTINE ZHOU: Yeah.

3 MS. KATRINE DILAY: And then we see
4 another period of decrease from approximately 2016 to
5 2020, correct?

6 MS. CHRISTINE ZHOU: Correct.

7 MS. KATRINE DILAY: Representing
8 approximately a four (4) year period?

9 MS. CHRISTINE ZHOU: Correct.

10 MS. KATRINE DILAY: So subject to
11 check, but in approximately eight (8) out of the
12 fourteen (14) years of data here there was a decrease
13 in experience, correct?

14 MS. CHRISTINE ZHOU: Correct.

15 MS. KATRINE DILAY: I now have a few
16 questions on collision claims forecasting.

17 Ms. Schubert, if we could go to page 80
18 of the claims forecasting chapter at lines 9 to 14.

19 So just to -- to sort of summarize what
20 is said here, you'll agree that MPI selected one (1)
21 severity trend for accident year up to 2019, and then
22 a different severity trend for accident years 2020 to
23 2022?

24 MS. CHRISTINE ZHOU: Past trend one
25 is based on data up to accident year 2020. Past trend

1 2 starting point is accident year 2020.

2 MS. KATRINE DILAY: Until 2022?

3 MS. CHRISTINE ZHOU: Yes, correct.

4 MS. KATRINE DILAY: And so you'll

5 agree that MPI uses two (2) separate collision

6 severity trend models to come up with these two (2)

7 different trends?

8 MS. CHRISTINE ZHOU: Correct.

9 MS. KATRINE DILAY: And if we look at

10 the next few lines, specifically lines 15 to 16, MPI

11 acknowledges that it typically does not rely on a

12 trend established based on only three (3) data points

13 due to lack of credibility, correct?

14 MS. CHRISTINE ZHOU: Correct.

15 MS. KATRINE DILAY: But then MPI goes

16 on to -- to justify their selection. And to

17 summarize, you'll agree MPI finds its approach

18 reasonable given the recent macroeconomic environment?

19 MS. CHRISTINE ZHOU: Correct.

20 MS. KATRINE DILAY: And if we could

21 turn to the Information Request CAC/MPI-168. And Ms.

22 Schubert, if we could go to the question. Thank you.

23 And you'll agree here MPI was asked to

24 consider fitting a single model with a Time 1

25 variable, which would be from 2010 through 2020, and a

1 Time 2 variable, which would be 2020 through 2022.

2 That's what was asked of MPI, correct?

3 MS. CHRISTINE ZHOU: Correct.

4 MS. KATRINE DILAY: And if we look at
5 page 3, which is MPI's response, you'll agree that
6 this change would have a small -- would have a small
7 impact on the selected trend for 2009 to 2019,
8 reducing it from 5.67 percent to 5.56 percent?

9 MS. CHRISTINE ZHOU: Yesterday, we
10 have a meeting going over and prep for this rate
11 hearing. We find out that there are -- some of the
12 numbers here need to be revised slightly. And I do
13 have the -- the numbers.

14 It's the starting period. So there was
15 an error in the starting period for line number 1.
16 And I do have the latest number.

17 MR. STEVE SCARFONE: Yes, if you can
18 just read that in and we can correct the figure with -
19 - with a new version once that's read into the record.

20 MS. KATRINE DILAY: Thank you.

21

22 (BRIEF PAUSE)

23

24 MS. CHRISTINE ZHOU: We're here to
25 advise -- to revise the ultimate -- the alternative

1 severity trend showing Figure 1 on the screen. And
2 the starting point in our trend analysis should be
3 2010, same as our GRA past trend one. The original
4 number you see in here was based on 2009.

5 So if we -- using starting period 2010,
6 under the alternative severity column, it should be
7 5.66 percent, instead of 5.56 percent.

8 And the second number, line 2, rather
9 than 9.59 percent, it should be 9.38 percent.

10 MS. KATRINE DILAY: Thank you for
11 that, Ms. Zhou.

12 So with these revised numbers, you'll
13 confirm that the difference for the 2010 to 2020
14 period is relatively small from 5.67 percent to 5.66
15 percent?

16 MS. CHRISTINE ZHOU: Correct.

17 MS. KATRINE DILAY: And you'll agree
18 the change would have a more significant impact on the
19 selected trend for 2020 to 2022, reducing it from
20 10.68 percent to 9.38 percent?

21 MS. CHRISTINE ZHOU: Correct.

22 MS. KATRINE DILAY: And you'll confirm
23 that -- that this option of fitting a single model
24 with two (2) time variables -- variables is one that
25 MPI did not use for purposes of its rate application,

1 correct?

2 MS. CHRISTINE ZHOU: Correct.

3 MR. STEVE SCARFONE: Ms. Dilay, sorry
4 to interrupt. I think you may have indicated for line
5 2, 2020 to 2022. I don't know that that was
6 corrected. It's 2021 to 2022, just for the record. I
7 believe that was -- you have indicated two (2) years.

8 MS. KATRINE DILAY: Yes. Thank you.
9 Yeah. Just one moment.

10

11 (BRIEF PAUSE)

12

13 MS. KATRINE DILAY: Thank you for
14 that, Mr. Scarfone.

15 I now have a few questions on
16 comprehensive coverage, excluding hail.

17 Ms. Schubert, if we could turn to the
18 claim forecasting chapter at page 99.

19 And we can go back to the subtitle of
20 this chapter if you'd like, but is it your
21 understanding that this part of the chapter talks
22 about severity for comprehensive coverage excluding
23 hail? And the subtitle is on page 95.

24 MS. CHRISTINE ZHOU: Correct.

25 MS. KATRINE DILAY: And so, if we turn

1 back to page 99, at line 11, you'll agree MPI selected
2 a future severity trend of 4 percent for 2023?

3 MS. CHRISTINE ZHOU: Yes. Agreed.

4 MS. KATRINE DILAY: And then, just a
5 bit later, two (2) lines below, MPI indicates that's
6 slightly higher than the 3.29 percent past severity
7 trend, correct?

8 MS. CHRISTINE ZHOU: Correct.

9 MS. KATRINE DILAY: And MPI also
10 indicates that it assumes a drop in the future trend
11 to plus 2.5 percent for 2024 through 2027?

12 MS. CHRISTINE ZHOU: Correct.

13 MS. KATRINE DILAY: And that's due to
14 a drop in forecasted Manitoba Consumer Price Index?

15 MS. CHRISTINE ZHOU: Correct.

16 MS. KATRINE DILAY: And if we go just
17 a little bit higher on this page, at lines 1 to 3, MPI
18 indicates that there was a trend change for
19 comprehensive severity that was observed in 2017 as a
20 result of MPI management actions aimed to reduce
21 rodent and glass only claims, correct?

22 MS. CHRISTINE ZHOU: Correct.

23 MS. KATRINE DILAY: And so MPI
24 confirms it does not believe this is representative of
25 the current experience?

1 MS. CHRISTINE ZHOU: Correct.

2 MS. KATRINE DILAY: At a high level,
3 you'll agree that inflation has been high in the last
4 two (2) years?

5 MS. CHRISTINE ZHOU: Yes.

6 MS. KATRINE DILAY: If we look at
7 page 98, at the very bottom, you'll agree there MPI
8 states that:

9 "The 'P' value for time indicates it
10 is not deemed a significant
11 parameter due to the underlying
12 observed data volatility"?

13 MS. CHRISTINE ZHOU: Correct.

14 MS. KATRINE DILAY: And just to break
15 that up a little bit, a 'P' value statistic indicates
16 whether the variable used in regression is
17 statistically significant, correct?

18 MS. CHRISTINE ZHOU: Correct.

19 MS. KATRINE DILAY: And the 'P' value
20 is measured between zero and one (1), correct?

21 MS. CHRISTINE ZHOU: Correct.

22 MS. KATRINE DILAY: And MPI considered
23 'P' values of less than zero-point-zero-five (0.05) to
24 be significant?

25 MS. CHRISTINE ZHOU: Yes. More or

1 less the industry benchmark.

2 MS. KATRINE DILAY: But you'll agree
3 the MPI selected trend for 2017 to 2022 are all
4 positive, correct?

5 MS. CHRISTINE ZHOU: Correct.

6 MS. KATRINE DILAY: And generally, at
7 a high level, you'll agree that where the 'P' value is
8 insignificant but the trend is going up or positive,
9 that could mean that the trend is overstated?

10 MS. CHRISTINE ZHOU: No, I don't
11 agree.

12 MS. KATRINE DILAY: Are you able to
13 explain why?

14 MS. CHRISTINE ZHOU: Well, 'P' value
15 is a relative measure. A 5 percent is a certainty
16 that the parameter used in the regression model is
17 significant. But that does not mean anything higher
18 than five (5) is not significant.

19 You know, when we do regression model
20 GLM (phonetic), we also look at parameters that's
21 between 5 to sometimes 18 percent. So that does not
22 mean -- if we select a trend when the trend 'P' value
23 is over 5 percent, does not mean that the indicated
24 rate, trend rate, is over-estimated or under-estimated
25 or over-fitting.

1 MS. KATRINE DILAY: Thank you. I -- I
2 appreciate that answer.

3 Turning now to property damage third
4 party loss of use. Ms. Schubert, if we could turn to
5 the claim forecasting chapter at page 108, at the very
6 bottom.

7 And so here you'll agree that,
8 similarly to collision that we talked about
9 previously, MPI has selected a two (2) stepped past
10 severity trend for property damage third-party loss of
11 use?

12 MS. CHRISTINE ZHOU: Correct.

13 MS. KATRINE DILAY: And one (1) trend
14 is selected for the years 2009 to 2020?

15 MS. CHRISTINE ZHOU: Correct.

16 MS. KATRINE DILAY: And another trend
17 for 2020 to 2022?

18 MS. CHRISTINE ZHOU: Correct.

19 MS. KATRINE DILAY: And similarly
20 here, if we look at page 109, lines 9 to 10, MPI
21 acknowledges that it does not typically rely on a
22 trend established based on only three (3) data points
23 due to lack of credibility, correct?

24 MS. CHRISTINE ZHOU: Correct.

25 MS. KATRINE DILAY: But here, MPI

1 finds this approach reasonable to account for periods
2 of increased -- increase in duration of third-party
3 loss of use claims experienced in 2021 and 2022
4 accident years?

5 MS. CHRISTINE ZHOU: Correct, because
6 when we need some growth rate to -- you know, in order
7 to bring the historical loss cost to the current
8 level, considering the hyperinflation.

9 So -- and we picked the two (2) stepped
10 process, similar to collision, although we acknowledge
11 that the FIT (phonetic) stats, when we use the two (2)
12 step approach, loss of use, in particular is more
13 poor, than the FIT stats of collision, following the
14 same process.

15 MS. KATRINE DILAY: And at a high
16 level, you'll agree that another option could be to
17 consider a single model with additional parameters to
18 isolate the impact of the most recent years?

19 MS. CHRISTINE ZHOU: Yeah, that --
20 that would be an alternative.

21 MS. KATRINE DILAY: And you'll agree,
22 this is not an option that MPI selected for purposes
23 of its rate application, correct?

24 MS. CHRISTINE ZHOU: It was not an
25 option that we considered but we did review it, yeah,

1 when the evidence was presented to us.

2 MS. KATRINE DILAY: But you'll agree
3 that's not the option that was used in your rate
4 application?

5 MS. CHRISTINE ZHOU: Correct.

6 MS. KATRINE DILAY: I have a few
7 questions on property damage, third-party deductible
8 transfer.

9 If we can look at claims forecasting
10 chapter, page 113, and Figure CF-97.

11 And so you'll agree this is the
12 observed property damage, third-party deductible
13 transfer frequency experience?

14 MS. CHRISTINE ZHOU: Correct.

15 MS. KATRINE DILAY: And I just want to
16 -- to confirm two (2) things we see on this graph.
17 So, visually, if we look at the graph, you'll agree
18 that starting in about 2014 and until 2020, we see a
19 relatively stable period then a very sharp decrease,
20 correct?

21 MS. CHRISTINE ZHOU: Correct.

22 MS. KATRINE DILAY: And then we see an
23 increase in 2020 until 2021, correct?

24 MS. CHRISTINE ZHOU: Correct.

25 MS. KATRINE DILAY: Thank you. Moving

1 on to a few questions on property damage other. Ms.
2 Schubert, if we could go to Appendix 3 to the claims
3 forecasting chapter, page 43.

4 You'll agree this is the graph showing
5 the frequency trend for property damage other?

6 MS. CHRISTINE ZHOU: Correct.

7 MS. KATRINE DILAY: And, similarly to
8 what we did before, if we look at the current method,
9 two (2) lines above the graph, you'll confirm that the
10 trend is based on twelve (12) years of data, starting
11 in 2011 and ending in 2022, correct?

12 MS. CHRISTINE ZHOU: Correct.

13 MS. KATRINE DILAY: And then if we
14 look at page 45 of this document, this is now the
15 severity trend for property damage other, correct?

16 MS. CHRISTINE ZHOU: Correct.

17 MS. KATRINE DILAY: And the current
18 method, just above the graph, confirms that the trend
19 is based on fourteen (14) years of data, starting in
20 2009 and ending in 2022, correct?

21 MS. CHRISTINE ZHOU: Correct.

22 MS. KATRINE DILAY: And we saw -- we
23 saw this previously on two (2) other coverages, but
24 you'll agree that MPI selected different time periods
25 for frequency and severity for property damage other.

1 MS. CHRISTINE ZHOU: Correct.

2 MS. KATRINE DILAY: And at a high
3 level, you'll agree that if 2009 to 2022 time period
4 was considered for frequency like it was for severity,
5 the fit or regression coefficient would be different.

6 MS. CHRISTINE ZHOU: Correct.

7 MS. KATRINE DILAY: Moving on to
8 vehicle count Highway Traffic Act units, I can take
9 you to a reference, or you could take this subject to
10 check, but you'll agree that MPI forecasts total
11 Highway Traffic Act policy year earned units to grow
12 by 0.86 percent from 2023/'24 to 2027/'28?

13 MS. CARA LOW: Could we defer that one
14 to the Ratemaking?

15 MS. KATRINE DILAY: Sure. Questions,
16 essentially, on vehicle counts would be better for
17 Ratemaking?

18 MS. CARA LOW: That would be better.

19 MS. KATRINE DILAY: Yeah. That's fine

20 --

21 MS. CARA LOW: That is done by the
22 present team.

23 MS. KATRINE DILAY: Okay. Thank you
24 for that. So, I just have a few last questions or a
25 last -- one (1) last area of questioning for this

1 panel.

2 At a high level, you'll agree that MPI
3 has been faced with increases in repair costs over the
4 past few years?

5 MS. CARA LOW: Correct.

6 MS. KATRINE DILAY: And some of these
7 increases have been -- due to inflation?

8 MS. CARA LOW: Some of them have been,
9 yes.

10 MS. KATRINE DILAY: And some of them
11 have also been due to increasing complexity of
12 vehicles?

13 MS. CARA LOW: Yes.

14 MS. KATRINE DILAY: And you'll agree
15 that for a variety of reasons, some consumers choose
16 to purchase electric vehicles as opposed to gas
17 powered vehicles?

18 MS. CARA LOW: That would be correct.

19 MS. KATRINE DILAY: And you'll agree
20 that as the price of electric vehicles becomes more
21 competitive, it is possible that more consumers will
22 choose to purchase electric vehicles?

23 MS. CARA LOW: We can't really say
24 that for sure, but I guess you --

25 MS. KATRINE DILAY: The possibility --

1 MS. CARA LOW: It's a possibility, for
2 sure.

3 MS. KATRINE DILAY: And as far as
4 you're aware, one (1) reason that some consumers
5 choose to purchase electric vehicles, is the lower
6 carbon footprint of those vehicles?

7 MS. CARA LOW: I would think so.

8 MS. KATRINE DILAY: And would it be
9 fair to say that more electric vehicles on the road
10 may lead to increases in repair costs, as parts may be
11 less readily available?

12 MS. CARA LOW: I would think that
13 would be true.

14 MS. KATRINE DILAY: And are you aware
15 that electric vehicles are heavier on average than gas
16 powered vehicles?

17 MS. CARA LOW: I did not know that,
18 but -- I've learned something.

19 MS. KATRINE DILAY: And at a high
20 level, you'll agree that heavier vehicles can cause
21 more damage to other vehicles in an accident?

22 MS. CHRISTINE ZHOU: I heard about --
23 the theory on the trucks, heavier trucks, definitely
24 cause more damage on the other party, bodily injury,
25 yes.

1 MS. KATRINE DILAY: In terms of bodily
2 injury?

3 MS. CHRISTINE ZHOU: Yes. We haven't
4 done study like that in MPI.

5 MS. KATRINE DILAY: Thank you. I
6 think those are all my questions for this panel. I
7 appreciate your time. Thank you.

8 PANEL CHAIRPERSON: Thank you, Ms.
9 Dilay. Mr. Gabor...?

10 BOARD CHAIR GABOR: I have a few
11 questions.

12 Ms. Dilay went into my area so I'm just
13 going to ask the one (1) question about electric
14 vehicles because I was interested as well.

15 Are -- are electric vehicles more
16 expensive to repair than non-electric vehicles?

17 MS. CARA LOW: We have not done a deep
18 dive or a study on this, but that is definitely my
19 understanding.

20 BOARD CHAIR GABOR: Okay.

21 MS. CARA LOW: It is on our to do list
22 for the present team to do a look at electric vehicles
23 over the next couple years.

24 BOARD CHAIR GABOR: Okay. Are newer
25 cars more expensive to repair than older cars?

1 MS. CARA LOW: Yes, because they're
2 more complex.

3 BOARD CHAIR GABOR: Right. So, my --
4 my understanding is from the studies I've seen that,
5 as a result of legislative changes, they're expecting
6 more electric cars on the road, more newer cars on the
7 road. Is that your understanding as well?

8 MS. CARA LOW: Yes.

9 BOARD CHAIR GABOR: Okay. Well, when
10 you're doing your projections going forward, in terms
11 of the cost for repairs would be, are you going based
12 on previous data or are you adjusting that data with a
13 -- a different projection as a result of electric cars
14 and more newer cars?

15 MS. CHRISTINE ZHOU: That's a very
16 good question. For our vehicle repair cost, we look
17 at the different cost component, the labour rates.

18 And with regards to the trend that you
19 talk about, the vehicle being more complex and more
20 expensive parts are used and things like that, we do
21 hear that as a industry trend, from our claims
22 vendors, and we do track them.

23 The number of parts required to repair
24 a vehicle, our understanding is, some electric vehicle
25 is harder to repair, in the sense that you need to

1 take out pretty much the entire section of the car in
2 order to do a proper repair job.

3 So the number of parts used to -- per
4 claim is increasing and also that's related to number
5 of man hours required to finish the repair is also
6 increasing.

7 So, the trend that you talk about is
8 not one year from another. It's more gradual, because
9 we are Basic and the shift in the mix of fleets, in
10 terms of vehicle age, and, as the vehicle age --
11 average age reaches somewhere around 2015 to 2016, we
12 were told that it was those several years, the
13 technology has changed drastically that will require
14 more parts and it's harder to repair things like that,
15 and that the average age of MPI's fleet is around 10
16 to 11 years.

17 So, I think that we are going to be
18 getting to that average vehicle age around 2015 in the
19 next four, five years and, to answer your question,
20 how we consider it? We will add more recent data
21 point every GRA and that's definitely one trend that
22 we're actively watching for, because the past repair
23 cost severity trend is not just due to hyperinflation,
24 we're seeing due to COVID.

25 The industry has experienced a high

1 severity a few years prior to pandemic and it was --
2 it was exactly the reason more EVs on the road and a
3 newer fleet, more expensive vehicles, and harder to
4 repair.

5 If you recall, our past trend for
6 collision, up to 2020, is close to 6 percent and it's
7 higher than CPI during that. So, that part of the
8 trend, we don't believe it's going to come down. Even
9 the general CPI is normalized. That's why we used
10 five to seven years' of experience and this is a key
11 severity trend that we'll continue to monitor.

12 BOARD CHAIR GABOR: So -- so, it take
13 it, though, that what -- what you do is you catch up?

14 MS. CHRISTINE ZHOU: Yes.

15 BOARD CHAIR GABOR: You're going back
16 and you've got a short number of years. If -- if --
17 if -- you're not doing artificial projections going
18 forward, eventually, you'll catch up because there
19 will be more and more electric vehicles in the
20 marketplace?

21 MS. CHRISTINE ZHOU: Correct.

22 BOARD CHAIR GABOR: Okay. Ms. Low,
23 I'm -- I'm interested in your -- your -- your opening
24 about the business insights and analytics team and
25 what it does.

1 How many people are in the team?

2 MS. CARA LOW: Five.

3 BOARD CHAIR GABOR: Okay. And, to
4 date, what have you seen as the -- the benefits of
5 having this team?

6 MS. CARA LOW: Well, I think the
7 biggest benefit we've seen in the past year, 'cause
8 the team's only been around for the year, is the
9 sophistication and the vigour and the disclosures that
10 Ms. Zhou spoke about.

11 The biggest one, and we kind of didn't
12 dive into it that much, was that one benefit for the
13 PIPP trends in the waterfall slide. I don't know
14 which slide that is, but we talked about that being a
15 one-time benefit and, so, that, itself, was a lot of
16 work, 'cause what they did is they split wage
17 inflation from CPI because the model before just
18 always assumed that, if someone was going to be
19 injured next year, the average wage was going to go up
20 by CPI and we all know that Manitoba CPI was 8 percent
21 and not many people got 8 percent bump up in their
22 salary and they're two (2) very different things. So,
23 right there, was a huge benefit for the rating
24 process.

25 BOARD CHAIR GABOR: Okay, and would I

1 be correct in thinking that it should lead to more
2 accurate and dependable data?

3 MS. CARA LOW: Yes.

4 BOARD CHAIR GABOR: Okay. And you --
5 you'd be able to look at special projects, from year
6 to year, on -- on areas where you could do deep dives?

7 MS. CARA LOW: Well, I would agree
8 with that. It relates back to the data. I mean, they
9 only spend so much analyzing the data. I mean, they
10 are not the ones inputting the data. That's on the
11 claims team, inputting the data, but they will be
12 working with the claims department, hoping to refine
13 data.

14 They are also doing a lot of work on
15 our SRE book of business and, also, our Extension book
16 of business and, then, eventually, this was an overall
17 trend analysis and, so, the next step will be to look
18 at motorcycle trends versus taxi trends because
19 (INDISCERNIBLE) taxi is getting a benefit from work
20 from home. They never worked from home. Right.

21 And, so, we really need to look at the
22 different trends. There will be other projects too.
23 Eventually, we want to do more work on the exposure
24 trends as well.

25 BOARD CHAIR GABOR: So, I assume that,

1 in terms of planning, you're expecting it will give
2 you better analysis and more accurate information so
3 you can plan better?

4 MS. CARA LOW: Yes. And, then,
5 another big project is they're going to be working on
6 quarterly claims monitoring reports, that can go up to
7 the Executive Committee, as well as -- and, as well,
8 to the Board as well, I should say. So, that the
9 management can have a better insight into what's going
10 on with claims in order to run the business.

11 BOARD CHAIR GABOR: Okay. Thank you.
12 Those are my questions.

13 PANEL CHAIRPERSON: Ms. Boulter...?

14 BOARD MEMBER BOULTER: Hi. On your
15 Slide 16, you say that minimum wage increases mean
16 higher claim costs for repairs and some PIPP benefits.
17 So, I'm going to break that into two (2) things.

18 I don't think mechanics make minimum
19 wage. So, I'm just wondering why that would be a prob
20 -- an increased cost there?

21 MS. CARA LOW: I just don't want to
22 misspeak, but I'll be corrected, if I'm wrong. It's
23 tied to the apprenticeship of the mechanic. So, when
24 the apprentices get a higher wage that's tied to
25 minimum wage, then the mechanics also get a higher

1 increase, and that's tied to our Light Vehicle
2 Accreditation Agreement. So, that was reopened with
3 the higher rates in there.

4 BOARD MEMBER BOULTER: Okay. Thanks.

5 MS. CARA LOW: I'll look to my back
6 row to confirm.

7 BOARD MEMBER BOULTER: That makes
8 sense. So --

9 MS. CARA LOW: Yep.

10 BOARD MEMBER BOULTER: -- so --

11 MS. CARA LOW: Yep.

12 BOARD MEMBER BOULTER: -- thank you
13 very much on that but, also, when it says PIPP
14 benefits, if you go to page 17, it shows that they're
15 going down. There's the -- it's the only one with a
16 decrease.

17 So, I'm wondering why that would be
18 forecast to be increasing, when this says decrease?

19 MS. CARA LOW: So, this is a one-time
20 benefit, by splitting out. This is for -- if you've
21 been injured in an accident, so, your weekly indemnity
22 -- it's tied back to Manitoba CPI.

23 So, after you're on benefits, it goes
24 up every year, one-year lag, it's tied to Manitoba
25 CPI, but last year was 8 percent. We did cap it at 6

1 percent but, usually, it's tied to the Manitoba CPI.

2 But, next year, people are going to get
3 injured and their wages are necessarily going up by 6
4 percent or 8 percent, but, when we talk about the
5 minimum wage increases, that really impacts the care-
6 giver benefits.

7 BOARD MEMBER BOULTER: Okay.

8 MS. CARA LOW: So, if your loved ones
9 have been injured in a car accident and you're staying
10 at home, looking after them, they get paid the minimum
11 wage, and that is impacted every April 1st and, again,
12 I'll look to my back row, to make sure I didn't
13 misspeak.

14

15 (BRIEF PAUSE)

16

17 MS. CARA LOW: Okay. Yeah. They --
18 they don't wait until April 1st. If they -- it's
19 effective October 1st, the minimum wage increase,
20 that would be immediately. Yeah.

21 BOARD MEMBER BOULTER: Yeah. You
22 weren't here, but that was one of my questions, either
23 yesterday or the day before, was how low the care-
24 giver price was, and I can't remember the name of the
25 lady. She was in the back row and she indicated that

1 they were reviewing that because the care-giver rate
2 was so low, especially in the four -- when you are
3 taking care of four (4) injured people --

4 MS. CARA LOW: Right.

5 BOARD MEMBER BOULTER: -- it was
6 pretty -- pretty low.

7 MS. CARA LOW: Right.

8 BOARD MEMBER BOULTER: Okay, and I
9 have more. Hold on. The deductible has gone up to
10 seven hundred and fifty (750). What I'm wondering is
11 the impact on -- on owners and people, you know, who -
12 - who are in accidents.

13 Have you seen less claims? People have
14 figured I'm not going to put in a claim, if I've got
15 to pay a seven hundred and fifty (750) deductible?

16 MS. CARA LOW: Well, if you're not at
17 fault and they -- no one party is -- if the at-fault
18 party is known, you don't have to pay your deductible.

19 BOARD MEMBER BOULTER: Yeah.

20 MS. CARA LOW: Otherwise, I'll look
21 over to Ms. Zhao. Do we have that data? Does it show
22 a reduction?

23 MS. CHRISTINE ZHAO: That kind of
24 claiming behaviour is very difficult to be isolated
25 out, but it's a possibility.

1 BOARD MEMBER BOULTER: And the other
2 thing -- a corollary of that was my concern that, if
3 somebody damages their car, they might not even get it
4 repaired. So, we'd have less -- more unsafe cars on
5 the road, with that higher deductible.

6 So, I'll be interested in seeing the
7 impact of that higher deductible because you've talked
8 about the CPI. Everything is going up and prices of
9 everything is going up. So, for the -- the ratepayer,
10 that's a big expense. So, that's one thing that I'll
11 keep an eye on, and...

12 Oh, the final question I have in -- in
13 this little round here is accidents ass -- damage
14 assessments right now are being done by body shops.
15 You -- you take your car in there.

16 Is this -- since they're doing this for
17 people and -- and not taking them to MPI assessors, is
18 this a significant cost saving and how is that
19 extrapolated over the future? Is that going to be
20 something that you can say, oh, we don't need as many
21 assessors looking at vehicles?

22 MS. CHRISTINE ZHOU: Just let us talk
23 to the back row.

24 BOARD MEMBER BOULTER: Okey-doke.

25

1 (BRIEF PAUSE)

2

3 MS. CARA LOW: So before labour
4 interruption, there was the Direct Repair Program, so
5 you could go into a shop and get estimates. So this
6 isn't anything new. We're just allowing more
7 estimates to be done and higher authority limits.

8 So is there going to be impacts on
9 severity? There could be a little bit because maybe
10 there's a little bit less of a control there, and it's
11 something we're aware of and we will monitor.

12 When it comes to FTEs, we don't feel
13 like this is the time and place to be discussing that
14 since labour interruption is ongoing.

15 BOARD MEMBER BOULTER: Okay. I
16 appreciate your discretion there. And my good friend
17 on the Panel has pointed out that, if you could -- how
18 do I ask for an undertaking for that?

19 BOARD CHAIR GABOR: I think what Ms.
20 Boulder wants -- and I don't know -- is an undertaking
21 to see how the claims experience has changed as a
22 result of moving the deductible --

23 MS. CARA LOW: Yeah, yeah.

24 BOARD CHAIR GABOR: -- seven fifty
25 (750).

1 BOARD MEMBER BOULTER: Thank you so
2 much for clarifying that. Yes, I do. Thank you. And
3 then I'm done.

4 MR. STEVE SCARFONE: So just to --
5 just to clarify, Ms. Boulter, then since CERP was
6 introduced and the deductibles were increased, how the
7 claims experience has -- has tracked since then?

8 BOARD MEMBER BOULTER: Yes. Thank you
9 very much.

10

11 --- UNDERTAKING NO. 10: MPI to advise how the
12 claims experience has
13 tracked since CERP was
14 introduced and deductibles
15 were increased

16

17 PANEL CHAIRPERSON: Ms. Nemec...?

18 BOARD MEMBER NEMEC: I have one (1)
19 question for you, Ms. Low. On page 7 of your
20 presentation -- sorry -- you've noted under 'Uncertain
21 Future' that you have to consider the potential
22 impacts of the labour interruption on the severity of
23 claims.

24 Is it the labour interruption, per se,
25 or the potential for an increase in salaries following

1 --

2 MS. CARA LOW: No.

3 BOARD MEMBER NEMEC: -- this matter
4 being settled?

5 MS. CARA LOW: Yeah. No, this has
6 nothing to do with salaries 'cause that would be in
7 their operating expenses. This is solely in claims.

8 We know the longer a claim stays open,
9 there's more months of severity -- or inflation
10 happening, so it will cost us more if the claims are
11 staying open longer.

12 We also do -- and this is uncertain.
13 We haven't quantified anything. We do wonder about
14 the new -- having more of the estimation done by the
15 bodyshops, what this means for the severity as well.

16 BOARD MEMBER NEMEC: Okay. Thank you
17 very much for that.

18 Mr. Bass...? Sorry.

19 BOARD MEMBER BASS: Yeah. No problem.
20 Ms. Low, you're familiar with the property and
21 casualty insurance concept of claims ratio plus
22 expense ratio equal -- equalling combined ratio,
23 right?

24 MS. CARA LOW: Yes, I am.

25 BOARD MEMBER BASS: And sometimes the

1 combined ratio goes above 100 percent --

2 MS. CARA LOW: Yes.

3 BOARD MEMBER BASS: -- in which case
4 the insurer has sustained a financial loss, correct?

5 MS. CARA LOW: Correct.

6 BOARD MEMBER BASS: Except for taking
7 into account investment income.

8 MS. CARA LOW: Right. That would be
9 an underwriting loss 'cause it's before your
10 investment income.

11 BOARD MEMBER BASS: Okay. Kristen,
12 could you take us to slide 4 of the presentation.

13 This basically shows that, doesn't it?
14 The -- the bit on the -- the left but for the 27
15 percent would be your -- your claims ratio, and
16 'Other' would be your expense ratio, wouldn't it?

17 MS. CARA LOW: Yes, it is, correct.

18 BOARD MEMBER BASS: Okay. And the
19 only other component then -- because those two (2), 73
20 percent for claims and 27 percent for the expense
21 ratio, would take you to a hundred (100).

22 MS. CARA LOW: Correct.

23 BOARD MEMBER BASS: So that's
24 underwriting breakeven.

25 MS. CARA LOW: Sorry. Just one

1 minute.

2

3

(BRIEF PAUSE)

4

5 MS. CARA LOW: Premium wasn't brought
6 in here. We just took all the expenses and then we
7 divided the expenses, so claims and expenses. So it's
8 not as a ratio. Like the percentage is as a
9 percentage to the total, so there is nothing in there
10 that has your premium dollars.

11 BOARD MEMBER BASS: So the confusion
12 that I have is the heading -- well, 'Premium Dollar
13 Breakdown', and also '24/'25 rating year premium.

14 MS. CARA LOW: It would be your pure
15 premium dollar breakdown.

16

17

(BRIEF PAUSE)

18

19 MS. CARA LOW: Okay. I understand
20 what my colleague was saying now. This is the
21 projected average pre -- this is a projected
22 composition, but it's not necessarily saying that
23 you're rate adequate 'cause we don't have the premium
24 component in here.

25

So this is just saying, hey, if these

1 are the projected claims and expenses, what percentage
2 is made up of each of these components?

3 BOARD MEMBER BASS: Try it again.

4 MS. CHRISTINE ZHOU: This is a pie
5 chart, and my understanding is every
6 renewal Manitoba driver will show on their renewal
7 notice to showing the breakdown, how -- where does
8 your premium dollar go.

9 This is -- it doesn't necessarily break
10 down into coverage -- that's my understanding -- but
11 it does break -- breaking down into expenses. Let's
12 say 20 percent of your premium dollar goes into
13 expenses, and the other 73 percent goes into claims.

14 And, sir, I believe your question is
15 this four (4) combined ratio contains expense
16 component and then claims component. If the car is
17 over 100 percent, that means an insurer is making --
18 is not making an underwriting profit.

19 BOARD MEMBER BASS: Right.

20 MS. CHRISTINE ZHOU: Yes. If it's
21 less than 100 percent, it is making an underwriting
22 profit, and then the entire profitability is also
23 driven by investment income.

24 But just because of the fact that all
25 the number adds up to one hundred (100) does not mean

1 from this chart alone we can say it's breakeven. This
2 chart is to break down the different cost components.
3 It always add up to one hundred (100).

4 This is to show, if you pay a hundred
5 dollar (\$100) in premium, 70 percent of your one
6 hundred dollar (\$100) goes to cover expected claims.
7 The other 27 percent goes to cover the various
8 expenses. It always adds up to 100 percent. It's a
9 composition chart. It's not a financial measure.

10 MS. CARA LOW: But in theory, if you
11 were rate adequate, you would get to the same place,
12 but the difference is, when you're looking at
13 financial reporting, you still have the runoff of
14 older claims, you have your risk adjustment, and you
15 also have the time value of money in there as well.

16 BOARD MEMBER BASS: So those
17 additional elements have to be taken into account in
18 setting the rate?

19 MS. CARA LOW: Yes.

20 BOARD MEMBER BASS: Got it. Thank
21 you.

22 PANEL CHAIRPERSON: Thank you. Mr.
23 Scarfone...?

24

25 RE-DIRECT EXAMINATION BY MR. STEVE SCARFONE:

1 MR. STEVE SCARFONE: Thank you, Madam
2 Chair. Ms. Schubert, a couple of questions. If you
3 could pull up -- oh, you did already.

4 So, Ms. Zhou, Ms. McCandless was asking
5 some questions of you about this table, and this table
6 is from CAC-5, which is the report that was filed by
7 Oliver Wyman, correct?

8 MS. CHRISTINE ZHOU: Correct.

9 MR. STEVE SCARFONE: And in this
10 particular table -- and I'll be honest with you, I
11 didn't understand much of your response, but I did
12 hear that Oliver Wyman reintroduced this and blended
13 that.

14 But what I did take from your response
15 was that the Corporation prefers what you called the
16 more traditional and simpler, transparent approach
17 than the Oliver Wyman approach.

18 Is that -- is that a fair paraphrase of
19 your response?

20 MS. CHRISTINE ZHOU: That's correct.

21 MR. STEVE SCARFONE: And I guess I --
22 I would ask because you did say at the outset that
23 your department, which is the Business Insights and
24 Analytics Department, correct?

25 MS. CHRISTINE ZHOU: Correct.

1 MR. STEVE SCARFONE: Which we've just
2 heard has five (5) individuals including yourself?

3 MS. CHRISTINE ZHOU: Correct.

4 MR. STEVE SCARFONE: -- have made
5 changes to improve the Corporation's claims
6 forecasting --

7 MS. CHRISTINE ZHOU: Correct.

8 MR. STEVE SCARFONE: -- to -- to be
9 more robust. Is that fair?

10 MS. CHRISTINE ZHOU: Yes.

11 MR. STEVE SCARFONE: And more
12 sophisticated?

13 MS. CHRISTINE ZHOU: Yes.

14 MR. STEVE SCARFONE: So how does the
15 Corporation reconcile that with taking a more -- and
16 I'm not trying to cross-examine you here, but when you
17 say you prefer a more traditional, simpler,
18 transparent approach with the robustness and
19 sophisticated approach of the business insight and
20 analytics department.

21 How do you reconcile those two (2)?

22 MS. CHRISTINE ZHOU: Accident year
23 weighting traditionally for pricing actuaries is a
24 judgment call. And we tend to stick to consistent
25 weighting. Based on my experience, other regulators

1 in other jurisdictions in Canada, they prefer
2 consistent accident year weighting, as well. They
3 prefer insurers not to play with accident year
4 weighting from one filing to another.

5 And once the accident year weighting is
6 approved by the rate regulators, objectivity could be
7 achieved if you stick to it by both sides, by
8 regulators and by insurers.

9 MR. STEVE SCARFONE: And what is it
10 about the accident year weighting approach that the
11 Oliver Wyman group took that you and your team take
12 issue with?

13 MS. CHRISTINE ZHOU: It's -- as I said
14 in the morning, this is the first time that I read
15 such methodology. And based on Oliver Wyman's
16 response to one of PUB's IR --

17 MR. STEVE SCARFONE: Yes.

18 MS. CHRISTINE ZHOU: -- they're not
19 aware that it was used anywhere, and it's the opposite
20 side of try to achieve improved rate stability, and
21 it's very unconventional, and I don't understand the
22 logic behind it, what it tried to serve by introducing
23 this methodologies.

24 The accident year weighting, you know,
25 if you debate five (5), seven (7), ten (10) years,

1 that's one thing, but to introduce this somewhat
2 convoluted method, it's very hard for someone to
3 defend that or say against that, you know.

4 MR. STEVE SCARFONE: It is -- let me
5 back up just a bit if I could. Can you just explain
6 for the lay people in the room just what -- what the
7 accident year weighting -- what's the -- the import of
8 that when it comes to claims forecasting?

9 Why is that important and why does the
10 Corporation not agree with the Oliver Wyman
11 methodology?

12 MS. CHRISTINE ZHOU: Accident year
13 weighting's very important because when you look at
14 one (1) of slide, as I pointed out, even for the
15 experience period that we're using loss cost
16 projection, when -- the worst year and the best year,
17 the loss cost varies by 15 percent.

18 So if you -- and it's -- as you can
19 see, by having different sets of accident year
20 weighting, it definitely impact. On this chart, it's
21 the most significant impact on the rate indication.

22 And because accident weighting is so
23 important, and when we introduce for the first time,
24 we debated even internally what -- how many years to
25 use, what's the accident year weights to each accident

1 year. And the equal weighting is used by our
2 ratemaking team, as well; that's one (1) factor.

3 And the other factor is, in the private
4 sector, sometimes, let's say 20, 30, 50 is used, so
5 assigned the highest weighting to the most recent year
6 to reflecting the current book, but in the private
7 sector, from one year to another the inforce book
8 could change drastically, and that's not the case for
9 MPI.

10 You know, we have organic mix of
11 business change, so we don't necessarily see the need
12 to assign the latest accident year the highest weight.
13 So 20 percent, we put a lot of thoughts into that, and
14 that's what we come up with, and we validate it.

15 We kind of did some kind of back
16 testing, you know, and that's one (1) of the slide we
17 shared, as well.

18 By having accident year weights, the
19 weights that we selected, it really improved the
20 smoothness of the loss cost before we apply a future
21 trend.

22 MR. STEVE SCARFONE: And so that -- I
23 think what I've just heard you describe is there's
24 some judgment that's been applied there where it
25 concerns accident year weighting?

1 MS. CHRISTINE ZHOU: Absolutely,
2 there's judgment.

3 MR. STEVE SCARFONE: And -- and would
4 that also include the decision whether to include or
5 exclude a year during the pandemic?

6 MS. CHRISTINE ZHOU: Yes.

7 MR. STEVE SCARFONE: And another
8 question following up on Ms Dilay's questions.

9 You'll recall that she showed you a
10 bunch of coverages, and she put to you that different
11 time periods, if used, for example, on accident
12 benefits other indexed, the Corporation used different
13 time periods for severity than it did against
14 frequency, correct?

15 MS. CHRISTINE ZHOU: Correct.

16 MR. STEVE SCARFONE: And she can --
17 she had you confirm that if you were to adjust those
18 time periods in some way, that you would get a
19 different regression model coefficient?

20 MS. CHRISTINE ZHOU: Correct.

21 MR. STEVE SCARFONE: Why did the
22 Corporation make use of the time periods it did versus
23 having similar time periods, so, for example, that
24 coverage, ABO indexed, accident benefits other? Is
25 there a particular reason behind that?

1 MS. CHRISTINE ZHOU: Our starting
2 point of selecting trending period is not to force the
3 periods to be the same, either driven by frequency or
4 for severity. We look at the merit of each regression
5 model, and we pick the best fit stats.

6 However, we do consider the experience
7 peer used for frequency and severity, and we do
8 acknowledge sometime they do have offsetting, you
9 know, impact.

10 And for the ones that we tried to
11 deviate, there is gain by picking the best fit
12 regression model. And we look at the gap in the
13 experience period. The maximum three (3) years, so --
14 in our view, is acceptable.

15 Having the same experience period is
16 not the only consideration in our trending analysis.
17 It's one (1) of the considerations.

18 MR. STEVE SCARFONE: And, again, are
19 those judgmental considerations or are they fixed by
20 industry standard?

21 MS. CHRISTINE ZHOU: They're more
22 industry standard. There is no standard to say you
23 have to use the same experience period.

24 MR. STEVE SCARFONE: And would that
25 apply equally to other coverages? Because Ms. Dilay

1 also asked you about property damage other and the
2 time periods for that coverage.

3 MS. CHRISTINE ZHOU: Yeah.

4 MR. STEVE SCARFONE: That applies
5 across all the coverages?

6 MS. CHRISTINE ZHOU: Yes.

7 MR. STEVE SCARFONE: Thank you. Those
8 are my questions. And -- and the Corporation will,
9 Madam Chair, make a correction to CAC/MPI-1-68 that we
10 spoke of earlier.

11 PANEL CHAIRPERSON: Thank you, Mr.
12 Scarfone. And -- and I'd very much like to thank the
13 Panel for your presence here this afternoon. And we
14 will now move into MPI ratemaking.

15 So perhaps this is the right time to
16 take the afternoon break so that you can switch
17 panels. Thank you.

18 MR. STEVE SCARFONE: Yes. Thank you,
19 Madam Chair. What time?

20 PANEL CHAIRPERSON: It's ten (10)
21 after. 2:25.

22 MR. STEVE SCARFONE: Thank you.

23

24 (PANEL STANDS DOWN)

25

1 --- Upon recessing at 2:08 p.m.

2 --- Upon resuming at 2:28 p.m.

3

4 PANEL CHAIRPERSON: Mr. Scarfone,
5 would you please introduce your -- I'm sorry --
6 Ratemaking Panel.

7 MR. STEVE SCARFONE: Yes.

8 PANEL CHAIRPERSON: And then, we'll
9 have them sworn? Or maybe not. I think everybody is
10 still under oath, is that right?

11 MR. STEVE SCARFONE: Yeah, I do
12 believe that both witnesses, Ms. Low and Mr. Masud,
13 have been sworn.

14 PANEL CHAIRPERSON: Correct. Okay.

15 MR. STEVE SCARFONE: And so, we have
16 Khurram Masud, our Director of Pricing, and Ms. Low
17 will be presenting our ratemaking evidence this
18 afternoon.

19 And providing back row support for the
20 panel is the Manager of Pricing Transformation, Kyle
21 Cassalla, and the Manager of Pricing, Ngoc Ly.

22 And -- yeah. Let's -- let's proceed
23 with the presentation.

24 PANEL CHAIRPERSON: Thank you.

25

1 MPI RATEMAKING PANEL:

2 CARA LOW, Resumed

3 KHURRAM MASUD, Resumed

4

5 EXAMINATION-IN-CHIEF BY MR. STEVE SCARFONE:

6 MS. CARA LOW: Okay. In today's -- or
7 this afternoon's panel, we're going to be talking
8 about the ratemaking procedures for the GRA.

9 So our ratemaking is made of -- of
10 three (3) major steps. The first step is forecasting
11 our claims and expenses, and to make sure that we have
12 an overall adequate average premium. So we kind of
13 talked about that at the end of the last panel.

14 Then our second step is we take our
15 accepted actuarial practice rate indication and we
16 allocate it down to the six (6) major classes.

17 Then our third step is going through
18 every rating cell. So that would be, like, your
19 territories, your DSR, your type of vehicle, how you
20 use your vehicle. Unfortunately, that third step, we
21 are not able to complete without some of our team
22 members who are, unfortunately, out because of the
23 labour interruption.

24 I'm going to speak to the first (2)
25 items and then I'm going to hand it over to the

1 expert, Mr. Masud.

2 So as introduction, the MPI's
3 Ratemaking framework is based on the corporate value
4 of providing value to Manitobans through maintaining
5 affordable rates.

6 This also needs to be balanced with
7 fiscal responsibility to ensure that we're adequately
8 priced. So kind of like we talked about before, rate
9 stability versus having financial prudence in there.

10 We do our rate settings through
11 accepted actuarial practice. And then, of course, you
12 guys, the PUB, provide oversight to make sure that
13 we're achieving these objectives.

14 After we look at the overall balance,
15 and we look at risk classification to ensure the
16 specific rates are covering the expected costs from
17 that group of individuals or that group of exposures.

18 We can go as refined as we can as
19 actuaries and get very sophisticated risk
20 classification, but there's always going to be some
21 form of cross-subsidization. I know this was a
22 question that was talked about on Wednesday with our
23 CEO.

24 For example, myself, I've been driving
25 for well over thirty (30) years and have never had at

1 fault accidents, so why should I be paying premium?

2 No matter how refined we get in a risk
3 classification, there is always going to be an element
4 of cross-subsidization because that's the concept of
5 insurance. It's a pooling of risks.

6 So on the next slide, this is a summary
7 of what we are applying for. We are applying for an
8 overall rate change of zero percent. That does mean
9 that individuals would get a rate change of zero
10 percent. It really varies on all the rating factors.

11 Our overall rate indication updated,
12 just for last week when we filed, was an AAP of minus
13 1.48 percent.

14 As we just talked about in the Claims
15 Forecasting Panel, there's still a lot of uncertainty
16 around our claims. And we have been monitoring the
17 claims in the last few months since we filed in June.
18 And we do see severity continuing to climb.

19 We also worry -- worry about the fact
20 that we have a naive yield curve in our pricing. And
21 that happened to be high at the end of August, so we
22 have a new money yield of 5 percent in there.

23 So what I would like to say, even
24 though our accepted actuarial practice rate indication
25 is minus 1.48 percent, as pricing actuaries, we are

1 actually very comfortable with the filed rate
2 indication of zero percent.

3 We are also looking to improve how we
4 allocate our net fleet rebates. So when we say 'net',
5 it's how much rebate less how many surcharge dollars
6 that go out. So net fleet surcharges.

7 Historically, that's been allocated
8 based on number of vehicles in each of the major
9 classes 1, 2, 3. What we are proposing is a better
10 allocation based on the number of fleet vehicles in
11 each of those major classes.

12 Then we are looking to expand the DSR
13 scale by adding a new DSR level 18, as well as move
14 towards indicated actuarial DSR levels or discounts,
15 which are much higher.

16 And then, other changes that we have is
17 we -- in our naive ratemaking yield, we are looking to
18 move towards a premium liability duration, rather than
19 a claims liability duration. This was discussed last
20 year at the Ratemaking Panel.

21 And this is because claims haven't
22 happened yet. We haven't even sold these policies
23 yet. So therefore, premium duration makes a lot more
24 sense than claims duration.

25 A claims duration comes from your

1 balance sheet and it's a build up of claims over a
2 number of years, especially the long-tail PIPP claims
3 that build up.

4 The vast majority of our claims are
5 collision claims. They come in the door, they get
6 paid out of cash. And so, it's a lot shorter of a
7 duration. So that is one change there.

8 And one other change that didn't make
9 it on here on the slide is we did add commercial
10 mortgages to our new money yield.

11 The investment team is busy working on
12 trying to get commercial mortgages into our Basic
13 claims portfolio by the end of this fiscal year. So
14 the plan is to have them in place -- and that's 5
15 percent of our portfolio that will be in place in time
16 for this rating year. And that gives us a significant
17 lift on the curve -- on the yield.

18 Now I'm going to hand it over.

19 MR. KHURRAM MASUD: Thank you. And
20 good afternoon, everyone. As Cara alluded to earlier,
21 so I'll just continue on and provide you more details
22 on the specifics.

23 So as Cara indicated, we are applying
24 for a zero percent overall rate change. And the
25 allocated the overall claims expenses and other items

1 from the overall rate indication down to individual
2 major classes.

3 For the current year, we determined the
4 AAP rate indication, including AAP for each major
5 class, and we then scaled it back to achieve an
6 overall zero percent rate change.

7 The table here shows the projected
8 average premium for each major class at the end of the
9 current rating period.

10 The next two (2) columns show the rate
11 indication by major class to achieve an overall zero
12 percent rate change. And the overall averages, you
13 can see, remain unchanged at the beginning of the next
14 rating period.

15 At this stage, due to the ongoing
16 labour interruption, we are unable to provide rates
17 for insurance use, territories, vehicle groups. Next
18 slide, please.

19 PUB had ordered MPI to fix the
20 cost/causation under the fleet program. Fleet program
21 is meant for any single owner, whether corporate or
22 individual, having ten (10) or more vehicles.

23 The fleet customers are charged the
24 same vehicle premium as other non-fleet policies.
25 However, they do not receive a DSR discount.

1 Instead, they receive a retroactive
2 adjustment to the premiums, which could be a rebate or
3 a surcharge, based on their own loss experience
4 determined by the loss ratio.

5 The loss experience, though, feeds into
6 the ratemaking process; that is their good or bad
7 experience influences the premium rates for the entire
8 major class they belong to. Therefore, their
9 experience -- if it's better than other vehicles in
10 the same major class -- that would drive down the
11 rates for all other customers in the major class as
12 well and vice versa.

13 Given the fleet program has
14 consistently been in a rebate situation, this implies
15 that fleet experience is more favourable than the
16 premiums they were charged for.

17 As explained, this affects our
18 reduction in the premium for all vehicles in the same
19 major class. The non-fleet customers, therefore,
20 benefit by paying lower premiums.

21 However, not all major classes benefit
22 to the same extent. Major classes with more fleet
23 vehicles benefit more than other major class with
24 fewer fleet vehicles.

25 MPI has, therefore, allocated the

1 overall fleet rebates -- net fleet rebates, I might
2 add -- based on the proportion of the fleet vehicles
3 within each major class.

4 MPI used the actual population of the
5 fleet vehicles within each major class to determine
6 this allocation. And then express this allocated
7 fleet rebate or as per unit vehicle insured.

8 The table here shows you the breakdown
9 of the vehicle distribution under the fleet program
10 and the allocation of the overall rebates and the
11 projected units for the year '24/'25.

12 We believe this is a more equitable way
13 of allocating fleet rebates to individual customers.

14 However, we understand that the fleet
15 program requires a more detailed review, including
16 other project features. MPI is undertaking a full
17 review of the fleet program commencing this year. We
18 will provide you with more updates on this in the next
19 year's GRA.

20 As per the MPI order, oh, sorry, PUB
21 Order, MPI has expanded the DSR scale and moved one
22 forward the way towards the actually indicated
23 discounts.

24 MPI conducted a more thorough review of
25 the DSR discounts this year. The actual data contains

1 DSR levels 1 to 15. DSR 16 for a little over a year
2 and DSR 17 only for a few months, as they were very
3 recently introduced.

4 It is not possible to determine the DSR
5 discounts for DSR 16 to 20, using the actual data.
6 Therefore, MPI in the previous GRA had recommended use
7 of same level of discount for all the newly introduced
8 DSR levels, that is DSR 16 to 20, had all -- all those
9 DSR levels are the same level of discount.

10 This year MPI used the actual driving
11 history and created a synthetic data for all DSR
12 levels as if DSR level 1 to 20 were present from 2015.

13 We analyzed this five (5) year
14 synthetic data to determine the discount for DSR
15 levels 1 to 20. We used this discount scale, this
16 newly built discount scale, as the actually indicated
17 data -- actually indicated discounts, and are
18 proposing one-fourth the way this year and
19 subsequently so on, one-third, one-second and the --
20 until we reach the full actual discount.

21 The additional discounts from this DSR
22 scale naturally leads to a reduction in revenue. This
23 is estimated to be 4.95 percent.

24 In order to achieve a zero percent
25 overall rate indication, the vehicle premium requires

1 a 5.21 percent increase to offset this loss in
2 revenue.

3 The combined effect would result in
4 customers at high DSR levels paying lower premiums.
5 However, at lower end of the -- customers at the lower
6 end of the DSR scale, may see an increase in their
7 overall premiums.

8 MPI had applied for a zero percent rate
9 indication. We also filed a provision -- APP rate
10 indication in the original submission of negative .13
11 percent.

12 Sorry, after updating the
13 (INDISCERNIBLE) for inflation, investment yield and
14 expenses, the rate indication comes to a negative 1.48
15 percent.

16 We did not update the claims prediction
17 for the update to the rate indication, which would
18 have resulted in the positive movement to the rate
19 indication that is either a lower reduction or maybe a
20 marginal increase.

21 The increase in the year from 4.22
22 percent to 5.04 percent, both negative expenses,
23 results in a reduction of 1.35 percent in the rate
24 indication.

25 The higher inflation assumption and the

1 lower expense prediction, almost offset each other
2 leading to a revised APP rate indication of negative
3 1.48 percent.

4 The APP is based on best estimates at a
5 point in time, neither it includes a provision for
6 profit nor it includes any buffer for deviation in
7 expedience.

8 Just like in the other -- estimate, the
9 predictions would continue to move as more experience
10 unfolds and given the uncertainties of current times,
11 any estimates will be vulnerable, including
12 directionally.

13 A heavier or lighter actual experience
14 would -- would put pressure on the best estimates.

15 MPI is, hence, more comfortable with a
16 zero percent rate indication, given the degree of
17 uncertainty in current times.

18 Any shortfall or -- or excess would be
19 supported by the RSR and the Capital Management Plan.
20 Next slide, please.

21 The last topic I had -- I have for this
22 presentation is the -- the update to the GLM
23 implementation.

24 MPI has purchased and installed the
25 tool for GLM implementation and the staff responsible

1 for the implementation, also received training on the
2 use of the tool.

3 GLM requires data at the high level of
4 granularity, including the historic data. We have
5 worked on the preparation of the data and consider it
6 fit for use after an (INDISCERNIBLE) validation tests.
7 However, this is an ongoing process, and further
8 improvements may still be required, as we further
9 progress on the development of the model.

10 We have built an initial model for all
11 major classes, with the focus on private passenger
12 vehicles. We are currently validating the model and
13 expect the preliminary results or relatively --
14 relatively shortly.

15 These relativities would then feed into
16 the rate model to determine the dislocations. There
17 are still various intricacies include -- including the
18 manner in which potentially large dislocations would
19 be handled. There is an expectation that some
20 segments of the book may see substantial dislocations,
21 which will need smooth over time.

22 Another possible challenge is to allow
23 for the caps and the flows on the rate change or
24 individual rating cells.

25 If we store the relativities instead of

1 the dollar amounts, the implied caps and flows on the
2 relative, these would need to be worked backwards from
3 the premium dollar tables.

4 We are currently working internally and
5 we may require external consultant from market expect
6 to see how this is handled by other companies.

7 Given we are the sole provider for
8 Basic insurance, our position is not entirely
9 comparable to a commercial insurer who, at times, may
10 deliberately use different shelled rates as a
11 mechanism for portfolio selection.

12 But we were already committed to
13 provide stability to the rates as best as possible and
14 we may seek guidance from PUB, perhaps, during the
15 process itself, as opposed to bringing the results at
16 the next year's GRA.

17 We look forward to working
18 collaboratively with PUB on introducing this chain and
19 would welcome any mutual consultation on this matter.

20 This concludes the -- the slides I have
21 for today.

22 MR. STEVE SCARFONE: Thank you for
23 that. Ms. Low, could you, just at a high level,
24 explain the relationship between ratemaking using
25 accepted actuarial practices and the Capital

1 Management for the Corporation and how -- how the
2 Corporation manages capital vis a vis its ratemaking
3 process?

4 MS. CARA LOW: In theory, if the
5 pricing actuaries get it right, you forecasted your
6 claims properly, your expenses for -- properly and you
7 have the right premium and then doesn't impact your
8 capital reserves at all, because money in and money
9 out would net to zero.

10 We don't always get our investment
11 income on our capital, but the -- you -- capital
12 position shouldn't change if you price it correctly.

13 MR. STEVE SCARFONE: Okay. Thank you
14 -- thank you for that.

15 And, as it concerns the new money yield
16 and the Corporation's preferred use of a premium
17 liabilities duration, what impact would that have
18 generally on the overall rate indication versus a
19 claims liability duration?

20 MS. CARA LOW: Right now, the curve
21 tends to be in -- is inverted, so there's actually a
22 very minimal impact, but usually if you have a
23 duration on the curve at ten (10) years, compared to
24 two (2) years, you would have a higher yield.

25 Now a higher yield, would give you a

1 lower rate indication.

2 MR. STEVE SCARFONE: And when you
3 indicated in the presentation that the Corporation was
4 comfortable with the zero percent applied for rate,
5 given the uncertainties, I think that -- that we're
6 alluded to which uncertainties are those this --
7 specifically that the Corporation is looking to?

8 MS. CARA LOW: As we talked about in
9 the Claim Forecasting, there's uncertainty around the
10 CPI, the re-emergence in the last couple months of the
11 CPI going up. The internal labour interruption.
12 Extreme on labour interruption with auto workers.

13 You also have the higher interest
14 rates, so the higher naive yield -- or new money yield
15 pushing down the rate indication.

16 MR. STEVE SCARFONE: With the
17 modifications to the fleet program, will those
18 customers, in addition to the rebates under the
19 program, also receive rebates generally when the RSR
20 exceeds 120 percent MCT?

21 MS. CARA LOW: The Capital Management
22 Plan that we are proposing, does exclude experienced
23 rated vehicles, so that would be the fleet program and
24 if we get a blanket policy, it would exclude the
25 blanket policy for Vehicles For Hire, as well.

1 And that's because they're already
2 rebated back to their breakeven, so therefore, they
3 haven't had -- they haven't contributed to any build
4 up of capital so they shouldn't receive any of the
5 build up of capital.

6 MR. STEVE SCARFONE: Thank you. And
7 last question, what's synthetic data?

8 MR. KHURRAM MASUD: I can -- I can
9 explain that. So, the actual data is based on the
10 actual driving history and placement of those drivers
11 include the DSR levels that existed at the various
12 points in time.

13 But since, we are calculating the
14 discounts for DSR levels that don't currently exist,
15 so what we did was we went back and using the actual
16 driving history, we placed those drivers into DSR
17 levels 15 all the way to 20, as if those DSR levels
18 existed.

19 And that data is what we refer to as
20 synthetic or simulated data in our GRA and in the IRs
21 that we responded to.

22 MR. STEVE SCARFONE: And, that, I
23 expect, sir, is just by virtue of not having actual
24 data to place those customers in those spots?

25 MR. KHURRAM MASUD: Correct. Correct,

1 and we used the actual data, like we did last year.
2 We had given same level of discount to all the newly-
3 introduced DSR levels.

4 MR. STEVE SCARFONE: Thank you. Those
5 are my questions for the Panel, Madam Chair.

6 PANEL CHAIRPERSON: Thank, Mr.
7 Scarfone. Ms. McCandless...?

8

9 CROSS-EXAMINATION BY MS. KATHLEEN MCCANDLESS:

10 MS. KATHLEEN MCCANDLESS: Thank you.
11 Good afternoon, Ms. Low, Mr. Masud. Nice to see you
12 again.

13 I'm going to start my questions this
14 afternoon by going back to DSR rate-making questions
15 that were deferred yesterday to today's Panel.

16 And, so, just to confirm, for the
17 record, the DSR discount change sought is one-quarter
18 of the actuarially-indicated change, rounded down for
19 each discount level, in accordance with the Board
20 Order?

21 MR. KHURRAM MASUD: That's correct.

22 MS. KATHLEEN MCCANDLESS: And if we go
23 to RC Appendix 6, Figure RC APP. 6-3 -- 6-3 -- thank
24 you.

25 This is the estimate of the

1 actuarially-indicated discounts?

2 MR. KHURRAM MASUD: Yes.

3 MS. KATHLEEN MCCANDLESS: Okay. And
4 looking at line number 1, Calculated Discount, the
5 calculated discount for DSR level 20 is 73.1 percent?

6 MR. KHURRAM MASUD: Yes.

7 MS. KATHLEEN MCCANDLESS: Now,
8 Kristen, could we please scroll down to the next
9 figure, App. 6-4. Thank you.

10 So, this figure depicts the indicated
11 two (2) proposed discounts by DSR level?

12 MR. KHURRAM MASUD: Yes.

13 MS. KATHLEEN MCCANDLESS: For
14 registered owners that would fall under the new DSR
15 level of 18, their current discount would be 40
16 percent, so, they're moving up from 17 to 18?

17 MR. KHURRAM MASUD: Oh, yes. Okay.
18 Yeah. Currently, because there's no one in 18 at the
19 moment. Yes.

20 MS. KATHLEEN MCCANDLESS: Okay, and
21 the rounded discount would be 66 percent and we see
22 that at line 1?

23 MR. KHURRAM MASUD: That's the
24 actuarially-indicated discount. So, they won't get
25 that 66 percent next year.

1 MS. KATHLEEN MCCANDLESS: Right.
2 That's the indicated discount. So, it's a difference
3 of 26 percent from the 40 percent?

4 MR. KHURRAM MASUD: That's correct.
5 The indicated sum that they will eventually get.

6 MS. KATHLEEN MCCANDLESS: One-quarter
7 rounded down of 26 percent would be 6 percent?

8 MR. KHURRAM MASUD: I -- Yeah.

9 MS. KATHLEEN MCCANDLESS: And that
10 would translate to a discount of 46 percent instead of
11 the 48 percent shift?

12 MR. KHURRAM MASUD: That's right.
13 Yes.

14 MS. KATHLEEN MCCANDLESS: Yes. What
15 would be the change in the impact of the DSR discount
16 if DSR level 18 had a discount of 46 percent instead
17 of 48 percent?

18 MR. KHURRAM MASUD: Can you repeat
19 that question?

20 MS. KATHLEEN MCCANDLESS: Relative to
21 the 5 percent overall, what would be the change in the
22 impact of the DSR discount, if DSR 18 had a discount
23 of 46 percent instead of 48 percent?

24

25 (BRIEF PAUSE)

1 MR. STEVE SCARFONE: Ms. McCandless,
2 we can take that by way of Undertaking, if it's okay.

3 MS. KATHLEEN MCCANDLESS: To confirm,
4 for the record, then, relative to the overall 5
5 percent, what would be the change in the impact of the
6 DSR discount, if DSR 18 had a discount of 46 percent
7 instead of 48 percent. Thank you.

8
9 --- UNDERTAKING NUMBER 11: MPI to confirm, relative
10 to the overall 5 percent,
11 what would be the change
12 in the impact of the DSR
13 discount, if DSR 18 had a
14 discount of 46 percent
15 instead of 48 percent.

16
17 MR. STEVE SCARFONE: Thank you.

18
19 CONTINUED BY MS. KATHLEEN MCCANDLESS:

20 MS. KATHLEEN MCCANDLESS: Scrolling
21 back up to Figure App. 6-3.

22 So, this -- this schedule was based on
23 determining what DSR level existing drivers would have
24 if they could have had up to a DSR discount level or
25 positive discount -- DSR level of 20.

1 MR. KHURRAM MASUD: Yeah.

2 MS. KATHLEEN MCCANDLESS: Correct?

3 MR. KHURRAM MASUD: Yeah.

4 MS. KATHLEEN MCCANDLESS: And what
5 would be the average discount for DSR 50 -- 15 through
6 20 in this analysis?

7 MR. KHURRAM MASUD: Just a second. We
8 have that number. I just need to --

9 MS. KATHLEEN MCCANDLESS: Sure.

10 MR. KHURRAM MASUD: You mean 16 to 20,
11 the new DSR levels are you mean 15 to 20? Fifteen --

12 MS. KATHLEEN MCCANDLESS: Fifteen to
13 20.

14 MR. KHURRAM MASUD: It's 64 percent.

15 MS. KATHLEEN MCCANDLESS: Is that
16 weighted by the number of vehicles?

17 MR. KHURRAM MASUD: Yeah, number of
18 earned units. Yeah.

19 MS. KATHLEEN MCCANDLESS: Thank you.
20 Now, if we go to Figure DSR, Appendix 3, App. 1-4 from
21 last year's GRA, and that's Figure -- or page 10 of
22 15. And if -- if, Ms. Schubert, that's going to take
23 -- if it's too -- sure -- it's Appendix 3 from DSR and
24 it's page 10 of 15 in -- in Appendix 3. So, Figure
25 App. 1-4. It's 1-4 but it's Appendix 3. There we go.

1 Okay. Perfect. Thank you.

2 So, this is from last year's GRA and
3 for DSR Level 15 from last year, that showed a
4 calculated discount of -- at line 1, 56 percent?

5 MR. KHURRAM MASUD: Correct.

6 MS. KATHLEEN MCCANDLESS: And this
7 would be, roughly, the same group of drivers that
8 would fall into 15 through 20, in the 2024 GRA
9 analysis?

10 MR. KHURRAM MASUD: Yes.

11 MS. KATHLEEN MCCANDLESS: Why is the
12 average discount significantly increased from last
13 year?

14 MR. KHURRAM MASUD: We fitted a curve
15 here. So, the actual discount for 15, which will be
16 made up of -- if we were to use, say, assimilated
17 data, the drivers between 15 to 20. Let me just get
18 that number for you.

19 The ev -- the actual discount from the
20 raw calculation would be -- just a second -- would be
21 66 percent, had we not fitted the curve, which is
22 fairly close to the average discount from the
23 synthetic data.

24 MS. KATHLEEN MCCANDLESS: Thank you.
25 If we move to -- back to this GRA, PUB/MPI 1-73 and

1 Figure 1. Thank you, Kristen.

2 This shows the existing and anticipated
3 DSR discounts?

4 MR. KHURRAM MASUD: Correct.

5 MS. KATHLEEN MCCANDLESS: And they are
6 based on the current actuarial indications. So, they
7 may change over time?

8 MR. KHURRAM MASUD: Yes. It is
9 possible.

10 MS. KATHLEEN MCCANDLESS: They assume
11 that, next year, MPI would move one-third of the
12 remaining distance to the actuarial indication?

13 MR. KHURRAM MASUD: Yes.

14 MS. KATHLEEN MCCANDLESS: And, then,
15 half of the remaining distance the following year?

16 MR. KHURRAM MASUD: That's right.
17 Yes.

18 MS. KATHLEEN MCCANDLESS: And,
19 although not shown, the current assumption would be
20 that, in the year following that, MPI would move to
21 the fully actuarially indicated discount. Correct?

22 MR. KHURRAM MASUD: Yes. Yes.

23 MS. KATHLEEN MCCANDLESS: Thank you.
24 Now, within Figure RI-10 -- thank you.

25 And this is the rating year '24/'25,

1 major classification required rate changes for break
2 even rates?

3 MR. KHURRAM MASUD: Yes.

4 MS. KATHLEEN MCCANDLESS: Do the
5 average premiums, by major class, reflect the impact
6 of the current average DSR discount in each major
7 class?

8 MR. KHURRAM MASUD: Just one second.

9

10 (BRIEF PAUSE)

11

12 MR. KHURRAM MASUD: Yes. It's -- it's
13 -- it's in there. Yes.

14 MS. KATHLEEN MCCANDLESS: Thank you.
15 Since a larger portion of commercial and public major
16 class are fleet vehicles and, therefore, not eligible
17 for the DSR discount, that would mean that the average
18 DSR discount built into the base rates for private
19 passenger and for motorcycle would be larger than for
20 commercial and public. Is that fair?

21 MS. CARA LOW: Could you repeat that,
22 please?

23 MS. KATHLEEN MCCANDLESS: Because
24 there's a larger portion of commercial and public
25 major class in -- in fleet vehicles, which are,

1 therefore, not eligible for DSR discounts, then that
2 would mean that the average DSR discount built into
3 the base rates for private passenger and motorcycle,
4 we would expect, would be larger for commercial -- and
5 for commercial --

6 MS. CARA LOW: Yes. Yes. That would
7 be true. Yeah.

8 MS. KATHLEEN MCCANDLESS: Thank you.
9 Then if we could go to PUB/MPI-1-4, please. And there
10 are three (3) impacts of the DSR discounts on the
11 required base rates. Is that right? There's the DSR
12 drift which is --

13 MR. KHURRAM MASUD: Yes.

14 MS. KATHLEEN MCCANDLESS: -- if we can
15 go down to page 4 of 4. So there's DSR drift
16 estimated to be -- okay. One (1) page. Pardon me.

17

18 (BRIEF PAUSE)

19

20 MS. KATHLEEN MCCANDLESS: We can
21 scroll down back to where we were. There's a
22 reference here to a DSR upgrade factor of negative .07
23 percent?

24 MR. KHURRAM MASUD: Yes.

25 MS. KATHLEEN MCCANDLESS: And so

1 that's also referred to as DSR drift?

2 MR. KHURRAM MASUD: Yes, the natural
3 transition of people moving to higher DSR levels.

4 MS. KATHLEEN MCCANDLESS: And then if
5 we go to Appendix 2 of this IR response.

6 And so there's the impact of the change
7 in the discount rates, excluding the movement to DSR
8 17 or 18, of minus 2.46 percent. And that would be
9 shown -- as shown by the difference between the --

10 MR. KHURRAM MASUD: Right.

11 MS. KATHLEEN MCCANDLESS: -- 1.14
12 billion and the --

13 MR. KHURRAM MASUD: Yes.

14 MS. KATHLEEN MCCANDLESS: -- 1.11
15 billion.

16 MR. KHURRAM MASUD: Yeah.

17 MS. KATHLEEN MCCANDLESS: So with the
18 existing and with -- without movement in DSR and with
19 movement in DSR?

20 MR. KHURRAM MASUD: That's right, yes.

21 MS. KATHLEEN MCCANDLESS: Is this
22 amount reflected in the current premium level in RI-
23 10?

24 MR. KHURRAM MASUD: Can you just go
25 back to RI-10, please.

1 (BRIEF PAUSE)

2

3 MR. KHURRAM MASUD: Yes. It's there.
4 It's not split out, but the combined effect is in
5 there.

6 MS. KATHLEEN MCCANDLESS: Thank you.
7 And then going back to the table we were just looking
8 at, the summary of overall premiums, there is the
9 impact of the movement to DSR 17 and 18 of negative
10 4.88 percent.

11 And that would be the difference
12 between the 1.11 billion and the 1.06 billion in the
13 bottom two (2) lines?

14 MR. KHURRAM MASUD: Yes, yeah.

15 MS. KATHLEEN MCCANDLESS: Okay. Thank
16 you. So taking those two (2) percentages then,
17 subject to check, that would be a combined impact of
18 about a negative -- of seven (7) -- negative 7.29
19 percent?

20 MR. KHURRAM MASUD: Subject to check.

21 MS. KATHLEEN MCCANDLESS: And the base
22 rates are required to be offset by this impact which
23 varies by major class?

24 MR. KHURRAM MASUD: That's right, yes.

25 MS. KATHLEEN MCCANDLESS: If we move

1 to Figure RMO-2 -- thank you. And this depicts the
2 projected 2024/'25 average premium. It's also MPI
3 Exhibit number 2.

4 We can see that the impact from DSR
5 change -- changes is negative 5 percent overall. We
6 see that at line 8?

7 MR. KHURRAM MASUD: That's right.

8 MS. KATHLEEN MCCANDLESS: And that
9 varies by major class as some vehicles such as those
10 in fleets or trailers or off-road vehicles, they're
11 not eligible for DSR discount -- or DSR, correct?

12 MR. KHURRAM MASUD: Yes.

13 MS. KATHLEEN MCCANDLESS: Okay. And
14 after offset for the DSR impact, most of the major
15 class base rates will be seeing an increase based on
16 what we see at Figure RMO-2?

17 MR. KHURRAM MASUD: After the offset?

18 MS. KATHLEEN MCCANDLESS: After the
19 offset, yes.

20 MR. KHURRAM MASUD: Yes.

21 MS. KATHLEEN MCCANDLESS: After
22 considering the impact of the DSR change, it would be
23 a zero overall change, correct?

24 MR. KHURRAM MASUD: That's right.

25 MS. KATHLEEN MCCANDLESS: And if the

1 final overall rate change was, for example, negative 3
2 percent, this impact of the DSR change would still
3 need to be applied.

4 MR. KHURRAM MASUD: Yeah.

5 MS. KATHLEEN MCCANDLESS: Yes?

6 MR. KHURRAM MASUD: Yeah, to get to
7 zero percent?

8 MS. KATHLEEN MCCANDLESS: Pardon me?

9 MR. KHURRAM MASUD: Are you saying the
10 overall rate indication becomes something else?

11 MS. KATHLEEN MCCANDLESS: Yes.

12 MR. KHURRAM MASUD: Yes, yes.

13 Combined effect would be whatever the rate indication
14 turns out to be.

15 MS. KATHLEEN MCCANDLESS: Okay. So,
16 for example, if -- if it's negative 3 percent, the
17 impact of the DSR change would still need to be
18 applied.

19 MR. KHURRAM MASUD: Yeah.

20 MS. KATHLEEN MCCANDLESS: Yes. And
21 therefore, the base rates on average would still be
22 increasing?

23 MS. CARA LOW: It's -- the
24 calculation's always going to be revenue neutral. If
25 we're going to give away more discounts, then we have

1 to offset it. So the rates are going up 'cause we're
2 giving away more discount, and that's always going to
3 be a revenue-neutral calculation.

4

5

(BRIEF PAUSE)

6

7 MS. KATHLEEN MCCANDLESS: But many of
8 the better drivers would be seeing a decrease?

9

MR. KHURRAM MASUD: You mean now or if
10 --

11

MS. KATHLEEN MCCANDLESS: In this
12 illustration.

13

MR. KHURRAM MASUD: Yes, yes.

14

MS. KATHLEEN MCCANDLESS: Thank you.
15 Now moving to PUB/MPI-1-4(b), Appendix 2. So if we go
16 down to the bottom -- and I believe there are a number
17 of tables in this appendix. At the bottom of the
18 table, moving to the distribution of vehicles by -- by
19 DSR by major class -- we can use the first one I think
20 in this appendix.

21

And looking down at the bottom of the
22 table, we see "not ME". What does that refer to?

23

MR. KHURRAM MASUD: Merit eligible.

24

MS. KATHLEEN MCCANDLESS: Not merit
25 eligible?

1 MR. KHURRAM MASUD: Yeah.

2 MS. KATHLEEN MCCANDLESS: And that's
3 because the value for private passenger is
4 significantly less than the number of fleet vehicles?

5 MR. KHURRAM MASUD: It could be one
6 (1) of the contributing factors.

7 MS. KATHLEEN MCCANDLESS: Are there
8 others?

9

10 (BRIEF PAUSE)

11

12 MR. KHURRAM MASUD: There's some
13 insurance uses that are not eligible for DSR.

14 MS. KATHLEEN MCCANDLESS: Sorry, I
15 didn't catch the first part of what you said.

16 MR. KHURRAM MASUD: There's some
17 insurance uses within private passenger vehicles that
18 are not eligible for DSR discounts.

19 MS. KATHLEEN MCCANDLESS: Thank you.
20 So, Kristen, could we please go to the PowerPoint
21 presentation, slide 6, from the Ratemaking Panel.
22 Thank you.

23

24 (BRIEF PAUSE)

25

1 MS. KATHLEEN MCCANDLESS: Thank you.

2 So, Mr. Masud, here we see slide 6 of the presentation
3 from a few moments ago, and I'm looking at major class
4 1, so that would be private passenger?

5 MR. KHURRAM MASUD: That's true, yes.

6 MS. KATHLEEN MCCANDLESS: And the
7 fleet policies total is thirty-three thousand two
8 hundred and twenty-seven (33,227)?

9 MR. KHURRAM MASUD: Yes.

10 MS. KATHLEEN MCCANDLESS: And then,
11 Kristen, could we please go back to the table we were
12 just looking at and maybe just scroll to the top for
13 one (1) second. So we see private passenger, and then
14 go down to 'not ME', so not merit eligible.

15 So there's obviously a significant
16 difference there between the number of fleet policies
17 and the number of private passenger policies that are
18 not merit eligible. Can you explain?

19 MR. KHURRAM MASUD: Individuals who --
20 individuals who belong to the fleet program are still
21 merit eligible, and yet within the private passenger
22 vehicles, there may be many individuals who have more
23 than -- ten (10) or more vehicles and they belong to
24 the fleet program, so they are still considered merit
25 eligible.

1 (BRIEF PAUSE)

2

3 MS. KATHLEEN MCCANDLESS: So does that
4 mean that fleet vehicles are eligible for a DSR?

5 MR. KHURRAM MASUD: Individuals are
6 eligible for DSR, so that they are considered merit
7 eligible, but once they enroll into the Fleet Program,
8 then they do not receive a DSR discount.

9 MS. KATHLEEN MCCANDLESS: All right.
10 Thank you for that clarification. Just one (1) last
11 question on DSR ratemaking.

12 If MPI re-rated all vehicles at DSR
13 zero and compared the premium to the actual forecast,
14 would MPI agree that the overall discount is about 33
15 percent?

16 MR. KHURRAM MASUD: Thirty-three
17 percent is --

18 MS. KATHLEEN MCCANDLESS: Overall
19 weighted average.

20 MR. KHURRAM MASUD: Is it in any of
21 the appendices, the 33 percent, or...? Okay.

22 MS. KATHLEEN MCCANDLESS: Subject to
23 check, would you agree --

24 MR. KHURRAM MASUD: Yeah.

25 MS. KATHLEEN MCCANDLESS: -- accept

1 that? Okay. Thank you.

2

3

(BRIEF PAUSE)

4

5 MS. KATHLEEN MCCANDLESS: I'm now
6 moving on to some questions about the overall rate
7 indication, and starting with figure RI-10. Thank
8 you, Kristen.

9 And referring to line 23, overall,
10 based on this figure, the overall rate indication was
11 a reduction of .1; that's rounded down from .13
12 percent?

13 MR. KHURRAM MASUD: Yes.

14 MS. KATHLEEN MCCANDLESS: The overall
15 apply for change at line 24 was zero?

16 MR. KHURRAM MASUD: Yes.

17 MS. KATHLEEN MCCANDLESS: And although
18 the overall rate change proposed is zero, there are
19 changes proposed that vary for each major class, yes?

20 MR. KHURRAM MASUD: Yes, that's right.

21 MS. KATHLEEN MCCANDLESS: And within
22 each major class that vary by each use insurance and
23 territory?

24 MR. KHURRAM MASUD: Yeah.

25 MS. KATHLEEN MCCANDLESS: And there

1 are changes proposed for the DSR vehicle premium
2 discounts?

3 MR. KHURRAM MASUD: That's true.

4 MS. KATHLEEN MCCANDLESS: The overall
5 increase in those discounts requires an offsetting
6 base rate increase for each major class?

7 MR. KHURRAM MASUD: That's true, yes.

8 MS. KATHLEEN MCCANDLESS: Thank you.

9 Now, with respect to the investment yield, and this is
10 section RI -- it's -- Kristen, it's page 6 of 28.

11 Thank you.

12 At line 21, MPI suggests the use of
13 duration of the premium liabilities instead for the
14 current GRA?

15 MR. KHURRAM MASUD: That's true, yes.

16 MS. KATHLEEN MCCANDLESS: And that's
17 as the basis of the naive interest yield?

18 MR. KHURRAM MASUD: Yes.

19 MS. KATHLEEN MCCANDLESS: And this was
20 estimated by MPI to be two point six seven (2.67)_
21 years, subject to check?

22 MR. KHURRAM MASUD: Yes. Subject to
23 check, yeah.

24 MS. KATHLEEN MCCANDLESS: And then if
25 we scroll down to the next page, we see the two point

1 six seven (2.67) years at line 12.

2 MR. KHURRAM MASUD: M-hm.

3 MS. KATHLEEN MCCANDLESS: Starting at
4 line 9, the investment return of 4.35 percent gross of
5 investment expenses reflects the best estimate
6 projected yield as at the time when the average policy
7 is written during the rating year '24/'25?

8 MR. KHURRAM MASUD: Yes.

9 MS. KATHLEEN MCCANDLESS: And that's
10 based on the target weights for government bonds,
11 corporate bonds, and commercial mortgages as per the
12 investment policy statement?

13 MS. CARA LOW: Correct.

14 MS. KATHLEEN MCCANDLESS: And the
15 yield of the relevant short-term FTSE bond indices as
16 of March 31, 2023?

17 MS. CARA LOW: Correct, yes.

18 MS. KATHLEEN MCCANDLESS: Then if we
19 could go to PUB/MPI-1-5, figure 1. Thank you,
20 Kristen.

21 And so, if we're looking at the new
22 money yield here at figure 1 and the IPS target
23 weights, so the third column in, line 4, this is using
24 only 70 percent of the investment policy statement
25 target weights?

1 MS. CARA LOW: That would be correct.

2 MS. KATHLEEN MCCANDLESS: And then at
3 PUB/MPI-1-6, figure 2 -- thank you, Kristen. And now
4 we're looking at the investment expense ratio for the
5 Basic claims portfolio, fixed income.

6 So the ratio based on -- oh, pardon me
7 -- the asset classes that we see here in figure 2 for
8 this GRA is at line 9, .124 percent?

9 MS. CARA LOW: Correct.

10 MS. KATHLEEN MCCANDLESS: And the
11 resulting yield net of investment expenses was 4.22
12 percent?

13 MS. CARA LOW: Yes.

14 MS. KATHLEEN MCCANDLESS: And then MPI
15 updated this figure at Exhibit 50, page 19 of 33, to
16 August 31, 2023, market yields?

17 MS. CARA LOW: Yes, we did.

18 MS. KATHLEEN MCCANDLESS: And thank
19 you, Kristen. We see with that update at line 4,
20 total, the short-term benchmark yields before expense
21 is 5.16 percent?

22 MS. CARA LOW: Correct.

23 MS. KATHLEEN MCCANDLESS: And then
24 after the expense of .12 percent for investment
25 management fees, the new money yield is calculated at

1 5.04 percent?

2 MS. CARA LOW: Correct. Yes.

3 MS. KATHLEEN MCCANDLESS: Now, if we
4 could go to figure RMO-1 from the rate update -- thank
5 you, Kristen -- page 1.

6 The impact of this increase of 82 basis
7 points on the rate indication reduced the rate
8 indication, as we heard at the outset in your
9 comments, to negative 1.48 percent, which is rounded
10 up to 1.5 here at line 8?

11 MS. CARA LOW: That is correct.

12 MS. KATHLEEN MCCANDLESS: And so that
13 increase yield of 82 basis points translated to a
14 decrease in the rate indication of minus 1.35 percent,
15 correct?

16 MS. CARA LOW: If you get more money
17 for investment income, you have to collect less from
18 the insurance premium.

19 MS. KATHLEEN MCCANDLESS: Thank you.
20 Figure INV-11 -- thank you, Kristen.

21 This shows the asset allocation targets
22 for Basic claims?

23 MS. CARA LOW: Yes. This was for the
24 new April 1st, 2023, investment policy, yes.

25 MS. KATHLEEN MCCANDLESS: Okay. Thank

1 you. And this includes MUSH bonds --

2 MS. CARA LOW: Yes.

3 MS. KATHLEEN MCCANDLESS: -- with a 20
4 percent weight at line 4?

5 MS. CARA LOW: Correct. Yes.

6 MS. KATHLEEN MCCANDLESS: And MUSH is
7 municipalities, universities, schools, and hospitals?

8 MS. CARA LOW: Right.

9 MS. KATHLEEN MCCANDLESS: Okay. And
10 line 13, Canadian real estate is weighted at 10
11 percent?

12 MS. CARA LOW: Correct.

13 MS. KATHLEEN MCCANDLESS: MPI chose
14 not to implement the short-term Basic portfolio as the
15 benefits would have been limited? And for reference,
16 that would be investment section of the filing, page
17 25 of 85.

18 MS. CARA LOW: Sorry, what -- what --
19 what was the statement, that we --

20 MS. KATHLEEN MCCANDLESS: That MPI
21 chose -- oh, yeah, if we -- if we scroll down here.

22 That MPI -- MPI chose not to implement
23 the short-term Basic portfolio as the benefits would
24 have been limited?

25 MS. CARA LOW: No. Correct. Yes,

1 yes.

2 MS. KATHLEEN MCCANDLESS: Then if we
3 jump to figure INV-19 -- thank you, Kristen.

4 The claims duration as well as the
5 marketable and nonmarketable bond duration seen here
6 at figure INV-19 for the year ended March 24, line 2,
7 is eight point six (8.6) --

8 MS. CARA LOW: Correct.

9 MS. KATHLEEN MCCANDLESS: -- years?

10 Okay.

11 MS. CARA LOW: Yeah.

12 MS. KATHLEEN MCCANDLESS: And forecast
13 to be eight point five (8.5) years ending -- for the
14 years ending 2025 and thereafter?

15 MS. CARA LOW: Agreed. Yes.

16 MS. KATHLEEN MCCANDLESS: And MPI's
17 reinvestment strategy is designed to match the claim
18 liability duration?

19 MS. CARA LOW: Duration and convexity
20 and dollar, but not cashflows.

21 MS. KATHLEEN MCCANDLESS: There's no
22 separate investment portfolio for the new rating year?

23 MS. CARA LOW: No.

24 MS. KATHLEEN MCCANDLESS: Okay. And
25 that's the year in which investments would be made in

1 assets with a duration of two point six seven (2.67)
2 years?

3 MS. CARA LOW: Correct. But the
4 majority of those claims are paid through the cash
5 dollars.

6 MS. KATHLEEN MCCANDLESS: Thank you.
7 If we go to PUB/MPI-1-7 next, we can see at figure 1 -
8 - thank you, Kristen.

9 So here, if MPI used the asset
10 allocation weights by asset class, the resulting yield
11 at line 6 is 4.45 percent?

12 MS. CARA LOW: Correct.

13 MS. KATHLEEN MCCANDLESS: And if we go
14 down to figure 2, then the corresponding investment
15 expense ratio, we see as a percentage, line 11, it
16 would be .190 percent?

17 MS. CARA LOW: Correct.

18 MS. KATHLEEN MCCANDLESS: And that
19 results in a yield after investment expense ratio of
20 4.26 percent?

21 MS. CARA LOW: Correct. Yes.

22 MS. KATHLEEN MCCANDLESS: This was
23 based on March 20 -- March 31, 2023 market yields?

24 MS. CARA LOW: Yes.

25 MS. KATHLEEN MCCANDLESS: And sticking

1 with this IR response, but going down to figure 3.

2 Thank you.

3 So the impact of this four (4) basis
4 point increase in yield, at line 23, we would see a
5 decrease -- thank you -- in the rate indication of .07
6 percent to an overall rate indication of -- a decrease
7 of .2 percent.

8 MR. KHURRAM MASUD: It's rounded, so
9 it may not be exactly .07 percent but, yeah,
10 thereabout.

11 MS. KATHLEEN MCCANDLESS: Okay. And
12 then, jumping back to MPI Exhibit 50, the update from
13 October 4th and page 20. Thank you.

14 And this was actually filed in response
15 to a PUB Information Request from Round 2.

16 And the corresponding yield, based on
17 August 31, 2023, we see, at line 6, is 4.81 percent
18 before expense?

19 MS. CARA LOW: That is correct.

20 MS. KATHLEEN MCCANDLESS: And the next
21 page shows the management expense is .19 percent?

22 MS. CARA LOW: Correct.

23 MS. KATHLEEN MCCANDLESS: So if we
24 subtract the management expense, then the yield would
25 be 4.62 percent?

1 MS. CARA LOW: Yes.

2 MS. KATHLEEN MCCANDLESS: And that's
3 then a corresponding rate indication of -- keep
4 scrolling to line 23 -- a decrease of .8 and I think
5 that's .81 percent rounded down?

6 MR. KHURRAM MASUD: Yes.

7 MS. KATHLEEN MCCANDLESS: Thank you.
8 A forty (40) point basis -- point increase in yield
9 translated to a decrease in the rate indication of
10 minus .68 percent?

11 MR. KHURRAM MASUD: Yes.

12 MS. KATHLEEN MCCANDLESS: And the 4.62
13 percent value is lower than the value of 5.04 percent,
14 that we saw earlier, primary due to the current
15 inverted yield curve where short-term rates are higher
16 than long-term rates?

17

18 (BRIEF PAUSE)

19

20 MS. CARA LOW: Sorry, what was the 4.8
21 percent number that you were referring to? Because
22 the August yield that was used was five-point-zero-
23 four (5.04).

24 MS. KATHLEEN MCCANDLESS: It's the
25 4.62 percent that we just referred to, which was the

1 updated yield minus the investment expense, which
2 comes to 4.62 percent.

3 MS. CARA LOW: By choosing all the
4 asset classes.

5 MS. KATHLEEN MCCANDLESS: Yes.

6 MS. CARA LOW: Rather than the 70
7 percent of the fixed income portion. Okay.

8 MS. KATHLEEN MCCANDLESS: So the
9 question was that that 4.62 percent is lower than the
10 5.04 percent.

11 MS. CARA LOW: Right.

12 MS. KATHLEEN MCCANDLESS: Mainly
13 because of the current inverted yield curve?

14

15 (BRIEF PAUSE)

16

17 MS. CARA LOW: Could we take that
18 away?

19

20 (BRIEF PAUSE)

21

22 MR. STEVE SCARFONE: Ms. McCandless,
23 we could either take that last one on the inverted
24 yield curve by way of undertaking or you can put it to
25 the Investments Panel will have an answer for you.

1 MS. KATHLEEN MCCANDLESS: I won't give
2 the undertaking if I have an assurance that the
3 Investments Panel will be able to provide the answer.

4 MS. CARA LOW: We can prepare an
5 answer for the Investment Panel because it will be Mr.
6 Bunston and myself.

7 MS. KATHLEEN MCCANDLESS: Okay. Thank
8 you. We'll do it that way then.

9

10 CONTINUED BY MS. KATHLEEN MCCANDLESS:

11 MS. KATHLEEN MCCANDLESS: In normal
12 market -- market conditions, short-term rates are
13 lower than long-term rates?

14 MS. CARA LOW: Yes.

15 MS. KATHLEEN MCCANDLESS: So one would
16 expect the yield based on the asset allocation to be
17 higher than based on MPI's suggested approach?

18 MS. CARA LOW: For using the claims
19 duration, in theory, it should be higher than the
20 premium duration, yes.

21 MS. KATHLEEN MCCANDLESS: And going
22 back to figure 1 from PUB/MPI-1-7. Or maybe from the
23 rate update. Yes, from the rate update.

24 Would you agree that MPI did not update
25 the MUSH yield or the mortgages yield or the real

1 estate yield to reflect the increase in market yields?

2 MS. CARA LOW: I would agree, yes.

3 MS. KATHLEEN MCCANDLESS: Thank you.

4 And just for the record, there are a couple of pre-
5 asks that have been provided to MPI following up on
6 this, one being, what the -- if -- if you were to
7 reflect the increase in market yields on these three
8 (3) asset classes, what the corresponding yield would
9 be. And what would be the corresponding rate
10 indication. But those are pending, so we'll leave
11 that for now.

12 If we move to figure INV-45. Thank
13 you. The Basic claims investment income, line 8,
14 shows Investment income for 2023/24 of \$87.6 million
15 through 2027/28 of 95.7 million?

16 MS. CARA LOW: Correct.

17 MS. KATHLEEN MCCANDLESS: And these
18 amounts are after investment fees paid as shown in
19 line 5?

20 MS. CARA LOW: Yes.

21 MS. KATHLEEN MCCANDLESS: Then moving
22 down to the next investments figure 46. And this
23 shows the Basic claims asset allocation?

24 MS. CARA LOW: Yes, it does.

25 MS. KATHLEEN MCCANDLESS: Line 7 shows

1 total assets of 1,999,000,000 at the end of 2023/24?

2 MS. CARA LOW: Correct.

3 MS. KATHLEEN MCCANDLESS: And that
4 increases to 2.17 million at the end of -- billion,
5 pardon me -- 2.17 billion at the end of '27/'28?

6 MS. CARA LOW: Correct.

7 MS. KATHLEEN MCCANDLESS: Then
8 Kristen, if we could pull up -- and I understand that
9 this was -- this issue has been raised in a pre-ask.
10 And this is an excerpt from the OSFI P&C commentary.

11 And I'm looking at the calculation of
12 the investment yield, line 46. It's at the bottom of
13 the screen. Maybe we could move up.

14 MS. CARA LOW: Yes, I see it.

15 MS. KATHLEEN MCCANDLESS: Thank you.

16 And either Ms. Low or Mr. Masud, are you familiar with
17 this?

18 MR. KHURRAM MASUD: With this formula?

19 MS. KATHLEEN MCCANDLESS: Yes.

20 MS. CARA LOW: I have seen it before.

21 MS. KATHLEEN MCCANDLESS: Okay. Now,
22 if you're able to, at this time, if we were to apply
23 the -- this Investment yield calculation to the
24 2025/26 year with -- that has an investment --
25 forecast investment return of 90.3 million and an

1 opening balance of 2.01 billion and a closing balance
2 of 2.04 billion, that would result in an investment
3 yield of 4.55 percent?

4 MS. CARA LOW: Was this -- is that
5 number a result of the IR? Or is that...

6

7 (BRIEF PAUSE)

8

9 MS. KATHLEEN MCCANDLESS: Okay. So I
10 think what I would do then is I have a series of
11 questions on this issue that would be best answered by
12 way of undertaking.

13 MS. CARA LOW: Sure.

14 MS. KATHLEEN MCCANDLESS: It's a lot
15 of math to do on the fly.

16 So -- and rather than read it all right
17 now, maybe what I can do is we can provide it in
18 writing to your counsel and then we can read it into
19 the record tomorrow?

20 MR. STEVE SCARFONE: Yeah. That
21 sounds better than doing it now.

22

23 (BRIEF PAUSE)

24

25 CONTINUED BY MS. KATHLEEN MCCANDLESS:

1 MS. KATHLEEN MCCANDLESS: Thank you.
2 So, I'll move on to then questions about benefits and,
3 Kristen, could we go to figure EXP-38.

4 And this table shows basic normal
5 operations by category, a six (6) year summary. Yes?

6 MS. CARA LOW: Yes, it does.

7 MS. KATHLEEN MCCANDLESS: And looking
8 at line 4, that shows compensation benefits for basic
9 normal operations, looking at 2024/'25 of \$25.9
10 million?

11 MS. CARA LOW: Correct.

12 MS. KATHLEEN MCCANDLESS: And then for
13 2025/'26, \$26.3 million?

14 MS. CARA LOW: Yes.

15 MS. KATHLEEN MCCANDLESS: Those
16 benefits would include employee future benefits?

17 MS. CARA LOW: I think that's a
18 question for our CFO.

19 MS. KATHLEEN MCCANDLESS: Okay.

20 MS. CARA LOW: I would think so, but
21 I'm not 100 percent sure. So, maybe the Financial
22 Forecasting Panel.

23

24 (BRIEF PAUSE)

25

1 MS. KATHLEEN MCCANDLESS: Okay. All
2 right, thank you. I have some questions in that area,
3 but I see, Ms. Low, that you are on the Financial
4 Forecasting Panel and you'll have Mr. Kolaski with
5 you, so probably best that we defer those questions to
6 next week.

7 So, then, with respect to the fleet
8 rebate allocation. And I'm looking at RC Appendix 7,
9 page 3 and, yes, figure RC-APP-71.

10 This shows the allocation of fleet
11 customers by major class?

12 MR. KHURRAM MASUD: Correct.

13 MS. KATHLEEN MCCANDLESS: And MPI has
14 allocated the fleet rebates in proportion to the
15 number of fleet vehicles within each major class.

16 MR. KHURRAM MASUD: That's right.

17 MS. KATHLEEN MCCANDLESS: And that's
18 what we see here on the figure?

19 MR. KHURRAM MASUD: Yes.

20 MS. KATHLEEN MCCANDLESS: And, looking
21 at line 2 for private passenger, that results in a per
22 unit cost of \$11.52?

23 MR. KHURRAM MASUD: Correct. Yes.

24 MS. KATHLEEN MCCANDLESS: And for
25 commercial, \$130.25?

1 MR. KHURRAM MASUD: Yes.

2 MS. KATHLEEN MCCANDLESS: And for the
3 public class, \$249.26?

4 MR. KHURRAM MASUD: Yes.

5 MS. KATHLEEN MCCANDLESS: And, if we
6 look at the approach that MPI used in last year's GRA,
7 so that's -- from the 2023 GRA figure RM-13, the total
8 unit per cost would have been \$21.18?

9 MR. KHURRAM MASUD: Are you referring
10 to fleet rebates at line 13?

11 MS. KATHLEEN MCCANDLESS: Sorry, 20
12 point -- \$20.36.

13 MR. KHURRAM MASUD: Yes. Yes.

14 MS. KATHLEEN MCCANDLESS: So, if it
15 had been calculated the same way this year as it was
16 last year, then the total per unit cost would be
17 \$21.18?

18 MR. KHURRAM MASUD: Yes.

19 MS. KATHLEEN MCCANDLESS: Okay. Thank
20 you. So, the new approach that MPI is using assumes
21 that the average fleet rebate per fleet vehicle is
22 comparable for each major class?

23 MR. KHURRAM MASUD: Sorry, I didn't
24 understand the question.

25 MS. KATHLEEN MCCANDLESS: Okay. The -

1 - so MPI's approach in this GRA --

2 MR. KHURRAM MASUD: Okay.

3 MS. KATHLEEN MCCANDLESS: -- is based
4 on an assumption that the average fleet rebate per
5 fleet vehicle is comparable for each major class?

6 MR. KHURRAM MASUD: It's different for
7 each major class, that's what we are suggesting.

8 MS. KATHLEEN MCCANDLESS: But the --
9 the rebate is being allocated based on the number of
10 vehicles and not the amount of premium per vehicle.

11 MR. KHURRAM MASUD: That's correct,
12 number of vehicles, yes.

13 MS. CARA LOW: It's all to do with the
14 allocation, 'cause we project what we believe the net
15 rebates going to be and it -- it's how it's allocated
16 back.

17 MS. KATHLEEN MCCANDLESS: Is the
18 average premium by class, comparable or is public
19 higher than private passenger, which is higher than
20 commercial?

21 MR. KHURRAM MASUD: That's difficult
22 to guess, but we may have something in the -- in -- in
23 -- in the exhibits. We have the average here, right
24 there.

25 MS. CARA LOW: Are we talking about

1 the average rebate that goes back?

2 MR. KHURRAM MASUD: Talking to the
3 average pay -- talking about the average premium.

4 MS. CARA LOW: Oh, the average
5 premium.

6 MR. KHURRAM MASUD: So, they're ready,
7 yes, by major classes. They're not identical.

8 MS. KATHLEEN MCCANDLESS: Okay, so,
9 public is higher than private passenger?

10 MS. CARA LOW: Right and that's on row
11 19.

12 MS. KATHLEEN MCCANDLESS: Right. And
13 then private passenger is higher than commercial?

14 MR. KHURRAM MASUD: Yes, it seems that
15 way. Yeah.

16 MS. KATHLEEN MCCANDLESS: So, assuming
17 that the average fleet rebate per fleet vehicle is
18 comparable, seems -- it seems that that would be
19 unlikely -- an unlikely assumption.

20 MR. KHURRAM MASUD: Correct. If the -
21 - if the -- because the average premium varies by --
22 by major class, yes.

23 MS. KATHLEEN MCCANDLESS: Thank you.
24 In PUB/MPI 2-10 Response A -- oh, first perhaps, we
25 could go to the question just for context, thank you,

1 Kristen.

2 So, here MPI was asked to provide the
3 actual historical fleet rebates for each of the last
4 ten (10) years, by major class and at a more granular
5 level by insurance use and territory --

6 MR. KHURRAM MASUD: Yes.

7 MS. KATHLEEN MCCANDLESS: -- and then
8 if we see the response at A -- thank you -- MPI
9 advised that it is unable to provide the
10 rebate/surcharges for major classes, territories and
11 insurance uses.

12 MR. KHURRAM MASUD: Correct.

13 MS. KATHLEEN MCCANDLESS: Now, looking
14 at figure REV-11. Thank you.

15 So relative to total premiums, as shown
16 in REV-11, the rebates appear to be about 25 percent
17 for fleet vehicles on average?

18 MR. KHURRAM MASUD: Are relative to
19 fleets premiums --

20 MS. KATHLEEN MCCANDLESS: Relative to
21 total premiums.

22 MR. KHURRAM MASUD: Relative to total
23 fleets premiums, right, yeah, I'd say -- what --
24 what's the number you said, twenty-five (25) -- I
25 think it's closer to 20 percent, if I remember right.

1 The -- the vehicle premiums goes to a hundred (100)
2 and the fleet vehicles are close to twenty (20)
3 million approximately.

4 MS. KATHLEEN MCCANDLESS: Is the total
5 premium in the far right column net of rebates?

6

7 (BRIEF PAUSE)

8

9 MS. CARA LOW: We need to go back and
10 check the data source, but we believe it's net of
11 rebate, right? 'Cause it's less --

12 MR. KHURRAM MASUD: It's less than
13 what we thought, yeah.

14 MS. CARA LOW: -- but we have to check
15 the data source.

16 MS. KATHLEEN MCCANDLESS: So, if MPI
17 could then just undertake to advise as to whether the
18 total premiums found in the far right column in figure
19 REV-11 are net of premium -- net -- net of rebate,
20 pardon me.

21

22 --- UNDERTAKING NO. 12: MPI to advise as to
23 whether the total premiums
24 found in the far right
25 column in figure REV-11

1 are net of rebate

2

3 CONTINUED BY MS. KATHLEEN MCCANDLESS:

4 MS. KATHLEEN MCCANDLESS: So, assuming
5 the rebates -- for the purpose of my question,
6 assuming the rebates appear to be about 25 percent, or
7 20 percent, either way, that would be less than the
8 average DFR -- DSR discount of approximately 33
9 percent.

10 MR. KHURRAM MASUD: Yeah.

11 MS. KATHLEEN MCCANDLESS: Currently,
12 premiums in the rate model, reflect the DSR discount
13 but do not reflect the fleet rebate or surcharge.

14 Correct?

15 MR. KHURRAM MASUD: In the rate -- in
16 the rate model you said?

17 MS. KATHLEEN MCCANDLESS: The premiums
18 in the rate model, yes.

19 MS. CARA LOW: That's true. The rate
20 model does not have the fleet rebates in there.

21 MR. KHURRAM MASUD: Okay.

22 MS. KATHLEEN MCCANDLESS: Okay.

23 MR. KHURRAM MASUD: Yes. Yes.

24 MS. KATHLEEN MCCANDLESS: Yes. The
25 change proposed by MPI is designed to reflect the

1 relative weight of fleet vehicles in each major class?

2 MR. KHURRAM MASUD: Yes. Yes.

3 MS. KATHLEEN MCCANDLESS: You have to
4 speak up a little --

5 MR. KHURRAM MASUD: Yes.

6 MS. KATHLEEN MCCANDLESS: Thank you.

7 Just a handful of more questions and one is, some
8 follow up from Ms. Dilay's cross-examination.

9 The correction, Ms. Low, that you had
10 made to CAC/MPI-1-68. And perhaps, Kristen, we could
11 pull up what I'm talking about so you have a reference
12 point -- and the impact of that correction on the rate
13 indication.

14

15 (BRIEF PAUSE)

16

17 MS. KATHLEEN MCCANDLESS: So we're
18 looking for a figure here. Thank you. Okay.

19 So, Ms. Low, you'll recall that you
20 mentioned that the change in severity for accident
21 year -- insurance year 2021/'22, based on the
22 correction, would be 9.38 percent rather than 9.59
23 percent as shown in Figure 1?

24 MS. CARA LOW: I believe that was the
25 number that was from Ms. Zhou -- Ms. Zhou.

1 MS. KATHLEEN MCCANDLESS: Oh, was it
2 Ms. Zhou?

3 MS. CARA LOW: Yeah.

4 MS. KATHLEEN MCCANDLESS: Pardon me.
5 It was, yeah.

6 MS. CARA LOW: But it does ring a
7 bell.

8 MS. KATHLEEN MCCANDLESS: Okay.

9 MS. CARA LOW: I believe that is the
10 correct number.

11 MS. KATHLEEN MCCANDLESS: And has --
12 has MPI estimated what the impact of the change in
13 collision severity down to 9.38 percent would have on
14 the overall rate indication?

15 MS. CARA LOW: No, we have not.

16 MS. KATHLEEN MCCANDLESS: Okay. Do
17 you know if it differs from the negative .72 percent
18 impact that Oliver Wyman had calculated?

19 MS. CARA LOW: No. I believe it is
20 different.

21 MS. KATHLEEN MCCANDLESS: Okay. Would
22 it be possible to have an undertaking for a revised
23 RI-10 based on the correction to the severity trend
24 for accident insurance year 2021/'22?

25 MR. STEVE SCARFONE: Yes, we can make

1 that undertaking, Ms. McCandless.

2

3 --- UNDERTAKING NO. 13: MPI to provide revised RI-
4 10 based on correction to
5 the severity trend for
6 accident insurance year
7 2021/'22

8

9 CONTINUED BY MS. KATHLEEN MCCANDLESS:

10 MS. KATHLEEN MCCANDLESS: Thank you.

11 Now, with respect to the rate indication for the
12 blanket policy, if we could go to RC Appendix 11.
13 Thank you. And pages 3 and 4 speak to the
14 methodology.

15 And this indicates that the formula for
16 the per -- rate per kilometres is based on the
17 difference between the expected revenue from passenger
18 Vehicles For Hire and the expected revenue from all-
19 purpose passenger vehicles divided by the expected
20 kilometres driven on P2 and P3?

21 MR. KHURRAM MASUD: That's right.

22 MS. KATHLEEN MCCANDLESS: And rates
23 for passenger Vehicles For Hire in application rate
24 tables are based on DSR level, time banned, and
25 vehicle rate group?

1 (BRIEF PAUSE)

2

3 MR. KHURRAM MASUD: Yes. Yes.

4 MS. KATHLEEN MCCANDLESS: Thank you.

5 Since there is a rebate -- rebate or surcharge for the
6 TNC blanket policy, then is it fair to assume that DSR
7 level 0 would be used as the input for the passenger
8 Vehicles For Hire rate given that DSR discounts are
9 not permitted in any fleet policies?

10 MR. KHURRAM MASUD: Yeah. Yeah. That
11 makes sense, yeah.

12 MS. KATHLEEN MCCANDLESS: Thank you.
13 What DSR level would be used for the all-purpose
14 revenue as drivers would be eligible for DSR discounts
15 for their all-purpose passenger vehicle rate?

16

17 (BRIEF PAUSE)

18

19 MR. KHURRAM MASUD: So to start -- to
20 start the policy, the blanket policy, the all-purpose
21 and VFH both are based on the current level of DSR
22 discounts.

23 But as we move forward, we will have
24 the actual experience coming from the per-kilometre
25 rate and the actual kilometres driven. So we'll

1 transition to their own rate indication, their own
2 appropriate rate.

3 It might not be rate indication because
4 there is this adjustment of premium that takes place
5 afterwards for their own loss experience, but their
6 per-kilometre rates would be driven by their own
7 experience based on the number of kilometres driven
8 and their claims incurred.

9 MS. KATHLEEN MCCANDLESS: So would it
10 be fair to assume that four (4) time bans would be
11 used for the -- time ban 4, pardon me, would be used
12 for the passenger Vehicle For Hire rate?

13 MR. KHURRAM MASUD: Yes. Yes.

14 MS. KATHLEEN MCCANDLESS: What vehicle
15 rate group would be used?

16

17 (BRIEF PAUSE)

18

19 MR. KHURRAM MASUD: It is really the
20 total premium, so it's not really in a single rate
21 group that would be used.

22 MS. KATHLEEN MCCANDLESS: How would
23 MPI calculate the revenue if it doesn't know what rate
24 group is being used?

25 MR. KHURRAM MASUD: We have that...

1 (BRIEF PAUSE)

2

3 MR. KHURRAM MASUD: It's based on the
4 actual premiums, historic premiums, and then we
5 estimate the next year's total premiums. So it's not
6 really based on individual vehicles premiums, and it's
7 not ground up.

8 MS. KATHLEEN MCCANDLESS: Is it based
9 on the average rate group?

10 MR. KHURRAM MASUD: It's based on the
11 aggregate, so that's one (1) way of putting it.

12 MS. CARA LOW: So in theory, you could
13 drill down to what the average rate group is, but it's
14 a total revenue.

15 MR. KHURRAM MASUD: Yeah.

16 MS. KATHLEEN MCCANDLESS: You'd
17 acknowledge that MPI already has passenger VFH rates?

18 MR. KHURRAM MASUD: Correct.

19 MS. KATHLEEN MCCANDLESS: And all-
20 purpose passenger vehicle rates?

21 MR. KHURRAM MASUD: Correct.

22 MS. KATHLEEN MCCANDLESS: So what was
23 the relevance of the external actuarial analysis as
24 MPI's standard methodology has already generated the
25 indicated rates for the rating year '24/'25 for

1 passenger VFH and all-purpose passenger vehicles?

2 MS. CARA LOW: We first kicked off --
3 the external review was back right after I started
4 when there was limited actuarial resources, and there
5 wasn't any expertise in house really how to calculate
6 a per-kilometre rate. So that's where it started. It
7 took a while 'cause we kind of stopped working on it
8 for a little while.

9 MS. KATHLEEN MCCANDLESS: Since MPI
10 has the rates that you just acknowledged, what is the
11 purpose of the actuarial analysis then?

12 MR. KHURRAM MASUD: The basis -- the
13 basis itself of calculating the per-kilometre rate?
14 Since we did not have resources at that point in time,
15 that's before I joined in, and that's when Cara
16 started, and we had very limited resources internally.

17 MS. KATHLEEN MCCANDLESS: All right.
18 Thank you. Those are all my questions for this panel.

19 PANEL CHAIRPERSON: Thank you, Ms.
20 McCandless.

21 It's ten (10) to 4:00. Ms. Dilay, I
22 assume that you will be longer than a half an hour?

23 MS. KATRINE DILAY: No. Actually, I
24 have some questions and Mr. Klassen has some
25 questions, but all in all, especially given Ms.

1 McCandless's questions, I think we're going to be
2 about twenty (20) minutes.

3 PANEL CHAIRPERSON: Okay. Then please
4 proceed.

5 MS. KATRINE DILAY: Thank you.

6

7 CROSS-EXAMINATION BY MS. KATRINE DILAY:

8 MS. KATRINE DILAY: Good afternoon.
9 It's nice to see you both again. I'd like to start by
10 taking you to Board Order 4 of '23.

11 And so you'll acknowledge that's what's
12 before us on the screen?

13 MS. CARA LOW: Yes.

14 MS. KATRINE DILAY: And you'll confirm
15 your understanding that this is PUB Order from the
16 last General Rate Application, the 2023 Rate
17 Application?

18 MS. CARA LOW: Correct.

19 MS. KATRINE DILAY: And could we go to
20 page 39, please, Ms. Schubert.

21 So you'll confirm, if we look at --
22 sorry, Ms. Schubert, can back up, thank you.

23 The second full paragraph on this page,
24 you'll confirm your understanding as referred to in
25 this PUB Order, they're referring back to Order 162 of

1 '16, that the PUB approved the rate indication
2 prepared by the Corporation based on accepted
3 actuarial practice in Canada?

4 MS. CARA LOW: Correct. Yes.

5 MS. KATRINE DILAY: And there the
6 Board also directed the Corporation to follow AAP as
7 the basis for its rate indications in future rate
8 applications, correct?

9 MS. CARA LOW: Correct.

10 MS. KATRINE DILAY: And there the
11 Public Utilities Board confirms that -- or -- or
12 indicates that the Corporation commenced doing this in
13 the 2018 application?

14 MS. CARA LOW: Correct.

15 MS. KATRINE DILAY: And MPI has
16 continued to file its rate application based on AAP as
17 recently as last year, in the 2023 GRA, correct?

18 MS. CARA LOW: Correct.

19 MS. KATRINE DILAY: And you'll agree
20 that, in this GRA, MPI is seeking a zero percent rate
21 change?

22 MS. CARA LOW: We are, yes.

23 MS. KATRINE DILAY: As per a
24 government of Manitoba directive?

25 MS. CARA LOW: Correct.

1 MS. KATRINE DILAY: But you'll agree
2 MPI has also filed the AAP rate indication, correct?

3 MS. CARA LOW: Yes.

4 MS. KATRINE DILAY: And subject to
5 check, you'll agree that, as per the October update,
6 the AAP rate indication overall is minus 1.5 percent?

7 MS. CARA LOW: Minus 1.48, yes.

8 MS. KATRINE DILAY: Thank you. Minus
9 1.48. And so you'll agree that MPI's Application is
10 not requesting the AAP rate indication?

11 MS. CARA LOW: That is correct.

12 MS. KATRINE DILAY: And you'll confirm
13 your understanding that the Public Utilities Board
14 sets just and reasonable rates?

15 MS. CARA LOW: Yes.

16 MS. KATRINE DILAY: And you'll agree
17 your understanding that the PUB is not bound by
18 government of Manitoba directives, correct?

19 MS. CARA LOW: I have been told that,
20 yes, by the legal team, yeah.

21 MS. KATRINE DILAY: I have just a few
22 questions on generalized rate modelling. Could we
23 turn, Ms. Schubert, to Taxi Coalition/MPI-1-25 at page
24 4.

25 And if we look at the response to part

1 'F', there are no -- you'll -- you'll see there there
2 it says:

3 "There are no anticipated onetime or
4 ongoing costs at this stage related
5 to debt acquisition and management
6 solely attributable to the
7 implementation of GLM-based
8 ratemaking."

9 MR. KHURRAM MASUD: That's correct.

10 MS. KATRINE DILAY: You see that?

11 MR. KHURRAM MASUD: Yeah.

12 MS. KATRINE DILAY: And if we kind of
13 keep that in mind and turn to a different IR response,
14 TC/MPI-2-4 at page 2, you see there MPI responded to
15 this question.

16 "There are no anticipated additional
17 costs associated with generalized
18 linear model that are attributable
19 to GLM in combination with other
20 initiatives."

21 MR. KHURRAM MASUD: Correct.

22 MS. KATRINE DILAY: And as a third
23 reference point, could we turn to CAC/MPI-1-19 at page
24 3. And there you see MPI responded for 2023/'24
25 forecast budget:

1 "The external appointed actuary fees
2 are included, plus additional costs,
3 due to external consulting to help
4 with the implementation of GLMs and
5 external consulting fees for a
6 review of the enhancement to claims
7 forecasting."

8 You see that?

9 MR. KHURRAM MASUD: Yes.

10 MS. KATRINE DILAY: And so, given the
11 three (3) responses we looked at, are you able to
12 clarify for the record whether there will be
13 additional costs associated with the implementation of
14 generalized linear modelling and what those costs are?

15 MS. CARA LOW: We don't expect any
16 further costs. We did have a consultant, and it was
17 not our appointed actuary. But we did have a
18 consulting -- consultant working with us for halftime,
19 for about five (5) months, to help us set up GLMs, and
20 this was before we were able to hire a manager or
21 pricing transformation.

22 And as Kyle has joined us, we
23 transitioned it from the consultant over to Kyle.

24 MS. KATRINE DILAY: Thank you for
25 that, Ms. Low. I just have a few questions that I had

1 started with on the Claims Forecasting Panel relating
2 to vehicle counts under the Highway Traffic Act.

3 Ms. Schubert, could we go to part 9 of
4 the DRA under "Revenues" -- or "Chapter Revenues,"
5 page 9, lines 10 to 11. Thank you.

6 So you'll see there MPI forecasts total
7 Highway Traffic Act policy year earned units to grow
8 by 0.86 percent from 2023/'24 to 2027/'28?

9 MR. KHURRAM MASUD: Correct.

10 MS. KATRINE DILAY: Thank you. And
11 this reflects the aggregated of the forecast unit
12 growth my major class?

13 MR. KHURRAM MASUD: You mean aggregate
14 or by -- yeah.

15 MS. KATRINE DILAY: Yes.

16 MR. KHURRAM MASUD: Aggregate, yes.

17 MS. KATRINE DILAY: Aggregate --

18 MR. KHURRAM MASUD: Yeah.

19 MS. KATRINE DILAY: -- of the
20 forecasted unit growth by major class?

21 MR. KHURRAM MASUD: Correct.

22 MS. KATRINE DILAY: And for each major
23 class MPI based its selections on averages, excluding
24 the 2021/'22 accident year and, in some cases, the
25 2022/'23 accident year, which were heavily impacted by

1 the COVID-19 pandemic, correct?

2 MR. KHURRAM MASUD: Yes.

3 MS. KATRINE DILAY: And so, generally,
4 you will agree that it will be important for MPI to
5 continue to monitor the Highway Traffic Act unit
6 growth forecast to account for updated information
7 post-COVID-19 pandemic?

8 MR. KHURRAM MASUD: Absolutely. Yes.

9 MS. KATRINE DILAY: And could we turn,
10 Ms. Schubert, to CAC/MPI-1-65.

11 And if we look at the preamble here,
12 you'll agree that this IR references a government of
13 Canada announcement regarding an immigration plan for
14 Canada?

15 MR. KHURRAM MASUD: Yeah.

16 MS. KATRINE DILAY: And just
17 generally, this -- this immigration plan essentially
18 sets out its -- Canada's plan to welcome a permanent
19 resident -- permanent residents in 2023, '24, and '25?

20 MR. KHURRAM MASUD: Yes.

21 MS. KATRINE DILAY: And if we look at
22 the response on page 2, MPI indicates that it did not
23 adjust for potential increases in immigration levels
24 in the forecast Highway Traffic Act unit, correct?

25 MR. KHURRAM MASUD: Yes, we did not

1 incorporate this factor into our growth assumption.

2 MS. KATRINE DILAY: Thank you. And
3 you'll agree that it will be important for MPI to
4 continue to monitor the Highway Traffic Act unit
5 growth forecast to account for changes in immigration
6 in the future?

7 MR. KHURRAM MASUD: Yes, we will
8 continue to monitor that effect of immigration.

9 MS. KATRINE DILAY: Thank you. Mr.
10 Klassen will now have a few questions for this panel.

11 PANEL CHAIRPERSON: Thank you, Ms.
12 Dilay. Mr. Klassen...?

13 MR. CHRIS KLASSEN: Thank you, Madam
14 Chair.

15

16 CROSS-EXAMINATION BY MR. CHRIS KLASSEN:

17 MR. CHRIS KLASSEN: Good afternoon,
18 witnesses. My questions will relate predominantly to
19 the vehicle premium discounts offered through the
20 Driver Safety Rating Program. And I can indicate that
21 my questions have been significantly short --
22 shortened thanks to the work of Ms. McCandless.

23 Ms. Schubert, if we could begin by
24 displaying figure RC-5 on the screen, please, and
25 that's at page 33 of 44 in this chapter, if I'm not

1 mistaken. Thank you very much.

2 And just to confirm so we're all on the
3 same page, witnesses, I'll ask you to confirm that we
4 have figure RC-5 on the screen before us. And in the
5 first column on the left we see information presented
6 by DSR, level. Is that correct?

7 MR. KHURRAM MASUD: Yes, that's
8 correct.

9 MR. CHRIS KLASSEN: The next column
10 presents the current vehicle premium discounts that
11 are offered to customers in this rating year?

12 MR. KHURRAM MASUD: That's correct.

13 MR. CHRIS KLASSEN: And next to that,
14 the proposed discounts that MPI seeks approval for in
15 this Application, correct?

16 MR. KHURRAM MASUD: That's true, yes.

17 MR. CHRIS KLASSEN: And lastly, the
18 difference between the two (2)?

19 MR. KHURRAM MASUD: Yes.

20 MR. CHRIS KLASSEN: And I believe Ms.
21 McCandless drew your attention to the top part of this
22 chart earlier this afternoon. We're going to focus a
23 little bit further down at line 11.

24 I'll ask you to confirm that line 11
25 gives us information about DSR level 8. Is that

1 correct?

2 MR. KHURRAM MASUD: Yes.

3 MR. CHRIS KLASSEN: And one above that
4 is level -- line 10, referring to DSR level 9,
5 correct?

6 MR. KHURRAM MASUD: Yes.

7 MR. CHRIS KLASSEN: And moving across,
8 we see the current discount offered to DSR level 9 is
9 27 percent?

10 MR. KHURRAM MASUD: Correct.

11 MR. CHRIS KLASSEN: Proposed is 28
12 percent?

13 MR. KHURRAM MASUD: Yes.

14 MR. CHRIS KLASSEN: And the difference
15 is 1?

16 MR. KHURRAM MASUD: Yes.

17 MR. CHRIS KLASSEN: And that 1 percent
18 change is the smallest change being made to DSR
19 vehicle premium discounts in this Application,
20 correct?

21 MR. KHURRAM MASUD: Yes. If you
22 ignore zero, yes.

23 MR. CHRIS KLASSEN: Sure. Thank you.
24 And not getting into the question of whether or not a
25 zero percent change is in fact a change, you'll

1 confirm that DSR levels 8 and below are receiving a
2 zero percent change?

3 MR. KHURRAM MASUD: Yes.

4 MR. CHRIS KLASSEN: Ms Schubert, if we
5 could now turn our attention to RC Appendix 6, figure
6 RC Appendix 6-3. Thank you.

7 You'll confirm, again, that this is a
8 figure before you from Appendix 6 to this chapter of
9 MPI's Application?

10 MR. KHURRAM MASUD: Yes.

11 MR. CHRIS KLASSEN: And still keeping
12 our attention on DSR level 8, you'll confirm that we
13 see information about DSR 8 at line 13.

14 Is that correct?

15 MR. KHURRAM MASUD: Yes.

16 MR. CHRIS KLASSEN: Thank you. And
17 with respect to the information presented in the other
18 columns and leaving aside the column labelled,
19 "Overall relatively," we see next a column labelled,
20 "Calculated discount," correct?

21 MR. KHURRAM MASUD: Yes.

22 MR. CHRIS KLASSEN: And next, "Current
23 discount"?

24 MR. KHURRAM MASUD: Yes.

25 MR. CHRIS KLASSEN: And following that

1 "Variance"?

2 MR. KHURRAM MASUD: Yes.

3 MR. CHRIS KLASSEN: And to confirm the
4 meaning of those columns, Calculated Discount is what
5 we've also referred to today as actuarially-indicated
6 discount. Correct?

7 MR. KHURRAM MASUD: Yes. Yes.

8 MR. CHRIS KLASSEN: And Current,
9 again, is what's presently being charged or offered to
10 customers?

11 MR. KHURRAM MASUD: Yes.

12 MR. CHRIS KLASSEN: And, again,
13 Variance being difference between the two?

14 MR. KHURRAM MASUD: Yes.

15 MR. CHRIS KLASSEN: You will recall,
16 Mr. Masud, that the direction given by this Board, in
17 Order 4 of '23, was that vehicle premium discounts
18 would be moved one-fourth of the way toward
19 actuarially-indicated discounts, rounded down to the
20 nearest whole number. Correct?

21 MR. KHURRAM MASUD: That's true. Yes.

22 MR. CHRIS KLASSEN: And, so, if we
23 look again to line 13, DSR Level 8, we see the
24 difference between the calculated and current
25 discounts is 3.2 percent. Correct?

1 MR. KHURRAM MASUD: Yes.

2 MR. CHRIS KLASSEN: And, if we do
3 easier math than you've been asked to do already
4 today, we can do one-fourth of 3.2 and confirm,
5 generally, that that's less than 1. Correct? And,
6 so, when we round that down, we get to zero?

7 MR. KHURRAM MASUD: That's true. Yes.

8 MR. CHRIS KLASSEN: And I'll ask you
9 to confirm that that's the reason that DSR Level 8 is
10 not receiving a change to the vehicle premium
11 discount, despite the fact that we see here that
12 there's a 3.2 percent variance between current and
13 calculated?

14 MR. KHURRAM MASUD: That's true. Yes.
15 That's the reason. Eventually, they will get what
16 they deserve, but, because it's rounded to zer -- to
17 the -- to not the next to the not nearest -- what's --
18 what's the other one -- to the whole number that's
19 less than. So, that's why it's getting a zero
20 percent.

21 MR. CHRIS KLASSEN: I understand and
22 thank -- thank you for that, Mr. Masud.

23 Ms. Schubert, could we please turn now
24 to the response to PUB/MPI 172 and, if we could just
25 scroll up to the first page, to confirm the request.

1 Mr. Masud, I see your mic is still on.
2 I'll ask you to confirm that this Information Request
3 from the Board to MPI asked for a comparison of
4 current and indicated rates by DSR levels, both in
5 terms of dollars and percentages?

6 MR. KHURRAM MASUD: Correct. Yes.

7 MR. CHRIS KLASSEN: And, now, to the
8 table, Ms. Schubert. Thank you.

9 And, so, again, like the other charts
10 we've seen today, Mr. Masud, we see DSR presented on
11 the left, followed by current and indicated discounts,
12 and the next two (2) columns present current
13 discounted premiums and indicated discounted premiums.

14 Correct?

15 MR. KHURRAM MASUD: Correct.

16 MR. CHRIS KLASSEN: And that
17 information, under Current, is what customers at each
18 DSR level is actually paying in the current year.

19 Correct?

20 MR. KHURRAM MASUD: Correct.

21 MR. CHRIS KLASSEN: And the indicated
22 discounted premium is what they would pay, if the DS -
23 - if -- if the vehicle premium discounts offered were
24 those that are actuarially indicated?

25 MR. KHURRAM MASUD: Correct.

1 MR. CHRIS KLASSEN: And, again, the
2 difference between the two, in terms of dollars and
3 percentage points. Correct?

4 MR. KHURRAM MASUD: That's true. Yes.

5 MR. CHRIS KLASSEN: And, just keeping
6 your attention on -- let's look at lines 5 and 6,
7 presenting information about DSR levels 16 and 15,
8 starting, first, with 15, under Current Premium
9 Discount, you'll see that DSR Level 15 are currently
10 paying an average of \$897.52?

11 MR. KHURRAM MASUD: Yes.

12 MR. CHRIS KLASSEN: And the difference
13 between current and indicated for DSR level 15 is
14 \$224.38?

15 MR. KHURRAM MASUD: Correct.

16 MR. CHRIS KLASSEN: And so, sir, would
17 it be fair to say that vehicle owners with DSR Levels
18 15 are overpaying by 25 percent?

19 MR. KHURRAM MASUD: Eventually, as I
20 said, because we cannot immediately move because these
21 are large dislocations. So, they will transition to
22 what they are entitled to based on the analysis that
23 we carried out.

24 MR. CHRIS KLASSEN: Yes. As MPI makes
25 progress in this --

1 MR. KHURRAM MASUD: Correct.

2 MR. CHRIS KLASSEN: -- five-year plan
3 that it's on, but, currently, sir, you'll confirm the
4 information presented on the table is that those
5 drivers in the current year are overpaying by 25
6 percent?

7 MR. KHURRAM MASUD: Correct. Yes.

8 MR. CHRIS KLASSEN: And for drivers
9 that work -- sorry -- for vehicle owners at DSR level
10 16, the margin by which they are overpaying is 30
11 percent?

12 MR. KHURRAM MASUD: Correct. Yes.

13 MR. CHRIS KLASSEN: Thank you, sir.
14 I'll ask the panel to confirm that MPI's assignment of
15 vehicle premium discounts through the DSR Program is
16 intended to preserve revenue neutrality. Correct?

17 MR. KHURRAM MASUD: Yes.

18 MR. CHRIS KLASSEN: And this means
19 that where MPI offers greater discounts to drivers at
20 the higher end of the DR -- DSR scale, it still needs
21 to set rates in order to collect its required revenue.
22 Correct?

23 MR. KHURRAM MASUD: Right. Yes.

24 MR. CHRIS KLASSEN: And one way that
25 MPI has proposed to achieve this revenue neutrality in

1 the past has been to allocate the overall rate
2 decrease to those drivers at the higher end of the DSR
3 scale. Is that correct?

4 MR. KHURRAM MASUD: By increasing the
5 vehicle premium. That's what we are suggesting this
6 year. By increasing the vehicle premium but -- but,
7 implicitly, offer higher discounts to the people on
8 higher end of the DSR scale and premium increases for
9 those at the lower end of the DSR scale.

10 MR. CHRIS KLASSEN: You've answered my
11 next question, Mr. Masud, which I appreciate but
12 before we get there, you'll confirm that in la -- in
13 the last GRA, for example, MPI's proposal wasn't to
14 increase the base rate but was to allocate the
15 requested overall rate decrease to the veh -- vehicle
16 owners with higher level DSR ratings.

17 Is that correct?

18 MS. CARA LOW: At least the last two
19 (2) GRAs I've been involved in, there was a negative
20 indicated and we used that negative to provide the
21 higher discounts, rather than doing a complete off-
22 balancing, but a decision was that was going to take a
23 long time to get to where we needed to be.

24 So, we still need to have -- we still
25 pay out the same claims, we pay out the same expenses,

1 but people pay less, 'cause they're good drivers.

2 Someone has to pay more.

3 MR. CHRIS KLASSEN: Ms. Low, you've, I
4 think, answered my next four (4) questions at once
5 and, so, I thank you -- you and Mr. Masud, both, for
6 your responses and, Madam Chair, those are my
7 questions for today.

8

9 (PANEL RETIRES)

10

11 PANEL CHAIRPERSON: Thank you, Mr.
12 Klassen. Thank you very much to the panel and we will
13 see you back here again tomorrow morning at 9:00 and
14 we will start with Ms. Meek for CMMG.

15 Mr. Scarfone...?

16 MR. STEVE SCARFONE: Yeah. Thanks,
17 Madam Chair. I just wanted to update the Board with
18 respect to its pre-ask.

19 So, I had a discussion with Ms.
20 McCandless, specifically, as it concerns MPI Exhibit
21 Number 50, which was the MPI update, and there were a
22 number of pre-asks, I think seven (7) in total,
23 related to that exhibit, and, so, we -- we will be
24 able to provide PUB/MPI Pre-ask 1. That one's done.

25 There's six (6) that are still being

1 worked on and, so, just like in previous years, they
2 go through an approval process, once they're -- once
3 they're completed and, so, Mr. Kolaski has approved
4 it. Ms. Low has to approve it, myself, Mr. Guerra,
5 and, then, we -- they get circulated.

6 MS. KATHLEEN MCCANDLESS: Based on
7 tomorrow's schedule, it looks like we will be finished
8 fairly early in the day and the next panels aren't
9 ready until Monday, so, there may be some opportunity,
10 after that to -- for staff to be --

11 MR. STEVEN SCARFONE: Yes. Available
12 to do --

13 MS. KATHLEEN MCCANDLESS: -- doing
14 other things. I'm not going to dictate how they spend
15 their time, obviously, but I don't think we'll be all
16 that long tomorrow, probably done by the mid-morning
17 break or a little bit later.

18 Ms. Meek has some cross-examination, I
19 believe, then Ms. Wittman or Ms. Nelko as well, and,
20 then, there will be questions from the Panel and re-
21 examination and that would be it for tomorrow.

22 PANEL CHAIRPERSON: Yeah. That's
23 fine. So, we'll start tomorrow, then, at nine o'clock
24 and -- and we'll be done sooner than anticipated. So,
25 thanks very much.

1 MR. STEVE SCARFONE: Thank you.

2

3 --- Upon adjourning at 4:10 p.m.

4

5

6

7 Certified correct,

8

9

10

11

12 _____

13 Wendy Woodworth, Ms.

14

15

16

17

18

19

20

21

22

23

24

25