



“When You Talk - We Listen!”



MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA PUBLIC INSURANCE CORPORATION (MPI)
2024/2025 GENERAL RATE APPLICATION
HEARING

Before Board Panel:

Irene Hamilton, K.C.- Panel Chairperson
Robert Gabor, K.C. - Board Chair
Susan Nemec - Board Member
George Bass, K.C. - Board Member
Susan Boulter - Board Member

HELD AT:

Public Utilities Board
400, 330 Portage Avenue
Winnipeg, Manitoba
Oct 16, 2023

Pages 943 to 1237

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES

Kathleen McCandless) Board Counsel
Todd Andres)
Steve Scarfone) Manitoba Public
Anthony Guerra) Insurance
Eric Wishnowski)
Byron Williams (np)) CAC (Manitoba)
Chris Klassen)
Katrine Dilay)
Victoria Cloutis (Student) (np))
Anna Evans-Boudreau (Student) (np))
Karen Wittman (np)) Taxi Coalition
Sharna Nelko (np))
Charlotte Meek (np)) CMMG
Doug Houghton (np))

1	TABLE OF CONTENTS	
2		Page No.
3	List of Exhibits	946
4	List of Undertakings	947
5		
6	MPI FINANCIAL FORECASTING PANEL:	
7	CARA LOW, Resumed	
8	RYAN KOLASKI, Sworn	
9	MARTIN MARION, Sworn	
10		
11	Examination-in-Chief by Mr. Anthony Guerra	956
12	Cross-examination by Mr. Todd Andres	978
13	Cross-examination by Ms. Kathleen McCandless	1063
14	Continued cross-examination by Mr. Todd Andres	1069
15	Cross-examination by Ms. Katrine Dilay	1097
16	Cross-examination by Mr. Chris Klassen	1153
17		
18	MPI CAPITAL MANAGEMENT PLAN PANEL	
19	CARA LOW, Resumed	
20	RYAN KOLASKI, Resumed	
21	Examination-in-Chief by Mr. Steve Scarfone	1192
22	Cross-Examination by Ms. Kathleen McCandless	1209
23		
24	Certificate of Transcript	1237
25		

1	LIST OF EXHIBITS		
2	EXHIBIT NO.	DESCRIPTION	PAGE NO.
3	MPI-79	Response to PUB Pre-ask 5	951
4	MPI-80	Blackline and clean version of	
5		response to PUB Pre-ask 1	951
6	MPI-81	Response to PUB Pre-ask 6	952
7	MPI-82	part 10, Financial Condition Testing	
8		Report prepared by Ernst & Young	952
9	MPI-83	Response to PUB Pre-ask 2	952
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1	LIST OF UNDERTAKINGS		
2	NO.	DESCRIPTION	PAGE NO.
3	14	Using the Office of the Superintendent of Financial Institutions investment yield calculation, line 46, page 10.60 of the Annual P&C Return: (1) for MPI to apply to each of 2024 through 2027/'28, then confirm that this yield is net of investment expenses; confirm that the actual forecasted yield is higher than the 4.22 percent that MPI proposed to use for ratemaking, or the 4.26 percent based on the asset allocation; confirm that it is based on the actual expected investment income net of expenses of the Basic claims portfolio that MPI is forecasting; and last, does MPI have any insight as to why this investment yield, based on the OSFI formula, applied to the forecast financials is higher than the expected investment yield based on the asset allocation.	953
25	LIST OF UNDERTAKINGS		

1	NO.	DESCRIPTION	PAGE NO.
2	15	For MPI to provide whether the overall	
3		level of spending on compensation in	
4		the last fiscal year, was that related	
5		to delays in Project NOVA and a pull	
6		back in hiring plans	987
7	16	For MPI to provide whether this	
8		difference was due to a delay in	
9		Project NOVA	988
10	17	MPI update MPI Exhibit 24, CAC-IR-1-1	
11		and provide the numbers for '26/'27	
12		and '27/'28	1005
13	18	MPI to advise as to the reason for the	
14		missing or mis-stated 2023/'24 found at	
15		figure 2, of EXP13 and provide the	
16		information.	1043
17	19	MPI to Provide a revised RI-10, PF-1,	
18		PF-2, and PF-3, reflecting the change	
19		in the rate indication with a reduction	
20		in expenses in the ratemaking	
21		calculation, some combination of claims	
22		incurred expense, and operating expense	
23		of 12 1/2 million.	1068
24			
25			

1		LIST OF UNDERTAKINGS	
2	NO.	DESCRIPTION	PAGE NO.
3	20	For MPI to provide PF1, PF2, and PF3	
4		based on the agreed use of the naive	
5		forecast for interest rates, including	
6		the yield curve used for discounting	
7		with all year-ends 2023, '24, and	
8		thereafter based on August 31, 2023,	
9		yield curve and not the implied forward	
10		curve, which would imply changes over	
11		time	1090
12	21	MPI to revise its response to CAC/MPI-	
13		2-12 to use total corporate staffing	
14		forecast levels for '24/'25 and '25/'26	
15		rather than using normal operations	
16		staffing	1121
17	22	MPI to reconcile Figure EXP-11 with	
18		PUB/MPI-1-47 specifically for the FTE	
19		levels for '21/'22 and '22/'23 and	
20		explain the difference in terms of what	
21		FTEs are not reflected in the normal	
22		operations staffing in EXP-11, and then	
23		to update Figure EXP-11 for total	
24		corporate staffing	1122
25			

1	LIST OF UNDERTAKINGS		
2	NO.	DESCRIPTION	PAGE NO.
3	23	MPI to confirm if the superannuation expense increased from last year	1183
5			
6			
7			
8			
9			
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1 --- Upon commencing at 9:01 a.m.

2

3 PANEL CHAIRPERSON: Good morning,
4 everyone. Good morning, Mr. Guerra. Would you
5 introduce any documents you have and then your panel?

6 MR. ANTHONY GUERRA: Yes. Good
7 morning, Madam Chair. So a couple of housekeeping
8 issues. I'll read into the record a few exhibits for
9 MPI, and then My Friend from the PUB will read into
10 the record an undertaking that we discussed last week.

11 So to begin, MPI Exhibit number 79 is
12 its response to PUB Pre-ask number 5. MPI Exhibit
13 number 80 is the blackline and clean version of its
14 response to PUB Pre-ask number 1. MPI Exhibit number
15 81 is its response to PUB Pre-ask 6. MPI Exhibit
16 number 82 is part 10, Financial Condition Testing
17 Report prepared by Ernst & Young. And MPI Exhibit
18 number 83 is its response to PUB Pre-ask number 2.

19

20 --- EXHIBIT NO. MPI-79: Response to PUB Pre-ask 5

21

22 --- EXHIBIT NO. MPI-80: Blackline and clean
23 version of response to PUB
24 Pre-ask 1

25

1 --- EXHIBIT NO. MPI-81: Response to PUB Pre-ask 6

2

3 --- EXHIBIT NO. MPI-82: part 10, Financial

4 Condition Testing Report

5 prepared by Ernst & Young

6

7 --- EXHIBIT NO. MPI-83: Response to PUB Pre-ask 2

8

9 PANEL CHAIRPERSON: Thank you. And,

10 Ms. McCandless, you have something to introduce as

11 well?

12 MS. KATHLEEN MCCANDLESS: Yes. Just a

13 matter of housekeeping. There was one (1) undertaking

14 that I had given to MPI over email last week for the

15 Ratemaking Panel, and I'm just going to read it into

16 the record now.

17 So the undertaking was: Using the

18 Office of the Superintendent of Financial Institutions

19 investment yield calculation, line 46, page 10.60 of

20 the Annual P&C Return: (1) for MPI to apply to each of

21 2024 through 2027/'28, then confirm that this yield is

22 net of investment expenses; confirm that the actual

23 forecasted yield is higher than the 4.22 percent that

24 MPI proposed to use for ratemaking, or the 4.26

25 percent based on the asset allocation; confirm that it

1 is based on the actual expected investment income net
2 of expenses of the Basic claims portfolio that MPI is
3 forecasting; and last, does MPI have any insight as to
4 why this investment yield, based on the OSFI formula,
5 applied to the forecast financials is higher than the
6 expected investment yield based on the asset
7 allocation. Thank you.

8

9 --- UNDERTAKING NO. 14: Using the Office of the
10 Superintendent of
11 Financial Institutions
12 investment yield
13 calculation, line 46, page
14 10.60 of the Annual P&C
15 Return: (1) for MPI to
16 apply to each of 2024
17 through 2027/'28, then
18 confirm that this yield is
19 net of investment
20 expenses; confirm that the
21 actual forecasted yield
22 is higher than the 4.22
23 percent that MPI proposed
24 to use for ratemaking, or
25 the 4.26 percent based on

1 the asset allocation;
2 confirm that it is based
3 on the actual expected
4 investment income net of
5 expenses of the Basic
6 claims portfolio that MPI
7 is forecasting; and last,
8 does MPI have any insight
9 as to why this investment
10 yield, based on the OSFI
11 formula, applied to the
12 forecast financials is
13 higher than the expected
14 investment yield based on
15 the asset allocation.

16
17 PANEL CHAIRPERSON: Thank you. Mr.
18 Guerra, would you please introduce your panel?

19 MR. ANTHONY GUERRA: Yes. Thank you,
20 Madam Chair. The next panel this morning is our
21 Financial Forecasting Panel. The members of the panel
22 are as follows: Ryan Kolaski, our vice-president,
23 finance, and chief financial officer; Ms. Cara Low,
24 our vice-president, chief actuary and chief risk
25 officer.

1 There's going to be a change this
2 morning. Cherity Ostapowich, our director of valuation
3 and capital management, was expected to attend and
4 testify this morning. Unfortunately, she is not well
5 and is actually not able to speak, so she is in the
6 back row this morning.

7 But taking her role on the front row is
8 Martin Marion who is our manager of value -- excuse
9 me, manager of valuations, and so I believe he's the
10 only witness who will need to be sworn in.

11 Glenn Bunston, our director of ALM and
12 investment management, is also in the back row,
13 accompanied by Diane Hopkins, our manager of financial
14 reporting and investment accounting; Amy Mohr, our
15 manager of accounting services; Dean Dunstone, our
16 manager of forecasting; and Lynn Onofreychuk, our
17 assistant manager, project accounting.

18 So maybe I'll ask that the witness be
19 sworn in, please.

20 PANEL CHAIRPERSON: Thank you, Mr.
21 Guerra.

22

23 MPI FINANCIAL FORECASTING PANEL:

24 CARA LOW, Resumed

25 RYAN KOLASKI, Resumed

1 MARTIN MARION, Sworn

2

3 EXAMINATION-IN-CHIEF BY MR. ANTHONY GUERRA:

4 MR. ANTHONY GUERRA: And just for
5 everyone's benefit, for the -- the purposes of the
6 court clerk -- this I think applies mostly to Ryan and
7 -- and to Martin -- if you could try to get into the
8 habit of introducing yourself before you give your
9 responses, it just makes it easier for our court clerk
10 who's calling in remotely. Thank you.

11 And, Ms. Schubert, can I ask you to
12 pull up the financial forecasting presentation,
13 please.

14

15 (BRIEF PAUSE)

16

17 MR. ANTHONY GUERRA: Thank you.
18 Before you, there is MPI Exhibit number 72, the
19 Financial Forecasting Presentation.

20 Do you see that, Mr. Kolaski?

21 MR. RYAN KOLASKI: I do.

22 MR. ANTHONY GUERRA: And is this the
23 presentation that you and your team prepared for this
24 morning's evidence?

25 MR. RYAN KOLASKI: It is.

1 MR. ANTHONY GUERRA: And this will
2 form the basis of your direct evidence in this
3 proceeding this morning.

4 Is that correct?

5 MR. RYAN KOLASKI: That is correct.

6 MR. ANTHONY GUERRA: Okay. What I'll
7 do is I'll turn it over to you. I may have some
8 questions for you and your team as we go through this
9 presentation, so please look out for me if I have any
10 questions.

11 But other than that, I'll turn over the
12 -- the table for you now and -- so you can present
13 with your team. Thank you.

14 MR. RYAN KOLASKI: Thanks, Anthony.
15 We have prepared for you a brief presentation related
16 to financial forecasting. In terms of the agenda and
17 the format, it's a little different format than you
18 will have seen in the previous presentations.

19 Rather than walking you through a
20 series of a slides, and then a conclusion, it's really
21 meant to kind of bounce around between key
22 observations that we're seeing in the forecasting
23 model.

24 So, in that respect, it's a bit
25 disjointed. But on the other hand, hopefully, it's a

1 little more interesting and informative for first
2 thing Monday morning. Next slide, please.

3 So before I jump into the first
4 observation, I thought I would just take a moment and
5 just recognize what an interesting dynamic and,
6 depending on the day, quite traumatic journey it has
7 been leading up to preparing and filing the General
8 Rate Application you have before you this year.

9 The Application embodies a number of
10 firsts for MPI. It's the first year we had a
11 government directive for a zero percent rate change.
12 It's the first year the government directed an
13 organizational review months in advance of a
14 provincial election. It's the first year we went
15 IFRS-17 to IFRS-4. It's the first year we went from
16 IFRS-8 to IAS-39.

17 It's the first year we were asked to
18 introduce IFRS-14. It's the first year we had labour
19 interruption, senior management changes, board of
20 director changes. It's the first year in which we
21 actually issued financial statements for last year,
22 and then, for comparative purposes, have to restate
23 them under IFRS-17 and suggest a potential rebate.

24 It's also the first year the expense
25 allocation in the forecasting model saw some material

1 changes. For anyone who thought accounting was
2 boring, they certainly weren't working in the finance
3 group at MPI this year. Next slide, please.

4 MR. ANTHONY GUERRA: Mr. Kolaski, just
5 before we go to the next slide, can you just for the
6 record identify what the term IAS stands for?

7 MR. RYAN KOLASKI: Sure. That's just
8 a typo. It should be IAS, which is International
9 Accounting Standard number 39.

10 MR. ANTHONY GUERRA: Thank you.

11 MR. RYAN KOLASKI: Government
12 directives. MPI received two (2) government
13 directives this year. The first was for -- to apply
14 for a zero percent rate increase, which we did. The -
15 - the -- we also, as part of the Application, applied
16 for our standard AAP rate indication, which was minus
17 1.5 percent.

18 The second directive was for an
19 organizational review; that review was awarded to
20 Ernst & Young. That was done through an RFP process.
21 The cost of the organization review will be captured
22 in '23/'24. And because we don't know the findings of
23 what that review may entail, we haven't taken any -- I
24 can't even speak -- specific action items related to
25 reflecting anything in the '24/'25 forecast. Next

1 slide, please.

2 IFRS-17 MCT impact highlights. This
3 will probably consume some of the -- the -- today, in
4 the morning, and probably a lot of this afternoon.
5 And, as I said, we've kind of adopted IFRS-17 versus
6 IFRS-4.

7 So for '22/'23 we issued financial
8 statements under IFRS-4, and the MCT for Basic was
9 approximately 111 percent.

10 Then, on April 1st, 2023, we adopted
11 IFRS-17. In adopting IFRS, we are required to restate
12 the comparative prior year, being 2023, under those
13 rules. When we restate the -- the 2023 financial
14 statements under IFRS-17, the MCT under Basic is
15 suggested to be approximately 136 percent.

16 I use the word "suggested," and it's
17 very specific, because the model is very high level
18 and it has a number of assumptions. Outside of the
19 financial model we haven't landed the MCT calculation
20 with the OSFI template as of yet; it's fairly
21 complicated. And even as of last week, we spoke with
22 a number of external advisors to determine the nuances
23 and configuration of some of the balances related to
24 it.

25 So our hope is to finalize that, and

1 the use that as a validation related to the 136
2 percent, and then make updates to the model in the
3 future if it's required. That being said, the 136
4 percent would suggest that there is potentially a
5 rebate related to '22/'23.

6 Our stance is, no, we're not going to
7 apply for a rebate application at this time. The
8 reason being, is that IFRS-17 was effective on April
9 1st, 2023, and the 2022/'23 year is being restated for
10 comparable purposes only. As such, IFRS-4 remains in
11 effect for 2022/'23.

12 And just for a point of clarification,
13 it sounds that we're taking the same information and
14 just restating it, so it should be apples to apples,
15 but the adoption of IFRS-17, as it relates to April
16 1st, 2023, and the restatement is not the same as if
17 you actually adopted IFRS-17 on April 1st, 2022. It's
18 actually very different and the accounting would be
19 very different.

20 Just for an example -- because I did
21 say I was going to keep this brief -- under the re-
22 statement of those statements under IFRS-17, the
23 accounting standard that's being applied for '22/'23
24 is IAS-39. If we had adopted IFRS-17 on April 1st,
25 2022, the accounting standard we would have had to use

1 is IFRS-9. Again, that's just one (1) example, but
2 there's a host of examples related to that.

3 That being said, the MPI Act that --
4 reads that:

5 "A rebate will be determined and
6 paid the first day after the year
7 has ended."

8 Our position is the ending balance on
9 March 31st is, in fact, the opening balance on April
10 1st, being that which is calculated under the IFRS-4
11 standard.

12 The MPI Capital Management Plan also
13 requires that the MCT be based on audited financial
14 statements. While it is not a requirement of the MPI
15 Act, we feel that this reflects prudent financial
16 management overall. Next slide, please.

17 This is a quick summary of the
18 Extension forecast related to the MCT. Do not have
19 any transfers related to Basic for '24/'25 as we are
20 under the 200 percent limit.

21 Then as we go through the forecast,
22 there will be transfers in the future which then
23 suggest, based on the forecasting model, '26/'27 would
24 be the year in which a rebate could possibly become
25 potentially available.

1 In terms of pricing, we are looking at
2 revising the pricing and product mix for Extension.
3 That process will undertake after this -- after these
4 Hearings and that will be throughout the course of
5 next year.

6 Depending on what that process looks
7 like, it is possible there will be price changes and
8 possibly pulling forward transfers into Basic as we go
9 through this process. Next slide.

10 What you have before you is allocated
11 corporate expenses to Basic for '24/'25. It's a very
12 simple bridge. It starts with the preliminary
13 Application that was done and then trues up to the
14 final Application you have before you today.

15 The big takeaway is the 256 million
16 starting point and the 256 million ending point.
17 There was a very conscious effort this year in order
18 to land the preliminary Application and then,
19 basically, make sure there wasn't a material drift in
20 terms of the final Application in terms of totality of
21 dollars.

22 So while there is some drift on
23 individual line items, the goal was trying to,
24 basically, ensure that the forecasting became a little
25 more accurate and a little tighter. Next slide,

1 please.

2 IFRS-14 regulatory deferral accounts.

3 IFRS-14 is a very specific accounting standard. It is
4 a standard that deals with deferral accounts for
5 regulated entities. We were asked to consider it this
6 year in terms of our Application. Our initial review
7 of the standard was that it would not apply.

8 We then obtained an opinion from a
9 third party. That third party was Deloitte. They
10 came back with an opinion that said IFRS-14 could not
11 be adopted by MPI.

12 That being said, the forecasts do break
13 out and illustrate the deferral amounts in a similar
14 fashion, as if we did apply IFRS-14. Thank you.

15 Next slide.

16 Labour interruption and FTE impacts.
17 As I started, the labour interruption is very real and
18 has a very meaningful impact on MPI.

19 Unfortunately, we're not at a point
20 where we can quantify exactly what that impact is, so
21 we have not undertaken to reflect any consideration
22 for the labour impacts within our forecasting model at
23 this time.

24 But there is some positives that came
25 out of labour interruption. And I just kind of want

1 to highlight what those are because it's -- while it
2 is kind of a bad news story, on the other hand, there
3 is some kind of positive aspects.

4 So a couple of ones that I thought were
5 interesting was we did adopt a hail scanning
6 technology. MPI had a number of hail claims this year
7 and the scanning technology helps us, basically, work
8 through that backlog in a very efficient and fast
9 manner.

10 The second thing that came out of it
11 was FNOL, First Notice of Loss. Customers can now
12 make claims online initially. And that escalated what
13 was part of the overall mandate within NOVA to bring
14 that forward. So very kind of positive kind of
15 impacts.

16 The slide below is just budgeted full-
17 time equivalents. And I'm sure it's going to be a key
18 theme here today, but I wanted to just highlight that
19 our budget for '23/'24 is holding steady to '24/'25
20 effectively.

21 And that's a very conscious decision
22 that was made by MPI in terms of one of our quarter
23 goals, going into the budget, was to hold flat on FTEs
24 overall. Thank you. Next slide.

25 DVA Transfers from Extension. DVA is

1 expected to run a deficit for '24/'25. We have not
2 been given specific direction on how self-sufficiency
3 will be obtained in this line of business. We do not
4 expect transfers from Extension over to DVA during
5 '24/'25.

6 We expect to use the retained earnings
7 of that line of business to fund the operating losses
8 as we move through that year.

9 Hopefully, as we go through next year,
10 we'll get better vision on what the government is
11 thinking in terms of how we will remove -- or -- I'm
12 sorry, how we'll move the self-sufficiency overall.
13 Thank you. Next slide.

14 I will now turn it over to my friends
15 to the right. Ms. Low...?

16 MS. CARA LOW: Good morning. As Ms.
17 Ostapowich was supposed to present these slides, I am
18 -- will be reading from her speaking notes, so please
19 bear with me.

20 So there has been several major changes
21 through the Claims Incurred Section in the GRA. Last
22 week we had a claim forecasting panel, which is the
23 losses tied to the rating year.

24 After the claims forecasting is
25 completed, it is sent over to the valuation team,

1 where they convert it to fiscal year. So, an accident
2 year is tying all the losses back to when the losses
3 happen; the fiscal year is when it goes through the
4 financial statements.

5 The other big change has been the
6 implementation of IFRS-17 Accounting Standard.

7 To help understand that was presented
8 in the claims forecasting chapter to this section of
9 the Financial Forecasting Chapter, it is important to
10 know that the claims incurred line on the income
11 statement pro forma is a fiscal year change in the
12 forecasted accident year ultimate losses that risk
13 adjustments and discounting applied.

14 There are no risk adjustments in the
15 ratemaking section, as we talked about, we estimate to
16 be best estimate and not to a conservative estimate.

17 As a reminder, the fiscal year runs
18 from April 1st to March 31st of the following year.
19 What this means, is the accident year ultimate loss
20 estimates are broken down into a stream of future cash
21 flows. So, how will these claims be out into the
22 future, when these are discounted and a risk
23 adjustment is applied?

24 When these discounted cash flows with
25 risk adjustments are converted to a fiscal year basis

1 and this is what you will see in the income statement
2 pro forma.

3 The following slides will highlight the
4 major changes and assumptions that were impacted and
5 then the last two (2) slides will be a bridge between
6 the '23 to '24 GRA rate updates, so the June to the
7 October numbers. So, the next slide please.

8 So '23/'24 years, the first year the
9 IFRS-17 was implemented, the change to this accounting
10 standard affected some of the claims assumptions, but
11 not all of them.

12 For example, as the slide shows, there
13 were no changes to the ultimate loss estimates due to
14 IFRS-17, so -- so again on the Claims Forecasting
15 Panel, IFRS-17 does not impact ratemaking. IFRS-17 is
16 only a financial reporting presentation.

17 The Unallocated Loss Adjustment Expense
18 provision, known as ULAE -- in the slide U-L-A-E -- is
19 unchanged and the indexation of PIPP benefits and the
20 rating reserve for the indexation is unchanged.

21 The financial reporting assumptions
22 that did change under IFRS-17 was uncertainty
23 provisions and the discounting. The uncertainty
24 provision accounts for the volatility and the best
25 estimates.

1 So, again, ratemaking, best estimates,
2 financial reporting, best estimates plus the
3 uncertainty provision.

4 Under IFRS-4, there are three (3)
5 provisions for adverse deviation, uncertainty in claim
6 forecasting, uncertainty in interest rates and
7 uncertainty in re-insurance. Under the new accounting
8 standard, there is only a risk adjustment.

9 The ever change due to the
10 implementation of IFRS-17 was mainly from a flat
11 discount rate. So, a single discount rate to using a
12 yield curve.

13 As we go through the next few slides, I
14 want to point out that MPI is still working on IFRS-
15 17, so there could be future changes still to these
16 numbers. Next slide.

17 In the performance, under IFRS-4, so,
18 under the old accounting standard, the claims incurred
19 line, including the components, is seen on the left-
20 hand side of the slide. This includes a change in the
21 accident year ultimate losses, so, if the claim's
22 forecast changes, which also incl -- which is
23 comprised of the change in reported losses and
24 allocated loss adjustment expenses ALAE or A-L-A-E
25 and, also, includes IBNR, which is the actual estimate

1 of reserves.

2 The claims incurred line also includes
3 a change in unallocated loss adjustment expenses,
4 discounting, and the provision for adverse deviation
5 and the surlet (phonetic) of the insurance recoveries.
6 There is also a line for premium deficiency, on the
7 right, down in the deferred policy acquisition
8 expenses.

9 Under the new accounting standard, most
10 of the incurred claim line, under IFRS-7 -- or under
11 IFRS-4, maps them to something called the insurance
12 service result. So, those are the green lines.

13 The differences under IFRS-17 versus -
14 4, is that there is a risk adjustment, instead of a
15 PfAD, and a yield curve, rather than a flat discount
16 rate. The interest rate -- interest rate impact under
17 IFRS-4, so that's the third item from the bottom on
18 the left-hand side, translates now to two (2)
19 different categories under IFRS-17.

20 So, it's impacted both and -- or it's
21 included in both the insurance service result line and
22 the insurance finance expense line.

23 And, then, the very last item, in the
24 left-hand side, is a change in premium deficiency or
25 DPAAE. It's no longer measured under IFRS-17. So, it

1 doesn't exist any more. Next slide.

2 So, this chart shows where the incurred
3 claims would have been under IFRS-4 compared to IFRS-
4 17. So, the first row at the top of the chart -- or
5 the first two (2) rows, are as of March 31st, 2023, so
6 that's what was included in the June application,
7 however, Row Number 2 has been updated. So, it
8 doesn't quite match what you would have seen.

9 There's two (2) things that we
10 corrected on there. One is that there was a
11 spreadsheet error, a linking issue in the spreadsheet.
12 So, that's been updated in Row Number 2 and they also
13 included commercial -- commercial mortgages into the
14 yield curve, 'cause, as of April 1st of this fiscal
15 year, our investment policy statement includes
16 commercial mortgages.

17 Our investment team is busy working on
18 implementing commercial mortgages, so it's not yet in
19 our investment portfolio, but the decision was,
20 because it's in our investment policy statement, it
21 should be included in our yield curve for discounting
22 and, as you would have seen in the Ratemaking Panel,
23 it did provide a lift to our discounting for
24 ratemaking.

25 Row 3 is the difference between IFRS-17

1 -- IFRS-17 and IFRS-4 and most of the difference is
2 coming from changes in this discounting methodology,
3 moving from a single discount rate to using a yield
4 curve. There is also a difference when moving to --
5 from PfADs to risk adjustments and, then, Row 4 shows
6 the updated IFRS-17 incurred claim numbers, using the
7 August 31st yield curve.

8 So, one is March 31st under IFRS-4.
9 Two is revised IFRS-17, as of March 31st, and Row 4 is
10 using August 31st yield. Next slide.

11 So, this slide bridges the 2023 October
12 GR -- GRA rate update to the 2024 GRA October rate
13 update. So, October over October, a year apart, but
14 for this current fiscal year.

15 So, last year, at this time, the fiscal
16 year was starting at -- and was projected to be nine
17 hundred and thirty-eight million dollars
18 (\$938,000,000) and, then, as we move und -- under
19 IFRS-4, there were some minor adjustments, which adds
20 one point five million (1,500,000) and you will recall
21 this from the Claims Forecasting Panel. There was
22 very little changes to the forecasted claims, as a new
23 -- and -- but there was a change in the claims
24 discount rate, as we have rising interest rates. So,
25 that decreased the incurred claims by twenty-seven

1 million dollars (\$27,000,000), bringing us to nine
2 hundred and twelve million (912,000,000), which is
3 what you would have seen on the prior slide.

4 Then, the transition to IFRS-17 from
5 IFRS-4, increasing incurred claims by seventeen point
6 seven million dollars (\$17,700,000). This is a
7 conversion to the yield curve and the application of
8 the risk adjustment and the removal of the provision
9 for adverse deviation.

10 The subtotal here brings us to \$925
11 million and this is an amount that was shown on
12 previous slide where the incurred claims are at March
13 31st, 2023.

14 And lastly, the yield curve is updated
15 to August 31st as we continue to see rising interest
16 rates and this decreases the claims by \$68 million to
17 about a 60 basis point drop, total down to \$857
18 million. Next slide.

19 So this is the same bridging exercise
20 but for the fiscal year '24/'25. So -- and last
21 October's update, we started at \$986 million under the
22 old accounting standard, and so that was our starting
23 balance. Then we bring the March 2023 -- sorry, to
24 bring that to March 2023 under IFRS-4 claims forecast
25 increased the incurred claims by \$20 million.

1 And there was also a decrease to the
2 claims discount rate from August 31st to March 31st,
3 2023, which increased the claims incurred by \$10
4 million. So under IFRS-4 at March 31st, 2023, the
5 subtotal is \$977 million, which was presented on a
6 previous slide.

7 Then moving from IFRS-4 to IFRS-17,
8 resulting in a decrease of \$12 million, and once
9 commercial mortgages were incorporated, which had a
10 small impact, the IFRS-17 total was \$964 million.

11 Then to bridge from March to the
12 October rate update, the only change was updated a
13 yield curve to be as of August 31st which increased
14 claims incurred by 19 million as forward rates
15 decreased over the period.

16 So to summary the claims incurred
17 section, the change to IFRS-17 from IFRS-4 has an
18 impact to claims incurred not only in the way it's
19 presented, but also in the amounts in terms of
20 discounting and risk adjustments that does not impact
21 the ratemaking.

22 Then moving on to the interest rate
23 impacts, we have just one (1) slide. So MPI continued
24 to manage interest rate risk in the Basic investment
25 port -- portfolio which supports the Basic claims.

1 The Corporation believes that naive
2 interest rate forecast is still the best estimate.
3 Historically, a naive approach was used on both the
4 asset side and the liability side when forecasting, so
5 a net impact of zero in the future years.

6 However, with the transition to IFRS-
7 17, there's a disconnect in our financial forecasting
8 model as the asset side continues to use a naive
9 approach -- so no changes in interest rates in the
10 future -- but the discounting of liabilities has now
11 changed.

12 The liabilities are now discounted in
13 future years using a forward yield curve whereas
14 assets continue to assume no future changes. The
15 yield curve used to discount liability, the addending
16 (sic) yield curve moves both expected and unexpected
17 credit spread which amplifies the mismatch between
18 assets and liabilities.

19 In addition, the yield curve has non
20 parallel shifts whereas the assets are always
21 estimated using a simple formula that assumes only
22 parallel shifts into the future.

23 If you look at the left-hand side of
24 the slide, it shows a disconnect now between the
25 impact of interest rates on liabilities and the impact

1 of interest rates on assets.

2 In '23/'24, you can see actual numbers
3 as of August 31st, and then forecasting numbers into
4 the future for the remaining part of the year.

5 The interest rate assumptions for the
6 assets changed by 66 basis points from March to
7 August, as you can see on the right-hand side. This
8 slide didn't get updated, but it shows 68 percent. It
9 should be sixty-six (66).

10 The orange line should be at 66
11 percent, which is straight line, so a parallel shift.
12 And yet, the discounting curve between March 31st and
13 August 31st we can see is not a parallel shift.

14 We do have a few additional issues
15 between the impact on the liabilities and the assets
16 due to shifts in interest rates. We have -- the
17 assets were over-funded until July of this year 'cause
18 between March 31st and July 31st, we were working on
19 IFRS-17.

20 As unpaid claims balance dropped in the
21 IFRS-17, that meant we didn't need as much funds
22 sitting in the Basic claims portfolio, and we were
23 able to move some money over to the RSR.

24 We also have the addition, like I said,
25 of mortgages to the liability curve, and until we

1 actually implement and actually have commercial
2 mortgages in our bond portfolio, we continue to have
3 the mismatch.

4 And that's all I have.

5

6 (BRIEF PAUSE)

7

8 MR. ANTHONY GUERRA: Thank you, Ms.
9 Low. Just one (1) quick question for the panel. If
10 we can go back to slide number 8, please, Ms.
11 Schubert. Thank you.

12 At the bottom of the slide, it
13 indicates pricing on Extension products to be reviewed
14 in 2024. This could favourably impact the Extension
15 line of business and accelerate transfers to Basic.

16 Do you see that, Ms. Low?

17 MS. CARA LOW: I do.

18 MR. ANTHONY GUERRA: Could you please
19 provide the Board with some more information about
20 what is presently the situation for reviewing of the
21 pricing on Extension products?

22 MS. CARA LOW: So back in the
23 springtime we did a very high-level review of
24 Extension, and we had selected zero percent, and
25 that's what went through the pro formas: no change to

1 Extension rates.

2 We are doing an annual review right
3 now, and since the pricing team is finished at the
4 PUB, they are currently working on it right now. We
5 will be making a selection and taking it to the
6 executive committee next Tuesday and then to our board
7 of directors on November 9th.

8 So that will be in effect for April
9 1st, and I fully expect a positive rate change for the
10 Extension. And then we'll vary by product.

11 MR. ANTHONY GUERRA: Thank you very
12 much. I have no further questions.

13 PANEL CHAIRPERSON: Thank you, Mr.
14 Guerra. Mr. Andres...?

15 MR. ANDRES: Thank you, Madam Chair.

16

17 CROSS-EXAMINATION BY MR. TODD ANDRES:

18 MR. TODD ANDRES: Good morning. My
19 name is Todd Andres. I am co-counsel to the Public
20 Utilities Board, and I will be asking questions of the
21 panel generally this morning. Obviously, whomever has
22 the most I guess precise knowledge of the question can
23 feel free to answer, but I will be lobbing the
24 questions towards you in a general manner.

25 Having said that, I will also turn it

1 over at the end of my questions to Ms. McCandless who
2 has some questions that were held over from the
3 Ratemaking Panel.

4 So to start, we're going to have a look
5 at -- we will start with operating expenses, staying
6 with the theme of keeping things exciting for a Monday
7 morning, reviewing corporate to Basic. And so, Ms.
8 Schubert, we'll start with 2024 GRA part 9, EXP-5,
9 which is up on the screen.

10 And now if I understand correctly, this
11 shows actual and budgeted total corporate operating
12 expenses of the Corporation, correct?

13 MR. RYAN KOLASKI: Correct.

14 MR. TODD ANDRES: And in the 2023 GRA,
15 MPI filed this same chart, correct?

16 MR. RYAN KOLASKI: Correct.

17 MR. TODD ANDRES: And it was just the
18 same detail, but one (1) year earlier, correct?

19 MR. RYAN KOLASKI: Correct.

20 MR. TODD ANDRES: And then during the
21 2023 GRA, MPI was asked to file an update to these
22 numbers, and it did so in October of 2022, correct?

23 MR. RYAN KOLASKI: Correct.

24 MR. TODD ANDRES: Thank you. And, Ms.
25 Schubert, if we can pull that up, that's the October

1 update. And just as a matter of convenience, I'll
2 refer to this document as the October update.

3

4 (BRIEF PAUSE)

5

6 MR. TODD ANDRES: And again, this is
7 same chart as was discussed before, but the date range
8 is different. It's 2021/'22 actual to 2026/'27
9 forecast, correct?

10 MR. RYAN KOLASKI: Correct.

11 MR. TODD ANDRES: Thank you. And, Ms.
12 Schubert, we'll actually go back to 2024 GRA, EXP-5.

13 And this is the 2022/'23 actual year
14 going through to the 2027/'28 forecast, correct?

15 MR. RYAN KOLASKI: Correct.

16 MR. TODD ANDRES: And then if we
17 scroll down to line 29 -- and perhaps we can just
18 maybe scroll -- perfect. You read my mind.

19 Corporate expenses totalled \$358.4
20 million for 2022/'23, correct?

21 MR. RYAN KOLASKI: Correct.

22 MR. TODD ANDRES: That's a forecast
23 increase to 416.7 million in '23/'24?

24 MR. RYAN KOLASKI: Correct.

25 MR. TODD ANDRES: And then declined to

1 398.2 million in '24/'25, yes?

2 MR. RYAN KOLASKI: Correct.

3 MR. TODD ANDRES: And then it will be
4 stable in the following year, in '25/'26, at three
5 eighty-nine point two (389.2)?

6 MR. RYAN KOLASKI: Correct.

7 MR. TODD ANDRES: And then decline in
8 the following year going down to three seventy-three
9 point five (373.5).

10 MR. RYAN KOLASKI: Correct.

11 MR. TODD ANDRES: And so that's \$15.1
12 million less roughly between '25/'26 and '26/'27
13 forecast, yes? Pardon me.

14 MR. RYAN KOLASKI: Subject to check,
15 yes.

16 MR. TODD ANDRES: Yeah. Sorry.

17 MR. RYAN KOLASKI: That's okay.

18 MR. TODD ANDRES: And the number I'm
19 actually looking for as well, we've got from -- if we
20 look at the '23 October update now, sorry. Ms.
21 Schubert, if we can pull up the October update.

22 MR. ANTHONY GUERRA: And, Counsel,
23 just to confirm, I believe we were looking at the
24 October update from the 2023 GRA, correct?

25 MR. TODD ANDRES: Okay. Sorry.

1 MR. ANTHONY GUERRA: That would be MPI
2 Exhibit number 90 --

3 MR. TODD ANDRES: Yeah, yeah. That's
4 correct.

5 MR. ANTHONY GUERRA: -- from the 2023
6 --

7

8 CONTINUED BY MR. TODD ANDRES:

9 MR. TODD ANDRES: So it's figure --
10 yeah. And so what I'd like to be looking at is the
11 October update. This looks like EXP-5 rather than the
12 October update.

13

14 (BRIEF PAUSE)

15

16 MR. TODD ANDRES: Make sure I have the
17 right document.

18

19 (BRIEF PAUSE)

20

21 MR. TODD ANDRES: Thank you. That's
22 the one. So again, keeping in mind that three fifty-
23 eight (358) number that we looked at, which was the
24 actual for '22/'23 from the '24 GRA, and that's \$15.1
25 million less than was forecast in the '23 October

1 update, right? That's the three seventy-three point
2 five (373.5)?

3 MR. RYAN KOLASKI: Just to clarify, so
4 we're confirming the 373 versus the 417?

5 MR. TODD ANDRES: No, 373 versus the
6 358.4 from the previous document.

7 MR. RYAN KOLASKI: Correct.

8 MR. TODD ANDRES: Thank you. And the
9 differences were in compare -- pardon me --
10 compensation and data processing, correct?

11 MR. RYAN KOLASKI: One moment. Is it
12 possible to do a side-by-side?

13 MR. TODD ANDRES: I think that would
14 be helpful, yes. Ms. Schubert, is it possible to have
15 them side-by-side?

16 MR. RYAN KOLASKI: Just not that fast.

17 MR. TODD ANDRES: There we go. Yeah,
18 that's much better.

19 MR. RYAN KOLASKI: That's helpful. If
20 you could just repeat your question again, sorry.

21 MR. TODD ANDRES: So we're comparing
22 the 358.4 on the left-hand side of this screen, which
23 is the 2022/'23 actual, and we're comparing that with
24 the 373.5 forecast from the October update, which is
25 in the right-hand screen.

1 MR. RYAN KOLASKI: Correct, yeah.

2 MR. TODD ANDRES: So that's the
3 distinction. That's the difference. So we are
4 comparing the actual to the forecast.

5 And the actual came in 15 million lower
6 than the forecast?

7 MR. RYAN KOLASKI: Correct.

8 MR. TODD ANDRES: Okay. And, notably,
9 the differences -- the significant differences were in
10 compensation and data processing, correct?

11 MR. RYAN KOLASKI: For the most part,
12 yes.

13 MR. TODD ANDRES: Thank you. And last
14 year, in the October update, which is in the right-
15 hand screen, compensation was forecasted at 200.5
16 million, correct? That's in the second column on the
17 right-hand screen, line number 6.

18 MR. RYAN KOLASKI: Correct.

19 MR. TODD ANDRES: Thank you. And that
20 was an \$11.1 million increase over previous years'
21 actual, correct?

22 MR. RYAN KOLASKI: Subject to check,
23 yes, correct.

24 MR. TODD ANDRES: Well, it's line 7.
25 It actually says, "11.1," immediately below.

1 MR. RYAN KOLASKI: Perfect. Thank
2 you.

3 MR. TODD ANDRES: Thank you. And in
4 the current GRA, which is in the left-hand portion of
5 our screen, the actual total compensation, which is
6 line 6, was 191.2 million, correct?

7 MR. RYAN KOLASKI: Correct.

8 MR. TODD ANDRES: Thank you. And so
9 comparing that 180.5, which is the 2021/'22 actual, to
10 that 191.2 actual in the following year represents an
11 increase of 5.9 percent, yes, subject to check?

12 MR. RYAN KOLASKI: Subject to check,
13 yes. Correct.

14 MR. TODD ANDRES: And so that's \$9.3
15 million less than was forecast, subject to check?

16 MR. RYAN KOLASKI: Correct.

17 MR. TODD ANDRES: And so would this
18 overall lower level of spending on compensation in the
19 last fiscal year be related to delays in Project NOVA
20 and hold back in hiring plans?

21 MR. RYAN KOLASKI: One moment.

22

23 (BRIEF PAUSE)

24

25 MR. RYAN KOLASKI: Thanks for your

1 patience. The change is kind of indicative of a
2 staffing plan. So when we're budgeting, we create a
3 staffing plan related to it. And then as we're
4 rolling on the year and filling those roles, it's a
5 timing gap.

6 What I can't speak to is whether or not
7 that's directly related to NOVA. So, as it relates to
8 NOVA, I guess I would ask for an undertaking, or
9 perhaps Anthony would, I guess, more formally.

10 MR. ANTHONY GUERRA: I've instructed
11 the witnesses not to volunteer undertakings.

12 MR. TODD ANDRES: That's okay. I'll
13 put it -- so -- so the --

14 MR. ANTHONY GUERRA: But -- but,
15 certainly, if that's something that we can resolve --

16 MR. TODD ANDRES: Yes, please.

17 MR. ANTHONY GUERRA: -- we certainly
18 can do so.

19 MR. TODD ANDRES: Yeah. And just for
20 the record, the question was, the lower all level of
21 spending on compensation in the last fiscal year, was
22 that related to delays in Project NOVA and a pull back
23 in hiring plans.

24 MR. ANTHONY GUERRA: Sure. Counsel
25 will give that by way of undertaking. Thank you.

1 --- UNDERTAKING NO. 15: For MPI to provide whether
2 the overall level of
3 spending on compensation
4 in the last fiscal year,
5 was that related to delays
6 in Project NOVA and a pull
7 back in hiring plans
8

9 MR. TODD ANDRES: Thank you, Mr.
10 Guerra. And thank you for the response.

11

12 CONTINUED BY MR. TODD ANDRES:

13 MR. TODD ANDRES: So staying with this
14 year's GRA, which is, again, on the left-hand side of
15 our screen, we see the data processing expenses for
16 '22/'23 were \$8.6 million lower than forecasted in the
17 October update, subject to check?

18 MR. RYAN KOLASKI: Correct.

19 MR. TODD ANDRES: Thank you. And,
20 again, I'll just ask you to confirm, was this
21 difference due to a delay in Project NOVA?

22 MR. RYAN KOLASKI: Just one moment.

23

24 (BRIEF PAUSE)

25

1 MR. RYAN KOLASKI: Unknown.

2 MR. TODD ANDRES: So the answer is
3 "no"?

4 MR. RYAN KOLASKI: No, the answer is,
5 unknown.

6 MR. TODD ANDRES: Unknown. Thank you.
7 So I'll ask for a similar, I guess, add-on undertaking
8 to the first undertaking we've asked.

9 MR. ANTHONY GUERRA: Yes, Counsel, we
10 can provide that undertaking.

11 MR. TODD ANDRES: Thank you, Mr.
12 Guerra.

13

14 --- UNDERTAKING NO. 16: For MPI to provide whether
15 this difference was due to
16 a delay in Project NOVA

17

18 CONTINUED BY MR. TODD ANDRES:

19 MR. TODD ANDRES: So, looking at last
20 year in the October update, MPI was forecasting
21 significant growth in operating expenses for the
22 period of '21/'22 all the way through to '26/'27. So,
23 again, that's on the right-hand side of our screen.

24 We're going from -- and it's the bottom
25 row, line 29. We've got 327.3 in '21/'22, going all

1 the way up to \$430 million in '26/'27. You see that?

2 MR. RYAN KOLASKI: Correct.

3 MR. TODD ANDRES: Thank you. And so
4 expenses were set to increase respectively by more
5 than a hundred million dollars over that period,
6 correct?

7 MR. RYAN KOLASKI: Subject to check,
8 correct.

9 MR. TODD ANDRES: The basic math that
10 I'm doing here, just for clarification, is I'm taking
11 the 430 million in the right-hand column and
12 subtracting the 327 that's in the left-hand column,
13 which gives me roughly, using lawyer math, about \$103
14 million.

15 MR. RYAN KOLASKI: That's pretty good
16 math. Yeah. Correct.

17 MR. TODD ANDRES: And so that's about
18 a 31 percent increase to operating expenses during
19 that period, yes?

20 MR. RYAN KOLASKI: Correct.

21 MR. TODD ANDRES: And MPI has referred
22 to this as the bubble period where expenses are going
23 to be elevated for a period of time until NOVA is
24 implemented?

25 MR. RYAN KOLASKI: Just one moment.

1 (BRIEF PAUSE)

2

3 MR. RYAN KOLASKI: That is correct.

4 MR. TODD ANDRES: Thank you. And you
5 would agree that in this year's application, that
6 forecast has -- forecast growth has been moderated?

7 MR. RYAN KOLASKI: Correct.

8 MR. TODD ANDRES: Thank you. And
9 you'll agree that the forecast growth rate set out in
10 the October update was substantially higher during
11 that '21/'22 through to '26/'27 period than the growth
12 rate for the same period in this Application. And,
13 again -- so I'll let you answer that question.

14 MR. RYAN KOLASKI: Correct.

15 MR. TODD ANDRES: So, again, I
16 appreciate that in the document on the left-hand side
17 of your screen we don't have the '21/'22 number, but
18 it is an actual number that we can import using the
19 '21/'22 numbers from the October update, right.

20 So, if we use that starting number of
21 327.4, which is the bottom of the '21/'22 column?

22 MR. RYAN KOLASKI: Correct. Yes.

23 MR. TODD ANDRES: And then we use that
24 the starting point for the numbers used in the GRA,
25 which is now to the left-hand side of our screen.

1 And then the ending point would be
2 373.5, which is in the bottom of the column '26/'27 on
3 the left-hand side of our screen?

4 MR. RYAN KOLASKI: That is correct.

5 MR. TODD ANDRES: Thank you. And,
6 again, using some lawyer math, this is a \$46.1 million
7 increase over that period of time?

8 MR. RYAN KOLASKI: Correct.

9 MR. TODD ANDRES: Rather than 100
10 million over the same period that is projected a year
11 previous?

12 MR. RYAN KOLASKI: Correct.

13 MR. TODD ANDRES: Thank you. And this
14 represents roughly a 55 percent decrease to the
15 forecast for overall growth and operating expenses
16 during the same period, yes?

17 MR. RYAN KOLASKI: Correct.

18 MR. TODD ANDRES: Thank you. And,
19 again, we may -- I have a feeling we have a trend
20 emerging, but I'll ask you to confirm whether this was
21 attributable to a lower level of staffing and lower
22 data processing costs?

23 MR. RYAN KOLASKI: Just one moment.

24 Those are the primary contributors.

25 MR. TODD ANDRES: Thank you. So I

1 want to touch on some compensation-related issues now.

2 You would agree the compensation
3 represents the largest expenditure of the Corporation?

4 MR. RYAN KOLASKI: In terms of
5 operating costs because, again, claims incurred is
6 probably bigger but, yes, that is correct.

7 MR. TODD ANDRES: Sure. Sorry. And
8 it is -- we're -- we're looking at operating expenses.

9 MR. RYAN KOLASKI: Yeah. No, I just
10 wanted to --

11 MR. TODD ANDRES: So that is -- that's
12 a fair clarification, yes.

13 MR. RYAN KOLASKI: -- clarify, yeah.

14 MR. TODD ANDRES: Yeah. Thank you for
15 that. And looking at the 2024 GRA, we're on the left-
16 hand half of our screen again, line 6, in respect of
17 the 2022/'23 year, the number is \$191.2 million, yes?

18 MR. RYAN KOLASKI: Correct.

19 MR. TODD ANDRES: And that accounts
20 for over half of the -- or 53 percent of total
21 expenses?

22 MR. RYAN KOLASKI: Correct.

23 MR. TODD ANDRES: Thank you. And the
24 forecast in this year's Application is to increase by
25 12.7 percent in the next year, yes?

1 MR. RYAN KOLASKI: Correct.

2 MR. TODD ANDRES: Thank you. And so,
3 again, looking at these figures side by side, it's
4 helpful because it shows that compensation is growing
5 in the 2024 GRA but at a much slower rate than was
6 contemplated in the October update, yes?

7 MR. RYAN KOLASKI: Yes.

8 MR. TODD ANDRES: Thank you. So just
9 to put some meat on the bones to that question, in the
10 October update MPI forecast compensation to grow by a
11 hundred and -- pardon me -- from 180.5 million in
12 '21/'22 all the way up to 232 million in '26/27, yes?

13 MR. RYAN KOLASKI: Just one moment.

14 MR. TODD ANDRES: Sorry. And those --
15 that's line 6 in figure 3. I'm just taking the number
16 in the left-hand column and comparing it to the number
17 in the far right-hand column.

18 MR. RYAN KOLASKI: If you could just -
19 - one moment.

20 MR. TODD ANDRES: Certainly.

21

22 (BRIEF PAUSE)

23

24 MR. RYAN KOLASKI: Thanks for your
25 patience. If you could just repeat your question

1 again. Sorry.

2 MR. TODD ANDRES: Certainly. What I'm
3 -- what I'm asking is -- what I'm wanting to do here
4 is, looking at the October update, MPI is forecasting
5 compensation to grow from 180.5 million, which is the
6 left-hand column of line 6, to two-thirty-two-point-
7 one (232.1) in '26/'27. Do you see that?

8 MR. RYAN KOLASKI: Yeah, I do.
9 Correct.

10 MR. TODD ANDRES: Thank you. And
11 I've, again, worked that out to be an increase of 51.6
12 million over this period. Correct?

13 MR. RYAN KOLASKI: Correct.

14 MR. TODD ANDRES: Roughly 29 percent,
15 yes?

16 MR. RYAN KOLASKI: Yes.

17 MR. TODD ANDRES: Thank you. And in
18 the current GRA, for the same period, again, we're
19 going to start with that one-eighty-point-five (180.5)
20 figure and we're going to transpose that to the left -
21 - left-hand side of our screen.

22 So we're going to go one-eighty-point-
23 five (180.5), but then the end point is going to be
24 two-ten-point-six (210.6). And Ms. Schubert has
25 helpfully got the cursor beside that number.

1 And that's under the 2026/27 forecast,
2 yes?

3 MR. RYAN KOLASKI: Correct.

4 MR. TODD ANDRES: Thank you. And so,
5 comparing those two (2) trajectories, we have an
6 increase for that period of \$30.1 million. Yes?

7 MR. RYAN KOLASKI: Correct.

8 MR. TODD ANDRES: And that's roughly
9 17 percent over that period, yes?

10 MR. RYAN KOLASKI: Correct.

11 MR. TODD ANDRES: Thank you. And so,
12 there is an increase in compensation but, again, using
13 our math -- not lawyer math -- it was 41 percent lower
14 than was forecast in the October update in 2022. Yes?

15 MR. RYAN KOLASKI: Correct.

16 MR. TODD ANDRES: Thank you. And
17 again, I'll ask you to confirm that the lower overall
18 forecast in compensation from last year is largely due
19 to lower staffing?

20 MR. RYAN KOLASKI: Correct.

21 MR. TODD ANDRES: Thank you. So I'll
22 touch now on data processing for a moment.

23 Starting with the left-hand side of
24 your screen again, EXP-5 from this year's GRA. So
25 what I'll -- I guess maybe I'll eliminate some

1 questions.

2 But subject to check, can you confirm
3 that, in the 2023/24 year, data processing costs were
4 approximately 22 percent of overall corporate
5 expenses? That's the 78 million over the 358.

6 MR. RYAN KOLASKI: That looks about
7 right. Correct.

8 MR. TODD ANDRES: Thank you. And can
9 you confirm that MPI is forecasting significant
10 increases in data processing expenses to deliver
11 Project NOVA?

12 MR. RYAN KOLASKI: Just one moment.

13

14 (BRIEF PAUSE)

15

16 MR. RYAN KOLASKI: Thanks for your
17 patience. We are forecasting increases. The term
18 "significant," I guess, is open for interpretation.

19 MR. TODD ANDRES: Okay. But you'll
20 acknowledge there is an elevated level of spending?

21 MR. RYAN KOLASKI: Correct.

22 MR. TODD ANDRES: Thank you. And the
23 elevated level of spending has been described in the
24 GRA as improvement initiative expenditures?

25 MR. RYAN KOLASKI: Just one moment.

1 (BRIEF PAUSE)

2

3 MR. RYAN KOLASKI: That is correct.

4 MR. TODD ANDRES: Thank you. And so,
5 reviewing the numbers from the October update, MPI
6 forecast last year, for data increase -- data
7 processing increase -- pardon me. I'll start that
8 question again.

9 MPI forecast last year for data
10 processing expenses to increase from 58.5 million --
11 again, that's the left-hand column on the -- under
12 '21/'22 in the October update, line 8.

13 MR. RYAN KOLASKI: Yes.

14 MR. TODD ANDRES: And that will peak
15 at 107.5 million, '24/'25, which is what was forecast
16 last year?

17 MR. RYAN KOLASKI: Correct.

18 MR. TODD ANDRES: Thank you. And
19 then, decline to 70.4 million in '26/'27. Yes?

20 MR. RYAN KOLASKI: Correct.

21 MR. TODD ANDRES: And the change then
22 overall is 11.5 million, using the trajectory from
23 point A to point B, being '21/'22, all the way through
24 to '26/'27. Yes?

25 MR. RYAN KOLASKI: Correct.

1 MR. TODD ANDRES: Thank you. And in
2 this year's GRA, using the same numbers and same --
3 pardon me, using the same starting point, '21/'22 --
4 so again, I'm transposing that \$58 1/2 million into
5 the table on the left-hand side of your screen -- data
6 processing costs are expected to spike in '23 and '24
7 at 103.384 million?

8 MR. RYAN KOLASKI: That's correct.

9 MR. TODD ANDRES: And that's in '23
10 and '24?

11 MR. RYAN KOLASKI: Correct.

12 MR. TODD ANDRES: And then, decline to
13 66.2 million in '26/'27. Yes?

14 MR. RYAN KOLASKI: Correct.

15 MR. TODD ANDRES: So the change over
16 that period of time is 7.8 million. Yes?

17 MR. RYAN KOLASKI: Correct. Subject
18 to check, yeah.

19 MR. TODD ANDRES: Subject to check.
20 As -- as compared with the 11.9 million we had
21 discussed for the same period from the October update.
22 Yes?

23 MR. RYAN KOLASKI: Yes.

24 MR. TODD ANDRES: Thank you. And so,
25 over this period of time, MPI is forecast to spend

1 about \$20.2 million less on data processing expenses
2 than was forecast in last year's October update. Yes?

3 MR. RYAN KOLASKI: Correct.

4 MR. TODD ANDRES: Thank you. So Ms.
5 Schubert, if we can pull up now PUB IR-1-49. That's
6 the one. Thank you. If we can just have that as a
7 full screen? Perfect. Thank you.

8 And now, for context, if you look at
9 the preamble, this IR relates to MPI's representation
10 in the 2023 GRA -- thank you -- that it estimated
11 general wage increase for the 2022/23 year at 5
12 percent. Right?

13 MR. RYAN KOLASKI: Correct.

14 MR. TODD ANDRES: So if we go back
15 down to figure 1, so that's an update to figure EXP-9,
16 which is expanded to include some additional years.
17 So it's an update from numbers that were in the GRA,
18 but expanded to provide some additional context.

19 And so, if we look at the left-hand
20 column, 2020 and 2021, and 2021/2022, the data
21 processing costs are roughly \$32 million and \$34
22 million, respectively. Yes?

23 MR. RYAN KOLASKI: Yes.

24 MR. TODD ANDRES: And then, in
25 2022/23, that jumps to \$41.8 million?

1 MR. RYAN KOLASKI: Yes.

2 MR. TODD ANDRES: And so, would it be
3 fair to say that looking at normal operations, data
4 processing costs are forecast to be in and around \$40
5 million annually for the Corporation overall?

6 MR. RYAN KOLASKI: Based on this
7 table, yes.

8 MR. TODD ANDRES: Thank you. And
9 that's for normal operations expenses, yes?

10 MR. RYAN KOLASKI: Correct.

11 MR. TODD ANDRES: This is without
12 reference to the improvement initiatives?

13 MR. RYAN KOLASKI: Just one moment.

14

15 (BRIEF PAUSE)

16

17 MR. RYAN KOLASKI: That is correct.

18 MR. TODD ANDRES: Thank you. All
19 right. So we're going to have a quick look at PUB IR-
20 2-22. If we can jump forward to page 3. And looking
21 at line number 33, we have some totals there.

22 And sorry, just for context, if we can
23 scroll up to the page before. I apologize, Ms.
24 Schubert.

25 So this is normal operations corporate.

1 It's a five (5) year summary of corporate expenses by
2 category. This is an update provided in IR-2-22.

3 Yes?

4 MR. RYAN KOLASKI: Yes.

5 MR. TODD ANDRES: Thank you. And so,
6 if we scroll back down to line number 33, page 3, and
7 just by way of context, these are normal costs,
8 independent of improvement initiatives. Yes?

9 MR. RYAN KOLASKI: Just one moment.
10 That is correct.

11 MR. TODD ANDRES: Thank you. And so,
12 the cost of data processing to carry on normal
13 operations was 34.4 million in '21 and '22. Yes?

14 MR. RYAN KOLASKI: Yes.

15 MR. TODD ANDRES: Increased to 41.8
16 million in '22/'23. Yes?

17 MR. RYAN KOLASKI: Yes.

18 MR. TODD ANDRES: And currently
19 forecast to peak in '23/'24 at 43.9 million. Yes?

20 MR. RYAN KOLASKI: Yes.

21 MR. TODD ANDRES: Thank you. And so,
22 is the growth in costs here attributable to increases
23 in licensing agreements and the move to cloud based
24 computing system -- pardon me, cloud based computing
25 arrangements?

1 MR. RYAN KOLASKI: One moment.

2

3

(BRIEF PAUSE)

4

5 MR. RYAN KOLASKI: That is correct.

6

MR. TODD ANDRES: Thank you. And, now
7 we're going to scroll down to pages 4 and 5, so just
8 stop at page 4 for a second.

9

And, so now we're going to dive into
10 Improvement Initiatives Corporate. So this is a five
11 (5) year summary of Corporate expenses by category and
12 these are the initiative expenses, yes?

13

MR. RYAN KOLASKI: Yes.

14

MR. TODD ANDRES: Thank you. And so
15 if we can scroll down to the next page, looking again
16 at line number 33, this is an examination of data
17 processing expenses.

18

We have two (2) years of actuals,
19 followed by three (3) years of forecast. Yes?

20

MR. RYAN KOLASKI: Yes.

21

MR. TODD ANDRES: Thank you. And for
22 the four (4) year period starting in 2022/'23, that's
23 the \$36 million -- 36.2 million, in the second column.

24

Do you see that?

25

MR. RYAN KOLASKI: I do, yes.

1 MR. TODD ANDRES: Going through to the
2 '25/'26 end point of 50.719 million.

3 MR. RYAN KOLASKI: Correct.

4 MR. TODD ANDRES: So, MPI is forecast
5 to spend about, again using my math, \$203 million on
6 data processing, above and beyond, the level required
7 to run the business during this period. Correct?

8 MR. RYAN KOLASKI: Correct.

9 MR. TODD ANDRES: Thank you. Can you
10 confirm that MPI has deferred basic sharing of this
11 initiative spending?

12 MR. RYAN KOLASKI: Just one moment.
13 That is correct.

14 MR. TODD ANDRES: Thank you. Okay, so
15 we're going to turn now to MPI Exhibit 24. This is
16 CAC-IR-1-1, pages 10 and 11 are the ones we're going
17 to look at.

18 And so at the bottom of page 11, if you
19 can just scroll down -- thanks, Ms. Schubert, if you
20 can just scroll down a touch. So, we're going to
21 start at page 11, at the very bottom. Thank you.

22 And so there's a column entitled, Total
23 Implementation Expenses Deferred -- to the top of the
24 page, right in the middle.

25 MR. RYAN KOLASKI: Yes.

1 MR. TODD ANDRES: Can you confirm that
2 that represents \$98.7 million of Basic related
3 expenses?

4 MR. RYAN KOLASKI: Just one moment.
5 That is correct.

6 MR. TODD ANDRES: And so that
7 represents about half of all implementation data
8 processing spending during that period, if we're
9 comparing it to that \$203 million figure we just
10 examined?

11 MR. RYAN KOLASKI: That is correct.

12 MR. TODD ANDRES: Thank you. So, if
13 we can go back to PUB/MPI-IR-1-49, looking at figure
14 1. And again, if we're looking at forecast spending
15 in '26/'27 and '27/'28, right?

16 MR. RYAN KOLASKI: Okay.

17 MR. TODD ANDRES: Again, this is in
18 line 8, the data processing expenses remain elevated
19 in the \$40 million range. Correct?

20 MR. RYAN KOLASKI: That is correct.

21 MR. TODD ANDRES: Thank you. So, does
22 MPI expect that any NOVA related expenses in '26/'27
23 and '27/'28 relate to Basic?

24 MR. RYAN KOLASKI: One moment. Yes.

25 MR. TODD ANDRES: Okay. That being

1 the case, I would ask for an Undertaking that MPI
2 update MPI Exhibit 24, which is CAC-IR-1-1.

3 MR. ANTHONY GUERRA: We may need a
4 little bit more detail as to what's being sought
5 there, Counsel.

6 MR. TODD ANDRES: Sorry, Ms. Schubert,
7 if you can put that last one back up.

8

9 (BRIEF PAUSE)

10

11 MR. TODD ANDRES: I see, pardon me.
12 Thank you. So, hopefully, right -- so if we look at
13 this document up on the screen in front of us, CAC-1-
14 1, you'll see the left-hand portion for Implementation
15 Expenses Deferred, we've got actual forecast budget --
16 budget, for years '22/'23, '23/'24, '24/'25, '25/'26,
17 and we'd like the numbers for '26/'27 and '27/'28,
18 please.

19 MR. ANTHONY GUERRA: Yes. Counsel,
20 we'll provide the Undertaking.

21 MR. TODD ANDRES: Thank you.

22

23 --- UNDERTAKING NO. 17: MPI update MPI Exhibit 24,
24 CAC-IR-1-1 and provide the
25 numbers for '26/'27 and

1 '27/'28

2

3 CONTINUED BY MR. TODD ANDRES:

4 MR. TODD ANDRES: All right. So,
5 we're going to touch now on Corporate Costs Allocated
6 to Basic. And I -- I suppose we'll start with Figure
7 EXP2. Thank you.

8 And so, I would just ask that you
9 confirm line 2 appears to cover the total Corporate
10 and Basic Expenses, except it's a ten (10) year
11 summary. Yes?

12 MR. RYAN KOLASKI: Yes.

13 MR. TODD ANDRES: And the expenditures
14 that we see on line 2, there you'll see familiar
15 figures, starting under '22/'23, there's that 358.358
16 number?

17 MR. RYAN KOLASKI: Correct.

18 MR. TODD ANDRES: And the balance of
19 the numbers to the right of that are consistent with
20 EXP5, largely?

21 MR. RYAN KOLASKI: Correct.

22 MR. TODD ANDRES: Thank you. So, if
23 we look at line 8, again, in the middle column, we see
24 two hundred and forty-eight point one (248.1) million
25 is allocated to Basic through ICAM, correct?

1 MR. RYAN KOLASKI: Correct.

2 MR. TODD ANDRES: And, sorry, can you
3 just clarify. What does ICAM stand for?

4 MR. RYAN KOLASKI: Just one moment.

5 MR. TODD ANDRES: I -- sorry, I can --
6 it was a trick question. It's -- is it Integrated
7 Cost Allocation Methodology?

8 MR. RYAN KOLASKI: That is correct,
9 yeah.

10 MR. TODD ANDRES: Thank you. And so,
11 just confirm that the total expenditure is allocated
12 to Basic. Actual was that \$248.1 million number.

13 MR. RYAN KOLASKI: Correct.

14 MR. TODD ANDRES: And then in the
15 following year it's -- it drops to -- pardon me, it's
16 supposed to go up to two-seventy-three point 4 (273.4)
17 million, yes?

18 MR. RYAN KOLASKI: Yes.

19 MR. TODD ANDRES: And Basic's share of
20 allocated expenses is to change from 69 percent, in
21 '22/'23, to 65.6 percent in '23/'24. Do you see that?

22 MR. RYAN KOLASKI: Correct.

23 MR. TODD ANDRES: Thank you. And so
24 if we look at the trend, moving forward, in the
25 Corporate Expenses, on line 9, that get allocated to

1 Basic, the share of expenses has declined from 75
2 percent, pardon me 75.9 percent if we look at
3 2018/2019, to the mid sixties (60's) and certainly
4 below 70 percent when we get to the end of this chart.

5 Do you see that?

6 MR. RYAN KOLASKI: I do, yes.

7 MR. TODD ANDRES: Thank you. So, the
8 trend generally is to allocate less cost to Basic in
9 this forecast period. Yes?

10 MR. RYAN KOLASKI: Correct.

11 MR. TODD ANDRES: Thank you. And can
12 you confirm this reduction in allocated expenses is
13 due to an overall increase in Corporate spending on
14 NOVA and other areas of the Corporation?

15 MR. RYAN KOLASKI: One moment.

16

17 (BRIEF PAUSE)

18

19 MS. CARA LOW: And I'm just going to
20 jump in here.

21 As we use the net incurred claims for
22 allocating expenses, a lot of the expenses are now
23 being assigned to the Special Risk Extension, the SRE
24 line of business.

25 And the reason for that, is back a few

1 years ago, I forget the exact year, we started
2 offering higher liability limits. So, we were
3 offering up to \$20 million of TPL limits for long haul
4 trucking going down to the US and we've had a few \$20
5 million liability losses coming out of the US
6 trucking business.

7 We are looking to do some work on that
8 in the near future, but just because severity has gone
9 up in SRE, there are no additional FTEs being assigned
10 the SRE Book of Business, like it -- from the claims
11 staff.

12 So, this is kind of a very misleading
13 allocation and exactly why we aren't looking to use
14 these numbers in our ratemaking which, I believe, is,
15 maybe, the line of questioning that's going to be
16 happening later.

17 MR. TODD ANDRES: Right. So, it -- it
18 might be helpful if we pull up PUB/MPI-1-20. Just
19 keep scrolling down and sorry, keep going down.
20 Right.

21 And, so, this is NOVA costs by line of
22 business and, so, we see that there are, again,
23 expenses being allocated -- pardon me -- an overall
24 increase in corporate spending on NOVA in other areas
25 of the Corporation. Do you see that?

1 MR. RYAN KOLASKI: Is this back to me?

2 Correct.

3 MR. TODD ANDRES: Correct. Thank you,
4 and ICAM will be changing, due to the requirements of
5 IFRS-17 insurance contracts. Correct?

6 MR. RYAN KOLASKI: One moment.

7

8 (BRIEF PAUSE)

9

10 MR. RYAN KOLASKI: The adoption of
11 IFRS-17 isn't actually changing the allocation
12 methodology but what will, potentially, change through
13 this rate-setting period is the E&Y org review.
14 They've been asked to review and look at our
15 allocation methodology.

16 So, it's possible that, at the end of
17 that review, the allocation methodology that's
18 employed could, potentially, change.

19 MR. TODD ANDRES: Thank you. And a
20 review of allocation costs was undertaken by the
21 Finance -- Finance Department of MPI. Correct?

22 MR. RYAN KOLASKI: That is correct, as
23 it relates to IFRS-17. Yes.

24 MR. TODD ANDRES: Thank you. And can
25 you confirm whether an RFP has been issued to

1 undertake an updated ICAM review, based on the new
2 accounting standard?

3 MR. RYAN KOLASKI: Sure. One second.

4 A separate RFP hasn't been undertaken. It was
5 actually the requirements for the review is within the
6 scope of work related to the Ernst and Young org
7 review that's being undertaken today.

8 MR. TODD ANDRES: Okay. Thank you.
9 And, so, when the study is completed, will the study
10 be provided next GRA?

11 MR. RYAN KOLASKI: One moment.

12

13 (BRIEF PAUSE)

14

15 MR. TODD ANDRES: As Ms. Kacher had
16 already indicated, we do require the Board
17 authorization, as well as the government's
18 authorization, in order to release those findings.
19 So, at this point, it's unknown.

20 MR. TODD ANDRES: My understanding is
21 that Ernst and Young is doing an updated ICAM review
22 for the Corporation. Is that correct?

23 MR. RYAN KOLASKI: That is part of the
24 organizational review. Yes.

25 MR. TODD ANDRES: Thank you. Thank

1 you. Do you know what the timing is for the
2 completion of that study?

3 MR. RYAN KOLASKI: One moment.

4 MR. TODD ANDRES: That's the ICAM
5 study. Pardon me.

6 MR. RYAN KOLASKI: Yep. Nope. That's
7 fair. As it relates to the ICAM study, the -- my
8 understanding is it will all come together, once the
9 org review is completed in totality.

10 MR. TODD ANDRES: Thank you. So, I'm
11 going to touch on Basic direct expenses briefly and,
12 so, this is Figure Exp. 2.

13 Now, if we look at the lower section of
14 this table, lines 10 through 12, both commissions and
15 premium taxes are assigned directly to Basic. Yes?

16 MR. RYAN KOLASKI: Correct.

17 MR. TODD ANDRES: Thank you. And
18 premium taxes on line 12 are 3 percent of gross
19 written premiums. Correct?

20 MR. RYAN KOLASKI: One moment. That
21 is correct.

22 MR. TODD ANDRES: Thank you. And
23 premium taxes are collected based on motor vehicle
24 premiums net of any rebates. Yes?

25 MR. RYAN KOLASKI: One moment. That

1 is correct.

2 MR. TODD ANDRES: So, in other words,
3 if a rebate is issued, that reduces premium taxes
4 collected. Correct?

5 MR. RYAN KOLASKI: Correct.

6 MR. TODD ANDRES: And, so, if we look
7 at line 12, right, we see that premium taxes are lower
8 in 2020/2021, as well as 2021/2022. Correct?

9 MR. RYAN KOLASKI: Correct.

10 MR. TODD ANDRES: And they're lower
11 than the remainder of the figures in that same line.
12 Yes?

13 MR. RYAN KOLASKI: Yes.

14 MR. TODD ANDRES: And that's because
15 of the rebates paid during that relevant time period.
16 Yes?

17 MR. RYAN KOLASKI: One moment. That
18 is correct.

19 MR. TODD ANDRES: And that reduces the
20 premium subject to the tax. Yes?

21 MR. RYAN KOLASKI: That is correct.

22 MR. TODD ANDRES: Thank you. And so,
23 the commissions paid, that are indicated on line 11,
24 those are paid to brokers?

25 MR. RYAN KOLASKI: One moment. That

1 is correct.

2 MR. TODD ANDRES: Thank you, and
3 broker commissions are set to increase during this
4 forecast period. Yes?

5 MR. RYAN KOLASKI: One moment. That
6 is correct.

7 MR. TODD ANDRES: Thank you. And
8 commissions are expected to move on to the new
9 brokers's Schedule of Rates when on-line services are
10 available. Correct?

11 MR. RYAN KOLASKI: That is correct.

12 MR. TODD ANDRES: Thank you. And
13 broker commissions are based on the amount of premium
14 written, which is also forecast to grow?

15 MR. RYAN KOLASKI: One moment. That
16 is correct.

17 MR. TODD ANDRES: Thank you. And so,
18 subject to check, the level of broker commissions
19 forecast this year are, generally, lower than was
20 forecast in the last GRA. Correct?

21 MR. RYAN KOLASKI: Correct.

22 MR. TODD ANDRES: Thank you. And this
23 is due to the re -- renegotiation of the agreement
24 with the Insurance Brokers Association Manitoba or
25 IBAM. Yes?

1 MR. RYAN KOLASKI: One moment. That
2 is correct.

3 MR. TODD ANDRES: Thank you. And so,
4 now looking at Basic expenses, start by looking at
5 Appendix -- Exp. Appendix 2.

6 And, so, this is a summary of Basic
7 expenses by category. Yes?

8 MR. RYAN KOLASKI: Yes.

9 MR. TODD ANDRES: And MPI separates
10 its -- its expenses by category. Yes?

11 MR. RYAN KOLASKI: Yes.

12 MR. TODD ANDRES: And, in particular,
13 whether they relate to normal operations or
14 improvement initiatives. I believe we've established
15 that. Yes?

16 MR. RYAN KOLASKI: Yes.

17 MR. TODD ANDRES: Thank you. And so,
18 starting with normal operations here, if we look at
19 page 2 of 6 of this table, line 33, compensation
20 overall is increasing from one hundred and thirty
21 point four million (130,400,000) in '21/'22.

22 Do you see that?

23 MR. RYAN KOLASKI: I do. Yes.

24 MR. TODD ANDRES: Thank you. All the
25 way up to one forty four point nine seven seven

1 (144.977). Yes?

2 MR. RYAN KOLASKI: Yes.

3 MR. TODD ANDRES: And, looking at the
4 data processing numbers on the same page, line 34,
5 data processing costs for normal operations and,
6 again, this is dealing only with normal operations,
7 goes from the \$10.26 million?

8 MR. RYAN KOLASKI: No.

9 MR. TODD ANDRES: Pardon me, I'm
10 wrong. Twenty-seven point seven nine five million
11 (27,795,000). Pardon me. I got a line ahead of
12 myself.

13 MR. RYAN KOLASKI: Yes.

14 MR. TODD ANDRES: Thank you. And
15 then, ending at twenty-seven -- twenty-eight point
16 seven seven six million (28,776,000). Correct?

17 MR. RYAN KOLASKI: Correct.

18 MR. TODD ANDRES: Thank you. And
19 there's a peak in the middle, in '23/'24, at thirty-
20 three point one million (33,100,000). Yes?

21 MR. RYAN KOLASKI: Yes.

22 MR. TODD ANDRES: And that difference,
23 just this short period of time, going from '21/'22 to
24 '23/'24, represents an increase of five point four
25 million dollars (\$5,400,000). Yes?

1 MR. RYAN KOLASKI: Yes.

2 MR. TODD ANDRES: Thank you. And can
3 you explain why the normal level of data processing
4 expenses forecast to peak in '23 and '24?

5 MR. RYAN KOLASKI: One (1) moment.

6

7 (BRIEF PAUSE)

8

9 MR. RYAN KOLASKI: Unknown.

10 MR. TODD ANDRES: And so can you firm
11 -- confirm, looking at the '25/'26 number, which is
12 \$28.8 million in the right-hand column, is that
13 indicative of what the Corporation expects the data
14 processing run rate will be in the future?

15 MR. RYAN KOLASKI: One (1) moment.

16

17 (BRIEF PAUSE)

18

19 MR. RYAN KOLASKI: Approximately, yes,
20 that is correct.

21 MR. TODD ANDRES: Thank you. And so
22 if we move forward to the improvement initiatives
23 portion of this appendix, which is pages 4 of 6 and 5
24 of 6 -- and, sorry, Ms. Schubert, can you scroll down
25 just a touch. That's perfect, yeah. If we're at 4 of

1 6 -- sorry, scroll back up, please. Thank you.

2 And so when looking at improvement
3 initiative expenses, these will be considered either
4 normal ongoing once IT projects are completed or
5 incremental one-time implementation costs.

6 Is that correct?

7 MR. RYAN KOLASKI: Just one (1)
8 moment.

9

10 (BRIEF PAUSE)

11

12 MR. RYAN KOLASKI: That is correct.

13 MR. TODD ANDRES: And so looking at
14 like number 32, confirm that compensation is forecast
15 to increase to 2.3 million in '23/'24 in this chart?
16 It's like 32, middle column of the total.

17 MR. RYAN KOLASKI: Sorry. Just to
18 clarify, you're saying it's increasing to 2.3 million?

19 MR. TODD ANDRES: Correct. There --
20 if we look in the -- on line 32, directly under the
21 word 'total' --

22 MR. RYAN KOLASKI: Yeah.

23 MR. TODD ANDRES: -- there's \$2.3
24 million, correct?

25 MR. RYAN KOLASKI: Correct.

1 MR. TODD ANDRES: Right. And then
2 it's going to drop to 1.3 million in '24/'25?

3 MR. RYAN KOLASKI: One (1) moment.
4

5 (BRIEF PAUSE)
6

7 MR. RYAN KOLASKI: Correct.

8 MR. TODD ANDRES: Sorry. And just to
9 clarify, it's gone up from three hundred (300) --
10 three hundred and sixty-six thousand (366,000) to 2.3
11 million from '22/'23 to '23/'24, correct?

12 MR. RYAN KOLASKI: Correct.

13 MR. TODD ANDRES: Can you explain why
14 that jump is forecasted to take place between '22/'23
15 and '23/'24?

16 MR. RYAN KOLASKI: Sure. One (1)
17 moment.
18

19 (BRIEF PAUSE)
20

21 MR. RYAN KOLASKI: The increase is
22 related to bubble staffing.

23 MR. TODD ANDRES: Okay. And that's
24 bubble staffing related to Project NOVA?

25 MR. RYAN KOLASKI: Just one (1)

1 moment. That is correct.

2 MR. TODD ANDRES: Thank you. And so
3 if I look at the far right-hand column, we have a
4 negative number for compensation in '25/'26.

5 Can you explain how that is?

6 MR. RYAN KOLASKI: Sure. One (1)
7 moment.

8

9 (BRIEF PAUSE)

10

11 MR. RYAN KOLASKI: That represents the
12 potential savings -- or I shouldn't say potential --
13 the forecasted savings related to Project NOVA.

14 MR. TODD ANDRES: Thank you. And I'm
15 nearly at a natural break point in my cross. I just
16 have a couple more questions, and then perhaps we can
17 break for the morning.

18 So subject to check, in the 2023 GRA,
19 which is of course last year's Application, data
20 processing costs were forecast 2 almost double from
21 10.8 million in '21/'22 to 21 million in '22/'23, and
22 then almost 22 million in '23/'24?

23 MR. RYAN KOLASKI: Correct.

24 MR. TODD ANDRES: And in this year's
25 Application, MPI spent \$12.1 million on data

1 processing implementation expenses, yes?

2 MR. RYAN KOLASKI: Yes.

3 MR. TODD ANDRES: And so MPI is
4 forecasting substantially higher levels of data
5 processing implementation expenses than it forecast
6 last year, correct?

7 MR. RYAN KOLASKI: Correct.

8 MR. TODD ANDRES: Thank you. And
9 that's increasing to \$26.9 million in that 2023/'24
10 column that we see in the middle there on line 33?

11 MR. RYAN KOLASKI: Correct.

12 MR. TODD ANDRES: Then it'll drop to
13 25 million in the subsequent year?

14 MR. RYAN KOLASKI: Yes.

15 MR. TODD ANDRES: The final year is 28
16 million, yes?

17 MR. RYAN KOLASKI: Yes.

18 MR. TODD ANDRES: And again, is this
19 elevated level of implementation data processing
20 expenditure going to end with the completion of
21 Project NOVA?

22 MR. RYAN KOLASKI: One (1) moment.

23

24 (BRIEF PAUSE)

25

1 MR. RYAN KOLASKI: If you could just
2 repeat your question just to make sure I heard it
3 right.

4 MR. TODD ANDRES: Certainly. Is this
5 elevated forecast level of imple -- pardon me --
6 implementation data processing expenditure going to
7 end with the completion of Project NOVA?

8 MR. RYAN KOLASKI: What's -- what's
9 included in a data processing includes a
10 transformation to cloud adoption. So once the Cloud
11 Adoption Program comes to an end, then, yes, that line
12 would decrease and compress as it moves over to normal
13 operations.

14 MR. TODD ANDRES: Thank you. And can
15 you confirm that these improvement initiative
16 implementation expenditures have been deferred for
17 rate-setting purposes?

18 MR. RYAN KOLASKI: One (1) moment.
19 That is correct.

20 MR. TODD ANDRES: Thank you. So,
21 Madam Chair, this is probably a good time for our
22 morning break, if that suits the Panel.

23 PANEL CHAIRPERSON: Thank you very
24 much, Mr. Andres. So it's 10:28. Can we be back at
25 10:45, please.

1

2 --- Upon recessing at 10:28 a.m.

3 --- Upon resuming at 10:47 a.m.

4

5 PANEL CHAIRPERSON: Mr. Andres...?

6 MR. TODD ANDRES: Madam Chair, if I
7 can have maybe another five (5) to ten (10) minutes to
8 continue conferring with my colleague, it might be
9 helpful in terms of the flow of this morning. If we
10 could have just another five (5) to ten (10). Thank
11 you.

12

13 (BRIEF PAUSE)

14

15 MR. TODD ANDRES: Thank you for the
16 indulgence, Madam Chair. I am ready to proceed.

17 PANEL CHAIRPERSON: Thank you. Please
18 proceed.

19

20 CONTINUED BY MR. TODD ANDRES:

21 MR. TODD ANDRES: All right. So we're
22 going to deal with the issue of compensation briefly.
23 And, Ms. Schubert, I'm jumping ahead to page 17 in my
24 cross. So I'd like to look at MPI IR-1-50, figure 4,
25 which is at page 4 of 6. Thank you.

1 So it looks like there is an overall --
2 if we look at the end, the far right-hand column,
3 2024/'25, there is a negative change from the previous
4 year being forecast.

5 And can you confirm that this lower
6 growth in compensation expenses is driven primarily by
7 the lower forecast staffing growth, as well as changes
8 in assumption on compensation contract changes?

9 MR. RYAN KOLASKI: Sure. Just one
10 moment.

11 MR. TODD ANDRES: Thank you.

12

13 (BRIEF PAUSE)

14

15 MR. RYAN KOLASKI: That is correct.

16 MR. TODD ANDRES: Thank you. And if
17 we scroll up to figure 1 in this same document,
18 looking at lines 23 through 28 -- pardon me -- 24
19 through 28, it shows that the compensation per
20 position is lower in this Application than it was
21 forecast in the previous year, yes?

22 MR. RYAN KOLASKI: Yes.

23 MR. TODD ANDRES: Now, if we go to EXP
24 Appendix 12-1, line 2 -- thank you, Ms. Schubert --
25 gross salaries are slated to increase. Thank you.

1 So looking at line 2, yes, gross
2 salaries are slighted to increase, if you look at the
3 change column, by \$18.17 million in 2023/'24, yes?

4 MR. RYAN KOLASKI: Yes.

5 MR. TODD ANDRES: As well as 2.4
6 million in '24 and '25?

7 MR. RYAN KOLASKI: Yes.

8 MR. TODD ANDRES: And then 7 million
9 in '25/'26, yes?

10 MR. RYAN KOLASKI: Yes.

11 MR. TODD ANDRES: And then there's
12 also the change in the rate of vacancy allowance, and
13 that's all -- all along line 3, yes?

14 MR. RYAN KOLASKI: Yes.

15 MR. TODD ANDRES: And can you confirm
16 that the vacancy allowance is a recognition that there
17 will be open positions at any given time?

18 MR. RYAN KOLASKI: Yes.

19 MR. TODD ANDRES: Thank you. And that
20 this vacancy allowance lowers the forecast gross
21 budgeted compensation expense, correct?

22 MR. RYAN KOLASKI: Correct.

23 MR. TODD ANDRES: Thank you. And so
24 the vacancy allowance we see in line 3 under 2022/'23
25 actual was 6.2 million, yes?

1 MR. RYAN KOLASKI: Correct.

2 MR. TODD ANDRES: And increases to --
3 sorry -- it changes to 5.3 million in '23/'24?

4 MR. RYAN KOLASKI: Correct.

5 MR. TODD ANDRES: And then the change
6 in vacancy allowance increases compensation expenses
7 by \$.9 million, correct?

8 MR. RYAN KOLASKI: Correct.

9 MR. TODD ANDRES: Thank you. So now,
10 looking at line 9, total compensation inclusive of
11 improvement initiative and benefits, that's forecast
12 to increase by 25.7 million, yes?

13 MR. RYAN KOLASKI: Yes.

14 MR. TODD ANDRES: And so now we're
15 going to explore the reasons for the increases. So,
16 if we go to figure EXP 10, which is assumed wage
17 increases.

18

19 (BRIEF PAUSE)

20

21 MR. TODD ANDRES: Right, this -- this
22 represents the forecast for economic increases for in-
23 scope employees, correct?

24 MR. RYAN KOLASKI: Correct.

25 MR. TODD ANDRES: And then if we -- if

1 we pull up the 2023 GRA, the same figure, EXP 10, MPI
2 had forecast -- if you look at line 8, in 20 --
3 September 24, '22, wage settlements of 5 percent for
4 fiscal year 2023 -- 2022/'23, correct?

5 MR. RYAN KOLASKI: Correct.

6 MR. TODD ANDRES: And the increase was
7 to impact '22/'23 by 2.5 percent for that year, yes?

8 MR. RYAN KOLASKI: Yes.

9 MR. TODD ANDRES: And that's because
10 of the timing of that increase, yes?

11 MR. RYAN KOLASKI: Yes.

12 MR. TODD ANDRES: Thank you. And
13 you'll confirm that this is an estimate?

14 MR. RYAN KOLASKI: Yes.

15 MR. TODD ANDRES: And so, if we go
16 ahead to this year's Application, so same document,
17 figure 10 in the 2024 application, you'll see that
18 that figure has been revised at line 8 to 1.5 percent.

19 MR. RYAN KOLASKI: Correct.

20 MR. TODD ANDRES: With a 4.75 impact
21 on '22/'23, correct?

22 MR. RYAN KOLASKI: Correct.

23 MR. TODD ANDRES: And that in
24 September 24, 2023, the rate is scheduled to be -- or
25 forecast to be 1.75 with a 1.63 percent impact on

1 '23/'24?

2 MR. RYAN KOLASKI: Correct.

3 MR. TODD ANDRES: Can you explain why
4 there were revisions to the forecast for this year's
5 Application?

6 MR. RYAN KOLASKI: One moment.

7

8 (BRIEF PAUSE)

9

10 MR. TODD ANDRES: And just to clarify,
11 what I'm interested is the swing between the 1.5 and
12 the 5 percent.

13 MR. RYAN KOLASKI: That -- yeah. I
14 was just going to clarify that, yeah.

15

16 (BRIEF PAUSE)

17

18 MR. RYAN KOLASKI: That change
19 reflects a change in the environment in terms of
20 expectations at the time of filing.

21 So in the previous amount for 5
22 percent, a much more conservative approach was taken
23 in terms of actual salary costs. We now have a better
24 vision on what that amount would be, so we advised it
25 -- or we revised it accordingly.

1 MR. TODD ANDRES: Thank you for that,
2 Mr. Kolaski. So we're now going to jump ahead to MPI
3 IR 1-49. We're at page 20 of my cross, Ms. Schubert,
4 just for reference. And if we can scroll down to
5 figure 2. Thank you.

6 And so we're going to spend a little
7 time looking at the -- the actual salary changes for
8 2022/'23 and the change in actual FTE and the turnover
9 rate now.

10 So looking at this, MPI IR 1-49C, it
11 shows a turnover rate of 6.06 percent in the 2022/'23
12 year. You see that?

13 MR. RYAN KOLASKI: Correct.

14 MR. TODD ANDRES: And you'll agree
15 that the turnover rate was materially higher in
16 '22/'23 than in previous years, yes?

17 MR. RYAN KOLASKI: It was higher, but,
18 again, materiality is subject to interpretation.

19 MR. TODD ANDRES: Right. I mean, with
20 the exception of the COVID year of 2020/2021, the
21 balance are within the 4 percent range, yes?

22 MR. RYAN KOLASKI: Yes.

23 MR. TODD ANDRES: Okay, and this is a
24 jump to 6 percent, yes?

25 MR. RYAN KOLASKI: Yes.

1 MR. TODD ANDRES: Thank you. And can
2 you explain why that might have been?

3 MR. RYAN KOLASKI: A jump from the 2.3
4 percent to the 6 percent or --

5 MR. TODD ANDRES: Sorry.

6 MR. RYAN KOLASKI: -- just kind of
7 directionally?

8 MR. TODD ANDRES: Just the -- the
9 elevated cost -- the elevated number in 2022/'23 as
10 opposed to the balance of them, which are in the 4
11 percent range.

12 MR. RYAN KOLASKI: Sure. One moment.

13

14 (BRIEF PAUSE)

15

16 MR. RYAN KOLASKI: Unknown.

17 MR. TODD ANDRES: So there's a --
18 there's a Second Round Information Request that came
19 out of this. It's MPI 2-38.

20

21 (BRIEF PAUSE)

22

23 MR. TODD ANDRES: Thank you, Ms.
24 Schubert. And if we have a look at the response to
25 question 'B', which is on page 2 of 3, in the

1 narrative beneath this table, a number of factors are
2 listed for the increased turnover, correct?

3 MR. RYAN KOLASKI: Correct.

4 MR. TODD ANDRES: Thank you. They
5 talk about, you know, leaving for new job experience,
6 challenge, opportunity for individuals to advance
7 their career inside MPI, dissatisfaction with the
8 work, dissatisfaction with compensation, as well as
9 personal reasons.

10 How are these explanations collected?

11 MR. RYAN KOLASKI: One moment.

12

13 (BRIEF PAUSE)

14

15 MR. RYAN KOLASKI: That particular
16 response was drafted by our HR department. So they
17 have insights into that -- the nature of the turnover.

18 MR. TODD ANDRES: And do you know how
19 MPI is tracking turnover this year?

20 MR. RYAN KOLASKI: One moment.

21

22 (BRIEF PAUSE)

23

24 MR. RYAN KOLASKI: I believe that's in
25 the response to 'C'.

1 MR. TODD ANDRES: Okay. If we can
2 scroll down, Ms. Schubert. Is there any update to
3 this information?

4 MR. RYAN KOLASKI: One moment.

5

6 (BRIEF PAUSE)

7

8 MR. RYAN KOLASKI: We don't have any
9 specific insights beyond what's presented. While it's
10 possible to get some insights, because of labour
11 interruptions, we wouldn't be able to provide you an
12 updated in a timely fashion.

13 MR. TODD ANDRES: Fine. Thank you.
14 So looking at MPI IR-1-49 again, this is response 'F'
15 in figure 4, page 5 of 5.

16 And line 3, the severance and
17 retirement payouts were around \$2.6 million, correct,
18 for 2022/23?

19 MR. RYAN KOLASKI: Correct.

20 MR. TODD ANDRES: And that's forecast
21 to spike in '23 and '24, correct?

22 MR. RYAN KOLASKI: Correct.

23 MR. TODD ANDRES: To 5.5 million?

24 MR. RYAN KOLASKI: Yes.

25 MR. TODD ANDRES: And can you explain

1 this increase in severance and retirement allowance
2 forecast for '23/'24?

3 MR. RYAN KOLASKI: Sure. One moment.

4

5 (BRIEF PAUSE)

6

7 MR. RYAN KOLASKI: It's a combination
8 of things. I can't give you specifics. So I'm going
9 to go with unknown.

10 MR. TODD ANDRES: Can I ask you to
11 undertake to provide an explanation as to the
12 significant increase in severance and retirement
13 allowance forecast for '22/'23 -- pardon me, for
14 '23/'24?

15

16 (BRIEF PAUSE)

17

18 MR. RYAN KOLASKI: Actually we just
19 had an update from one of our team members. So the
20 major driver of the increase in change is based on our
21 staffing plan related to future potential retirements.
22 So we're forecasting out what that retirements look
23 like.

24 MR. TODD ANDRES: Thank you. Now, Ms.
25 Schubert, for your own purpose, I'm jumping ahead to

1 page 23 of my cross, dealing with staffing levels. So
2 if I can ask you to pull up IR-1-47. Thank you.

3 So figure 1, on page 2 of 3. Right.
4 And this shows the changes in actual FTE for '21/'22
5 to '22/'23. Correct?

6 MR. RYAN KOLASKI: Correct.

7 MR. TODD ANDRES: Thank you. And I'll
8 ask you to confirm that the total staffing -- pardon
9 me, the total corporate staffing at the end of '21/'22
10 was eighteen-seventy-nine-point-five (1,879.5) FTE?

11 MR. RYAN KOLASKI: Correct.

12 MR. TODD ANDRES: '22/'23, the
13 number becomes two-thousand-five-point-six (2,005.6)
14 FTE?

15 MR. RYAN KOLASKI: Yes.

16 MR. TODD ANDRES: Increase of one-
17 twenty-six-point-one (126.1) FTE. Yes?

18 MR. RYAN KOLASKI: Yes.

19 MR. TODD ANDRES: And the majority of
20 that increase, you'll agree, was in operations, which
21 grew by ninety-point-seven (90.7) FTE. Yes?

22 MR. RYAN KOLASKI: Yes.

23 MR. TODD ANDRES: Thank you.

24 Followed by increases in IT, as well as customer and
25 finance?

1 MR. RYAN KOLASKI: Yes.

2 MR. TODD ANDRES: Thank you. Now if
3 we look at EXP Appendix 10, staffing levels by
4 category. Thank you.

5 Ask you to confirm, for budgeting
6 purposes, that MPI groups together both its normal
7 operation staff and specialty programs. Correct?

8 MR. RYAN KOLASKI: Correct.

9 MR. TODD ANDRES: Thank you. And
10 including in the staffing level are fifty-seven-point-
11 eight (57.8) FTE that relate to delivering initiative
12 projects. Correct?

13 MR. RYAN KOLASKI: Correct.

14 MR. TODD ANDRES: Scroll down the page
15 and we'll see that number. Yeah.

16 Yeah. There it is. And so, for the --
17 if we look at figure 2, for the '23/'24 current fiscal
18 year, which was the subject of last year's Rate
19 Application, MPI was -- pardon me, is forecasting two-
20 thousand-one-hundred-and-fifty-point-eight (2,150.8)
21 FTE. Yes?

22 MR. RYAN KOLASKI: Yes.

23 MR. TODD ANDRES: And that represents
24 an increase of one-hundred-and-forty-five-point-two
25 (145.2) FTE over '22/'23. Correct?

1 MR. RYAN KOLASKI: Correct.

2 MR. TODD ANDRES: Thank you. And so,
3 if we look at figure EXP Appendix 11-1 -- all right --
4 we see that for normal operations staffing level, the
5 total budget for '23/'24 -- that's two-thousand-forty-
6 six-point-eight (2.046.8)?

7 MR. RYAN KOLASKI: That's correct.

8 MR. TODD ANDRES: Thank you. And
9 improvement staffing was forecast to grow -- scroll
10 down to the bottom -- to ninety-five (95) FTEs.

11 Right?

12 MR. RYAN KOLASKI: Correct.

13 MR. TODD ANDRES: And the overall
14 normal operations staff, of course, also includes the
15 -- the nine (9) FTE and specialty operations. Right?

16 MR. RYAN KOLASKI: Correct.

17 MR. TODD ANDRES: So now, if we go
18 back to EXP Appendix 10, looking at the actuals from
19 '22/'23, fifty-seven-point-eight (57.8) -- sorry,
20 we're looking at EXP Appendix 10.

21

22 (BRIEF PAUSE)

23

24 MR. TODD ANDRES: Thank you. At line
25 -- right -- looking at the actuals from '22/'23, we

1 scroll down to the following page again. All right.

2 Line 29, fifty-seven-point-eight (57.8) FTE working on
3 initiative projects.

4 And so, in the current year, that means
5 a difference of thirty-seven-point-two (37.2) FTEs.

6 Correct?

7 MR. RYAN KOLASKI: Correct.

8 MR. TODD ANDRES: Thank you. And so,
9 can you confirm that most of this year's forecasted
10 increase in staff is for normal operations?

11 MR. RYAN KOLASKI: One moment.

12

13 (BRIEF PAUSE)

14

15 MR. RYAN KOLASKI: That's correct.

16 MR. TODD ANDRES: Thank you. If you
17 can pull up MPI IR-10-50. All right.

18 Figure 2, provides the detail of the
19 Corporate Annual Salary and changes year over year.

20 Correct?

21 MR. RYAN KOLASKI: Correct.

22 MR. TODD ANDRES: It follows that
23 average number of normal operations FTEs. Correct?

24 MR. RYAN KOLASKI: Correct.

25 MR. TODD ANDRES: And for 2022/'23,

1 which we've just discussed, the overall compensation
2 for normal operations went up by 7.11 percent. Yes?

3 MR. RYAN KOLASKI: Yes.

4 MR. TODD ANDRES: Thank you. And this
5 is due primarily to the increase of normal operations
6 staff for that year. Correct?

7 MR. RYAN KOLASKI: One moment. It's a
8 combination of that, plus the general wage increases
9 and merit increases, the in-step increases. So it
10 resembles all three (3) of those in combination.

11 MR. TODD ANDRES: Thank you. So, then
12 if we look at figure 3, line 7.

13 That shows normal operation staff
14 levels increased by 132.5 FTE from the prior year,
15 correct?

16 MR. RYAN KOLASKI: Correct.

17 MR. TODD ANDRES: Thank you. And so,
18 confirm that for 2022/'23, normal compensation went up
19 by nine point five (9.5) million. Correct?

20 MR. RYAN KOLASKI: Correct.

21 MR. TODD ANDRES: And half that nine
22 point five (9.5) million relates to the change in
23 FTEs. Yes? The column immediately to the left.

24 MR. RYAN KOLASKI: Yeah. Correct.

25 MR. TODD ANDRES: Thank you. And the

1 balance relates to both economic increases in the
2 staff step in (sic) scale changes. Yes?

3 MR. RYAN KOLASKI: Correct.

4 MR. TODD ANDRES: So, if we go back up
5 to figure 2, line 7 and 8, total compensation for
6 normal operations is forecast to increase by 16
7 million, if I'm not mistaken.

8 MR. RYAN KOLASKI: Correct.

9 MR. TODD ANDRES: Thank you. And of
10 that increase, again, the majority relates to changes
11 due to salary, FTE and other changes. Correct?

12 MR. RYAN KOLASKI: Correct, it's a
13 combination of all three (3), the staffing, the
14 general wage increase and then the merit, in-step wage
15 increments.

16 MR. TODD ANDRES: Thank you. And as
17 of September, what is the current staff complement for
18 both normal operations and the Corporation overall?

19 MR. RYAN KOLASKI: As of September?
20 One moment.

21

22 (BRIEF PAUSE)

23

24 MR. RYAN KOLASKI: Due to the labour
25 interruption, I can't pull the exact data, so I'm

1 going to have to say, unknown.

2 MR. TODD ANDRES: Does the Corporation
3 expect it will meet its current forecasted staffing
4 increases?

5 MR. RYAN KOLASKI: It's a fair
6 question, but the challenges are really related to
7 labour interruption. We just don't have vision what
8 that's going to look like in terms of the final
9 settlement or what the final mix of staffing
10 complement will be.

11 The additional challenge also, in terms
12 of a visionary direction, is because of the labour
13 interruption, we're subject to a large backlog on
14 operations. And then we're going to have to work
15 through that backlog. And we haven't actually landed
16 plans as to how we will go about doing that.

17 So, in terms of a specific answer, I
18 can't really give you one, other than we're
19 comfortable with the forecast as it stands today.

20 MR. TODD ANDRES: Thank you. You're -
21 - Mr. Kolaski, in your testimony during the
22 benchmarking portion of the hearing on day, I believe
23 it was day 1, you indicated that staffing levels were
24 to be frozen at 2023/'24 levels. Correct.

25 MR. RYAN KOLASKI: It is correct.

1 We're trying to hold to that level overall for FTEs.

2 MR. TODD ANDRES: And so is the
3 2023/'24 levels to be considered to be a cap for just
4 one year or how far into the future do you project
5 that?

6 MR. RYAN KOLASKI: That's a fair
7 question. So for '24/'25, we decided we're going to
8 hold to the FTE levels that we have.

9 What we have, directionally now, is
10 we're going to have a new president that's permanent
11 coming up. So their vision and direction may change
12 the nature of the Corporation.

13 We have a new government, which may
14 change the direction of the Corporation.

15 So, we have a number of things that are
16 in flight, so I can't really give you a definitive
17 answer where that stands.

18 But, I think it's fair to say,
19 directionally, we're basically taking a pause and just
20 focusing on delivery for operations and -- as it
21 relates to NOVA.

22 MR. TODD ANDRES: Thank you. I'm
23 going to move on to external consult --

24 PANEL CHAIRPERSON: Excuse me, Mr.
25 Andres. Can I ask a question here?

1 MR. TODD ANDRES: Certainly.

2 PANEL CHAIRPERSON: On this figure 2,
3 is -- are the years just mis-stated or are we missing
4 '23/'24?

5 MR. RYAN KOLASKI: Just one moment.

6

7 (BRIEF PAUSE)

8

9 MR. RYAN KOLASKI: It would appear
10 that '23/'24 is missing. We'll have to investigate
11 that.

12 PANEL CHAIRPERSON: Thank you.

13

14 (BRIEF PAUSE)

15

16 CONTINUED BY MR. TODD ANDRES:

17 MR. TODD ANDRES: All right. So, Ms.
18 Schubert, I'm up at page --

19 MS. KATHLEEN MCCANDLESS: So, just to
20 clarify, Madam Chair, that I think we would want to
21 make sure that's an Undertaking to advise as to -- the
22 reason for the missing 2023/'24 found at figure 2, of
23 EXP13 and provide the information.

24 MR. ANTHONY GUERRA: Yes. Counsel,
25 I've -- I guess I would just preface it by the first

1 question being, is 2023 missing or just mis-stated and
2 so if it is, then providing the response to that or
3 rationale for that would be the next logical question,
4 so we have -- we'll give that Undertaking.

5 MS. KATHLEEN MCCANDLESS: Thank you.

6

7 --- UNDERTAKING NO. 18: MPI to advise as to the
8 reason for the missing or
9 mis-stated 2023/'24 found
10 at figure 2, of EXP13 and
11 provide the information.

12

13 PANEL CHAIRPERSON: Sorry. Mr.
14 Andres, carry on.

15

16 CONTINUED BY MR. TODD ANDREAS:

17 MR. TODD ANDRES: Thank you, Madam
18 Chair, and that eliminates the line of questioning for
19 me. So, I'll move on to External Consultants Cost
20 which, Ms. Schubert, is at page 28 of my Cross.

21 So, our understanding is that MPI plans
22 to use staff to deliver NOVA and consultants to
23 backfill operational positions. Is that fair?

24 MR. RYAN KOLASKI: That is fair. Yes.

25 MR. TODD ANDRES: Thank you. And, so

1 if we look at 2024 GRA EXP Appendix 19-7.

2 So, there's a note there, if you can
3 maybe zoom in, it says any changes to the plan
4 improvement initiatives for '23 -- '22/'23 and
5 '23/'24, will impact the number of consultant improve
6 -- and improvement initiatives for '23/'24, including
7 2 percent CPI. So it's just that first line that I
8 mentioned it in.

9 So, just confirming, is -- is the
10 budget for consultants fairly fluid?

11 MR. RYAN KOLASKI: One moment.

12

13 (BRIEF PAUSE)

14

15 MR. RYAN KOLASKI: Thanks for your
16 patience. So, I guess that's fair to say, it's
17 somewhat fluid. 'Cause you have -- so it's -- it's
18 fluid in a sense that you bubble staffing.

19 So, there's a team of consultants which
20 are fairly constant. Then we have, what we call
21 external labour, or bubble staffing. And that is
22 relatively fluid.

23 And then, depending on the nature of
24 the project and the nature of the work, it kind of
25 moves between do we have FTEs or do we have bubble

1 staffing, right?

2 So, there's this natural shift that
3 does tend to happen based on needs and resources that
4 are real time. So, hopefully, that answers your
5 question.

6 MR. TODD ANDRES: Thank you. So, it
7 just to be clear, I think you've said this, but it --
8 it's going to change --

9 MR. RYAN KOLASKI: It is fluid, yeah.

10 MR. TODD ANDRES: -- yeah, so it's
11 going to change based on the timing of the delivery of
12 planned initiatives and so on?

13 MR. RYAN KOLASKI: That is correct.
14 Yes.

15 MR. TODD ANDRES: And it -- would it
16 have an impact on the number of FTE forecast?

17 MR. RYAN KOLASKI: It can, 'cause
18 that's what I was trying to articulate, right. If we
19 don't use bubble staffing, then, I have to use FTE
20 resourcing, or I can go the other way, right? So,
21 depending on the need and the availability, one can be
22 act -- impacted with an off-set to the other, right?

23 MR. TODD ANDRES: Thank you.

24 MR. RYAN KOLASKI: But, again, the
25 overall corporate objective is to hold our FTEs

1 basically constant, right?

2 MR. TODD ANDRES: Okay, and -- and,
3 so, you'll agree that, this year, the level of
4 external consultants is lower than in the previous
5 year's GRA. Correct?

6 MR. RYAN KOLASKI: That is correct.

7 MR. TODD ANDRES: Thank you. And can
8 you confirm that the lower data processing expenses
9 for normal operations is, in part, based on that lower
10 forecast FT -- or consultants?

11 MR. RYAN KOLASKI: Sure. One moment.
12 That is correct.

13 MR. TODD ANDRES: Thank you. So, does
14 the 2025/'26 level of consultants that we have working
15 on internal operations, in particular, does that
16 represent what might be expected on a go-forward
17 basis, once Project NOVA is completed?

18 MR. RYAN KOLASKI: One moment.

19

20 (BRIEF PAUSE)

21

22 MR. RYAN KOLASKI: I think the
23 challenge is we haven't gone through R-3 discovery yet
24 and, until we do, it's really kind of tough to get a
25 sense of what that steady state is going to look like.

1 MR. TODD ANDRES: Thank you, Mr.
2 Kolaski. And, so, Mr. Kolaski, on Day 1 of the
3 hearing, you indicated that you were in touch with SGI
4 regularly?

5 MR. RYAN KOLASKI: From time to time.
6 Yes.

7 MR. TODD ANDRES: And have you
8 inquired as to SGI, in terms of their strategy for
9 consultants or out-sourcing?

10 MR. RYAN KOLASKI: I have not. No.

11 MR. TODD ANDRES: Do you know to what
12 extent they -- they outsource?

13 MR. RYAN KOLASKI: I do not. No.

14 MR. TODD ANDRES: Bear with me for a
15 moment.

16 MR. RYAN KOLASKI: Sure.

17 MR. TODD ANDRES: We're finding
18 efficiencies in my cross-examination as well. Okay.
19 Moving on to DVA operations. It's page 36 of my
20 cross-exam, Ms. Schubert, and, if you can pull up MPI,
21 yeah, Exhibit 10, which is the 2022 Annual Report
22 Excerpts and moving to page 71 of 85, scroll down.
23 Keep scrolling down. Oh. Sorry. Up two (2) pages.
24 It's 71 of 85, pdf page 69, I believe. Thank you, Ms.
25 Schubert.

1 So, do you know if it's the intent of
2 the Province to fully fund and reimburse MPI for its
3 costs of administering DVA on behalf of the Province?

4 MR. RYAN KOLASKI: We do not at this
5 time. No. There's ongoing discussions, like I said,
6 in terms of self-sufficiency, but we don't know
7 exactly what the timing is like or what that program
8 will look like.

9 MR. TODD ANDRES: Can you just and --
10 and I see here that we have in the note at the bottom
11 of the page -- we have a 2021 transfer of 57 million,
12 right, and, then, in 20 -- 2020/2021, a 60 million
13 transfer. See that?

14 MR. RYAN KOLASKI: I do. Yes.

15 MR. TODD ANDRES: Thank you. And
16 that's a transfer from Extension line of business to
17 the DVA line of business. Yes?

18 MR. RYAN KOLASKI: Yes.

19 MR. TODD ANDRES: And can you confirm
20 that the transfers were to defray both historical
21 losses as well as the cost of Project NOVA?

22 MR. RYAN KOLASKI: One (1) moment.
23 Yeah, that is correct.

24 MR. TODD ANDRES: And if not for these
25 transfers, DVA operations would have been in a deficit

1 as of March 31, 2023?

2 MR. RYAN KOLASKI: Correct.

3 MR. TODD ANDRES: And my understanding
4 is that the funding from the province right now is
5 approximately \$40.250 million, correct?

6 MR. RYAN KOLASKI: For the -- for the
7 fiscal '23/'24?

8 MR. TODD ANDRES: So we can -- you
9 know, it might be helpful if we go to IR-1-41.

10

11 (BRIEF PAUSE)

12

13 MR. TODD ANDRES: Thank you, Ms.
14 Schubert. If we go to page 4 and line 26 -- pardon
15 me, line 27, government funding.

16 So you'll see there, from 2018 to --
17 from 20 -- pardon me, 2018/'19 all the way through to
18 2021/'22, the funding level is thirty point two five
19 oh (30.250). You see that?

20 MR. RYAN KOLASKI: Yes.

21 MR. TODD ANDRES: And then it spikes
22 for two (2) years in '22/'23 and '23/'24.

23 Do you see that?

24 MR. RYAN KOLASKI: That's correct,
25 yeah.

1 MR. TODD ANDRES: And the actual --
2 the actual cost of running the DVA business was -- in
3 terms of the expenses in 2022/'23 of \$54.6 million,
4 correct?

5 MR. RYAN KOLASKI: That is correct.

6 MR. TODD ANDRES: And then in again
7 2022/'23, there was an operating deficit of 10.6
8 million for the year, yes?

9 MR. RYAN KOLASKI: Correct.

10 MR. TODD ANDRES: And so if we scroll
11 up to the top of the chart there, yeah, if we see
12 this, it's a ten (10) year summary of total DVA
13 operating expenses.

14 We have five (5) years of actual and
15 five (5) years of forecast, correct?

16 MR. RYAN KOLASKI: Yes.

17 MR. TODD ANDRES: And so the annual
18 level of cost for DVA to run the department was
19 approximately -- you know, if we scroll back down --
20 \$33 million or thereabouts from 2018/'19 all the way
21 through to 2020/2021. That's line 26.

22 MR. RYAN KOLASKI: Correct.

23 MR. TODD ANDRES: Right. And then
24 there's a jump to \$51 million in '21/'22 --

25 MR. RYAN KOLASKI: Correct.

1 MR. TODD ANDRES: -- and it remains
2 elevated for the balance, correct?

3 MR. RYAN KOLASKI: Correct.

4 MR. TODD ANDRES: And so would this
5 level of expenditure be the anticipated normal annual
6 run rate?

7 MR. RYAN KOLASKI: One (1) moment.

8

9 (BRIEF PAUSE)

10

11 MR. RYAN KOLASKI: That is correct.

12 MR. TODD ANDRES: Thank you. And I --
13 I believe I heard you say this morning that there
14 would be no transfer for 2024/'25.

15 Did I hear that correctly?

16 MR. RYAN KOLASKI: There is no
17 expected transfer for '24/'25 today.

18 MR. TODD ANDRES: So this schedule
19 does not reflect that, does it?

20 MR. RYAN KOLASKI: It does not, no.

21 MR. TODD ANDRES: Thank you. And can
22 I ask that this schedule be refiled as updated,
23 please. I guess that's a question for Mr. Guerra, an
24 undertaking to refile this as an updated schedule.

25 MR. RYAN KOLASKI: Just to clarify,

1 what would we update?

2 MR. TODD ANDRES: Well, the fact that
3 there's no anticipated transfer for the '24/'25 year
4 whereas you have a transfer expected there of 30.250
5 million.

6 MR. RYAN KOLASKI: No. So there's --
7 so just to clear up the confusion.

8 So the increase from thirty point two
9 (30.2) to forty point two (40.2), it's not a transfer.
10 What those represent is funds that are otherwise
11 dispersed to the province are withheld on behalf of
12 MPI related to DVA.

13 So the government has agreed to fund
14 approximately \$10 million in '22/'23, as well as in
15 '23/'24. Then that funding is no longer available.

16 So it's going back to the original
17 funding of thirty point two (30.2), and I believe
18 there's an IR that kind of talks about that as well.

19 MR. TODD ANDRES: I see. Thank you
20 for that clarification.

21 Now, given that we do have a shortfall
22 indicated in this, what options has the Corporation
23 discussed relating to addressing the DV -- DVA funding
24 shortfall?

25 MR. RYAN KOLASKI: In discussions with

1 the province, there was a review that was done on --
2 on their behalf. We're not privy to the report and
3 the findings that have come out of that.

4 That report and findings, they are
5 contemplating what that means in terms of returning to
6 self-sufficiency, so that is ongoing in terms of what
7 they're prepared to do. But we have not been given
8 vision on what that plan looks like so far to date.

9 MR. TODD ANDRES: Thank you, Mr.
10 Kolaski. I'm going to jump ahead now, Ms. Schubert.
11 I'm at page 43 of my cross. That's the move to IFRS-
12 17 and the deferral of integration costs.

13 It's my understanding -- and I'll just
14 read this in:

15 "In Order 4/'23, Directive 1, part
16 'D', the Board directed the
17 Corporation as follows: The Board
18 therefore directs MPI to defer these
19 integration costs through a
20 regulatory deferral account for
21 rate-setting purposes. The account
22 will accumulate the integration
23 costs and be recovered when Project
24 NOVA is fully in service. The
25 period of recovery will -- will be

1 established in the 2024 GRA when MPI
2 is expected to provide an updated
3 time line for the delivery of
4 Project NOVA."

5 So can you confirm whether MPI has
6 complied with this directive and reduced rates for
7 these implementation expenses?

8 MR. RYAN KOLASKI: One (1) moment.

9

10 (BRIEF PAUSE)

11

12 MR. RYAN KOLASKI: We have deferred
13 those costs, yes.

14

15 (BRIEF PAUSE)

16

17 MR. TODD ANDRES: And have you
18 established an asset for doing so?

19

20 MR. RYAN KOLASKI: One (1) moment.
21 No, we haven't. So the crux of your question is -- is
22 kind of -- is MPI going to adopt IFRS-14? And as I
23 indicated today, MPI is not in a position to adopt
24 IFRS-14.

24 MR. TODD ANDRES: Thank you for that.

25

1 (BRIEF PAUSE)

2

3 MR. TODD ANDRES: Now, my
4 understanding is MPI is monitoring IASB's prog --
5 progress with the exposure draft, regulatory assets,
6 and regulatory liabilities, correct?

7 MR. RYAN KOLASKI: We're aware of the
8 exposure draft. I wouldn't say we're monitoring it,
9 though.

10 MR. TODD ANDRES: Are you aware that
11 IASB's guidance is that, upon the new standards
12 release, it will replace current IFRS-14?

13 MR. RYAN KOLASKI: I am aware that
14 that's proposed. I'm also aware that that hasn't
15 actually been enacted in terms of an actual actionable
16 accounting standard, which is why it's still an
17 exposure draft.

18 MR. TODD ANDRES: For your initial --
19 from your initial review of the exposure draft, would
20 MPI be subject to rate regulations set out in the yet-
21 to-be-issued standard?

22 MR. RYAN KOLASKI: Because this is an
23 exposure draft, I can't really comment.

24 MR. TODD ANDRES: And back to the
25 issue of the deferral, how does MPI propose to reflect

1 the deferral in its Basic financial statements?

2 MR. RYAN KOLASKI: Again, because
3 we're not in a position to adopt IFRS-14, we'll
4 continue to reflect our accounting related to
5 initiatives as they're currently presented on for
6 external reporting purposes.

7 MR. TODD ANDRES: So I suppose the
8 question then is: How does the Corporation propose to
9 address the Board directed treatment for
10 implementation expenses for rate setting and financial
11 reporting regulatory -- for regulatory purposes?

12 MR. RYAN KOLASKI: One moment.

13

14 (BRIEF PAUSE)

15

16 MR. RYAN KOLASKI: There is currently
17 no accounting standard that we can currently comply
18 with and apply.

19 MR. TODD ANDRES: All right. Is there
20 consideration of preparing a separate set of
21 financials to comply with the Board directive?

22 MR. RYAN KOLASKI: It's a fair
23 question. At this time, the answer is no. Again,
24 preparing a separate set of financials becomes
25 complicated. I'd have to, like, take this back under

1 advisement because, again, it's a specific purpose
2 financial statement which would require a separate,
3 basically, work product outside of our current
4 financial statements.

5 So, in essence, what you're asking me
6 for is would I prepare a specific accounting statement
7 that is not necessarily IFRS compliant for your
8 purposes only. I'd be happy to engage in that
9 discussion but, currently, we're not looking at doing
10 that.

11

12 (BRIEF PAUSE)

13

14 MR. TODD ANDRES: Okay. So I'm going
15 to jump ahead to a run through of the financial
16 statements for 2022/'23. Ms. Schubert, this is page
17 47 of my cross. And if we can pull up PF1. Thank you
18 for that. Right.

19 So this is the financial forecast that
20 was filed with Application, correct?

21 MR. RYAN KOLASKI: Correct.

22 MR. TODD ANDRES: And this forecast
23 reflects the restatement of the 2022/'23 financial
24 year from IFRS-14 to the IFRS-17 new accounting
25 standard, yes?

1 MR. RYAN KOLASKI: Yes.

2 MR. TODD ANDRES: And it also provides
3 a forecast update for 2022 -- pardon me -- 20 --
4 2023/'24, which is in last rate's -- last year's rate
5 application, correct?

6 MR. RYAN KOLASKI: Correct.

7 MR. TODD ANDRES: Thank you. So just
8 quickly running through this with you.

9 Line 13, MPI reported total net
10 premiums earned of \$1.08 billion?

11 MR. RYAN KOLASKI: Yes.

12 MR. TODD ANDRES: Thank you. 27.3 in
13 -- million in service fees and other revenues?

14 MR. RYAN KOLASKI: Yes.

15 MR. TODD ANDRES: And 1.109 billion in
16 total earned revenues, yes?

17 MR. RYAN KOLASKI: Yes.

18 MR. TODD ANDRES: And you'll confirm
19 that reported claims incurred of 801.7 million,
20 including the impact of interest rate changes --

21 MR. RYAN KOLASKI: Yes.

22 MR. TODD ANDRES: -- (INDISCERNIBLE)
23 19. Thank you. Road safety costs of 10.5 million,
24 yes?

25 MR. RYAN KOLASKI: Yes.

1 MR. TODD ANDRES: Total claim costs of
2 958.5 million, correct?

3 MR. RYAN KOLASKI: Yes.

4 MR. TODD ANDRES: And MPI reported
5 operating expenses of 86.5 million, yes?

6 MR. RYAN KOLASKI: Yes.

7 MR. TODD ANDRES: And you'll confirm
8 the commissions paid to brokers for writing Basic
9 policies of 47.5 million?

10 MR. RYAN KOLASKI: Correct.

11 MR. TODD ANDRES: Thank you.

12

13 (BRIEF PAUSE)

14

15 MR. TODD ANDRES: So I think the
16 balance of it is self-evident, but if we look to the
17 top row, there is an adjustment being made from IFRS-4
18 to IFRS-17, correct?

19 MR. RYAN KOLASKI: Yes.

20 MR. TODD ANDRES: It's the column --
21 or the row in red.

22 MR. RYAN KOLASKI: Yes, that is
23 correct.

24 MR. TODD ANDRES: And that's because
25 it's elected to adopt IFRS-17, insurance contract

1 standard effective April 1, 2022/'23 -- pardon me --
2 April 1, 2023?

3 MR. RYAN KOLASKI: That is correct,
4 yes.

5 MR. TODD ANDRES: And you'll confirm
6 that MPI will be restating its financial results for
7 2022/'23 to reflect the changes?

8 MR. RYAN KOLASKI: That is correct.

9 MR. TODD ANDRES: Thank you. And
10 under IFRS-17 there's a requirement to categorize
11 service fees and other revenue as either attributable
12 or policy or non-attributable and non-policy for the
13 issuance fulfilment of maintenance of service
14 contracts, correct?

15 MR. RYAN KOLASKI: That is correct.

16 MR. TODD ANDRES: Thank you.

17

18 (BRIEF PAUSE)

19

20 MR. TODD ANDRES: So if we can pull up
21 MPI number 20 -- Exhibit number 24, CAC IR 1-1.

22

23 (BRIEF PAUSE)

24

25 MR. TODD ANDRES: And go to page 11 of

1 11.

2

3

(BRIEF PAUSE)

4

5

MR. TODD ANDRES: Pardon me. No, it's

6 CAC 1-1.

7

8

(BRIEF PAUSE)

9

10

MR. TODD ANDRES: Thank you. Sorry

11 about that. And so we're looking at the first column.

12

13

(BRIEF PAUSE)

14

15

MR. TODD ANDRES: And scroll down to

16 the bottom of the page, please. Back up, sorry. I'm

17 trying to see the page number on here. 11 of 11.

18

19

(BRIEF PAUSE)

20

21

MR. TODD ANDRES: Ms. Schubert, if I

22 can get you to scroll up to the top of the page,

23 please. Yeah. Down just a bit more. You know what?

24 We'll have to come back to this. For the time being,

25 can you skip forward to PF3. Thank you. Line 9.

1 And can you confirm that MPI has not
2 included the net income for rate-setting purposes in
3 its -- its PF3 changes in equity?

4 MR. RYAN KOLASKI: Just one moment.

5

6 (BRIEF PAUSE)

7

8 MR. RYAN KOLASKI: It is included.

9 MR. TODD ANDRES: Thank you.

10

11 (BRIEF PAUSE)

12

13 MR. TODD ANDRES: I may have some
14 follow-up questions for this after the lunchbreak, but
15 for now, I will --

16 MR. TODD ANDRES: Sure.

17 MR. TODD ANDRES: -- turn it over to
18 Ms. McCandless for her follow-up questions for the
19 Ratemaking Panel. Thank you.

20 MR. RYAN KOLASKI: Thank you.

21 PANEL CHAIRPERSON: Thank you.

22 MS. KATHLEEN MCCANDLESS: I don't
23 expect to be very long. It's just one section of
24 questioning that was posed to the Ratemaking Panel
25 last week which was deferred, and it's with respect to

1 employee future benefits.

2

3 CROSS-EXAMINATION BY MS. KATHLEEN MCCANDLESS:

4 MS. KATHLEEN MCCANDLESS: And so,
5 first, if we could please pull up Exhibit -- or EXP
6 38, please. Thank you.

7 And so, at this table, we see the six
8 (6) year summary of Basic normal operations expenses
9 by category?

10 MR. RYAN KOLASKI: Yes.

11 MS. KATHLEEN MCCANDLESS: And I'm
12 looking at line 4, compensation benefits. We see that
13 for normal operations for 2024/'25, compensation
14 benefits are forecast at 25.9 million?

15 MR. RYAN KOLASKI: Correct.

16 MS. KATHLEEN MCCANDLESS: And then,
17 26.3 million for 2025/26?

18 MR. RYAN KOLASKI: Correct.

19 MS. KATHLEEN MCCANDLESS: These
20 benefits would include employee future benefits?

21 MR. RYAN KOLASKI: One moment.

22

23 (BRIEF PAUSE)

24

25 MR. RYAN KOLASKI: That is correct.

1 MS. KATHLEEN MCCANDLESS: Thank you.

2 Now, if we could go to PUB/MPI-1-30B, Appendix 2. And
3 specifically, figure 4. Thank you, Kristen.

4 So this table is a summary of employee
5 future benefits investment income for Basic line of
6 business?

7 MR. RYAN KOLASKI: Yes.

8 MS. KATHLEEN MCCANDLESS: And so, we
9 see the last four (4) columns show this for the -- for
10 Basic for employee future benefits pro rata?

11 MR. RYAN KOLASKI: Yes.

12 MS. KATHLEEN MCCANDLESS: And line
13 item 36 -- we'll need to go down somewhat -- thank you
14 -- shows a pension expense for 2024/'25 and 2025/'26
15 each of \$11.7 million. Yes?

16 MR. RYAN KOLASKI: Yes.

17 MS. KATHLEEN MCCANDLESS: And then,
18 after accounting for that line item, the total Basic
19 line of business investment income on line 40 would be
20 11.95 million for '24/'25?

21 MR. RYAN KOLASKI: Yes.

22 MS. KATHLEEN MCCANDLESS: And 13.3
23 million for 2025/'26?

24 MR. RYAN KOLASKI: Yes.

25 MS. KATHLEEN MCCANDLESS: And this

1 would be investment income that would be part of PF-4
2 -- PF-1, pardon me, investment income?

3 MR. RYAN KOLASKI: Just one moment.

4

5 (BRIEF PAUSE)

6

7 MR. RYAN KOLASKI: Yes.

8 MS. KATHLEEN MCCANDLESS: Thank you.

9 And then, if we go to PUB/MPI-2-26? Thank you. And
10 I'm just going to go to the question here.

11 MPI was asked why the investment income
12 on the employee future benefits related to Basic is
13 significantly greater than the pension expense.

14 And that was asked of MPI?

15 MR. RYAN KOLASKI: Yes.

16 MS. KATHLEEN MCCANDLESS: Then if we
17 go to the response, MPI states that:

18 "The pension expense is the employer
19 portion of pension contributions
20 required to meet the future
21 liability of pension payouts. The
22 rate is set annually by the external
23 actuary for MPI. Investment income
24 for each asset is calculated by
25 multiplying the total market value

1 of each asset by the expected return
2 for that respective asset. The
3 total investment income is the sum
4 of investment income for all asset
5 classes. The goal is for investment
6 income on the EFB portfolio to match
7 or exceed the pension expense."

8 Yes?

9 MR. RYAN KOLASKI: Yes.

10 MS. KATHLEEN MCCANDLESS: And given
11 that we just saw the amounts are 11.9 million to the
12 positive for 2024/'25, and 13.2 million to the
13 positive for 2025/'26, MPI projects the investment
14 income to significantly exceed the pension expense.
15 Right?

16 MR. RYAN KOLASKI: Correct.

17 MS. KATHLEEN MCCANDLESS: If the
18 projected excess investment income were to be removed
19 from the compensation benefits cost for Basic normal
20 operations, then that would serve to reduce the
21 expenses for the rating year for ratemaking purposes
22 by the average of 11.9 million and 13.2 million?

23 MR. RYAN KOLASKI: Yes.

24 MS. KATHLEEN MCCANDLESS: And so,
25 subject to check, the average would be about 12 1/2

1 million?

2 MR. RYAN KOLASKI: Yes.

3 MS. KATHLEEN MCCANDLESS: And some of
4 this would fall under claims expense and some under
5 operating expense?

6 MR. RYAN KOLASKI: One moment.

7

8 (BRIEF PAUSE)

9

10 MR. RYAN KOLASKI: That is correct.

11 MS. KATHLEEN MCCANDLESS: Thank you.

12 This is likely an undertaking.

13 What would the change in the rate
14 indication with a reduction in expenses in the
15 ratemaking -- what would be, sorry, the rate -- change
16 in the rate indication with a reduction in expenses in
17 the ratemaking calculation. That would be some
18 combination of claims, incurred expense, and operating
19 expense of 12 1/2 million?

20 MR. RYAN KOLASKI: Well, subject to
21 check. I'm just joking. I'm -- it's an undertaking.

22 MS. KATHLEEN MCCANDLESS: I think we
23 would just ask, with -- with that in mind, an
24 undertaking to provide a revised RI-10, PF-1, PF-2,
25 and PF-3, reflecting the change in the rate indication

1 with a reduction in expenses in the ratemaking
2 calculation, some combination of claims incurred
3 expense, and operating expense of 12 1/2 million.

4 MR. ANTHONY GUERRA: Yes, Counsel,
5 we'll give the undertaking.

6

7 --- UNDERTAKING NO. 19: MPI to Provide a revised
8 RI-10, PF-1, PF-2, and PF-
9 3, reflecting the change
10 in the rate indication
11 with a reduction in
12 expenses in the ratemaking
13 calculation, some
14 combination of claims
15 incurred expense, and
16 operating expense of 12
17 1/2 million.

18

19 MS. KATHLEEN MCCANDLESS: Thank you.

20 MS. CARA LOW: Just to note, in the
21 rate indication, we use 18 percent as a proportional
22 amount, so there won't be any impact to the claims
23 expense and the rate indication.

24 MS. KATHLEEN MCCANDLESS: Thank you.
25 Those were all my follow-ups on that issue. Unless I

1 have to jump in just before -- and I am advised that
2 Mr. Andres is prepared to go back to wrap up his line
3 of questioning.

4

5 CONTINUED CROSS-EXAMINATION BY MR. TODD ANDRES:

6 MR. TODD ANDRES: Thank you. And so,
7 as it turns out, it was, indeed, MPI Exhibit number
8 24. So if I can have that. And PF number 1 pulled
9 up, please. Right.

10 So if we start with PF-1, can you just
11 confirm that it does not reflect an adjustment for
12 2022/'23 net income?

13 MR. RYAN KOLASKI: Your question was
14 that it does not?

15 MR. TODD ANDRES: Correct.

16 MR. RYAN KOLASKI: One second.

17

18 (BRIEF PAUSE)

19

20 MR. RYAN KOLASKI: Can you just repeat
21 your question again, sir? Sorry.

22 MR. TODD ANDRES: A couple questions
23 we're looking at there.

24 So -- so on this schedule, MPI
25 indicates that the initiative expenses -- or indicates

1 the initiative expenses that are not being included
2 for ratesetting purposes. Correct?

3 MR. RYAN KOLASKI: Correct.

4 MR. TODD ANDRES: Thank you. And
5 then, adjusting for this initiative expenses, MPI re-
6 states its net income for ratesetting purpose as 27.5
7 million in '23/'24 and 43.8 million -- this is line
8 30; so you'll have to go down to the bottom -- so 27
9 1/2 million.

10 MR. RYAN KOLASKI: Gotcha.

11 MR. TODD ANDRES: And then, 43.8
12 million --

13 MR. RYAN KOLASKI: That's correct.

14 MR. TODD ANDRES: Thank you. And so,
15 PF-1 does not reflect an adjustment for '22/'23 net
16 income. Correct?

17 MR. RYAN KOLASKI: Correct.

18 MR. TODD ANDRES: Thank you. So if we
19 now go to MPI number 24. Perfect. Thank you.

20 And if we scroll down to the bottom, it
21 indicates 16.8 million in initiative expenses in
22 2022/'23? You see that's the --

23 MR. RYAN KOLASKI: Yeah.

24 MR. TODD ANDRES: -- far left-hand
25 column at the bottom?

1 MR. RYAN KOLASKI: Yeah.

2 MR. TODD ANDRES: And is it the intent
3 to re-state the 2022/'23 net income for ratesetting
4 purposes?

5 MR. RYAN KOLASKI: One moment.

6

7 (BRIEF PAUSE)

8

9 MR. RYAN KOLASKI: We're not looking
10 to do an update at this time.

11 MR. TODD ANDRES: All right. So
12 jumping forward to PF-3, Ms. Schubert. Thank you.

13 And can you confirm that MPI has not
14 included the net income for ratesetting purposes in
15 its PF-3 changes in equity?

16 MR. RYAN KOLASKI: One moment.

17

18 (BRIEF PAUSE)

19

20 MR. RYAN KOLASKI: That is correct.

21 MR. TODD ANDRES: And can you confirm
22 that the MCT calculations do not incorporate the net
23 income for ratesetting purposes?

24 MR. RYAN KOLASKI: One moment. That
25 is correct.

1 MR. TODD ANDRES: How does the
2 Corporation propose on reflecting the directive of the
3 Board, in its financial reporting -- and I guess we've
4 covered that to a certain extent already.

5 Have -- have -- has, you know, deferral
6 of cost been recorded on a balance sheet of the
7 Corporation --

8 MR. RYAN KOLASKI: You know I -- it
9 goes back to the whole IFRS-14 adoption, right.

10 Again, we're relying on Deloitte's
11 opinion in terms of we are not in a position to adopt
12 IFRS-14 and then in terms of options, it's a special
13 report, potentially.

14 I believe we addressed that in a couple
15 of IRs. Again, we're open to the discussions and how
16 we can work with you folks on -- on what we can do
17 here.

18

19 (BRIEF PAUSE)

20

21 MR. TODD ANDRES: Ms. Schubert, can I
22 get you to pull up Order 154/'98 and, in particular,
23 I'm interested in pages 49 -- the section starting at
24 page 49 of one (1), four (4) -- 15498.

25 So, this is an older Order of the Board

1 that required it to introduce a Rate Stabilization
2 Reserve. Do you see that?

3 MR. RYAN KOLASKI: I do, yes.

4 MR. TODD ANDRES: Thank you. And so
5 while this is an older Order, you were required -- or
6 MPI was required to track the balance of the funds
7 generated by the capital rebuild as a component of
8 retained earnings. Correct?

9 MR. RYAN KOLASKI: Correct.

10 MR. TODD ANDRES: Thank you. So, it's
11 fair to state that MPI required a surcharge to rebuild
12 the Rate Stabilization Reserve?

13 MR. RYAN KOLASKI: One moment. That
14 is correct.

15 MR. TODD ANDRES: And that surcharge
16 had to be monitored. Correct?

17 MR. RYAN KOLASKI: Correct.

18 MR. TODD ANDRES: Thank you. And the
19 amounts accumulated from that surcharge, had to be
20 disclosed separately for both rate-setting purposes
21 and/or financial reporting purposes?

22 MR. RYAN KOLASKI: One moment. At
23 that particular point in time, yes, that's correct.

24 MR. TODD ANDRES: Thank you. And so
25 is it fair to say then that this type of account is a

1 regulatory deferral account under this interim
2 standard?

3 MR. RYAN KOLASKI: One moment.
4 Unknown.

5 MR. TODD ANDRES: Was this information
6 regarding the Rate Stabilization Reserve provided to
7 Deloitte in advance of preparing its opinion?

8 MR. RYAN KOLASKI: The opinion you're
9 referring to is the IFRS-14 opinion?

10 MR. TODD ANDRES: Correct.

11 MR. RYAN KOLASKI: It was not. No.

12 MR. TODD ANDRES: Thank you.

13

14 (BRIEF PAUSE)

15

16 MR. TODD ANDRES: Okay, we are
17 mercifully coming close to the end. Can you pull up
18 PF-11, page 23 of 33?

19 All right. Can you -- can -- confirm
20 that this represents the mapping of the existing
21 presentation of operations as it relates to the new
22 presentation under IFRS-17?

23 MR. RYAN KOLASKI: One moment --
24 that's... That is correct.

25 MR. TODD ANDRES: And can you

1 summarize at a high level, the changes that aggregate
2 and regroup the financial information that has
3 previously been provided to the Board?

4 MR. RYAN KOLASKI: When you refer to
5 previous information, what does that refer to? Sorry.

6 MR. TODD ANDRES: Of the existing
7 presentation. It's on the left-hand side of the
8 screen.

9 MR. RYAN KOLASKI: Sure. I guess,
10 effectively on the left-hand side, you have a
11 presentation that shifts over to IFRS-17, so in terms
12 of the allocations that would be -- how do I say this
13 -- your IFRS-4 presentation on the left, is moving
14 over to your IFRS-17 presentation on the right.

15 So, each one of those line items is
16 showing where the new configuration of the P&L will
17 look. So, when you look at motor vehicle revenue, or
18 premiums, for example, it will show up in insurance
19 revenue.

20 So, each one of those core items under
21 IFRS-4, is now being presented in a different fashion
22 under IFRS-17. And, directionally, each one of those
23 line items is now directing you to where those dollars
24 will be presented on a go-forward basis.

25 MR. TODD ANDRES: Thank you. And if

1 we look at, again, PF-11, pages 10 and 11.

2 You confirm that this represents the
3 new presentation of the income statement pursuant to
4 IFRS-17?

5 MR. RYAN KOLASKI: One moment. That
6 is correct.

7 MR. TODD ANDRES: And would you agree
8 that this provides substantially less detail than what
9 was provided previously to support prior rate
10 applications?

11 MR. RYAN KOLASKI: I think that's open
12 to interpretation, depending on which side of the
13 fence you sit on.

14 Again, we were -- we have to adopt
15 IFRS-17 as of April 1st. So, we have to adopt this
16 presentation going forward. It's the new accounting
17 standard, overall.

18 MR. TODD ANDRES: Okay. And Ms.
19 Schubert, can I ask you to pull up MPI-71, which is
20 Pre-ask 4? Thank you.

21 And would you agree that this IR
22 confirms, at least, in part, that MPI has completed
23 its cost allocation review?

24 MR. RYAN KOLASKI: One moment.

25

1 (BRIEF PAUSE)

2

3 MR. RYAN KOLASKI: With respect to
4 IFRS-17, on the expense allocation side, we're
5 comfortable with those numbers.

6 As it relates to IFRS-17 and the
7 calculation of MCT, as I indicated this morning, we're
8 still working through the OSFI template and trying to
9 land that and then use that to validate the high level
10 model that is being presented here today. So, it's a
11 bit of a combination, to be honest.

12 MR. TODD ANDR

E
S
:

13 So, Madam Chair, I
14 do have a few more questions to go, but given the
15 time, perhaps we'll have to break for lunch and then I
16 can further streamline.

17 PANEL CHAIRPERSON: Okay. We'll break
18 now then. It's five (5) after 12:00. Can we come
19 back at five (5) after 1:00 please? Thank you.

20 MR. TODD ANDRES: Thank you.

21

22 --- Upon recessing at 12:05 p.m.

23 --- Upon resuming at 1:04 p.m.

24

25 PANEL CHAIRPERSON: Good afternoon,
everyone.

1 We'll carry on, Mr. Andres.

2

3 CONTINUED BY MR. TODD ANDRES:

4 MR. TODD ANDRES: Thank you, Madam
5 Chair. So I have a few questions left, and we'll
6 start by turning to GRA part 9, PF-1. And I think
7 it's probably a good idea to get set up with Exhibit
8 50, PF-1 as well. We're doing some back and forth.

9 But to start on PF-1 from the 2024 GRA,
10 if we look at claims incurred, that's line 16.

11 MR. RYAN KOLASKI: Yes.

12 MR. TODD ANDRES: Thank you. And so
13 under IFRS-4, it's 903.1 million, correct?

14 MR. RYAN KOLASKI: Correct.

15 MR. TODD ANDRES: The IFRS-17
16 adjustment is 57.1 million, yes?

17 MR. RYAN KOLASKI: Yes.

18 MR. TODD ANDRES: And resulting in
19 2022/'23 claims incurred under IFRS-17 of 960 million,
20 yes?

21 MR. RYAN KOLASKI: Yes.

22 MR. TODD ANDRES: Okay. Now, so if we
23 flip to Exhibit 50, PF-1, page 533. Okay. And again,
24 down to line 16, and we see nine-o-three (903) in the
25 left-hand column, nine-o-three one twenty-nine

1 (903129). Okay. But if we jump to the column
2 immediately to the right of that, you'll see the
3 adjustment here is only six hundred and four thousand
4 dollars (\$604,000), yes?

5 MS. CARA LOW: Correct.

6 MR. TODD ANDRES: And resulting in a
7 claims incurred under IFRS-17 of nine-o-three seven
8 thirty-three (903733), correct?

9 MS. CARA LOW: Correct.

10 MR. TODD ANDRES: Thank you. And
11 looking at line 7 indicates that there was -- pardon
12 me, I guess we're going to jump to page 10 of Exhibit
13 50 now. This is PF-4. Thank you. There we are.

14 So if we look at line 7, it indicates a
15 \$55 1/2 million change that's attributed to an IFRS-17
16 model change for Personal Injury Protection Plan, or
17 PIPP?

18 MS. CARA LOW: Yes.

19 MR. TODD ANDRES: That's worth \$55.4
20 million, correct?

21 MS. CARA LOW: Correct.

22 MR. TODD ANDRES: And so I -- I
23 believe, and correct me if I'm wrong, that MPI has
24 acknowledged that this was a spreadsheet error.

25 Is that --

1 MS. CARA LOW: It was a spreadsheet
2 error, yes.

3 MR. TODD ANDRES: Could you explain
4 how and when it was caught?

5 MS. CARA LOW: It was caught, not when
6 we were necessarily doing the update for October, but
7 as the -- they were taking the financial model and
8 comparing it to the GL transaction.

9 So as the actuaries feed transactions,
10 they feed them to both the forecasting team to put
11 into the financial model and also to the financial
12 reporting team to put in the GL. And they're very
13 similar if not the same adjustments.

14 And then over the summer we were going
15 through the two (2) sets of adjustments and we
16 realized that there was a linking issue in one (1) of
17 the spreadsheets.

18 MR. TODD ANDRES: Thank you. Sorry,
19 'GL' being general ledger?

20 MS. CARA LOW: The general ledger,
21 correct, yes.

22 MR. TODD ANDRES: Can you comment on
23 what steps have been taken to ensure that another
24 error of this nature is avoided?

25 MS. CARA LOW: I would say that it is

1 avoided because we check our financial model to the
2 general ledger, and we did that over the summer. What
3 the issue was, was because we had this timing issue.
4 We had to get the GRA application out the door, and we
5 had nothing else to compare it to, and so it looked
6 reasonable at the time.

7 And so we do have a control in place
8 'cause we can take the forecasted model, we can take
9 the actual model, we can compare the two (2), and so
10 the controls worked. Unfortunately, just didn't -- it
11 wasn't done in time for the June filing.

12 MR. TODD ANDRES: Thank -- thank you
13 for that answer.

14 So returning to the 2024 GRA PF-1, line
15 18, claims incurred, interest rate impact -- do you
16 see that line?

17 MS. CARA LOW: Yes, I see it.

18 MR. TODD ANDRES: Okay. And so the
19 impact under IFRS-4 was negative 101.4 million, yes?

20 MS. CARA LOW: Correct.

21 MR. TODD ANDRES: And then IFRS-17
22 impact was negative 21 million, yes? Pardon me, 31
23 million.

24 MS. CARA LOW: 31 million, yes. 31
25 million adjustment.

1 MR. TODD ANDRES: Thank you, yeah.

2 MS. CARA LOW: Yes.

3 MR. TODD ANDRES: Then there's an
4 impact of -- if we see the line immediately -- or,
5 sorry, the column immediately to the right is one
6 thirty-three two thirty-one (133231), yes?

7 MS. CARA LOW: Yes.

8 MR. TODD ANDRES: In the October
9 update -- oh, pardon me, that is the updated one,
10 sorry.

11 MS. CARA LOW: It's the --

12 MR. TODD ANDRES: If we can go -- if
13 we can go back to the 2024 GRA. Thank you. Right.
14 Now my numbers are going to be making sense.

15 So again, line 18. And zoom in just a
16 touch. Thank you.

17 Okay. So now we have the one oh one
18 point four (101.4). We have an adjustment of twenty-
19 one (21), resulting in one twenty two four fifty-five
20 (122455), yes?

21 MS. CARA LOW: Yes.

22 MR. TODD ANDRES: Okay. And then we
23 know that the numbers have changed, and the swing is
24 about \$10.8 million, correct?

25 MS. CARA LOW: Correct.

1 MR. TODD ANDRES: Thank you. And if
2 we pull up Exhibit 68 which is PUB-MPI Pre-ask 3,
3 Response A.

4 All right. In the October rate update,
5 there was a -- a change in the interest rate impact
6 for March 31, 2023, under IFRS-17, correct?

7 MS. CARA LOW: Correct.

8 MR. TODD ANDRES: And that impact was
9 not included in the 2024 GRA, correct?

10 MS. CARA LOW: Sorry. What was the
11 adjustment?

12 MR. TODD ANDRES: So when filing the
13 rate update, MPI updated the logic for the interest
14 rate impact to include the impact on risk adjustment,
15 correct?

16 MS. CARA LOW: Risk adjustment, yes.
17 Yes. In the June Application, the -- risk adjustments
18 are discounted, but it wasn't called out in that
19 impact of discounting line. But they were discounted
20 enough because under IFRS-17, they're up under
21 insurance service expense, they're not in the
22 insurance finance expense, so it was missed. But
23 again -- the control was -- as we were going through
24 GL transactions, it was caught.

25 MR. TODD ANDRES: Thank you. So then

1 if we look at PF-4 of Exhibit 50 -- so if we're back
2 at Exhibit 50, page 10, line 2.

3 This was an impact of \$11.2 million,
4 correct?

5 MS. CARA LOW: Correct.

6 MR. TODD ANDRES: Thank you. And did
7 this also cause the favourable interest rate impact of
8 negative 10.8 million?

9 MS. CARA LOW: One (1) minute.

10 MR. TODD ANDRES: Thank you.

11

12 (BRIEF PAUSE)

13

14 MR. MARTIN MARION: So this is Martin,
15 manager of valuation.

16 So this is just moving it from one (1)
17 bucket to the other as it came out of insurance
18 service expense and into the impact of discounting.

19 MR. TODD ANDRES: So -- so I guess the
20 question is: Did -- did this cause the favourable
21 interest rate impact of 10.8 million?

22 MR. MARTIN MARION: I would say yes.

23 MR. TODD ANDRES: Yes. Okay. So then
24 should the favourable interest rate impact not be
25 labelled as the change in logic for the risk

1 adjustment?

2

3

(BRIEF PAUSE)

4

5 MR. MARTIN MARION: Yes, I think you
6 make a good point. Yeah.

7

8 MR. TODD ANDRES: Thank you. And if
9 we move forward to PF-5, within Exhibit 50 -- thank
10 you -- starting at line 2, looking at the incorporated
11 change in yield curve on risk adjustment of 4.9
12 million --

13 MS. CARA LOW: Yes.

14

15 MR. TODD ANDRES: -- is there an
16 offsetting impact that is aggregated in the favourable
17 interest rate impact?

18

MS. CARA LOW: Yes.

19

20 MR. TODD ANDRES: Okay. And could you
21 explain what the other yield curve impacts were, and
22 if there are more than one (1), how much did each of
23 them contribute to the \$12.6 million decrease that is
24 shown at line 4?

25

26

(BRIEF PAUSE)

27

28

MR. MARTIN MARION: So this would

1 include the changes to unwinding and the -- unwinding
2 of the discount rate and the discounting on current
3 accident year claims.

4 MR. TODD ANDRES: Thank you. And then
5 moving forward to line 5.

6 The \$65 million favourable interest
7 rate impact, is that due to the increase in yield
8 curve from March 31 to August 31?

9 MR. MARTIN MARION: Yes, that's
10 correct.

11 MR. TODD ANDRES: Thank you. And for
12 the yield curve for claims liabilities, discounting
13 for all years ends 2023/'24, correct?

14 MR. MARTIN MARION: Sorry. Can you
15 repeat that?

16 MR. TODD ANDRES: So for the yield
17 curve for claims liabilities, discounting for all
18 years ends in 2023/'24, correct?

19 MR. MARTIN MARION: Sorry. Can you
20 repeat that?

21 MR. TODD ANDRES: So for the yield
22 curve for claims liabilities, discounting for all
23 years ends in '23/'24, correct?

24

25 (BRIEF PAUSE)

1 MR. MARTIN MARION: Sorry. Yes,
2 that's correct.

3 MR. TODD ANDRES: Thank you. And
4 thereafter, using a naive assumption, that the yield
5 curve will remain at the level it is as of August 31,
6 2023?

7 MR. MARTIN MARION: Just to clarify,
8 is that for future years or...?

9 MR. TODD ANDRES: Yeah. So
10 thereafter. So, yes, after that.

11 MR. MARTIN MARION: Yeah. So we use
12 the forward rates which are derived using the -- are
13 based on the underlying yield curve. So I would say
14 implicitly, yes.

15 MR. TODD ANDRES: Thank you. So, if
16 we look at PF3 of the 2024 GRA, that's page 7 of 33 --
17 thank you -- it shows the following impact of changes
18 to returned earnings due to IFRS-17 to the 2022/'23
19 year-end.

20 It looks like there's restatement of
21 claims discount rate of 86.3 million at line 6,
22 correct?

23 MS. CARA LOW: Correct.

24 MR. TODD ANDRES: And this was mainly
25 due to the release of the interest rate provisions for

1 adverse deviation, correct?

2 MS. CARA LOW: Correct.

3 MR. TODD ANDRES: Thank you. Line 7

4 there's a restatement of risk adjustment; 13.3

5 million, at line 7?

6 MS. CARA LOW: Correct.

7 MR. TODD ANDRES: And this did -- and

8 this does not reflect the 11.2 million mentioned

9 recently?

10 MS. CARA LOW: Sorry, it doesn't

11 reflect which?

12 MR. TODD ANDRES: The 11.2 million.

13

14 (BRIEF PAUSE)

15

16 MS. CARA LOW: It would not.

17 MR. TODD ANDRES: Thank you. In

18 respect of the deferred policy acquisition cost, or

19 DPAC, at line 8 there's negative 37.7 million?

20 MS. CARA LOW: Correct.

21 MR. TODD ANDRES: And in the 2023 GRA

22 hearing, an amount of around 60 million was discussed

23 under this heading, correct?

24 MS. CARA LOW: In the 2023 GRA?

25 MR. TODD ANDRES: Yes.

1 MS. CARA LOW: Do you have a
2 reference?

3 MR. TODD ANDRES: I -- I don't have a
4 reference. But what we'll do is we'll say subject to
5 check.

6 MS. CARA LOW: Subject to check.

7 MR. TODD ANDRES: Thank you. But the
8 larger amount was actually for the Corporation as a
9 whole, whereas the impact for Basic was only 37.7
10 million?

11 MS. CARA LOW: Oh, back row is saying
12 that was a corporate number and not a Basic number.

13 MR. TODD ANDRES: Okay. Yeah. So
14 that was for the Corporation as a whole. So the \$60
15 million impact for the Corporation as a whole, 37.7
16 for Basic?

17 MS. CARA LOW: Correct.

18 MR. TODD ANDRES: So line 9, we have
19 net income -- or loss from operations of 38.4 million?

20 MS. CARA LOW: Correct.

21 MR. TODD ANDRES: And this was due
22 mainly to the combination of the claims incurred
23 impact of 57.1 million offset by the interest rate
24 impact of negative 21 million, correct?

25 MS. CARA LOW: Correct.

1 MR. TODD ANDRES: Thank you. And my
2 apologies. I'm going to jump back up to the questions
3 we were dealing with before about the naive
4 assumption, that the yield curve would remain at the
5 level it is as of August 31, 2023.

6

7 (BRIEF PAUSE)

8

9 MR. TODD ANDRES: Could you provide
10 PF1, PF2, and PF3, based on the agreed use of the
11 naive forecast for interest rates, including the yield
12 curve used for discounting with all year-ends 2023,
13 '24, and thereafter based on August 31, 2023, yield
14 curve and not the implied forward curve which would
15 imply changes over time?

16 MS. CARA LOW: One (1) minute.

17 MR. TODD ANDRES: Thank you.

18

19 (BRIEF PAUSE)

20

21 MR. ANTHONY GUERRA: Yes, Counsel,
22 we'll give the undertaking.

23 MR. TODD ANDRES: Thank you.

24

25 --- UNDERTAKING NO. 20: For MPI to provide PF1,

1 PF2, and PF3 based on the
2 agreed use of the naive
3 forecast for interest
4 rates, including the yield
5 curve used for discounting
6 with all year-ends 2023,
7 '24, and thereafter based
8 on August 31, 2023, yield
9 curve and not the implied
10 forward curve, which would
11 imply changes over time
12

13 CONTINUED BY MR. TODD ANDRES:

14 MR. TODD ANDRES: All right. So,
15 again, back down to line 9. There's net income loss
16 from operations of 38.4 million?

17 MS. CARA LOW: I believe that was the
18 number. I don't see it right now, but I believe that
19 was the number, yes.

20 MR. TODD ANDRES: It's -- it's line 9,
21 second column.

22 MS. CARA LOW: Oh, yes, I see it now.

23 MR. TODD ANDRES: Yeah. And that was
24 due mainly to the combination of claims incurred
25 impact of 57.1 million offset by the interest rate

1 impact --

2 MS. CARA LOW: Right.

3 MR. TODD ANDRES: -- of negative 21

4 million, yes?

5 MS. CARA LOW: Yes. Yes.

6 MR. TODD ANDRES: Okay. And then,
7 given the error in the PIPP enhancement calculation,
8 when was this corrected?

9 MS. CARA LOW: When was it corrected
10 in the financial model?

11 MR. TODD ANDRES: yes.

12 MS. CARA LOW: Late August, early
13 September.

14 MR. TODD ANDRES: Okay.

15

16 (BRIEF PAUSE)

17

18 MR. TODD ANDRES: So if we look back
19 to Exhibit 50 -- it's the revised PF-3 that we want to
20 look at. That's on page 7.

21 And it shows the following impacts for
22 IFRS-17 on retained earnings. So line 6, restatement
23 of claims discounting inflation negative 30.2 million
24 at line 6, correct?

25 MS. CARA LOW: Correct.

1 MR. TODD ANDRES: And -- and why has
2 this changed from the previous impact of positive
3 86.273 million?

4

5 (BRIEF PAUSE)

6

7 MR. MARTIN MARION: Yeah, so there was
8 a reallocation that was done when this was produced.
9 So, previously, the restatement of claims discounting
10 included the removal of interest rate PfADs. And
11 under this version, that -- that interest rate PfAD
12 got bucketed into the restatement of claims PfAD.

13 MR. TODD ANDRES: Thank you. And the
14 restatement of claims PfAD risk adjustment is plus
15 116.438 million, which I guess represents the swing
16 that we just discussed, correct?

17 MR. MARTIN MARION: That would be
18 correct, yes.

19 MR. TODD ANDRES: So, if we look at
20 line 9, net income loss from annual operations,
21 negative 6.2 million. See that?

22 MR. MARTIN MARION: Yes.

23 MR. TODD ANDRES: Okay. Thank you.
24 And that includes both IFRS-4, income of negative 38.7
25 million, and therefore a change due to IFRS-17 of

1 about 32 million relative to the previous impact of
2 38.4 million?

3 MR. MARTIN MARION: Yes.

4 MR. TODD ANDRES: And the change in
5 income is mainly due to the correction of the error
6 for PIPP worth 55 million, plus change due to interest
7 rate impact, correct?

8 MR. MARTIN MARION: I would say so,
9 yes.

10 MR. TODD ANDRES: Thank you. And the
11 minimum capital required on line 31 of PF-3, if we can
12 -- oh -- oh, sorry, PF-3 of the GRA. Roll down. Ah,
13 even better.

14 Yeah, so in 20 -- year ending '23,
15 budgeting was three fifty-one three seventy-three
16 (35373) under IFRS-17? So it's the third column to
17 the right on line 31.

18 MS. CARA LOW: Sorry, which number?

19 MR. TODD ANDRES: So the minimum
20 capital required --

21 MS. CARA LOW: Oh, yes. Yes, okay.

22 MR. TODD ANDRES: -- is three fifty-
23 one three seven three (351373) --

24 MS. CARA LOW: Yes.

25 MR. TODD ANDRES: -- for 2022? And

1 that's under IFRS-17?

2 MS. CARA LOW: Correct.

3 MR. TODD ANDRES: And if we go back to
4 the update which is Exhibit 50. Perfect.

5 All right. That number is now three
6 forty-one three twenty-nine (341329), correct?

7 MS. CARA LOW: Correct. Yes.

8 MR. TODD ANDRES: And what's caused
9 this change?

10

11 (BRIEF PAUSE)

12

13 MS. CARA LOW: So it's mainly from the
14 update that we're talking about for PIPP enhancements
15 with some other small updates.

16 MR. TODD ANDRES: Thank you.

17 MS. CARA LOW: Yeah.

18 MR. TODD ANDRES: And minimum capital
19 required for 2023/24 and thereafter have all decreased
20 substantially with 2023/24 reducing to four-o-seven-
21 three-fifty-seven (407357) from four-thirty-three-
22 ninety-eight (430398). I don't know if we need to go
23 there or if we can just take it as face value.

24 So four-o-seven-three-fifty-seven
25 (407357) is the second column to the right under

1 minimum capital required?

2 MS. CARA LOW: Right.

3 MR. TODD ANDRES: Okay. And if you'd
4 like, just for reference, we can go back to the GRA,
5 the --

6 MS. CARA LOW: Yeah. No, I see the
7 numbers.

8 MR. TODD ANDRES: Okay. And then --
9 but the -- the comparator number -- comparative number
10 from the GRA, if we scroll down -- yeah.

11 Oh sorry, back to the previous
12 document. My apologies.

13 Yeah. It was four-o-seven-three-fifty-
14 seven (407357).

15 MS. CARA LOW: Yes.

16 MR. TODD ANDRES: And currently, MPI
17 is not 100 percent certain on IFRS accounting
18 treatment for certain items. Is that fair to say?

19 MS. CARA LOW: For the MCT, we're
20 still doing some analysis and we are talking to a
21 variety of third parties.

22 MR. TODD ANDRES: You pre-empted my
23 next question which is what is MPI doing about the
24 uncertainty in -- to try to resolve this?

25 MS. CARA LOW: We're trying to

1 clarify, yes.

2 MR. TODD ANDRES: So part of the
3 uncertainty is as to whether certain items will end up
4 in the liability for remaining coverage or the
5 liability for incurred claims, correct?

6 MS. CARA LOW: Correct.

7 MR. TODD ANDRES: And that could have
8 up to a 10 percent swing in MCT, correct?

9 MS. CARA LOW: Yes.

10 MR. TODD ANDRES: Thank you. I'll
11 just confer with my colleague for a moment. We may be
12 done.

13

14 (BRIEF PAUSE)

15

16 MR. TODD ANDRES: Mercifully, my
17 questions are done. Thank you.

18 PANEL CHAIRPERSON: Thank you, Mr.
19 Andres. Ms. Dilay...?

20 MS. KATRINE DILAY: Thank you, Madam
21 Chair.

22

23 CROSS-EXAMINATION BY MS. KATRINE DILAY:

24 MS. KATRINE DILAY: Good afternoon.
25 I've met some of you before. My name is Katrine

1 Dilay. I'm co-counsel to the Consumers Association of
2 Canada, Manitoba Branch.

3 I'll be starting -- I'll be doing most
4 of the questioning for this panel. My colleague,
5 Chris Klassen, will have a few questions towards the
6 end. I'll pose my questions generally to the panel
7 and I'll invite whoever is best suited to respond.

8 At a high level -- or you'll agree that
9 MPI is a regulated Crown Corporation?

10 MR. RYAN KOLASKI: Yes.

11 MS. KATRINE DILAY: And it is the
12 Public Utilities Board that regulates MPI?

13 MR. RYAN KOLASKI: Yes.

14 MS. KATRINE DILAY: And the PUB sets
15 just and reasonable rates that MPI can charge
16 customers for its Basic insurance, correct?

17 MR. RYAN KOLASKI: Correct.

18 MS. KATRINE DILAY: And you'll agree
19 that one regulatory principle that is considered by
20 the PUB is that customers should only be charged for
21 prudently incurred costs?

22 MR. RYAN KOLASKI: Correct.

23 MS. KATRINE DILAY: And is it your
24 understanding that this regulatory principle is based
25 on Generally Accepted Regulatory Practice?

1 MR. RYAN KOLASKI: One (1) moment.

2

3 (BRIEF PAUSE)

4

5 MR. ANTHONY GUERRA: Without speaking
6 too much for Mr. Kolaski, I think we've reached the --
7 the end of his knowledge of regulatory law.

8 So this is not something that we're
9 going to be disputing in this rate application, but I
10 just don't know if these questions would be more
11 appropriate for a lawyer, as opposed to a financial
12 officer.

13 MS. KATRINE DILAY: Thank you, Mr.
14 Guerra.

15

16 CONTINUED BY MS. KATRINE DILAY:

17 MS. KATRINE DILAY: Mr. Kolaski,
18 you'll agree that customers being charged only for
19 prudently incurred costs is a prudent overall or
20 general business practice that is important to protect
21 the public interest and ratepayer confidence in MPI's
22 operating -- operations, pardon me?

23 MR. RYAN KOLASKI: Correct.

24 MS. KATRINE DILAY: And you'll agree
25 that regulated entities have a responsibility to

1 manage themselves in a prudent manner?

2 MR. RYAN KOLASKI: That is correct.

3 Although I'd like to just say that 'prudent' is open
4 to interpretation overall.

5 MS. KATRINE DILAY: Thank you for
6 that. And so the responsibility to manage in a
7 prudent manner applies to MPI as a regulated entity.

8 Correct?

9 MR. RYAN KOLASKI: Correct.

10 MS. KATRINE DILAY: With the caveat
11 that you indicated previously.

12 MR. RYAN KOLASKI: Yes.

13 MS. KATRINE DILAY: Thank you. And
14 you'll agree that MPI, as a Crown Corporation, is
15 accountable to all Manitobans?

16 MR. RYAN KOLASKI: Correct.

17 MS. KATRINE DILAY: And all Manitobans
18 are MPI customers by virtue of the Personal Injury
19 Protection Plan?

20 MR. RYAN KOLASKI: That is correct.

21 MS. KATRINE DILAY: And it would be
22 fair to say that the vast majority of Manitobans are
23 also MPI customers for auto insurance?

24 MR. RYAN KOLASKI: I believe that is
25 correct as well.

1 MS. KATRINE DILAY: Ms. Schubert, I'd
2 like to go to PUB Order 4 of '23.

3 And you see that -- that that's the PUB
4 Order 4 of '23 before you on the screen?

5 MR. RYAN KOLASKI: Yes.

6 MS. KATRINE DILAY: And is it your
7 understanding that this was the PUB's decision in last
8 year's GRA, in the 2023 application?

9 MR. RYAN KOLASKI: Yes.

10 MS. KATRINE DILAY: And if we could
11 turn to page 109 of this decision, in the last
12 paragraph.

13 So you see there, in the last
14 paragraph, the first sentence, that the PUB stated it
15 was concerned with the rate at which the Corporation
16 plans to increase its staffing complement. Do you see
17 that reference?

18 MR. RYAN KOLASKI: I do.

19 MS. KATRINE DILAY: And the Board
20 continued by saying:

21 "In particular, the Board is not
22 persuaded that the -- the
23 mobilization of staff devoted to
24 delivering on Project Nova will
25 ultimately prove to be a prudent

1 decision on the part of the
2 Corporation."

3 Do you see that reference?

4 MR. RYAN KOLASKI: I do.

5 MS. KATRINE DILAY: And you'll agree
6 that the Government of Manitoba is MPI's sole
7 shareholder on behalf of all Manitobans?

8 MR. RYAN KOLASKI: I agree.

9 MS. KATRINE DILAY: And at a high
10 level, you'll agree that the minister responsible for
11 MPI, Justice Minister Kelvin Goertzen, expressed
12 concerns about MPI's hiring plan for 2023/24, a few
13 months ago?

14 MR. RYAN KOLASKI: I do recall this,
15 yes.

16 MS. KATRINE DILAY: And Ms. Schubert,
17 if we could turn to CAC/MPI-1-2.

18 And you see there that CAC, in its
19 preamble to this Information Request, included a
20 reference to a media article regarding Minister
21 Goertzen -- Goertzen's comments?

22 MR. RYAN KOLASKI: I do, yes.

23 MS. KATRINE DILAY: And just going
24 down a little bit. Thank you, Ms. Schubert.

25 And if we look at the second paragraph

1 from the bottom on -- on our screens here, the article
2 cites Minister Goertzen saying that MPI had come
3 forward with a number of two-hundred-and-fifty (250)
4 in terms of new staff for 2023/24?

5 MR. RYAN KOLASKI: I see that, yes.

6 MS. KATRINE DILAY: And Minister
7 Goertzen is cited there saying that it struck him as
8 significantly too high, correct?

9 MR. RYAN KOLASKI: I see his comment
10 there as well, yes.

11 MS. KATRINE DILAY: And he commented
12 that MPI committed to going back. Do you see that as
13 well?

14 MR. RYAN KOLASKI: I do, yes.

15 MS. KATRINE DILAY: Now, if we could
16 turn to PUB/MPI-1-47.

17 And I know Mr. Andres had a few
18 questions for you on this, but I'm hoping to -- to
19 have a few -- to also ask you a few questions on this
20 document.

21 So if we go to page 2, at the very
22 bottom right. So the number at the very bottom right
23 shows the difference in staffing levels between
24 2021/22 actual versus 2022/23 actual, correct?

25 MR. RYAN KOLASKI: Yes, that is

1 correct.

2 MS. KATRINE DILAY: And the difference
3 there is a hundred-twenty-six-point-one (126.1) FTEs?

4 MR. RYAN KOLASKI: That is correct.

5 MS. KATRINE DILAY: And while it's
6 cited there as -- in parentheses which my
7 understanding is that means it's a negative -- you'll
8 confirm that this is an increase in FTEs of a hundred-
9 and-twenty-six-point-one (126.1) between 2021/22 to
10 2022/23, correct?

11 MR. RYAN KOLASKI: That is correct.

12 MS. KATRINE DILAY: And if we can go
13 to page 3.

14 And just confirming the number at the
15 very bottom right, you'll agree this shows the
16 difference in staffing between 2022/23 actual and
17 2023/24 budget, correct?

18 MR. RYAN KOLASKI: Correct.

19 MS. KATRINE DILAY: And so, it shows
20 an increase of a hundred-and-forty-five-point-two
21 (145.2) FTEs?

22 MR. RYAN KOLASKI: Just one (1)
23 minute. I just got to process it.

24 MS. KATRINE DILAY: And it may help,
25 Ms. Schubert, if we could just show the -- the dates

1 for the first --

2 MR. RYAN KOLASKI: Yeah, that might be
3 helpful. Thank you.

4 MS. KATRINE DILAY: Oh, sorry, Ms.
5 Schubert, just the -- yeah, this page in its entirety.
6 Perfect. Thank you.

7 MR. RYAN KOLASKI: Yeah. There we go.
8 Thanks.

9 That is correct.

10 MS. KATRINE DILAY: Thank you. And
11 so, if we add both of those numbers together, the one
12 hundred and twenty-six point one (126.1), from the
13 previous table, and the one hundred and forty-five
14 point two (145.2) for this table, you'll agree that
15 between the actual increase in 2022/'23 and the
16 budgeted increase in '23/'24, that is an increase of,
17 subject to check, 271.3 FTEs for both years?

18 MR. RYAN KOLASKI: Correct.

19 MS. KATRINE DILAY: And just a -- a
20 question of clarification relating to your
21 presentation from this morning, Ms. Schubert, could we
22 turn to MPI Exhibit 72, which was the Financial
23 Forecasting Presentation from this morning, and slide
24 13.

25 So, looking at the table, or the graph,

1 rather, at the bottom of this page, and specifically
2 the years 2021/'22 and 2022/'23, you'll agree those
3 are referred to as 'budget'.

4 MR. RYAN KOLASKI: Correct.

5 MS. KATRINE DILAY: But you'll agree
6 that those fiscal years are completed.

7 MR. RYAN KOLASKI: They are completed,
8 yes.

9 MS. KATRINE DILAY: And so the actual
10 numbers that we just looked at in PUB-1-47 would be
11 more accurate?

12 MR. RYAN KOLASKI: They would, yes.

13 MS. KATRINE DILAY: Thank you. Ms.
14 Schubert, could we turn to PUB-MPI-2-72.

15 And if we look at Figure 1 on this
16 page, you'll agree this table provides changes in
17 salary, due to FTE and other changes?

18 MR. RYAN KOLASKI: Yes.

19 MS. KATRINE DILAY: And if we look at
20 the column in the middle, entitled 'Change in
21 Corporate Annual Salary from Prior Year', you'll agree
22 that the two (2) biggest increases are in 2022/'23 and
23 '23/'24?

24 MR. RYAN KOLASKI: Yes.

25 MS. KATRINE DILAY: With an almost 9.5

1 million increase in '22/'23?

2 MR. RYAN KOLASKI: Yes.

3 MS. KATRINE DILAY: And just over 16

4 1/2 million increase in '23/'24?

5 MR. RYAN KOLASKI: Yes.

6 MS. KATRINE DILAY: And if we move to
7 the right. So the next column to the right indicates
8 the changes due to economic increases?

9 MR. RYAN KOLASKI: Yes.

10 MS. KATRINE DILAY: And those would be
11 related to increases in collective agreements?

12 MR. RYAN KOLASKI: Just one (1)
13 moment.

14

15 (BRIEF PAUSE)

16

17 MR. RYAN KOLASKI: That is correct.

18 MS. KATRINE DILAY: Thank you. So it
19 does not relate to FTEs being added to MPI's staff
20 complement, correct? That specific column?

21 MR. RYAN KOLASKI: That is correct.

22 MS. KATRINE DILAY: And you'll agree
23 that for approximately seventeen hundred (1,700) of
24 MPI's employees currently on strike there's no
25 finalized collective agreement?

1 MR. RYAN KOLASKI: That is correct.

2 MS. KATRINE DILAY: So, it would be
3 fair to say that the 16.5 million increase in '23/'24
4 is -- or -- uncertain currently, given the uncertainty
5 and the content of the finalized collective agreement?

6 MR. RYAN KOLASKI: There is a couple
7 of components, right? There is -- what the final
8 agreement will entail, both in terms of general wage
9 increase. There'll be the nature of the agreement
10 itself, in terms of a settlement, and then retro-pay
11 related to previous years. And then, within that line
12 item, there will be labour interruption, labour
13 savings, on a relative basis, right?

14 So, it's a combination of all things,
15 but if you're specifically talking about the merit and
16 in-step increases to the agreement itself, the answer
17 would be yes. But in totality, that number will
18 definitely change.

19 MS. KATRINE DILAY: But in terms of
20 the merit -- so in terms of --

21 MR. RYAN KOLASKI: So they normally
22 increase, yeah.

23 MS. KATRINE DILAY: Thank you. And so
24 there is potential for those amounts that you're
25 referring to, to go up depending on what will be

1 established in the finalized collective agreement?

2 MR. RYAN KOLASKI: And equally
3 potential for it to go down in the finalized
4 agreement, 'cause it's still ongoing negotiations.

5 MS. KATRINE DILAY: Thank you. And so
6 we just looked at the -- the economic increase column,
7 and if we look to the step-in scale column, that's the
8 next one to the right. You see that?

9 MR. RYAN KOLASKI: I do, yes.

10 MS. KATRINE DILAY: And this would
11 relate to employee salaries increasing as they gain
12 seniority or meet certain productivity requirements?

13 MR. RYAN KOLASKI: That is correct.

14 MS. KATRINE DILAY: So, it does not
15 relate to FTEs being added to MPI's staff complement,
16 correct?

17 MR. RYAN KOLASKI: It does not, no.

18 MS. KATRINE DILAY: And then the last
19 column is changed due to FTE and other changes?

20 MR. RYAN KOLASKI: That is correct.

21 MS. KATRINE DILAY: And for the year
22 2022/'23, this number is close to 5 million. Correct?
23 Just under 5 million?

24 MR. RYAN KOLASKI: Correct.

25 MS. KATRINE DILAY: And for '23/'24,

1 that number is close to 11.5 million?

2 MR. RYAN KOLASKI: That is correct.

3 MS. KATRINE DILAY: And we can go to
4 an IR response if you'd like, but when we take that 11
5 -- almost 11.5 million, it relates to a few different
6 things, but the main component of that increase would
7 be changes due to FTEs?

8 MR. RYAN KOLASKI: Just one (1)
9 moment.

10

11 (BRIEF PAUSE)

12

13 MS. KATRINE DILAY: And if it would
14 help, I can take you to an IR reference.

15 MR. RYAN KOLASKI: No, that's okay. I
16 just wanted to expand kind of the context of the -- of
17 my answer.

18 So you are correct that it does largely
19 relate to the change in FTEs. What is missing though
20 is that there's a change in bubble staffing on a
21 corporate basis as well.

22 So, again, when I talked about how does
23 MPI weigh those options between external labour and
24 internal labour, there's also a dynamic at play here
25 related to that. But it is purely related to an

1 increase in FTEs.

2 MS. KATRINE DILAY: And when we change
3 -- when we talk about changed to FTEs, that means
4 changes in the level of FTEs employed by the -- the
5 Corporation.

6 MR. RYAN KOLASKI: That is correct.

7 MS. KATRINE DILAY: I'd like to bring
8 you to the response to CA IR-2-12 which is MPI Exhibit
9 54.

10 And if you look at the preamble for a
11 moment, you'll agree that these are some of the
12 numbers that we looked at a few minutes ago for the
13 increases in FTEs for the years 2021/'22 and 2022/'23?

14 MR. RYAN KOLASKI: Yes.

15 MS. KATRINE DILAY: And you'll agree
16 here that the preamble refers to total corporate
17 staffing FTEs, correct?

18 MR. RYAN KOLASKI: Correct.

19 MS. KATRINE DILAY: And then just to -
20 - to refresh our memories about what this IR asked, if
21 we could look to the questions posed in parts C and D.

22 So you'll agree that, taking a look at
23 these questions, CAC asked MPI to calculate the
24 compensation expense for maintaining staffing levels
25 at '21/'22 and '22/'23 levels.

1 MR. RYAN KOLASKI: Yes.

2 MS. KATRINE DILAY: And CAC asked for
3 Corporate staffing, correct?

4 MR. RYAN KOLASKI: Yes.

5 MS. KATRINE DILAY: And then just
6 looking at parts E and F, CAC asked for updated pro
7 formas, including impact on rates of holding the
8 staffing levels constant to '21/'22 and '22/'23,
9 correct?

10 MR. RYAN KOLASKI: Correct.

11 MS. KATRINE DILAY: And again for
12 Corporate staffing, correct?

13 MR. RYAN KOLASKI: Correct.

14 MS. KATRINE DILAY: And taking a look
15 at the response, if we can look to part A first which
16 is on page 2.

17 So you'll see there MPI agrees with the
18 FTE staffing changes that CAC outlined in the
19 preamble, correct?

20 MR. RYAN KOLASKI: Yes.

21 MS. KATRINE DILAY: And then Figure 1,
22 on page 3 of this IR response.

23 So this is where MPI calculates the
24 compensation expense reduction by maintaining
25 corporate staffing at '21/'22 levels; that's the title

1 of the table?

2 MR. RYAN KOLASKI: Correct, yes.

3 MS. KATRINE DILAY: So just to -- to
4 explain what is happening here: In other words, MPI
5 calculates how much less it would have to pay in
6 salaries, if the staffing levels were kept at the
7 '21/'22 levels, correct?

8 MR. RYAN KOLASKI: All things being
9 equal, yes.

10 MS. KATRINE DILAY: Thank you. And so
11 to do this, MPI has to first look at what level of
12 staffing it used to make its projections in the rate
13 application?

14 MR. RYAN KOLASKI: Correct.

15 MS. KATRINE DILAY: Then calculate how
16 much less the compensation expense would be, based on
17 the difference between the staffing level it projected
18 and the staffing level at '21/'22, correct?

19 MR. RYAN KOLASKI: Correct.

20 MS. KATRINE DILAY: And, so, if we
21 look at the first line of this figure, you'll agree
22 MPI used here the normal operation's FTEs. Correct?

23 MR. RYAN KOLASKI: Correct.

24 MS. KATRINE DILAY: Which is two
25 thousand fifty-two and fif -- dot fifty (2,052.50)

1 FTEs for '24/'25?

2 MR. RYAN KOLASKI: Yes.

3 MS. KATRINE DILAY: And two thousand
4 seventeen point eight (2,017.8) for '25/'26?

5 MR. RYAN KOLASKI: Yes.

6 MS. KATRINE DILAY: And to confirm
7 where those numbers were taken from, Ms. Schubert,
8 could we turn to Exp. 11 from the General Rate
9 Application. It's in the Financial Forecasting
10 Expenses chapter at page 21.

11 And, so, if we look at the years
12 '24/'25 and '25/'26, at lines 9 and 10, you'll confirm
13 those are the same numbers that were used, that we
14 just saw in the IR response to 2-12. Correct?

15 MR. RYAN KOLASKI: Correct.

16 MS. KATRINE DILAY: And, if we look at
17 the 2021/'22 staffing level in this figure for normal
18 operations staffing, the actual, you'll agree that was
19 one thousand eight hundred and fifteen point three
20 (1,815.3)?

21 MR. RYAN KOLASKI: Yes.

22 MS. KATRINE DILAY: And, just jumping
23 back to the IR response, to compare what was used by
24 MPI, in terms of the line 4 for maintain FTEs at
25 '21/'22 level, you will agree that number is

1 different. Correct?

2 MR. RYAN KOLASKI: Yes.

3 MS. KATRINE DILAY: And is it because,
4 in Exp. 11, we were looking at normal operations
5 staffing, whereas, here, the '21/'22 staffing levels
6 that CAC requested were for total -- total corporate
7 staffing?

8 MR. RYAN KOLASKI: Just one moment.
9 That is correct.

10 MS. KATRINE DILAY: And total
11 corporate staffing is higher than normal operations
12 staffing. Correct?

13 MR. RYAN KOLASKI: Correct.

14 MS. KATRINE DILAY: And, so, if we
15 look, then -- so, just to confirm, again, this is
16 Figure 1, where we're looking at the '21/'22 levels of
17 staffing. Correct?

18 MR. RYAN KOLASKI: Correct.

19 MS. KATRINE DILAY: And, if we look at
20 Figure 2, on the next page, here, this is the
21 compensation expense calculated for the staffing level
22 at '22/'23?

23 MR. RYAN KOLASKI: Correct.

24 MS. KATRINE DILAY: And so, you'll
25 agree, for the first line, for normal operations FTE

1 for '24/'25 and '25/'26, the same numbers were used.

2 Correct?

3 MR. RYAN KOLASKI: Correct.

4 MS. KATRINE DILAY: And that was for
5 normal operations?

6 MR. RYAN KOLASKI: Correct.

7 MS. KATRINE DILAY: And, then, if we
8 look at the staffing levels in line 4, for maintaining
9 FTEs at '22/'23, the number that was used is two
10 thousand and five point six (2,005.6)?

11 MR. RYAN KOLASKI: Yes.

12 MS. KATRINE DILAY: But that's for
13 total corporate staffing. Correct?

14 MR. RYAN KOLASKI: That is correct.

15 MS. KATRINE DILAY: And just jumping
16 back, one last time, to Exp. 11 and, if we look at the
17 year 2022/'23, actual, line 7, you will agree that the
18 corporate staffing number is higher than the number
19 that we see here. Correct?

20 MR. RYAN KOLASKI: Yes.

21 MS. KATRINE DILAY: So, by comparing
22 normal operations staffing to total corporate
23 staffing, MPI has underestimated the difference in
24 staffing. Correct?

25 MR. RYAN KOLASKI: One minute.

1 MS. KATRINE DILAY: CAC 2-12.

2

3 (BRIEF PAUSE)

4

5 MR. RYAN KOLASKI: That is correct.

6 MS. KATRINE DILAY: And, then, just to
7 confirm what else was provided in response to CAC 2-
8 12, you'll agree MPI also provided pro formas in
9 response to this IR, which provide the change to the
10 rate indication, by holding staffing levels for
11 '21/'22 and '22/'23?

12 MR. RYAN KOLASKI: Yes.

13 MS. KATRINE DILAY: And at a high
14 level, if we look at page 5, this is the rate
15 indication, if staffing levels were held constant at
16 '21/'22 levels? A rate indication -- the change to
17 the rate indication?

18 MS. CARA LOW: The change to the pro
19 formas. It's not a change in the rate indication.

20

21 (BRIEF PAUSE)

22

23 MS. KATRINE DILAY: And is it your
24 recollection that CAC asked for what would the -- what
25 the change would be to the -- to the rate in this IR?

1 MR. RYAN KOLASKI: Change to the rate?

2 MS. CARA LOW: At the top of the page,
3 it does have the change to the rate indication. The
4 exhibit, itself, is not the rate indication.

5 MS. KATRINE DILAY: Thank you for
6 that. So -- so, this IR response is providing the
7 change to -- what the change would be to the rate
8 indication, if staffing levels were held constant to
9 '21/'22?

10 MS. CARA LOW: I believe, in the top,
11 in the title, the minus 0.42 percent is the impact,
12 due to the staffing changes staying steady, but the
13 exhibit, itself, is not a rate indication. It's a
14 statement of operations.

15 MS. KATRINE DILAY: Thank you for
16 that. Thank you for that clarification.

17 And, so, the Basic rate change at --
18 that is contemplated in this pro forma would be minus
19 0.42 percent?

20 MR. RYAN KOLASKI: Yes.

21 MS. KATRINE DILAY: And, on page 8 of
22 this IR, this would be the -- similarly, the Basic
23 rate change, if staffing levels were held constant, at
24 '22/'23 levels?

25 MR. RYAN KOLASKI: Yes.

1 MS. KATRINE DILAY: And, it's minus
2 0.19 percent. Correct?

3 MR. RYAN KOLASKI: Yes.

4 MS. KATRINE DILAY: But you'll agree
5 that the compensation levels that were used to produce
6 these pro formas was calculated in Figures 1 and 2,
7 that we just saw earlier?

8 MR. RYAN KOLASKI: Yes.

9 MS. KATRINE DILAY: Where normal
10 operations staffing was used for '24/'25 and '25/'26
11 forecast, but total corporate staffing was used for
12 the '21/'22 and '22/'23 levels?

13 MR. RYAN KOLASKI: I just want to ask
14 a clarification on my answer.

15

16 (BRIEF PAUSE)

17

18 MR. RYAN KOLASKI: That is correct.

19 MS. KATRINE DILAY: And, so, would it
20 be fair to say that MPI was comparing apples to
21 oranges, rather than comparing apples to apples, in
22 terms of staffing levels?

23

24 (BRIEF PAUSE)

25

1 MR. RYAN KOLASKI: In the purest
2 sense, yes, but if you actually included the FTEs from
3 the initiatives on an overall basis, it'll actually
4 work out to be very similar, so not materially
5 different.

6 So I don't know that it's necessarily
7 apples to oranges. It's probably not that big of a
8 drift.

9 MS. KATRINE DILAY: But you'll agree
10 that, if MPI had consistently used total corporate
11 staffing levels in the calculation of the compensation
12 expense difference, that difference would be larger,
13 correct?

14 MR. RYAN KOLASKI: Directionally, yes.

15 MS. KATRINE DILAY: Because total
16 corporate staffing level is higher than normal
17 operations level.

18 MR. RYAN KOLASKI: That is correct.

19 MS. KATRINE DILAY: And so the pro
20 formas would be different as well, correct?

21 MR. RYAN KOLASKI: It would be
22 different. It's just a question of materiality, but
23 yes.

24 MS. KATRINE DILAY: In that it is
25 likely that the compensation reduction is understated

1 -- again, subject to your caveat of materiality?

2 MR. RYAN KOLASKI: Correct.

3 MS. KATRINE DILAY: And so the change
4 to the rate is likely understated as well?

5 MR. RYAN KOLASKI: Yes.

6 MS. KATRINE DILAY: And so could we
7 ask for an undertaking for MPI to revise its response
8 to CAC/MPI-2-12 to use total corporate staffing
9 forecast levels for '24/'25 and '25/'26 rather than
10 using normal operations staffing?

11 MR. ANTHONY GUERRA: Yes, Counsel,
12 we'll give the undertaking.

13

14 --- UNDERTAKING NO. 21: MPI to revise its response
15 to CAC/MPI-2-12 to use
16 total corporate staffing
17 forecast levels for
18 '24/'25 and '25/'26 rather
19 than using normal
20 operations staffing

21

22 MS. KATRINE DILAY: Thank you. And I
23 do have -- in terms of an undertaking, I have two (2)
24 follow-up questions that I'm -- I'm wondering if MPI
25 would be able to provide an answer to as well.

1 We looked at PUB-1-47 as well as EXP-11
2 from the Application. So is it possible for MPI to
3 reconcile Figure EXP-11 with PUB/MPI-1-47 specifically
4 for the FTE levels for '21/'22 and '22/'23 and explain
5 the difference in terms of what FTEs are not reflected
6 in the normal operations staffing in EXP-11, and then
7 to update Figure EXP-11 for total corporate staffing?

8

9

(BRIEF PAUSE)

10

11

MR. ANTHONY GUERRA: Yes, Counsel,
12 we'll give the undertaking.

13

14

MS. KATRINE DILAY: Thank you.

15

16

17

18

19

20

21

22

23

24

25

--- UNDERTAKING NO. 22: MPI to reconcile Figure
EXP-11 with PUB/MPI-1-47
specifically for the FTE
levels for '21/'22 and
'22/'23 and explain the
difference in terms of
what FTEs are not
reflected in the normal
operations staffing in
EXP-11, and then to update
Figure EXP-11 for total

1 corporate staffing

2

3

4 CONTINUED BY MS. KATRINE DILAY:

5 MS. KATRINE DILAY: Moving on to a
6 slightly different topic, at a high level, you'll
7 agree that key performance indicators, or KPIs, are a
8 type of perform -- performance measurement?

9 MR. RYAN KOLASKI: Yes.

10 MS. KATRINE DILAY: And again at a
11 high level, a key performance evaluator -- or, sorry,
12 indicator -- evaluates the success of an organization
13 of a particular activity in which it engages?

14 MR. RYAN KOLASKI: Yes.

15 MS. KATRINE DILAY: And KPIs can also
16 be used to set objectives or targets for a
17 corporation, correct?

18 MR. RYAN KOLASKI: Correct.

19 MS. KATRINE DILAY: And those can be
20 based on where the Corporation is currently and where
21 it would like to go for specific performance measures,
22 correct?

23 MR. RYAN KOLASKI: Correct.

24 MS. KATRINE DILAY: And where an
25 organization uses consistent KPIs over time, that

1 organization can track its progress towards
2 objectives?

3 MR. RYAN KOLASKI: Correct.

4 MS. KATRINE DILAY: And if we could
5 turn to PUB Order 4/'23, specifically at page 111 at
6 the very top, Ms. Schubert. Thank you.

7 And you see there at the top that the
8 Public Utilities Board accepted CAC's position that
9 MPI should be using Key Performance Indicators to
10 establish performance measures and targets across all
11 aspects of the business, including IT.

12 You see that reference?

13 MR. RYAN KOLASKI: I do, yes.

14 MS. KATRINE DILAY: And if we could
15 turn to CAC/MPI-1-92. So at a high level, looking at
16 the question here, you'll agree generally that this IR
17 asked MPI about Key Performance Indicators,
18 indicators, guidelines, targets, or expectations that
19 were used in -- in the development of the 2024 budget?

20 MR. RYAN KOLASKI: Specifically as it
21 relates to the budget, yes.

22 MS. KATRINE DILAY: And if we turn to
23 page 2 of this IR, you'll agree that, for the year
24 '23/'24 -- so at the top of the page -- MPI indicates
25 that:

1 "A bottom-up approach by department
2 focussed on NOVA execution and
3 ancillary support required for
4 NOVA."

5 MR. RYAN KOLASKI: That is correct.

6 MS. KATRINE DILAY: And MPI went on to
7 indicate that:

8 "No KPIs were used in the budget
9 process for '24/'25 as they do not
10 exist."

11 MR. RYAN KOLASKI: In terms of KPIs
12 integrated into the budget process, that is correct.

13 MS. KATRINE DILAY: And just if we
14 look at the year that is referred to in that line,
15 would it -- would you be able to clarify whether that
16 should refer to '23/'24, just given the subtitle?

17 MR. RYAN KOLASKI: No. The KPI line
18 refers to '24/'25, and the -- so, yes, it's '24/'25,
19 not related to '23/'24.

20 MS. KATRINE DILAY: Thank you. So
21 just to focus in on what bottom-up approach would
22 mean, at a high level, would that mean that individual
23 departments provide their needs in terms of staffing
24 resources which were then combined to put together the
25 budget and forecast for the Corporation overall?

1 MR. RYAN KOLASKI: So my understanding
2 of the PAC (phonetic) practice on bottoms-up was
3 individual VPs would look at their department,
4 determine their resourcing requirements, and basically
5 look at their GAAP analysis as well, then build up a
6 budget from that.

7 It would come to a budget committee,
8 and that committee would review their plans. Then
9 those plans would get approved, and then it would be
10 put together on a consolidated basis forming the
11 overall budget for MPI.

12 So effectively, yes, it's very much
13 bottoms-up from that approach.

14 MS. KATRINE DILAY: Thank you for that
15 explanation. And then if we look at the subtitle
16 '24/'25, you'll agree this is the rating year that is
17 the subject of this Rate Application?

18 MR. RYAN KOLASKI: That is correct.

19 MS. KATRINE DILAY: And if we go to
20 the next page, Ms. Schubert, there's an underlined
21 subtitle there for Key Performance Indicators or KPIs?

22 MR. RYAN KOLASKI: That's correct.

23 MS. KATRINE DILAY: And MPI states:

24 "Early stages, MTI can -- MPI
25 continues to mature the focus here."

1 MR. RYAN KOLASKI: I see that, yes.

2 MS. KATRINE DILAY: And about halfway
3 through the paragraph, MPI states:

4 "In short, no KPIs were employed in
5 creating the budget."

6 MR. RYAN KOLASKI: That is correct.

7 MS. KATRINE DILAY: So based on what
8 we went through, you'll agree MPI did not use KPIs to
9 create the '24/'25 budget that is the subject of this
10 Rate Application?

11 MR. RYAN KOLASKI: If you could just
12 scroll back up to the screen. I just want to use it
13 as part of my answer, sorry. Yeah, if you could stop
14 there.

15 So for '24/'25, we did not have an
16 integrated process of KPIs as it related to the
17 budget. We do have what are called OKRs, or
18 Objectives for Key Results, that we have developed
19 outside of the budget process which is part of the
20 maturing process we have at MPI.

21 So in terms of '24/'25, I kind of came
22 in right around the time of the budgeting process
23 itself, so it's fair to say, when we looked at where
24 we were, what the forecast is, I worked with Eric
25 Herbelin and we decided we're going to take a pause.

1 We're going to focus on business as
2 usual, get back to basics. We're going to focus on
3 implementation and delivering on NOVA, and then we're
4 going to use continuous improvement for cost
5 containment and overall operational betterment.

6 So if you look at what the budget is on
7 a corporate basis for '24/'25, that budget, where it's
8 landed in the update, is 402 million, subject to
9 check. That budget actually translates back to the
10 Treasury Board approved budget for '23/'24 as it
11 relates to this current fiscal year.

12 Then, as we move forward to '24/'25,
13 the goal was to literally land what I'll say is like a
14 deja vu budget which is literally to land around \$400
15 million overall corporately.

16 So the four o (40) -- so when you look
17 at the preliminary filing for '24/'25, it was \$398
18 million when you look on a corporate basis. And then
19 when you look at the final updated GRA, it's 403
20 million.

21 So there's a very intentional direction
22 to drive out a flat-line operating cost envelope. So
23 basically go from four-o-two (402) to basically land
24 what you have for an updated budget today of four-o-
25 three (403), so very much back-to-back same year.

1 That was intentional, and that was
2 meant to drive out the timing and cadence that's
3 related to this process.

4 So when you look at when we start this
5 process, it starts very early on, in around April or
6 May. Then we have to do the preliminary GRA. And it
7 was intentional to land that number so that by the
8 time I got to the final update, my overall corporate
9 process was kind of locked in and I didn't have a lot
10 of drift.

11 Then you'll appreciate what happens
12 after this process, is that the budget, which is your
13 forecast in your application, goes before the Board,
14 and then it goes before the Treasury Board for final
15 approval. That process happens well after you folks
16 have made your decision.

17 So what I was trying to drive out this
18 year in my short stint with MPI was to basically align
19 that cadence of timing with overall dollar cost
20 envelope, really challenging to do as the new guy, but
21 I actually landed it pretty good overall, I believe.

22 But that's why the KPI approach wasn't
23 full integrated, because it was more about taking what
24 -- where I was in '23/'24 for approved budget, and
25 then holding that line across while I then move

1 forward and improve end cost down the business going
2 forward.

3 So you look at the five (5) year
4 forecast. You'll see the expenses coming down. And
5 that's really kind of the message that was intended to
6 be sent here.

7 So I appreciate the integration of
8 KPIs, but there is a specific reason why it wasn't
9 done, and that's why. And then outside of that,
10 there's the OKR process which is maturing and ongoing
11 with -- with MPI.

12 So sorry for the long-winded response,
13 but I just wanted to make sure how you guys understood
14 where we landed relative to the Ask on KPIs because,
15 in the end, directionally, we're trying to control
16 costs and contain them, and KPIs is one (1) rule. The
17 other way is top down and contain costs overall, and
18 then work forward to move it, and that's kind of what
19 we did for that year.

20 MS. KATRINE DILAY: Thank you for that
21 information. So just you referred to I think OKRs?

22 MR. RYAN KOLASKI: That is correct.
23 So OKRs is Objectives and Key Results, very similar to
24 KPIs. There's nuances but, at the end of the day,
25 it's a framework for developing objectives. And

1 typically, you would have OKRs to set objectives. And
2 then budgeting would -- would then entail after that.

3 Again, that process is really maturing
4 at MPI, so it was more about how do we land a budget,
5 and then work forward on improving from there overall.

6 MS. KATRINE DILAY: Thank you for
7 that. And I think you mentioned earlier on in your
8 response, as well, that the Objectives and Key
9 Results, or OKR, is currently outside of the budgeting
10 process, correct?

11 MR. RYAN KOLASKI: That is correct.
12 It's not integrated today. The goal is to bring -- to
13 bring them together. So in a typical, like, cadence,
14 you would have goal setting or OKRs established; that
15 would kind of give you guidance on framework.

16 Then you would do your budgeting
17 because, again, you're driving your goals to your
18 budget. Then you can track how you're doing against
19 your OKRs, as well as doing your financial budgeting.

20 So you kind of bring them together in
21 together, but that's just not quite where we are
22 today, but that is a goal overall. I can't speak to
23 how fast we're going to get there, but we definitely
24 are working on that.

25 MS. KATRINE DILAY: And -- and MPI has

1 referred to this in its response to this IR, where it
2 says that the focus is maturing for MPI, correct?

3 MR. RYAN KOLASKI: That is correct,
4 yes.

5 MS. KATRINE DILAY: And just to go
6 back for the budget the '24/'25, which is the topic of
7 this rate Application, in this particular budget, MPI
8 cannot tie proposed changes in its operating budgets
9 to KPIs or other performance objectives, such as OKRs,
10 that it has set for itself and is currently
11 monitoring, correct?

12 MR. RYAN KOLASKI: Sorry, I'm just
13 trying to think how I can link it. So, individually,
14 departments have various Key Performance Indicators,
15 service metrics.

16 So, if you look at operations, they
17 have a number of KPIs developed today that we run to
18 in terms of how long does it take to process a claim,
19 what is the call centre volume, et cetera.

20 So there's a number of KPIs related to
21 that and operating standards around that.

22 So, on an individual basis, the
23 managers, when they set their budget, will have
24 considered those formally in terms of the actual
25 budget itself.

1 However, in terms of the budget,
2 literally, as an EC, we decided overall costs, and
3 then said here is the total dollars you have to play
4 with. So, if you can't work within the confines of
5 the dollars that you've been given, you have to come
6 forward and explain why. And then we'll manage and
7 stick handle dollars between departments and competing
8 objectives.

9 So, in terms of setting the budget, no
10 one came forward saying that their expectations
11 related to individual performances by department were
12 a problem. People agreed begrudgingly that they could
13 work within these confines.

14 And then, as we roll through the year,
15 if we need additional funding, then we'll play with
16 how those funds will get available between the
17 different departments.

18 So it's very much the active management
19 to hold to the budget that has been done subject to a
20 very good business case, why it should be something
21 different and, therefore, logical improvement to allow
22 for a drift.

23 So, in some respects, I do have KPIs,
24 but in other respects, I don't have here are the KPIs
25 tied to the specific dollars spend. That's a little

1 more granular in terms of the department itself.

2 Sorry for a long explanation. It's
3 just kind of complicated to put the two (2) together.

4 MS. KATRINE DILAY: We certainly
5 appreciate that response. And just a couple last
6 questions on this.

7 You'll agree that MPI tracks many
8 performance measures through its benchmarking
9 activities at a high level?

10 MR. RYAN KOLASKI: At a high level, we
11 do benchmark ourselves against different organizations
12 for sure, yes.

13 MS. KATRINE DILAY: But as far as you
14 know, MPI has not set targets through its benchmarking
15 activities, correct?

16 MR. RYAN KOLASKI: We have not set
17 targets specifically related to specific benchmarks.
18 And here's just a practical challenge, right.
19 Everyone wants to say a benchmarking is good; hard to
20 argue it's not.

21 But then when you're set -- setting
22 yourself up for a benchmark, you have to ask yourself,
23 number 1, do you want to be the benchmark, aka,
24 everyone else is chasing you, do you want to be
25 average, aka, the benchmark, or do you want to be

1 slightly under the average of the benchmark overall.

2 And then you have to literally say to
3 yourself, depending on where you are in your life
4 cycle as a business, where should you be relative to
5 others, and then are those others relative to you,
6 does that make sense.

7 And that's kind of the challenge with
8 benchmarking; like, it gives you relativity. But I
9 know everyone wants to drive out actionable items.
10 And when you're going through a big transformation,
11 it's really tough to kind of figure out, as you say,
12 the apples and the oranges in order to make sure you
13 land, right.

14 That's why kind of the top-down
15 approach was used for '24/'25. Again, in order to
16 mature, we would like to add benchmarking in a more
17 formal capacity, but it's really kind of working with
18 you folks and understanding which key benchmarks would
19 you like us to employ.

20 MS. KATRINE DILAY: Thank you, Mr.
21 Kolaski. I have a few questions now on data
22 processing expenses.

23 MR. RYAN KOLASKI: Sure.

24 MS. KATRINE DILAY: Could we turn to
25 PUB/MPI-2-36, Ms. Schubert, specifically, at page 3.

1 You'll agree that this figure here
2 presents total data processing expenses for Basic?

3 MR. RYAN KOLASKI: Yes.

4 MS. KATRINE DILAY: And just focussing
5 on the -- the last line, line 12, total data
6 processing Basic, you'll agree that data processing
7 expenses are projected to increase by almost 15
8 million, from 45 million to 60 million, between
9 '22/'23 and '23/'24?

10 MR. RYAN KOLASKI: Yes.

11 MS. KATRINE DILAY: And then projected
12 to be around 55 million in '24/'25?

13 MR. RYAN KOLASKI: Yes.

14 MS. KATRINE DILAY: And just under 57
15 million in 2025/'26?

16 MR. RYAN KOLASKI: Yes.

17 MS. KATRINE DILAY: And at a high
18 level, you'll agree that there are three (3) main cost
19 drivers of data processing expenses?

20 MR. RYAN KOLASKI: Yes.

21 MS. KATRINE DILAY: That would include
22 licence charges?

23 MR. RYAN KOLASKI: Yes.

24 MS. KATRINE DILAY: And are you able
25 to clarify whether these are relating to Project NOVA

1 or not?

2 MR. RYAN KOLASKI: Just one moment.

3

4 (BRIEF PAUSE)

5

6 MR. RYAN KOLASKI: I understand that a
7 portion of NOVA is included in that number. I just
8 don't know the amount that has been included in that
9 number.

10

11 (BRIEF PAUSE)

12

13 MS. KATRINE DILAY: Thank you for
14 that. And another driver of -- sorry.

15 Another main driver of the data
16 processing expenses is the IBM data centre?

17 MR. RYAN KOLASKI: That is correct.

18 MS. KATRINE DILAY: And the third is
19 external labour. Correct? In terms of main driver.

20 MR. RYAN KOLASKI: Correct.

21 MS. KATRINE DILAY: And just looking
22 at external labour, there's a major increase in
23 external labour in '23/'24?

24 MR. RYAN KOLASKI: It increases from
25 15 to 22 million, yes.

1 MS. KATRINE DILAY: And this would be
2 partly due to external consultants working on Project
3 NOVA?

4 MR. RYAN KOLASKI: Just one moment.

5

6 (BRIEF PAUSE)

7

8 MR. RYAN KOLASKI: The increase is
9 primarily related to bubble staff. And yes, related
10 to NOVA.

11 MS. KATRINE DILAY: So at a high
12 level, you'll agree that MPI's vendor management
13 processes will be critical to keeping these costs for
14 external labour at their forecasted levels?

15 MR. RYAN KOLASKI: Agreed.

16 MS. KATRINE DILAY: I just have a few
17 questions on the -- the labour interruption and its
18 impacts.

19 MR. RYAN KOLASKI: Sure.

20 MS. KATRINE DILAY: You'll confirm
21 that MPI is facing a labour interruption from
22 approximately seventeen hundred (1,700) of its in-
23 scope employees?

24 MR. RYAN KOLASKI: Yes.

25 MS. KATRINE DILAY: And you'll agree,

1 those seventeen hundred (1,700) employees have not
2 been at work since end of August 2023?

3 MR. RYAN KOLASKI: August 28th, I
4 understand.

5 MS. KATRINE DILAY: Thank you for the
6 precision. And you'll agree that MPI does not pay
7 those employees during a labour interruption.

8 Correct?

9 MR. RYAN KOLASKI: That is correct.

10 MS. KATRINE DILAY: And you'll agree
11 that the amount MPI is not paying to staff during the
12 labour interruption is not reflected in compensation
13 amounts in MPI's financial forecasts used for this
14 Rate Application. Correct?

15 MR. RYAN KOLASKI: That is correct.
16 We have not quantified labour interruption costs, both
17 savings or additional costs related to labour
18 interruption. We're just not in a position to
19 quantify those as yet.

20 So additional costs that we've incurred
21 related to labour interruption are also excluded from
22 this Application as well.

23 MS. KATRINE DILAY: And I -- I do have
24 a few follow-up questions that will touch on your
25 answer as well.

1 But to the extent that MPI's actual
2 compensation expenses are lower than its forecast,
3 that would mean that its forecasts are over-stated in
4 the Application. Correct?

5 MR. RYAN KOLASKI: Sorry, could you
6 repeat your question?

7 MS. KATRINE DILAY: So if MPI's actual
8 compensation expenses turn out to be lower than the
9 forecast, due to the labour interruption, that would
10 mean that the forecasts are over-stated.

11 MR. RYAN KOLASKI: So in isolation,
12 you could say yes. But again, we have additional
13 costs related to interim staffing, overtime, various
14 other components.

15 So while I am receiving labour savings,
16 I'm also incurring costs. So the unknown is literally
17 what is that delta, right? 'A' minus 'B'.

18 And the other thing you have to
19 remember in this process is labour interruption has
20 caused a very large backlog in terms of actual
21 operating metrics. So then the issue becomes how do
22 we work through that backlog and what does that plan
23 look like?

24 Because every day that labour
25 interruption is out, that backlog grows. And

1 Manitobans want their service. So as soon as we say
2 we're back to work, everybody wants to show up and,
3 like, get -- get service. And that's just not going
4 to be a reality.

5 So there's going to be a bunch of costs
6 related to that. So is it going to be overtime? Is
7 it going to be additional staffing in terms of how you
8 work through that?

9 So we have -- we have to work through
10 what that looks like. And part of that plan is
11 dependent upon literally the duration of labour
12 interruption.

13 So on one hand, I'm getting savings.
14 On the other hand, I'm creating a large backlog which
15 has to ultimately get resolved.

16 Because, as you have said, no one has
17 any other choice but to use MPI. And from a service
18 perspective, they're going to want to see that service
19 sooner rather than later.

20 So that's why I'm kind of cagey on what
21 that means overall in terms of the Application and why
22 it was specifically excluded.

23

24 (BRIEF PAUSE)

25

1 MS. KATRINE DILAY: Thank you, Mr.
2 Kolaski. You definitely anticipated my questions.

3 So as you referred to, the labour
4 interruption is also resulting in additional costs for
5 the Corporation?

6 MR. RYAN KOLASKI: That is correct.

7 MS. KATRINE DILAY: Such as overtime
8 paid to out of scope if they've had to work additional
9 hours, that might be one example?

10 MR. RYAN KOLASKI: That is one
11 example, yes.

12 MS. KATRINE DILAY: Having to resort
13 to third parties to do some of the work that MPI staff
14 would typically be doing?

15 MR. RYAN KOLASKI: That is correct,
16 yes.

17 MS. KATRINE DILAY: And you referred
18 to a backlog. And would it be fair to say that the
19 labour interruption is delaying work on certain
20 projects?

21 MR. RYAN KOLASKI: Is it fair to say
22 your question is related to NOVA? Or just projects in
23 general?

24 MS. KATRINE DILAY: Projects in
25 general, sir.

1 MR. RYAN KOLASKI: Yes. In general,
2 yes. I mean, ultimately, when seventeen hundred
3 (1,700) people approximately are out, a lot of work --
4 both initiatives and just literally day-to-day
5 activity -- is definitely on pause or in various
6 cadence of proceeding.

7 MS. KATRINE DILAY: And so, there will
8 be costs associated with bringing this work up to date
9 and addressing the backlog once the strike is over, as
10 you've addressed. Correct?

11 MR. RYAN KOLASKI: Correct. Yes.

12 MS. KATRINE DILAY: And so, is it
13 possible for MPI, by way of undertaking, to prepare a
14 document showing the impact of the strike on MPI
15 expenses, including, but not limited to, compensation
16 saved; overtime paid, if any; potentially delayed
17 work; and the cost of bringing this work up to date
18 once the strike is over?

19 MR. RYAN KOLASKI: Just one sec.

20

21 (BRIEF PAUSE)

22

23 MR. RYAN KOLASKI: I think it's fair
24 to say that we're not in a position to quantify in any
25 realistic material way what the labour interruption

1 costs or savings are.

2 There's also going to be a lot of
3 implications related to claims. A lot of our claims
4 data, right, hasn't been entered or is in partial
5 entry. So there is -- there's a lot of work that we
6 have to go through as an organization.

7 So yeah, I mean, I would not be able to
8 respond in any meaningful if an undertaking was given
9 today.

10 MS. CARA LOW: I could add to that
11 too. We expect to see claim severity to maybe
12 increase due to labour interruption. And that's going
13 to take a long time to quantify.

14 But when the team members do come back
15 to work, we want them to be working on the backlog in
16 serving Manitobans. So we're not going to be doing a
17 lot of this quantification right away either.

18 MS. KATRINE DILAY: Thank you for that
19 -- that thoughtful response. And so, we'll -- we'll
20 leave the undertaking.

21 I have a few questions on the deferral
22 of improvement initiatives for ratesetting purposes.

23 I can take you to a reference, but at a
24 high level, you'll agree that, in the 2023 GRA, the
25 Public Utilities Board ordered the removal of

1 initiative expenses from expense forecast for '23/'24
2 and '24/'25 for ratesetting purposes. Correct?

3 MR. RYAN KOLASKI: That is correct.

4 MS. KATRINE DILAY: And subject to
5 check, this led to a reduction of negative 1.92
6 percent in the rate indication?

7 MR. RYAN KOLASKI: (INDISCERNIBLE) or
8 I can say subject to check.

9 MS. KATRINE DILAY: We can go with
10 subject to check.

11 MR. RYAN KOLASKI: Sure. Yeah.
12 Subject to check. Correct.

13 MS. KATRINE DILAY: And is it your
14 understanding that the PUB found it appropriate to
15 defer these costs as they are for systems that do not
16 benefit current ratepayers?

17 MS. CARA LOW: That was the logic,
18 yes.

19 MS. KATRINE DILAY: And so, is it your
20 understanding that the Public Utilities Board was
21 referring here to the concept of inter-generational
22 equity?

23 MS. CARA LOW: Correct. That current
24 ratepayers shouldn't be paying for something they're
25 not having the benefit of.

1 MS. KATRINE DILAY: Thank you for
2 answering my next question as well.

3 And so, essentially, customers should
4 not have to pay any costs incurred to provide services
5 to customers in any other period?

6 MS. CARA LOW: Correct. Yes.

7 MS. KATRINE DILAY: And you'll agree
8 this principle is consistent with the setting of rates
9 that are just and reasonable?

10 MS. CARA LOW: It is. It will
11 eventually lead to rate shock when we do have to
12 incorporate those costs in though.

13 MS. KATRINE DILAY: To a what, sorry?

14 MS. CARA LOW: Rate shock. So there
15 is the -- getting away from rate stability.

16 MS. KATRINE DILAY: And you'll agree
17 that the impact on rates will depend on over what
18 period those expenses are recognized?

19 MS. CARA LOW: Very true.

20 MS. KATRINE DILAY: And you'll agree
21 that for initiative expenses, customers can start
22 benefitting from those initiatives once they are
23 implemented. Correct?

24 MS. CARA LOW: Correct.

25 MS. KATRINE DILAY: And before they

1 are implemented, they are not benefitting customers
2 because they are not being used by the Corporation to
3 serve customers?

4 MS. CARA LOW: Correct.

5 MS. KATRINE DILAY: And you already
6 addressed this this morning, but at a high level, it's
7 MPI's position that it is not eligible to apply
8 International Financial Reporting Standard or IFRS-14
9 regarding rate regulation. Correct?

10 MR. RYAN KOLASKI: That is correct.

11 MS. KATRINE DILAY: And you'll agree
12 that in January 2021, the International Accounting
13 Standards Board, issued an exposure draft on
14 regulatory assets and regulatory liabilities?

15 MR. RYAN KOLASKI: I -- yes.

16 MS. KATRINE DILAY: And this exposure
17 draft proposes rate-regulated entities report
18 regulatory assets and liabilities and regulatory
19 income and expenses in their financial statements.

20 Is that your understanding?

21 MR. RYAN KOLASKI: That is my
22 understanding.

23 MS. KATRINE DILAY: And you'll agree
24 that if finalized as an IFRS standard, the proposals
25 would replace IFRS-14 and could result in MPI

1 reporting regulatory assets and liabilities under
2 IFRS?

3 MR. RYAN KOLASKI: It could -- it
4 could, yes. I mean if the standard -- we kind of --
5 if the exposure draft moves to an actual standard,
6 which then is available for adoption, and then based
7 on that criteria for adoption, it is possible, that
8 MPI would be adopting that new standard, once it
9 becomes available.

10 I can't adopt an exposure draft;
11 that's the challenge.

12 MS. KATRINE DILAY: Right, so MPI has
13 to wait for it to be --

14 MR. RYAN KOLASKI: Correct.

15 MS. KATRINE DILAY: -- finalized as an
16 IFRS standard.

17 MR. RYAN KOLASKI: Correct.

18 MS. KATRINE DILAY: And so, I think
19 you just confirmed this, but when the exposure draft
20 is finalized as a standard, then MPI could report
21 regulatory assets and liabilities under IFRS?

22 MR. RYAN KOLASKI: Yes, in the general
23 context of what's being proposed, assuming it moves
24 forward, in fruition to -- as a proposal, then, yes,
25 we would be potentially able to do that.

1 MS. KATRINE DILAY: And, just to
2 confirm something that was in your presentation this
3 morning, you'll agree MPI retained Deloitte to prepare
4 an opinion on the -- this IFRS-14 issue?

5 MR. RYAN KOLASKI: We did. Yes.

6 MS. KATRINE DILAY: And that opinion
7 was prepared, but has been filed confidentially,
8 pending a PUB decision on MPI's confidentiality
9 motion?

10 MR. RYAN KOLASKI: That is correct.

11 MS. KATRINE DILAY: But, you did
12 indicate in your presentation this morning, that
13 Deloitte found IFRS could not applied -- applied by
14 MPI --

15 MR. RYAN KOLASKI: That is correct.

16 MS. KATRINE DILAY: And that was their
17 opinion that they provided.

18 MR. RYAN KOLASKI: That was their
19 opinion, yes.

20 MS. KATRINE DILAY: So, essentially,
21 Deloitte agrees with MPI that it is not eligible to
22 apply IFRS-14. Correct?

23 MR. RYAN KOLASKI: Correct.

24 MS. KATRINE DILAY: I just have a few
25 last questions. Again, on your presentation from this

1 morning.

2 MR. RYAN KOLASKI: Sure.

3 MS. KATRINE DILAY: Ms. Schubert,
4 could we turn to slide 7 of the Financial Forecasting
5 Presentation?

6 And are you able to confirm whether you
7 prepared this portion of the presentation?

8 MR. RYAN KOLASKI: MPI prepared the --
9 the presentation. Yes.

10 MS. KATRINE DILAY: And if we look at
11 the second bullet from the bottom, you'll agree that
12 this bullet refers to the MPI Act?

13 MR. RYAN KOLASKI: Correct.

14 MS. KATRINE DILAY: And it indicates
15 that in quotation marks,

16 "A rebate will be determined and
17 paid the first day after the year
18 has ended."

19 MR. RYAN KOLASKI: Correct.

20 MS. KATRINE DILAY: And, Ms. Schubert,
21 if we could go to Section 18(4) of the MPI Act.

22 You'll agree this section refers to
23 Rate Stabilization Reserve Surplus.

24 MR. RYAN KOLASKI: Yes.

25 MS. KATRINE DILAY: And outlines the

1 items that must be met in order for a rebate to be
2 paid out.

3 MR. RYAN KOLASKI: Correct.

4 MS. KATRINE DILAY: You'll agree that
5 this does not refer to a rebate will be determined and
6 paid on the first day after the year has ended?

7

8 (BRIEF PAUSE)

9

10 MR. RYAN KOLASKI: Yeah, go ahead.

11 MS. CARA LOW: I would agree. I was
12 around last year when we were drafting this and the
13 intention was, our opening balance is usually equal to
14 your ending balance from the previous year.

15 And the thought process was we wanted
16 to ensure that all monies transferred between line of
17 businesses were completed. And that's why we had the
18 beginning of the next fiscal year, but the intention
19 always was, it's a year end audited financial
20 statements.

21 MS. KATRINE DILAY: So, you'll confirm
22 that what we saw on slide 7 in quotation marks, does
23 not appear anywhere else in the Act. Correct?

24 MS. CARA LOW: I'd agree.

25 MS. KATRINE DILAY: And just going

1 back to slide 7 of the Financial Forecasting
2 Presentation and the last bullet there, you'll agree
3 that MPI's Capital Management Plan has not been
4 approved by the Public Utilities Board, but rather is
5 being proposed by MPI in its rate Application for
6 approval?

7 MS. CARA LOW: Correct.

8 MS. KATRINE DILAY: Thank you. Madam
9 Chair, I believe Mr. Klassen has about less than ten
10 (10) minutes of questioning. So, we're open to the
11 Board whether you'd like to take a break and continue
12 or -- or have Mr. Klassen ask questions now.

13 PANEL CHAIRPERSON: I think we'll take
14 a break now. Come back at quarter to 3:00 with Mr.
15 Klassen and then we'll -- Ms. Meek as well.

16 MS. KATRINE DILAY: Madam Chair, I
17 believe Ms. Meek does not have questions of this
18 panel. And so my apologies.

19 Would it make more sense for Mr.
20 Klassen to finish with this panel and then the panel
21 can change during the break?

22 PANEL CHAIRPERSON: Yes, it would.
23 Please proceed then.

24 MS. KATRINE DILAY: I apologize for
25 the confusion.

1 MR. CHRIS KLASSEN: Thank you, Madam
2 Chair.

3

4 CROSS-EXAMINATION BY MR. CHRIS KLASSEN:

5 MR. CHRIS KLASSEN: Good afternoon,
6 MPI witnesses. I'll have a few questions for the
7 panel on MPI's road safety, budgeting and, as Ms.
8 Dilay suggests, that I don't expect to be very long.

9 Ms. Schubert, if you could display on
10 the screen, EXP Appendix-15 at page 2.

11 And while that's coming, the panel will
12 confirm, please, that part of MPI's expenses go toward
13 road safety and loss prevention programming. Correct?

14 MR. RYAN KOLASKI: That is correct.

15 MR. CHRIS KLASSEN: And if we need a
16 source, we'll find it on page 2 of this appendix.

17 But, sir, you'll confirm that the
18 budget for road safety and loss prevention for the
19 rating year is in the range of \$12.1 million.

20 Correct?

21 MR. RYAN KOLASKI: Correct.

22 MR. CHRIS KLASSEN: And the panel will
23 confirm, that investment in road safety and loss
24 prevention is intended to improve road safety outcomes
25 for Manitoba road users. Correct?

1 MR. RYAN KOLASKI: That is correct.

2 MR. CHRIS KLASSEN: And, in general,
3 sir, you would agree that MPI understands its road
4 safety work to be of value for Manitobans?

5 MR. RYAN KOLASKI: That is correct.

6 MR. CHRIS KLASSEN: And this would be
7 partly attributable, you'll agree, sir, to the
8 importance of reducing tragic losses of life and
9 serious injuries that can be caused by motor vehicle
10 accidents. Correct?

11 MR. RYAN KOLASKI: That is correct.

12 MR. CHRIS KLASSEN: And at a high
13 level, sir, we can look to numbers of injuries and
14 fatalities on Manitoba roads as -- as well as trends
15 in these figures over time, as indicators of
16 improvements in road safety. Correct?

17 MR. RYAN KOLASKI: Correct.

18 MR. CHRIS KLASSEN: And road safety
19 investments should also provide a return on investment
20 in the form of reduced claim costs. Correct?

21 MR. RYAN KOLASKI: Just one second.
22 That is MPI's position.

23 MR. CHRIS KLASSEN: Thank you. Ms.
24 Schubert, if we could return to page 1 of this
25 appendix.

1 And I'll ask the panel to confirm that
2 the set of three (3) columns on the far right of the
3 page provides data for the 2022/'23 fiscal year.

4 Correct?

5 MR. RYAN KOLASKI: Correct.

6 MR. CHRIS KLASSEN: And we see in line
7 17, again in the columns on the far right, that actual
8 road safety expenditures in that fiscal year, being
9 the last fiscal year, were just over \$10.5 million.

10 Correct?

11 MR. RYAN KOLASKI: Correct.

12 MR. CHRIS KLASSEN: And, under budget,
13 we see that that 10.53 is compared to a budget of
14 \$12.3 million. Correct?

15 MR. RYAN KOLASKI: That is correct.

16 MR. CHRIS KLASSEN: And in the final
17 column we see that the road safety budget in 2022/'23,
18 was underspent by a little over \$1.7 million.

19 Correct?

20 MR. RYAN KOLASKI: That is correct.

21 MR. CHRIS KLASSEN: Ms. Schubert, if
22 you wouldn't mind turning us now to Exhibit 50 from
23 the 2023 GRA, being last year's rate application, at
24 page 18. Thank you.

25 And I'll ask the panel to confirm that

1 this table provides us with a comparison between
2 figures as they were presented in MPI's June filing of
3 the rate application and its subsequent rate update
4 provided in October of that year. Is that correct?

5 MR. RYAN KOLASKI: Yes.

6 MR. CHRIS KLASSEN: And, if we look to
7 line 19, sir, we'll see that the initial 2023 filing
8 contemplated a \$12.6 million budget for road safety in
9 2023/'24. Correct?

10 MR. RYAN KOLASKI: That is correct.

11 MR. CHRIS KLASSEN: And the next
12 column over, on the same line, we see that in the
13 October rate update that budget was increased to 14.9,
14 just shy of \$15 million, for that same year. Correct?

15 MR. RYAN KOLASKI: That is correct.

16 MR. CHRIS KLASSEN: An increase of
17 \$2.3 million. Correct?

18 MR. RYAN KOLASKI: That is correct.

19 MR. CHRIS KLASSEN: Ms. Schubert, if
20 you could now take us briefly to the transcript from
21 October 26th of 2022, which was a discussion about
22 road safety at last year's GRA.

23 Mr. Kolaski, I'll ask you to confirm,
24 beginning from lines 7 through 12, we have Mr. Doell,
25 confirming to Ms. Kara Moore, the presence of that,

1 roughly, \$2 million budget increase that we just
2 looked at in Pro forma 6, from Exhibit 50, from that
3 year. Correct?

4 MR. RYAN KOLASKI: Yes.

5 MR. CHRIS KLASSEN: And, if we turn
6 our attention a little bit further down the page, I
7 just wanted to confirm -- I may have misspoken, Ms.
8 Schubert. We're on page 1,430 which, I believe, is
9 pdf 97 of this document. Sure. Thank you, and I
10 moved ahead too quickly, Mr. Kolaski, and I apologize
11 for that.

12 So, before we get ahead of ourselves,
13 we'll go back to lines 7 through 12, and you'll see
14 Mr. Doell confirming that increase of \$2.3 million
15 introduced in the rate update. Correct?

16 MR. RYAN KOLASKI: Yes.

17 MR. CHRIS KLASSEN: And, now, turning
18 our attention further down the page, beginning on line
19 17, we see Mr. Michael Triggs, confirming that that
20 budget increase was not allocated to any specific
21 initiative, but that it was intended to have funds
22 pre-approved and available for use on projects as
23 "ideas" come up. Correct?

24 MR. RYAN KOLASKI: Yes.

25 MR. CHRIS KLASSEN: Thank you for --

1 for bringing up this transcript, Ms. Schubert.

2 If we could go back to the Exhibit 50
3 rate update, again, from the 2023 GRA, this time to
4 page 13 instead of 18.

5 And, here, sir, you'll agree that we
6 see a multi-year statement of operations providing
7 actual figures for 2022, a forecast budget for 2023,
8 and forecasts for 2024 through '27?

9 MR. RYAN KOLASKI: Yes.

10 MR. CHRIS KLASSEN: And, if we look at
11 line 21, we'll see figures pertaining to road safety
12 and loss prevention.

13 And, sir, if -- leaving aside the first
14 common -- column, and turning our attention to the
15 2022/'23 forecast budget, there at line 21, we see the
16 initial \$12 million figure?

17 MR. RYAN KOLASKI: Yes.

18 MR. CHRIS KLASSEN: And, the next
19 year, we see the budget for road safety and loss
20 prevention increased by an amount roughly equal to
21 that \$2.3 million we saw added to the budget in the
22 October rate update. Is that correct?

23 MR. RYAN KOLASKI: Yes.

24 MR. CHRIS KLASSEN: And the road
25 safety and loss prevention budget stays in the range

1 of \$14 to \$15 million, through to the end of the
2 forecast presented on this page. Correct?

3 MR. RYAN KOLASKI: That is correct.

4 MR. CHRIS KLASSEN: Turning back to
5 the current GRA, Ms. Schubert, if we could go back to
6 Exp. Appendix 15 and, in particular, Figure Exp. App.
7 15-2.

8 And looking back at line 17 here, Mr.
9 Kolaski, we see budgets presented in the 2024 GRA for
10 the rating year 2024/'25 and future years. Correct?

11 MR. RYAN KOLASKI: That is correct.

12 MR. CHRIS KLASSEN: And, based on what
13 we see in line 17, those budgets for future years
14 appear to be back down in the \$12 million range, as
15 opposed to the \$14 million range that we confirmed a
16 moment ago. Correct, sir?

17 MR. RYAN KOLASKI: That is correct.

18 MR. CHRIS KLASSEN: And, sir, does
19 this suggest that MPI is no longer budgeting for an
20 approximate \$2 million unallocated road safety fund?

21 MR. RYAN KOLASKI: I'm just trying to
22 think for a moment. Throughout the course of the
23 year, from time to time, as I understand it, we get
24 government directives, as it relates to road safety,
25 where we in -- insert other programs into our road

1 safety program. So, what we've done for '24/'25 is
2 we've looked at exactly what best value options we
3 have, in consultation with our stakeholders.

4 So, we have a mix of programs that we
5 believe will drive value and, then, as we forecast
6 through that period, because we don't have vision on
7 specific programs that we know of today, we've held
8 the dollars constant.

9 So, that doesn't mean, when we come to
10 this process next year that those dollars will be
11 different, 'cause it's a dynamic program and those
12 programs change. So, we're not going to forecast
13 placeholders, in the event where we don't know what
14 those are.

15 So, we've taken a conservative approach
16 on forecasting out a run rate, based on what we do
17 know, based on the programs we have that add value
18 and, then, as that makes changes over time, we'll
19 adjust that spend accordingly.

20 MR. CHRIS KLASSEN: Thank you for that
21 explanation, sir.

22 And, so, if I'm understanding you
23 correctly, I'll ask you to confirm that MPI isn't
24 identifying any specific program impacts associated
25 with the budget reduction from '24/'25 through to the

1 end of the forecast presented on this page?

2 MR. RYAN KOLASKI: That is correct.

3 MR. CHRIS KLASSEN: Thank you, sir,
4 and to the Panel. Those are my questions. Madam
5 Chair, those are my questions.

6 PANEL CHAIRPERSON: Thank you, Mr.
7 Klassen. We'll take a 15-minute break now and come
8 back with Board questions and redirect at five to
9 3:00, please.

10

11 --- Upon recessing at 2:42 p.m.

12 --- Upon resuming at 2:56 p.m.

13

14 PANEL CHAIRPERSON: Ms. McCandless,
15 before we start with Board questions, could you please
16 put on the record the change in the order of matters
17 to be heard?

18 MS. KATHLEEN MCCANDLESS: Thank you.
19 So it's almost three o'clock, and we haven't started
20 what was -- is to be today's second panel, Capital
21 Management Plan, so unlikely that we will conclude
22 with that -- that panel today. We still have some
23 questions from the Board on financial forecasting and
24 then re-direct.

25 So tomorrow, we have Project NOVA

1 scheduled for the whole day and are starting the day
2 at nine o'clock on the confidential module for the
3 Board to hear submissions on Deloitte's claim for
4 confidentiality over the IFRS-14 opinion.

5 So what I believe works for all parties
6 here is that we will -- where ever we finish today on
7 the Capital Management Plan, we will then defer any --
8 anything that's left to Wednesday so that tomorrow's
9 schedule will not change. It will start with the CSI
10 motion and NOVA.

11 If there's any follow-up on NOVA that
12 needs to run into Wednesday, I would expect we would
13 continue that on Wednesday and then, ultimately,
14 resume the Capital Management Plan panel at some point
15 after that on Wednesday.

16 And I -- I believe that everyone -- I
17 have not checked with MPI about this, but everyone
18 that was in the room until a few moments ago is able
19 to stay until 4:30 today, if that suits the Panel. We
20 just need to hear from MPI in that regard.

21 MR. ANTHONY GUERRA: That should be
22 fine.

23 MS. KATHLEEN MCCANDLESS: Okay. Thank
24 you.

25 PANEL CHAIRPERSON: Yes, that's fine,

1 and the Panel will sit until 4:30.

2 MS. KATHLEEN MCCANDLESS: Thank you.

3 PANEL CHAIRPERSON: Thanks very much.

4 Mr. Gabor...?

5 BOARD CHAIR GABOR: Sorry. Kristen,

6 could we go to page 8 of the presentation? Okay.

7 I'll just throw this to the panel. I don't know if

8 it's going to be Mr. Kolaski or somebody else, but

9 just quickly.

10 Your -- your projections for Extension,

11 those numbers are the numbers you're projecting at the

12 end of the year. Is that correct?

13 MS. CARA LOW: That is correct --

14 BOARD CHAIR GABOR: Okay.

15 MS. CARA LOW: -- yes.

16 BOARD CHAIR GABOR: But that -- but

17 the number for Extension, for example the day before,

18 may be higher than that. Is that correct?

19 MS. CARA LOW: The plan would be to

20 move the money over from Extension that exceeds 200

21 percent before year end, so, yes, that could be.

22 BOARD CHAIR GABOR: Right, but if you

23 decide you wanted to move the money to DVA or another

24 project before the end of March, you could do so?

25 MS. CARA LOW: Right. And as we'll

1 talk about in the Capital Management Plan Panel, MPI's
2 management will never move it anywhere else, that
3 would be a board of directors decision.

4 BOARD CHAIR GABOR: Okay, but in terms
5 of those projections, does that anticipate that that
6 will be, for example, the amount in Extension as of
7 March 28th or 30th, no transfer, or is this -- there -
8 - there are amounts contemplated that will be
9 transferred prior to the end of March?

10 MS. CARA LOW: This would have
11 transfer in there 'cause you have the 200 percent flat
12 amounts, and that's because it's been transferred over
13 to Basic.

14 BOARD CHAIR GABOR: Sorry. Yeah.
15 We're talking parallel.

16 MS. CARA LOW: Okay.

17 BOARD CHAIR GABOR: Money going from
18 Extension reserve to something else prior to March
19 31st. Does this contemplate monies going to --

20 MS. CARA LOW: No, it --

21 BOARD CHAIR GABOR: -- so this is
22 Extension stays whole, not like before where monies
23 were transferred to -- to DVA prior to month end.

24 MS. CARA LOW: Correct.

25 BOARD CHAIR GABOR: Okay. Thank you.

1 I think, Mr. Kolaski, the -- the last two (2) areas
2 I've got are for you.

3 OKRs. When did that first start?

4 That's the first I've heard of it.

5 MR. RYAN KOLASKI: Just one (1)
6 second.

7

8 (BRIEF PAUSE)

9

10 MR. RYAN KOLASKI: I understand we're
11 into year 2.

12 BOARD CHAIR GABOR: So it was
13 mentioned in a prior hearing. Is that your
14 understanding?

15 MR. RYAN KOLASKI: I don't know if it
16 was mentioned. I'll just check.

17 My understanding is the term 'OKR' was
18 not used last year.

19 BOARD CHAIR GABOR: Okay, but -- but
20 that MPI did use the concept before?

21 MR. RYAN KOLASKI: Yes.

22 BOARD CHAIR GABOR: Now, you made --
23 you made the comment about wanting to integrate it.

24 How long do you think it will take to
25 integrate it in MPI?

1 MR. RYAN KOLASKI: It's a fair
2 question. Directionally was your question comes down
3 to two (2) things. It's a maturing process, number 1;
4 and then, number 2, kind of the vision of the
5 permanent CEO and then what the tone of the government
6 is, right?

7 So part of OKR is setting objectives
8 relative to corporate strategy, and then you work
9 towards that.

10 So we have today a plan of sorts that's
11 maturing, but it's disconnected from the budget. So
12 it's really kind of a process of, once there's a
13 permanent CEO in place, working with them to align
14 what that vision is and then cascading that down
15 through individual objectives.

16 So in an ideal world, to get to your
17 answer, sooner rather than later is what you would
18 like to see, and we're aligned with that. I just
19 can't give you a specific date or anything.

20 BOARD CHAIR GABOR: What's the role of
21 KPIs once OK --

22 MR. RYAN KOLASKI: Well, they're --
23 they're both kind of the same.

24 BOARD CHAIR GABOR: I'm the one who's
25 absolutely opposed to using these.

1 What is the role of Key Performance
2 Indicators after Objectives to Key Results are
3 integrated?

4 MR. RYAN KOLASKI: This is like a
5 theoretical framework. I'm not an expert on the
6 matter, but here's my interpretation, subject to
7 check, 'cause that seems to be a good point to put in
8 place.

9 So OKRs are Objectives of Key Results,
10 so you set a higher level objective, kind of an
11 ambitious goal, and then you work towards that;
12 whereas a KPI is more very specific, performance
13 service based. How many people walked into the
14 service centre today? How many people were at this
15 level of service?

16 So KPI is very much more operational
17 tactics, whereas an objective is a little higher end,
18 like a little more visionary. So think of KPI
19 sometimes when you would look at, in a very typical
20 cadence, very timely and over a long period of time.

21 OKRs are more objective setting, so you
22 check in with them say every three (3) months,
23 quarterly, and then you revise those on an annual
24 basis type of cadence. But again, I'm not the best
25 person to do that, but Shayon is here tomorrow and he

1 can kind of give you a broader perspective --

2 BOARD CHAIR GABOR: Yeah.

3 MR. RYAN KOLASKI: -- of what that
4 would look like.

5 BOARD CHAIR GABOR: Okay. Thank you.

6 On labour disruption, you made the comments about
7 there are savings and there are costs, and that.

8 How long after the disruption can you
9 go back and look at all of the items and say, Here's
10 the final result?

11 MR. RYAN KOLASKI: Good question. So
12 there's going to be -- there's two (2) things around
13 that. To the extent we can, we've created labour
14 interruption tracking. So what is the -- like so if
15 there's overtime, it's going to a labour interruption
16 code, so I can kind of track what those costs are, so
17 I kind of have some vision on what that is.

18 The challenge is literally how will we
19 get through the backlog first, right? 'Cause that's a
20 priority to deal with servicing Manitobans. And then
21 second to that is, putting together the quantification
22 of what were the impacts related to it, right?

23 And probably the biggest challenge --
24 and I'll turn it over to Cara -- is that whole claims
25 piece, right, 'cause again there's a lot of data

1 that's missing or the timeliness of that data, and
2 then what are the implications of that time lag in
3 terms of the IBNR.

4 But I'll -- maybe you can give some
5 comments.

6 MS. CARA LOW: Because right now when
7 the valuation team pulls in the data, there are no
8 claims for the whole entire month of August because it
9 didn't get uploaded, or September. And we know that
10 there's backlogs, so the longer a claim stays open,
11 the more it's going to cost. And we think there's
12 going to be implications because we have raised the
13 authorization of body shops, right?

14 So you have up to two (2) years to
15 report a claim, so this could be a long time for
16 quantification. I think by the end of this year we'll
17 have an estimate, but I think it's a long ways off.

18 BOARD CHAIR GABOR: Okay. By the end
19 of this year, you're talking March 30th of -- of '24?

20 MS. CARA LOW: Right, as we go through
21 our Q2.

22 BOARD CHAIR GABOR: Yeah.

23 MS. CARA LOW: Like we were looking at
24 Q2 financials being completed maybe in January, and
25 then we'll do our Q3, and then of course we'll be

1 leading into the GRA analysis. So around that time,
2 we will have to have an estimate.

3 But will it be an accurate estimate?

4 It'll be hard to say 'cause it'll be a long time
5 before we can see some of this data. I mean, you're
6 talking about thousands of backlogs, right? So by the
7 time this information gets into the system, we can see
8 if there's severity increases, what kind of claim
9 counts we're looking at.

10 BOARD CHAIR GABOR: Would I be correct
11 that we would have some sort of update as best as you
12 could for next year's GRA?

13 MS. CARA LOW: Yes.

14 BOARD CHAIR GABOR: Okay. Thank you.
15 Those are my questions.

16 PANEL CHAIRPERSON: Ms. Boulter...?

17 BOARD MEMBER BOULTER: Thank you.

18 Following the resumption of work, how long do you
19 think it would take for MPI to get right back to where
20 it should be with service standards and work?

21 Do you need a month, two (2) months?

22 What -- when do you think the public will be at their
23 level that they need?

24 MS. CARA LOW: There's a lot of people
25 currently working on that. We know that it's going to

1 take at least a day or two (2) after labour
2 interruption is over to get people back working.

3 Their laptops are no longer trusting
4 the -- I think that's the right term -- trusting the
5 MPI server, so they physically have to come in to MPI
6 office in order for their laptops to recognize MPI
7 servers, and they have to have the passwords were set.

8 So, you know, we need seventeen hundred
9 (1,700) people to come through the doors in order to
10 just get their laptops up and working. There will be
11 some discussions with their managers. There will be
12 some -- and a lot of them -- because we don't have
13 space for everyone, they will then have to return home
14 in order to turn on their laptops, so it's going to be
15 a day or two (2) to get up and running again.

16 BOARD MEMBER BOULTER: What I meant
17 was, let's say everything's up and running --

18 MS. CARA LOW: Yes.

19 BOARD MEMBER BOULTER: -- the two (2)
20 days have gone by, but you got masses of backlogs, you
21 got tonnes of work.

22 When can the public expect that their
23 service levels will resume?

24 MS. CARA LOW: There is a plan being
25 worked on right now. I don't have the details

1 necessarily to share. I have seen it. It's in draft.
2 There's a team working on it right now.

3 MR. RYAN KOLASKI: I guess the simple
4 answer is it really depends on how long the staff are
5 out, and then how quickly can we get through that
6 backlog.

7 And part of getting through that
8 backlog is which streams in terms of service can we
9 overstaff or kind of use bubble staff in order to work
10 through that more quickly in terms of not necessarily
11 hiring staff, but perhaps keeping staff in place for a
12 certain period of time, and it's really challenging
13 because we just don't know.

14 One (1) of my team members who's
15 working on that plan has estimated that it will -- it
16 will be between six (6) and twelve (12) months. So
17 it's not going to be a very short period of time, it's
18 going to be literally a longer period of time overall.

19 BOARD MEMBER BOULTER: Okay. Thank
20 you very much. I'd also like to look at figure 1 of
21 PUB/MPI-1-20 where we're talking about NOVA costs.
22 Bring that up.

23 On the chart there, I'm kind of
24 intrigued. It looks like DVA is going to cost more
25 than Basic, Extension, or SRE. If you pull the

1 numbers all the way across, it looks like it's close
2 to a hundred thousand for -- a hundred million for DVA
3 and not as much as the others.

4 I'm -- I'm rather surprised that DVA's
5 conversion to the new system is more expensive. Is
6 there any comment on that?

7 MR. RYAN KOLASKI: Just one second.

8

9 (BRIEF PAUSE)

10

11 MR. RYAN KOLASKI: I will defer that
12 to the NOVA Panel that's meeting tomorrow. They're in
13 a better position to answer.

14 BOARD MEMBER BOULTER: Yeah, I have
15 "NOVA" beside it so -- to remind me to ask for their -
16 - tomorrow.

17 One (1) thing that I'm always concerned
18 about is staffing. And you've had significant
19 turnover, almost 11 percent over the last two (2)
20 years.

21 And CAC asked the reasons for leaving,
22 and HR provided those for you to report to us, but I'm
23 wondering if there's anything more formal, like exit
24 interviews, an external HR review, because I'm
25 concerned about the morale and why people are leaving.

1 MR. RYAN KOLASKI: Sure. And one --
2 one moment. I just want to confirm something.

3

4 (BRIEF PAUSE)

5

6 MR. RYAN KOLASKI: I can confirm that
7 we actually do exit interviews and compile
8 information. In terms of additional studies, we're
9 currently not aware of any.

10 BOARD MEMBER BOULTER: Thank you.
11 And, again, with the morale issue, CAC, on page 45 of
12 their Round One questions, asked about the impact on
13 morale, and the answer was that it was deemed minimal.

14 My -- my question is: Who deemed this
15 minimal?

16 MR. RYAN KOLASKI: Could you pull up
17 the reference, just so I could see it.

18 BOARD MEMBER BOULTER: It's Round One
19 questions from CAC, page 45.

20

21 (BRIEF PAUSE)

22

23 BOARD MEMBER BOULTER: I've got page
24 45. I wrote that down but CAC. No, I didn't write
25 that down. Okay. Okay. Yeah. Okay. I'll have to

1 get back to you on that one.

2 MR. RYAN KOLASKI: Sure. No problem.

3 BOARD MEMBER BOULTER: Okay. Thank
4 you. And you were really kind in getting the
5 Undertaking number 1 to -- back to us with the merit
6 performance increase for out-of-scope staff.

7 And I'm wondering, is that all the
8 bonuses and extras and is there anything else that
9 isn't included in that?

10 MR. RYAN KOLASKI: Specifically as it
11 relates to the definition of "merit"?

12 BOARD MEMBER BOULTER: Yes --

13 MR. RYAN KOLASKI: Just one moment.

14 BOARD MEMBERS BOULTER: -- or
15 performance payments of any kind above and beyond a
16 salary.

17

18 (BRIEF PAUSE)

19

20 MR. RYAN KOLASKI: Unfortunately, we
21 don't have anyone from HR present to quantify that.
22 So, again, I just don't know the specific person who
23 drafted that.

24 BOARD MEMBER BOULTER: Okay. Thank
25 you very much. That's all.

1 PANEL CHAIRPERSON: Thank you. Ms.
2 Nemec...?

3 BOARD MEMBER NEMEC: I have a number
4 of different questions, so whoever can answer them, I
5 appreciate that. My first question is on -- on DVA.
6 And there were a couple large transfers that went into
7 DVA from Extension in the last couple of GRAs.

8 So I'm just curious as to what the
9 cumulative equity -- I think it's still in an equity
10 position in DVA -- what would that be?

11 MR. RYAN KOLASKI: There is a positive
12 equity balance. There was a -- someone had shown it I
13 think when you were -- when we were talking about DVA
14 earlier. I think, subject to check, it's around 79 or
15 \$80 million.

16 BOARD MEMBER NEMEC: So that would be
17 at the beginning of this year?

18 MR. RYAN KOLASKI: Correct. Yeah.
19 There was a -- there was an IR that illustrated that.

20 BOARD MEMBER NEMEC: Okay. Thank you.
21 And in looking at DVA I saw some of the information
22 that you presented today showed some changes in data
23 processing and -- costs in the DVA, and I think it
24 started about 2.4 million annually starting in 2021,
25 moved up to perhaps in 2023/'24 14.1 million, then up

1 to 20.5 million.

2 So just wondering about the -- those
3 increases.

4 MR. RYAN KOLASKI: Sure. One second.
5 That is primary licensing costs related to NOVA.

6 BOARD MEMBER NEMEC: And so those
7 would already be expensed at this point in time?

8 MR. RYAN KOLASKI: Just one moment.
9 That is correct.

10 BOARD MEMBER NEMEC: Okay. As I --
11 maybe remind me. I think the first year's licence
12 fees would be capitalized; that's -- is that one (1)
13 of the policies of NOVA, is to have the first year
14 capitalized, and then, afterwards, expense?

15 And I'm assuming -- or are these
16 different licence fees for something else happening
17 with DVA versus NOVA?

18 MR. RYAN KOLASKI: Just one moment.

19

20 (BRIEF PAUSE)

21

22 MR. RYAN KOLASKI: Subscription costs
23 are fully expensed.

24 BOARD MEMBER NEMEC: And are those
25 subscription costs for the NOVA piece of DVA?

1 MR. RYAN KOLASKI: It's a combination
2 of both, but let me just confirm.

3 BOARD MEMBER NEMEC: Because it was
4 2.4 million starting in -- with all of the data
5 processing in '21/'22, I believe.

6

7 (BRIEF PAUSE)

8

9 MR. RYAN KOLASKI: Primarily related
10 to NOVA, yes.

11 BOARD MEMBER NEMEC: And is that
12 appropriate, that they should be expensed already? Is
13 that consistent maybe is a better way to ask that?

14 MR. RYAN KOLASKI: Just one second.

15

16 (BRIEF PAUSE)

17

18 MR. RYAN KOLASKI: That is the correct
19 treatment as we can't capitalize those costs.

20 BOARD MEMBER NEMEC: Okay. The next
21 question's on -- and I'm wondering, Ms. Schubert, if
22 you could pull up -- and it's figure EXP5. And any
23 possibility of putting the -- from the GRA -- both '24
24 GRA and '23 side by side. I think it was side by side
25 when you -- you showed it to us earlier this morning.

1 And I'm looking down to the 'M' --
2 thank you. And I'll be looking down close to the
3 bottom of the page.

4 MR. ANTHONY GUERRA: Just to confirm,
5 are we -- are we talking about the two (2) figures
6 that were being shown this morning? Because that
7 would be EXP5 from the 2024 General Rate Application
8 compared to figure 3 from the rate up -- or the update
9 from October from 2022.

10 BOARD MEMBER NEMEC: Sure. That --
11 that's fine. Yes. Thank you.

12

13 (BRIEF PAUSE)

14

15 BOARD MEMBER NEMEC: I had the EXP5
16 was the right one. Yeah.

17 If you can scroll up -- scroll down and
18 I can start talking about it. And what I'm looking at
19 is the amortization of the deferred development costs.

20 And in 2024 GRA, when I looked 2027 and
21 2028 forecasts, I see that 17.4 million. And when I
22 looked at the 2023, I think, October update, that was
23 significantly more; like \$48 million. So that's why I
24 wanted to pull that up.

25 So I just wanted to understand the

1 difference between that 2023 GRA updated amount in
2 '27/'28 and the difference in 2024 GRA, I think, for a
3 similar period.

4 MR. RYAN KOLASKI: Do you have the '23
5 table, just for a reference?

6

7 (BRIEF PAUSE)

8

9 MR. MARTIN MARION: Sorry, maybe I can
10 assist. It's MPI-96, Undertaking 15.

11 MR. RYAN KOLASKI: I do know part of
12 that answer will be the change in the NOVA
13 amortization. Prior, it was five (5) years, and now
14 we've incorporated NOVA amortization based on a ten
15 (10) year period. So all things being equal, the
16 amortization of NOVA is now longer than it was prior.

17 BOARD MEMBER NEMEC: And throughout
18 all of these forecasts, that changes happen -- I don't
19 remember reading that. I'm just surprised.

20 MR. RYAN KOLASKI: No, that's fair.
21 So in the current Application, it's based on a -- on
22 the -- it's based on a ten (10) year period.

23 BOARD MEMBER NEMEC: Okay. So that is
24 -- is that in your external financial statements as --
25 as far as what you've done in your past years'

1 financial statements?

2 MR. RYAN KOLASKI: Just one second.

3 Yes, it is, ma'am.

4 BOARD MEMBER NEMEC: It is. Okay. I
5 think it's up now, which --

6 MR. RYAN KOLASKI: And then, the other
7 drift that you have is the timing related to the
8 releases and when things start to amortize related to
9 initiatives.

10 BOARD MEMBER NEMEC: Okay. So it was
11 up to 43.52 million, so that's a big change in timing.

12 So are you saying -- so the 2023, the
13 document Exhibit 96 on the right is based on five (5)
14 years as well? And the document on the left, which is
15 a 2024 GRA, is based on a five (5) year -- or a ten
16 (10) year amortization period?

17 MR. RYAN KOLASKI: That is correct.
18 Last year was five (5); this year is ten (10).

19 BOARD MEMBER NEMEC: Okay. Thank you.
20 I have a couple more.

21 Quick question on benefits. And -- and
22 I might have missed it, but benefits seems to have
23 increased by about 10 percent this year. I'm not sure
24 if it was the Basic line or the overall corporate
25 expenses. And I'm -- I can't remember anyone

1 discussing that 10 percent increase.

2 Can you address that?

3 MR. RYAN KOLASKI: Sure. I believe
4 there's an IR that actually has a table that shows
5 what the change in the increase is.

6

7 (BRIEF PAUSE)

8

9 MR. RYAN KOLASKI: Does your question
10 relate to EXP-17 of the expense chapter?

11 BOARD MEMBER NEMEC: I think you can
12 just look at the document on this -- yeah, on the
13 screen right now. From thirty-six (36) -- thirty-six
14 (36) -- probably from '22/'23, 36.1 million to '23 to
15 '24. That increase is perhaps what I'm -- I saw the
16 10 percent increase.

17

18 (BRIEF PAUSE)

19

20 BOARD MEMBER NEMEC: And then it
21 actually stays quite stable.

22 MR. RYAN KOLASKI: The primary change
23 is the superannuation expense.

24 BOARD MEMBER NEMEC: And was that
25 excluded last year?

1 MR. RYAN KOLASKI: No.

2 BOARD MEMBER NEMEC: Just an increase?

3

4 (BRIEF PAUSE)

5

6 MR. RYAN KOLASKI: That's unknown at
7 this time.

8 BOARD MEMBER NEMEC: How do I get to
9 know?

10 MR. ANTHONY GUERRA: Ms. Nemec, we can
11 provide an undertaking, if that's suitable.

12 BOARD MEMBER NEMEC: I'd appreciate
13 that.

14 MR. ANTHONY GUERRA: Thank you.

15

16 --- UNDERTAKING NO. 23: MPI to confirm if the
17 superannuation expense
18 increased from last year

19

20 BOARD MEMBER NEMEC: My next question
21 is about the allocation of initiative expenses. And I
22 understand you have an integrated cost allocation
23 methodology that's very -- I think it's 68 percent
24 this year, somewhere around there -- between sort of
25 your general operating expenses.

1 But when it comes to the initiative
2 expenses, just would like a little background on how
3 that gets allocated and the objectivity of that
4 allocation.

5 MR. RYAN KOLASKI: Sure. One moment.

6

7 (BRIEF PAUSE)

8

9 MR. RYAN KOLASKI: Each individual
10 project is reviewed and then determined which line of
11 business benefits the most from it. And then, that
12 allocation is applied to that specific project.

13 The person who determines that is the
14 project accounting team.

15 BOARD MEMBER NEMEC: So is that an
16 amount that each month they look at the costs and
17 allocate it? Or does it actually come down to
18 consultants directing their time in a specific manner?
19 Is it -- or is it a decision just of the project
20 manager?

21 MR. RYAN KOLASKI: Sure. Let me just
22 confirm that.

23

24 (BRIEF PAUSE)

25

1 MR. RYAN KOLASKI: That -- that
2 percentage allocation is done up front at the
3 initiation of the project. And then that allocation
4 holds true through the balance of that project.

5 BOARD MEMBER NEMEC: So the -- the
6 division that is accepting those charges, do they
7 approve it or they -- they're an allocation to their
8 actual department's costs -- is that something that is
9 done in coordination or it's just an allocation that
10 is accepted? I'm not sure if I'm asking that right.

11 MR. RYAN KOLASKI: I know what you
12 mean, so let me just confirm.

13

14 (BRIEF PAUSE)

15

16 BOARD MEMBER NEMEC: And that comes
17 down -- a bit of a budget process then.

18

19 (BRIEF PAUSE)

20

21 MR. RYAN KOLASKI: So the person
22 introducing the project would be the business owner,
23 typically the VP. So, prior to it coming to Project
24 Management, they've already signed off, as to the
25 expectation of who's going to own that particular

1 project.

2 BOARD MEMBER NEMEC: Okay. Thank you.
3 Question about deferred policy acquisition costs and I
4 think it's -- said that the new IFRS-17, and I believe
5 that's a choice to accept expensing of those deferred
6 policy acquisition costs.

7 So, MPI's decided to expense those on
8 an ongoing basis and not to defer them. And I think
9 it's been said that that's a one time kind of hit in
10 that it's impacting the opening surplus.

11 So, for -- not really a hit on the
12 financial statements, but where it might impact and --
13 in -- and I'm just trying to make sure I understand
14 this correctly, is that the MCT each year will have a
15 reduced surplus on an ongoing basis by that thirty-
16 eight (38) million, per se, I think is -- which is the
17 amount of the Basic-only portion of the deferred
18 acquisition costs.

19 Is that correct? So, each year MCT
20 equity will be lower, so it has an impact on that MCT
21 ratio annually.

22 MR. RYAN KOLASKI: It is just a one
23 time transition. So, it just happens at the beginning
24 of adoption of IFRS-17.

25 The actual acquisition costs that were

1 deferred, are now being expensed on an ongoing basis.

2 BOARD MEMBER NEMEC: Right, but it
3 still -- but I'm just trying to understand, it's to --
4 it always has an ongoing impact on equity because it
5 would have been -- there would have always been \$38
6 million --

7 MR. RYAN KOLASKI: Prior -- under
8 IFRS-4, you're correct, it wouldn't have been in there
9 --

10 BOARD MEMBER NEMEC: So, it's
11 cumulative.

12 MR. RYAN KOLASKI: Yeah.

13 BOARD MEMBER NEMEC: So, it -- it has
14 a one time impact on your financial statements, but
15 it's a cumulate impact on that MCT ratio.

16 MR. RYAN KOLASKI: Yeah.

17 BOARD MEMBER NEMEC: Correct. Thank
18 you. And the improvement initiate -- I'm almost done.

19 The Improvement Initiative Expenses, in
20 '22 and '23 have not been included, I think, in -- in
21 the MPI schedules, as sort of -- of --

22 MR. RYAN KOLASKI: Pardon me.

23 BOARD MEMBER NEMEC: -- for deferring
24 them and going forward. So, I think that's 11.7
25 million in fiscal '22, 13.1 million in fiscal '23.

1 So, in effect, because those weren't
2 deferred, the rate pay -- they were included in the
3 rate indication, so that was part of rates that
4 customers, ratepayers, would have paid.

5 So, I'm assuming the only way that that
6 gets recognized for those customers is in the future -
7 - a future refund, in that that those monies are now
8 in equity.

9 So, it would be -- I'm trying to look
10 at that equalization for ratepayers, or that -- and I
11 think it comes at some point in the future when they
12 actually have a rebate.

13 MR. RYAN KOLASKI: That makes sense.

14

15 (BRIEF PAUSE)

16

17 MS. CARA LOW: That would be correct.

18 BOARD MEMBER NEMEC: Okay.

19 MS. CARA LOW: It's in the rate, so
20 therefore, eventually, if the MCT gets high enough,
21 they would get it back as a rebate.

22 BOARD MEMBER NEMEC: Okay, thank you.

23 And I think this is my final question.

24 I've heard the IFRS-17 is not finalized
25 or IFRS figures are subject to change and there's an

1 ongoing review.

2 I'm just wondering where you are in
3 that process; when you -- when will it be finalized.
4 Are you almost there or what do you mean by not
5 finalized?

6 MS. CARA LOW: We're feeling much more
7 comfortable with the income statement transactions and
8 the balance sheet transactions.

9 Where we need to do a lot of work still
10 is on the MCT. When will it be finalized, I think
11 would be after Q4 of next year, so March 31st, 2024,
12 after it's audited.

13 But we're not the only ones struggling
14 with IFRS-17. It's a big change and we hear from our
15 peers or hear, you know, even in the insurance news
16 that other companies are struggling with it.

17 But we're in a much better position now
18 than we were a few months ago even.

19 BOARD MEMBER NEMEC: Okay. Thank you.
20 Thank you.

21 PANEL CHAIRPERSON: Mr. Bass...? Mr.
22 Gabor...?

23 BOARD CHAIR GABOR: Yeah, I have a
24 supplementary question on the issue of NOVA.

25 I must have missed it in the rate

1 application. I didn't realize the amortization rate -
2 -rate had changed from five (5) years to ten (10)
3 years.

4 And I'm just wondering if -- if either
5 this panel or the NOVA panel, tomorrow, could point to
6 the Application where it states that the amortization
7 changed from five (5) years to ten (10) years.

8 So, you -- you can either do it by way
9 of Undertaking or whoever is handling the NOVA panel
10 tomorrow, they could -- could point it out.

11

12 (BRIEF PAUSE)

13

14 MR. RYAN KOLASKI: We'll have the NOVA
15 panel present that tomorrow. We'll dig out the IR in
16 which that was actually addressed, so.

17 BOARD CHAIR GABOR: Thank you very
18 much, appreciate it.

19 PANEL CHAIRPERSON: Mr. Guerra...?

20 MR. ANTHONY GUERRA: Thank you, Madam
21 Chair, I have no further redirect, but I do want to
22 make sure that I give Ms. Scott her due.

23 I, unfortunately, missed addressing
24 Dorothy Scott, our Financial Standards Specialist, as
25 a back row member of our panel this -- this afternoon.

1 So, my apologies for that. And right behind me.

2 PANEL CHAIRPERSON: Thank you very
3 much. And thanks very much to the Financial
4 Forecasting Panel and we will not carry on with the
5 Capital Management Plan and we need the same members.

6

7 (PANEL STANDS DOWN)

8

9 PANEL CHAIRPERSON: Mr. Guerra...?

10 Oh, I'm sorry, Mr. Scarfone?

11 MR. STEVE SCARFONE: That's perfectly
12 all right, Madam Chair. Thank you.

13 Yes, so we will now proceed with the
14 Capital Management Panel and as you've indicated,
15 Madam Chair, we have Ms. Low and Mr. Kolaski on the
16 front row to make that presentation for you.

17 Supported in the back row by, Ms.
18 Ostapowich, our Director of Evaluation and Capital
19 Management; Mr. Dunstone, Manager of Financial
20 Forecasting; Mr. Gaudry, Manager of Budgeting; and,
21 Mr. Bunston, who is our Director of Asset Liability
22 Matching and Investment Management.

23 And, you have before you the
24 presentation and so, in the interest of time, I'll
25 just have the panelists go through the presentation

1 for the Board.

2 Sorry, Madam Chair, we're just trying
3 to determine if two (2) of the back row members are
4 appearing virtually.

5 Okay, so, correction. It is just Ms.
6 Ostapowich that's appearing virtually. Mr. Gaudry is
7 not joining the back row support.

8 PANEL CHAIRPERSON: Thank you.

9

10 MPI CAPITAL MANAGEMENT PANEL:

11 CARA LOW, Resumed

12 RYAN KOLASKI, Resumed

13

14 EXAMINATION-IN-CHIEF BY MR. STEVE SCARFONE:

15 MS. CARA LOW: Okay. So, we'll get
16 started now on the Capital Management Panel
17 presentation for the agenda.

18 I'm going to do the entire
19 presentation. We're going to do a quick introduction.
20 We're going to talk about what the purpose of the Rate
21 Stabilization Reserve is, what is a MCT, then we're
22 going to talk about the proposed Capital Management
23 Plan and how it's applied.

24 So, if we can go to the next slide.
25 There has been debate over the last few GRA's on the

1 appropriate amount of the RSR, in order to achieve its
2 purpose.

3 The Government of Manitoba amended
4 Section 18, of the MPIC Act and that received Royal
5 Ascent on November 4th, 2022.

6 So, now that the Capital targets are
7 now in legislation, the focus of this GRA's discussion
8 now turns to the items requested in last year's PUB
9 Directive 12.12.

10 So, the proposed CMP establishes how
11 MPI proposes to achieve and maintain a 100 percent MCT
12 target; as well, the processes and criteria in order
13 to provide a rebate back, a capital rebate.

14 There are no changes to the capital
15 build provision as it's been presented in the last few
16 GRAs. So to the next slide.

17 So what is the purpose of the RSR?
18 It's to protect ratepayers from unexpected events. As
19 we talked about in the Claims Forecasting Panel and
20 also the Ratemaking Panel, when actuaries do their
21 pricing, we price to the best estimate to the expected
22 cost for the rating year.

23 The RSR is for unexpected events, not
24 built into pricing. So items such as high inflation,
25 maybe past claims costing more than we expected, so

1 pricing risk in the past, or large catastrophic
2 events.

3 There's been two (2) recent events
4 where the RSR came into play. Over the last two (2)
5 fiscal years, not including the current, the last two
6 (2) fiscal years, MPI put away \$118 million for the
7 indexation of PIPP benefits due to unexpected
8 inflation.

9 And the other one is a recent hail
10 event, and we do fully expect -- even though we don't
11 have all our data yet, we do fully expect it to --
12 those hail events to cost more than we factored into
13 pricing for this current rating year.

14 So if we go to the next slide, what is
15 the MCT? MCT is a metric used to determine the level
16 of the RSR; so how much money should be in the RSR.
17 It's a standardized test used by the property and
18 casualty insurance industry, and it was developed to
19 assess key risks faced by all insurance companies and
20 to harmonize capital requirements across Canada. It's
21 a risk-based approach that provides a standardized
22 measure of capital adequacy.

23 So the MCT itself is just a simple
24 ratio: How much capital does a company have divided
25 by how much capital does a company require. So when

1 you look at the numerator, the top piece of the ratio,
2 it's fairly easy to calculate 'cause it's your
3 retained earnings less a few adjustments from the
4 accounting side, AOCI and a few items. We call that
5 the Rate Stabilization Reserve in the Basic line of
6 business, but it's basically a retained earnings.

7 How do we calculate capital required?
8 Well, it's a formula-driven calculation, and it
9 assesses the riskiness of both assets and liabilities
10 -- so both sides of the balance sheet -- as well as
11 off-balance sheet risks such as operational risks.

12 This assessment is achieved by applying
13 various factors that are set to an industry target
14 confidence level of 99 percent over a one (1) year
15 time horizon -- so the set calculation across the
16 industry.

17 Now in the last few GRAs, there's been
18 talk about maybe this required capital calculation
19 from the MCT is maybe not applicable to MPI because of
20 who we are, and maybe we're not the same as other
21 insurance companies.

22 So if we turn to the next slide, we can
23 see MPI's board of directors approved risk taxonomy.
24 A risk taxonomy is just a list of risks within the
25 Company, and this has been approved by our board of

1 directors in the last couple of years.

2 So like all companies, MPI has
3 operational risk, but what is operational risk? It's
4 a risk of a loss resulting from inadequate or failed
5 internal processes, people, systems, or from external
6 events.

7 So if you look at the list of
8 operational risks on this slide, you'll see many
9 categories on that list that correspond to recent
10 events at MPI, the top one being, labour interruption
11 as a people risk.

12 When you look at financial risk, you
13 can see that we have market, credit, and revenue risk.
14 Under market risk, we would have interest rate risk.
15 MPI has significant interest rate risk.

16 We have a longer claims duration
17 probably than any other insur -- property and casualty
18 insurance company in Canada, and it's very difficult
19 to manage this interest rate risk when we don't know
20 what's going to happen with interest rates thirty
21 (30), forty (40) years from now.

22 So we want to make sure that our assets
23 and liabilities are moving in tandem to mitigate
24 interest rate risk.

25 And then when we go down to the bottom

1 insurance risk where reserve risk is big; if it's
2 going to take thirty (30), forty (40) years to pay out
3 a PIPP claim, very difficult to know how much money to
4 put aside.

5 Now, if we have trouble determining
6 sometimes how to quantify claims that have already
7 happened in the past, as you can imagine it's
8 difficult to project how claims are going to play out
9 in the future when we haven't even sold those policies
10 yet, so therefore those claims haven't even happened
11 and that is pricing risk.

12 And then of course the very last one,
13 cat risk, catastrophe risk. Well, we've had a very
14 bad claims year for hail, and that's cat risk. So
15 this again is an MPI board-approved list of risks that
16 we worry about.

17 So if you flip to the next slide, we
18 will not go through this calculation, but this is how
19 we calculate required capital. And this is coming out
20 from the OSFI, so the Office of the Superintendent of
21 Financial Institutions, the federal government, the
22 guidelines.

23 This is under IFRS-4, but it's very
24 similar under IFRS-17, but with slightly different
25 wording. And all I want to point out is: What does

1 OSFI worry about? Reserve risk, pricing risk, the
2 insurance risk, cat risk, market risk, credit risk,
3 and operational risks.

4 So again, they're worried about all the
5 same risks that MPI is worried about. So this why MPI
6 continues to believe the MCT calculation is an
7 appropriate metric to use.

8 So let's move on to the Capital
9 Management Plan and what we're proposing. So the RSR
10 target is 100 percent. MPI's interpretation is that
11 the target is (INDISCERNIBLE) and the Basic MCT is at
12 100 percent or greater based on year-end audited
13 financial statements.

14 Even though the target is 100 percent,
15 a range is required as there are natural fluctuations
16 and it wouldn't be logical to get into a rebate-
17 rebuild kind of cycle back and forth and back and
18 forth. So we have an upper threshold built into
19 legislation that's 120 percent MCT.

20 MPI would apply for a capital rebate
21 when the Basic MCT exceeds one twenty (120). If the
22 MCT falls below 100 percent, MPI would establish a
23 plan for a capital build to bring the Basic MCT ratio
24 back to at least a hundred (100) within five (5)
25 years.

1 MPI is also proposing -- and this is
2 new this year -- that ratepayers on a Rebate Surcharge
3 Program such as Fleet or any future TNC blanket
4 policies are excluded from the CMP as they've not
5 contributed to any capital surplus or deficiency.

6 One (1) thing to note, and -- 'cause
7 this may not be obvious, the calculation of the Basic
8 rate indication is independent of the CMP. So like I
9 keep saying, the rate indication is for expected
10 costs, CMP is for unexpected costs.

11 So any capital surplus or deficiency is
12 due to unexpected results from the past. So this
13 could mean that rebate is proposed in the same year as
14 a rate increase is filed, or a capital build could be
15 proposed in the same year a rate decrease is filed.
16 They're independent events. Next slide, please.

17 So the Basic MCT discussed in the
18 previous slide is after any capital transfers from the
19 Extension line of business. The targeted MCT for
20 Extension is 200 percent. If at the year end audited
21 MCT exceeds 200 percent, the CMP states that all
22 excess capital is transferred over to the Basic line
23 of business before year end is closed off.

24 This is what the CMP states, and this
25 is a plan for the MPI executive. However, the MPI

1 board of directors may transfer excess funds to cover
2 subsequent or existing shortfalls in other lines of
3 business. For example, DVA funding is needed as the
4 funding is not enough to sustain the DVA line of
5 business. Next slide.

6 So let's look at the capital rebate in
7 a little bit more detail. The legislation says that
8 MPI cannot pay a rebate from the RSR unless the MCT
9 exceeds one twenty (120) at the beginning of the
10 fiscal year.

11 The opening balance for a fiscal year
12 is normally the same as the closing balance for the
13 previous fiscal year, but the legislation was written
14 this way to ensure any transfers between line of
15 businesses were completed.

16 MPI's interpretation of the legislation
17 is a rebate can only be paid if the year-end audited
18 financial MCT exceeds one twenty (120). The
19 legislation is written so that MPI can provide a
20 rebate over one twenty (120), but it is not mandated.

21 So our plan is, as soon as it's over
22 one twenty (120), we would rebate, and that would be
23 what the MPI executive team would use, but that is up
24 to the discretion of the MPI board of directors.

25 The plan is to pay the full rebate

1 regardless of any projections into the future -- this
2 is a change from last year -- and the timing of -- of
3 a potential rebate is laid out at the bottom of the
4 slide.

5 The year-end MCT is finalized in May.
6 By mid-June it's been audited. It goes through our
7 audit committee into our board of directors where it
8 is approved. Then we would file around mid-June to
9 end of June, and in that filing we would include a
10 special rebate application, maybe we would go through
11 this process. And the rebate would be paid in
12 February of the following year. So next slide.

13 When we look at triggers, there is no
14 decision making for a rebate trigger. If it's over
15 one twenty (120) at year-end, we would pay a rebate.
16 In contrast, there is a decision process for applying
17 for a capital build. A capital build would be
18 proposed if the forecast shows that the MCT is not
19 restored to a hundred percent within a five (5) year
20 period.

21 But MPI continues to propose a capital
22 build provision would be capped at either 5 percent as
23 a combined AAP rate indication and a capital build.
24 So if we had a rate indication of 3 percent, we would
25 only do a 2 percent capital build, and this is just to

1 provide rate stability. And then the next slide.

2 I'm not going to -- one (1) more,
3 please, thank you -- dwell on these because Mr.
4 Kolaski about this a little bit earlier, but this is a
5 conversion at -- from one accounting standard to the
6 new accounting standard.

7 But, as we know, IFRS-17 MCT is still
8 under investigation, so there's still a lot of
9 uncertainty. But there is a expectation that
10 available capital will change. As you can see, the
11 required capital does not change by much; it's all in
12 the available capital.

13 And we do expect the MCT to increase
14 for Basic; it's -- the question is by how much, and
15 that's due to the actuarial assumptions for the time,
16 value of money, and the provision for uncertainty.

17 And on the Extension side, because it's
18 shorttail, it would be decreasing, and that's because
19 of the deferred acquisition expenses.

20 So if you go to the next slide, what we
21 have here is year-end for -- that just past under the
22 old accounting standard, and then the five (5) year
23 forecast under the new accounting standard. So this
24 doesn't have the conversion for March 31st, 2023.

25 The first part of the slide shows the

1 MCT without any kind of Capital Management Plan
2 applied or Extension transfer.

3 And then the middle one would be the
4 Extension transfer, so you see the 200 percent. And
5 then the last one has the capital rebate.

6 So, based on this five (5) year
7 forecast, you're looking at a capital rebate in the
8 '25/'26 year but, again, there's still a lot of
9 uncertainty around this MCT.

10 But where -- what we really do want to
11 look at is under our year-end financial statements,
12 IFRS-4, we are at a 110.8, so very comfortable within
13 out capital range, and so there is no application for
14 a capital rebate, nor for a capital build.

15 So, in conclusion, the very last slide,
16 we are looking for alignment with PUB on how we
17 achieve and maintain a Basic RSR of a hundred percent
18 MCT and the criteria and processes for when we would
19 do a rebuild -- a rebate, I should say, but -- and
20 then continue use of the capital build provision, so
21 no changes since the 2020 GRA.

22 And that concludes the presentation.

23 PANEL CHAIRPERSON: Thank you. Mr.
24 Scarfone...?

25 MR. STEVE SCARFONE: Thank you, Madam

1 Chair.

2

3 CONTINUED BY MR. STEVE SCARFONE:

4 MR. STEVE SCARFONE: Thank you for
5 that presentation. Just a couple questions. Ms.
6 Schubert, if you'd go to slide 3, please

7 So last year, Panel members, you'll
8 recall that the Corporation did bring before this
9 Board a proposed Capital Management Plan that was
10 rejected by the Board. I understand that the
11 Corporation has brought a new and improved CMT.

12 I'm just wondering, Ms. Low, I heard
13 you mention a couple different things, one (1) of
14 which is that the current CMP that's now being
15 proposed does not project -- or does not look to
16 projections of the RSR into the future; that is,
17 whether it would fall below a hundred percent MCT.
18 That you said is different. Also, the exclusion of
19 TNC and fleet customers from the rebates; that, too,
20 is new.

21 Is there anything else that's new with
22 respect to this CMP that's before the Board?

23 MS. CARA LOW: I don't believe so.

24 MR. STEVE SCARFONE: So those are the
25 two (2) main elements that have changed since last

1 year?

2 MS. CARA LOW: Exactly. Yes.

3 MR. STEVE SCARFONE: Thank you. Mr.
4 Kolaski, I know you've already described this in the
5 Financial Forecasting Panel but, sir, the CMP -- or
6 sorry -- the MCT is at 135.5 percent, correct?

7 MR. RYAN KOLASKI: One thirty-five
8 when you say IFRS-17 restated?

9 MR. STEVE SCARFONE: Yes.

10 MR. RYAN KOLASKI: That is correct.
11 That's our current -- current suggested MCT based on
12 what we know today.

13 MR. STEVE SCARFONE: And so that, of
14 course, is above the 120 percent MCT trigger, correct,
15 under the CMP?

16 MR. RYAN KOLASKI: That is correct.

17 MR. STEVE SCARFONE: If the
18 Corporation was to apply for a rebate, and I know that
19 the Corporation is not, would the Corporation soon be
20 applying for a rebuild?

21 MR. RYAN KOLASKI: Just to clarify, so
22 you're suggesting that if we did in fact issue a
23 rebate related to '22/'23, then that would then
24 transpire into future years, creating a potential
25 situation in which there would be a rebuild?

1 MR. STEVE SCARFONE: Yes, correct. If
2 -- if they used the MCT number that occurred following
3 the transition to IFRS-17.

4 MR. RYAN KOLASKI: Are you
5 specifically, again, just to clarify, looking on how
6 that rebuild process would work?

7 MR. STEVE SCARFONE: No, whether in
8 fact a rebuild might be necessary if a rebate was to
9 be applied for today.

10 MR. RYAN KOLASKI: Just one second.

11

12 (BRIEF PAUSE)

13

14 MR. RYAN KOLASKI: I think I'd have to
15 go through actually and do the math, right, on what
16 the change to the MCP -- MCT impact would be. But --
17 but quickly math and using legal math, as been put
18 forward here today, it would be under a hundred
19 percent.

20 If we did drop down below a hundred
21 percent, then we would have to look at how quickly the
22 MCT is being built back up to a hundred versus looking
23 at a capital build situation.

24 MR. STEVE SCARFONE: Okay. Thank you.
25 And under the new Capital Management Plan, Mr.

1 Kolaski, is there still some discretion that's left
2 with the Board of Directors to transfer excess equity
3 from Extension to other lines of business before end
4 of fiscal year-end?

5 MR. RYAN KOLASKI: That is correct,
6 yes.

7 MR. STEVE SCARFONE: And so that
8 remains the same from the CMP that --

9 MR. RYAN KOLASKI: From last year.

10 MR. STEVE SCARFONE: -- from last
11 year?

12 MR. RYAN KOLASKI: That is correct,
13 yes.

14 MR. STEVE SCARFONE: The requirement
15 to make use of audited financial statements isn't
16 found in section 18, correct?

17 MR. RYAN KOLASKI: That is correct.

18 MR. STEVE SCARFONE: So that's
19 something that the Corporation decided to include in
20 its CMP as a policy reason?

21 MR. RYAN KOLASKI: That is correct.
22 We felt it was just good financial prudence; that's
23 why we've suggested it.

24 MR. STEVE SCARFONE: And, Ms. Low, was
25 there any changes made to the manner by which the

1 Corporation would apply for a rebate under the new
2 CMP?

3

4 (BRIEF PAUSE)

5

6 MS. CARA LOW: I just wanted to
7 clarify how we would calculate the rebate because I
8 think I missed that, is that if you look at slide 13,
9 and if you look at the first bullet point, the second
10 half:

11 "And rebate not projected to bring
12 RSR below 100 percent."

13 Our interpretation of that is that
14 year-end audited financial statement that exceeds 120,
15 the amount that would bring it back to a hundred
16 because that's a audited known number. So it's not
17 based on a forecast, it's a audited known number. And
18 so that's our interpretation of the quantification of
19 the rebate.

20 MR. STEVE SCARFONE: Okay. Thank you
21 for that explanation.

22 And what is the Corporation's position
23 with respect to applying for a rebate before this
24 Board if the -- if the MCT was to exceed 120 percent?
25 Is there any discretion with respect to that?

1 MS. CARA LOW: Our plan is that
2 anything over 120 we would do a special rate -- rebate
3 application; that is the plan. MPI executives have no
4 control over any decisions made by the MPI Board of
5 Directors, but that is what we would propose. That is
6 what the policy -- or the plan states.

7 MR. STEVE SCARFONE: So is there any
8 scenario under which MPIC would have its RSR exceeding
9 120 percent MCT and not apply to this Board for a
10 rebate?

11 MS. CARA LOW: No.

12 MR. STEVE SCARFONE: Thank you. Those
13 are all my questions.

14 PANEL CHAIRPERSON: Thank you.
15 Ms. McCandless...?

16

17 CROSS-EXAMINATION BY MS. KATHLEEN MCCANDLESS:

18 MS. KATHLEEN MCCANDLESS: Thank you.
19 I'm not sure that I'll make it through all of my
20 Capital Management Plan questions before 4:30 today,
21 but I will start.

22 And so first, Ms. Low, I just wanted to
23 follow up on something you mentioned in your
24 presentation about the recent hail event.

25 I understand that, over the past year,

1 MPI increased its re-insurance retention from 40
2 million to \$50 million?

3 MS. CARA LOW: That is correct.

4 MS. KATHLEEN MCCANDLESS: And so, then
5 the hail event -- the recent hail event, I take it
6 would not have been a hit of 50 million or more
7 triggering re-insurance?

8 MS. CARA LOW: Very, very preliminary
9 numbers because there's not a lot of data right now
10 because of labour interruption. But high level, we're
11 thinking might be about 70 million. There might be
12 about \$20 million of recoveries. But we do not expect
13 even a 50 million, never mind a higher level, in our
14 pricing.

15 It's about \$30-some million that gets
16 into pricing. Because if we were to hit \$50 million
17 every year, then our retention is too low and we
18 wouldn't need to by the insurance, right, so.

19 MS. KATHLEEN MCCANDLESS: Thank you.
20 Now, I want to ask some questions about capital
21 required. And MPI Exhibit 50 -- or 77 is the
22 correction, so maybe we would go to that exhibit.

23 And this was -- has already been
24 canvassed a fair bit. Just wanted to scroll down to
25 line 31 here. And so, we're looking at the minimum

1 capital required at 100 percent MCT at 2022/'23 year
2 end.

3 Under IFRS-17, that is line 31, \$341.3
4 million?

5 MS. CARA LOW: Correct.

6 MS. KATHLEEN MCCANDLESS: And then,
7 just moving one to the right, the corresponding
8 minimum capital required at 100 percent MCT at
9 2023/'24 year end is \$407.4 million?

10 MS. CARA LOW: Correct.

11 MS. KATHLEEN MCCANDLESS: And this is
12 about \$30 million less -- less than the amount shown
13 in PF-3 in the filing? And probably helpful if we
14 took you there. Now we're looking at MPI-77, going to
15 PF-3.

16

17 (BRIEF PAUSE)

18

19 MS. KATHLEEN MCCANDLESS: Can we just
20 scroll down a little bit, please? Thank you. Okay.

21 So we're looking at the -- line 31 MCT?

22 MS. CARA LOW: Yes.

23 MS. KATHLEEN MCCANDLESS: Okay. And
24 so, you see 430.4 million, at line 31, for 2024
25 forecast?

1 MS. CARA LOW: Yes, I do.

2 MS. KATHLEEN MCCANDLESS: And so, just
3 to confirm, that's roughly 30 million more than what
4 we just saw at MPI number 77?

5 MS. CARA LOW: I would agree, yes.

6 MS. KATHLEEN MCCANDLESS: What was the
7 cause of this decrease?

8 MS. CARA LOW: One moment, please.

9

10 (BRIEF PAUSE)

11

12 MS. CARA LOW: It's a combination of
13 many different reasons as we continue to work through
14 IFRS-17.

15 MS. KATHLEEN MCCANDLESS: And if we
16 could go to PUB/MPI-1-18. And first, the question
17 'B'. Thank you.

18 So here, MPI was asked to explain why
19 the required capital increased by 79 million in 2024
20 forecast from the level required in the 2023 budget
21 forecast.

22 Due almost entirely to changes in
23 capital required to support invested assets. Whereas,
24 the Mercer report indicated a required increase of
25 about \$57 million?

1 MS. CARA LOW: I do see that.

2 MS. KATHLEEN MCCANDLESS: And then,
3 the response, at page 3, was that -- and I'm just
4 going to paraphrase -- the -- that the increase was
5 due to the fact that the MCT guidelines seemed to miss
6 nuances that can be picked up in an economic model.

7 In this case, the diversification
8 benefits that are captured through correlations?

9 MS. CARA LOW: Yeah, there is no
10 diversification benefit between asset classes and the
11 OSFI MCT calculation.

12 MS. KATHLEEN MCCANDLESS: And as
13 you've confirmed, MPI has a legislated 100 percent MCT
14 target for Basic.

15 MS. CARA LOW: Yeah.

16 MS. KATHLEEN MCCANDLESS: And that
17 requires MPI to ignore the diversification benefit
18 when determining whether to request a rebate or a
19 capital build?

20 MS. CARA LOW: Correct. Because it's
21 on an AMCT.

22 MS. KATHLEEN MCCANDLESS: Thank you.

23 MS. CARA LOW: There's diversification
24 between the various risks; insurance risk versus
25 investment risk. But there is not within the classes

1 of assets.

2 MS. KATHLEEN MCCANDLESS: And now,
3 with respect to the current status of the Capital
4 Management Plan, historically -- so in last year's
5 Order -- and perhaps we could go there for reference.
6 So that's Board Order 4/'23, and I'm looking at page
7 68, just below section 4.4.

8 The second paragraph there, the Board
9 confirmed that the Capital Management Plan that had
10 been approved in 2019 was extended for one (1) year in
11 the 2022 GRA and, as of last year, had expired?

12 MS. CARA LOW: Yes.

13 MS. KATHLEEN MCCANDLESS: And Mr.
14 Scarfone had mentioned, when he was asking some
15 questions before his departure, that the Board had
16 dismissed MPI's request last year for approval of the
17 -- of the Capital Management Plan?

18 MS. CARA LOW: Correct.

19 MS. KATHLEEN MCCANDLESS: And so,
20 there's no -- currently no approved Capital Management
21 Plan, so no approved mechanism for either a capital
22 rebate or a capital build provision at this time?

23 MS. CARA LOW: Agreed.

24 MS. KATHLEEN MCCANDLESS: Okay. And
25 as you are well aware, I'm sure, Ms. Low, the Board

1 directed the Corporation in last year's Order 4/'23 to
2 file the revised Capital Management Plan in this GRA?

3 MS. CARA LOW: Yes.

4 MS. KATHLEEN MCCANDLESS: And the
5 proposed CMP as filed by MPI, just to confirm, has
6 three (3) steps. So capital transfers from Extension?

7 MS. CARA LOW: Correct. Yes.

8 MS. KATHLEEN MCCANDLESS: Two,
9 determine the capital rebate provision, if applicable.

10 MS. CARA LOW: Correct.

11 MS. KATHLEEN MCCANDLESS: And three,
12 determine the capital build provision, if applicable.

13 MS. CARA LOW: Correct.

14 MS. KATHLEEN MCCANDLESS: Okay. Now,
15 looking at capital transfers from Extension -- and I'm
16 going to do a bit of a historical walk through this.

17 If we start at EPF-1 from the 2020 GRA,
18 appreciating, Ms. Low, this was before your tenure
19 with MPI, and so, this was the Extension Statement of
20 Operations filed in 2019. And we're going to go down
21 to line 29. Thank you. Perfect. Okay.

22 So -- and then, I'm looking at the
23 projected net income of Extension in 2020. So line
24 29. And it's 2020 forecast budget, and we see that
25 that projected net income was \$46.4 million?

1 MS. CARA LOW: I see that.

2 MS. KATHLEEN MCCANDLESS: And then, if
3 we could move up in the pro formas from the 2020 GRA
4 to PF-3. Perfect. Thank you.

5 So this shows the statement of changes
6 in equity and this is, again, from the 2020 GRA.
7 Looking to line 7, we see that there was a transfer
8 from Extension to Basic in 2020.

9 So 2019/20 forecast budget of \$63.1
10 million?

11 MS. CARA LOW: I see that, yes.

12 MS. KATHLEEN MCCANDLESS: And if we
13 stay at PF-3, it also shows, at line 7, transfers from
14 Extension to Basic forecasted in every future year?

15 MS. CARA LOW: Yes.

16 MS. KATHLEEN MCCANDLESS: Then moving
17 on to the 2021 GRA and EPF-1 from that filing. Thank
18 you.

19 So this is as of June 17, 2020. And
20 again, we're looking at line 29. For Extension, the
21 actual net income for 2020 actual -- so we're looking
22 at the year's ended of March 31. And line 29 -- or
23 31, the actual net income was \$37.88 million?

24 MS. CARA LOW: Correct.

25 MS. KATHLEEN MCCANDLESS: Okay. And

1 then, moving up to PF3 from that same year, thank you.

2 We see, now looking at line 8, for 2020
3 actuals, so twenty-nine -- 2019/'20 actual, the
4 transfer -- there was no transfer from Extension to
5 Basic retained earnings. Right?

6 MS. CARA LOW: Right. Yes.

7 MS. KATHLEEN MCCANDLESS: It was
8 rebated to Basic policy -- policyholders directly from
9 Extension during the pandemic period.

10 Are you familiar with that -- I
11 appreciate it's before your time.

12 MS. CARA LOW: Yes, I -- yeah, I am.

13 MS. KATHLEEN MCCANDLESS: And the net
14 income, if we go back to EPF1, please, from this same
15 year, line 29.

16 The projected net income of -- for
17 Extension from -- for the 2021 forecast budget as
18 reported in the 2021 GRA, at line 29, was \$51.8
19 million.

20 MS. CARA LOW: I see that.

21 MS. KATHLEEN MCCANDLESS: Okay. And
22 then if we go back up to Pro -- Pro forma 3, there was
23 an expected transfer to Basic at line 8 for 2021
24 forecast budget \$64.7 million?

25 MS. CARA LOW: Right. I see that.

1 MS. KATHLEEN MCCANDLESS: And then to
2 the next GRA, so 2022 and EPF-1. Perfect, thank you.

3 So, now we're looking at the filing
4 from the 2022 GRA and the actual net income from
5 Extension for 2020/'21.

6 And, looking down at line 29, we see
7 the actual net income was \$55.7 million.

8 MS. CARA LOW: I see that, yes.

9 MS. KATHLEEN MCCANDLESS: And then if
10 we go to PF-3, here again, we see that there was the -
11 - there was no transfer, again, to Basic because it
12 was instead transferred to DVA.

13 MS. CARA LOW: Right. Yes.

14 MS. KATHLEEN MCCANDLESS: And if we go
15 back down to EPF-1, from the 2022 GRA, the projected
16 net income for 2021/'22 forecast budget for Extension
17 was line 29, \$57.2 million?

18 MS. CARA LOW: Correct.

19 MS. KATHLEEN MCCANDLESS: And, again,
20 there was no expected transfer to Basic that year
21 because it was projected to be transferred to DVA
22 instead?

23 MS. CARA LOW: Yes.

24 MS. KATHLEEN MCCANDLESS: And then
25 last year's GRA, EPF-1. Thank you Kristen, and going

1 down to line 29, the actual, oh -- EPF, pardon me.

2 Perfect. Thank you.

3 Again, looking at line 29 and we are
4 looking at the actual net income for 2022 for
5 Extension and that was \$49.6 million.

6 MS. CARA LOW: Yes.

7 MS. KATHLEEN MCCANDLESS: Okay. And
8 if we go to PF-3, we see there was no transfer at line
9 8 from Extension to retained earnings for Basic.

10 MS. CARA LOW: Correct.

11 MS. KATHLEEN MCCANDLESS: Thank you.

12 And in last year's GRA, it was projected at line 8
13 that all the future years would see transfers from
14 Extension, retained earnings to Basic. Correct?

15 MS. CARA LOW: Correct, under IFRS-4.

16 MS. KATHLEEN MCCANDLESS: Right.
17 Okay. And so, for example, we see that there would be
18 an expected transfer in 2023 forecast budget of \$42.3
19 million and that's based on, if we go down to EPF line
20 29, that would have been Extension net income, pardon
21 me, of \$51.9 million at line 29 for 2023?

22 MS. CARA LOW: Correct. Yes.

23 MS. KATHLEEN MCCANDLESS: Now, if
24 we're looking at the 2024 GRA and we could go to PF-3,
25 again, I think we've got that there. Perfect. Okay.

1 We see that the transfer to Basic at
2 line 11 for 2023 actual was 34 million -- the final --

3 MS. CARA LOW: Yes, I see that.

4 MS. KATHLEEN MCCANDLESS: And that the
5 actual net income of Extension, which would be at EPF-
6 1.

7

8 (BRIEF PAUSE)

9

10 MS. KATHLEEN MCCANDLESS: Yeah. Thank
11 you. Under IFRS-4, and line 29, 2023 actuals shows a
12 net income for Extension of \$38.4 million. Yes?

13 MS. CARA LOW: Yes.

14 MS. KATHLEEN MCCANDLESS: And, if we
15 could go back to PF-3. Thank you. And we're looking
16 again at line 11.

17 The projected transfers to Basic from -
18 - to Basic from Extension, according to PF-3, for 2024
19 and 2025, are zero (0). Is that right?

20 MS. CARA LOW: Correct.

21 MS. KATHLEEN MCCANDLESS: And then if
22 we could go to the Financial Forecasting Presentation,
23 and we're looking at page 8, so that's Exhibit 72.

24 So, the bullet under the chart here
25 says,

1 "No Capital Transfers from Extension
2 to Basic are Forecasted."

3 Yes?

4 MR. RYAN KOLASKI: That was in
5 specific reference to '24/'25. So, it's 189 percent,
6 so it's less than 200 percent. So, there's no
7 transfers.

8 And then my comment was, going forward,
9 the transfers would occur, bringing you back to two
10 hundred thousand (200,000) and then there would be a
11 potential rebate in '26/'27 under Basic, at that point
12 in time.

13 MS. KATHLEEN MCCANDLESS: Okay. Thank
14 you. So, if we go to Exhibit MPI-77, PF-3. Thank
15 you. Line 11 shows transfers from Extension to Basic
16 in 2025/'26 of 27.7 million. Yes?

17 MS. CARA LOW: Yes. Yes.

18 MS. KATHLEEN MCCANDLESS: And then in
19 2026/'27, we see a transfer forecasted of \$44.4
20 million.

21 MS. CARA LOW: Correct.

22 MS. KATHLEEN MCCANDLESS: And in
23 2027/'28, forecasted transfer of \$48.4 million?

24 MS. CARA LOW: Correct.

25 MS. KATHLEEN MCCANDLESS: So,

1 obviously for -- MPI is forecasting transfers from
2 Extension to Basic.

3 MS. CARA LOW: Yes.

4 MS. KATHLEEN MCCANDLESS: In those
5 years.

6 MS. CARA LOW: Yes.

7 MS. KATHLEEN MCCANDLESS: According to
8 my math, the total projected net income from Extension
9 from 2021 to 2025 was approximately \$200 million,
10 based on the walk-through that we just did.

11 Would you agree, subject to check?

12 MS. CARA LOW: Subject to check. Yes.

13 MS. KATHLEEN MCCANDLESS: And, now the
14 projected total value of the actual transfers of that
15 net income to Basic is \$34 million?

16 MS. CARA LOW: Correct.

17 MS. KATHLEEN MCCANDLESS: And you
18 would confirm that the original Capital Management
19 Plan had transfers from Extension to Basic projected
20 in all years?

21 MS. CARA LOW: In all years, yes, and
22 under IFRS-4.

23 MS. KATHLEEN MCCANDLESS: And
24 Extension was still profitable in each of those years
25 that we looked at, right?

1 MS. CARA LOW: Correct.

2 MS. KATHLEEN MCCANDLESS: And if
3 Extension's profit had been transferred to Basic in
4 2021/2022 and 2023, again, subject to check, that
5 would have been around \$140 million?

6 MS. CARA LOW: Subject to check.

7 MS. KATHLEEN MCCANDLESS: Thank you.
8 Now, some questions on the Capital Rebate Provision.

9 So, we've heard that if the MCT ends a
10 year at over 120 percent, then MPI has indicated that
11 it will file an application for a rebate in the next
12 rate hearing, pending approval from the Board of
13 Directors from MPI?

14 MS. CARA LOW: Correct. Yes.

15 MS. KATHLEEN MCCANDLESS: And would
16 you recall, Ms. Low, that in last year's GRA, in the
17 October update, it was indicated that MPI would
18 exclude any accumulated other comprehensive income
19 from its employee future benefits when determining the
20 MCT relevant to the rebate determination?

21 MS. CARA LOW: Yes, we did have that
22 conversation last year.

23 MS. KATHLEEN MCCANDLESS: Does MPI
24 still intend to adjust the MCT for this?

25 MS. CARA LOW: No, we do not.

1 MS. KATHLEEN MCCANDLESS: And does MPI
2 -- is MPI contemplating any other adjustments at this
3 time?

4 MS. CARA LOW: No. What happened is
5 we went back and we had a lot of discussions and we
6 decided, if you adjust for one item, then you have to
7 adjust for other items, and you're going to miss
8 something. You're going to miss a black swan over
9 there, 'cause who's going to figure out that there's a
10 pandemic going to happen or whatever it's going to
11 happen next, right.

12 And, then, we thought about it. The
13 capital's built up from the ratepayers in the past and
14 it's an inter-generational issue and, so, if we're at
15 120 -- or exceeding 120, we will plan to rebate it
16 back.

17 MS. KATHLEEN MCCANDLESS: Thank you.
18 If we look at the current rate update, Exhibit 77 or -
19 - oh, we're right at it anyway, Pro forma 3, and that
20 reflects a correction. I think this might be -- is
21 this the clean version? Oh. No. It's not the black
22 one. Okay. Perfect. Thank you.

23 So, the capital available -- if we can
24 just scroll up, please, so we can see here -- at line
25 30, for 2022/'23 is about \$462.4 million?

1 MS. CARA LOW: Correct.

2 MS. KATHLEEN MCCANDLESS: And the MCT,
3 at the end of '22/'23, as we've heard, is 135.5
4 percent?

5 MS. CARA LOW: As of today, that's our
6 estimated, but we're still doing a lot of work on
7 there -- that one.

8 MS. KATHLEEN MCCANDLESS: And, so,
9 higher than the 120 percent by about \$52 million?

10 MS. CARA LOW: Capital required?
11 Yeah. I would agree with that.

12 MS. KATHLEEN MCCANDLESS: And, so --
13 and higher than the 100 percent MCT target that's in
14 legislation by around \$121 million?

15 MS. CARA LOW: Yes.

16 MS. KATHLEEN MCCANDLESS: And we've
17 heard MPI is not applying for a rebate at this time?

18 MS. CARA LOW: No. We are not,
19 because this is still subject to change. If the
20 number is still this high at year end, March 31st,
21 2024, we would apply for a rebate.

22 MS. KATHLEEN MCCANDLESS: And I
23 believe one of the -- another part of the rationale is
24 that the IFRS-17 financials for 2022/'23 have not been
25 audited?

1 MS. CARA LOW: They have not been.

2 MS. KATHLEEN MCCANDLESS: And does MPI
3 believe that the IFRS financials are accurate at this
4 time.

5 MR. RYAN KOLASKI: When you said they
6 -- IFRS-17 -- I'm losing my voice here -- financials
7 are you referring to what is, potentially, Q1, in
8 terms of external reporting, are you referring to the
9 financial forecast model?

10 MS. KATHLEEN MCCANDLESS: We're
11 talking about what's on PF3.

12 MS. RYAN KOLASKI: Again, as Ms. Low
13 had indicated, we're still working through the MCT
14 calculation for IFRS-17, so, it's really tough to say
15 how accurate the financials are related to that
16 particular element.

17 MS. KATHLEEN MCCANDLESS: And does MPI
18 have a sense as to how much an auditor change could
19 affect the financials?

20 MR. RYAN KOLASKI: Do you mean a
21 change in like the external auditor?

22 MS. KATHLEEN MCCANDLESS: Yes.

23 MR. RYAN KOLASKI: Theoretically, all
24 the big four -- we'd have to go through an RFP
25 process. So, theoretically, all the big four (4)

1 firms are subject to the same professional guidance as
2 our current auditor. So, I don't know that changing
3 auditors would be -- would have an impact overall.

4 MS. KATHLEEN MCCANDLESS: Sorry. I --
5 I -- I guess my question wasn't clear. I meant how
6 much could changes made by an auditor have an impact
7 on the financials?

8 MR. RYAN KOLASKI: Do you want to take
9 that?

10 MS. CARA LOW: Right now, we're still
11 trying to determine what goes into the liability for
12 incurred claims. Historically, it's only been the NP
13 claims balance, but there could be some receivables
14 going in there.

15 So, we're talking to num -- a number of
16 parties about what goes into the LIC (phonetic) and
17 that could have about 10 points, I believe.

18 And, then, the other issue we're
19 looking at for capital available, whether the net
20 pension asset should be reducing the capital available
21 too, and that could have a significant impact.

22 MS. KATHLEEN MCCANDLESS: Thank you.
23 And, theoretically, could changes recommended by an
24 auditor bring the MCT to below 100 percent MCT?

25 MS. CARA LOW: I mean in theory, it

1 could, but, no. It's probably going to increase would
2 be the most likely.

3 MS. KATHLEEN MCCANDLESS: Okay. So,
4 directionally, that number would go up rather than
5 down?

6 MS. CARA LOW: That would be our
7 hunch.

8 MS. KATHLEEN MCCANDLESS: When will
9 the IFRS-17 financials be audited?

10 MS. CARA LOW: It will be completed by
11 June -- mid June 2024.

12 MS. KATHLEEN MCCANDLESS: Exhibit 77
13 shows no rebate from Basic in '27/'28, even though the
14 MCT is forecast to be over 120 percent at the end of
15 '26/'27. Correct?

16 MS. CARA LOW: Correct.

17 MS. KATHLEEN MCCANDLESS: And, if we
18 go to MPI Exhibit Number 73, so that's the
19 presentation, page 17.

20 So, just with respect to the exhibit we
21 just looked at, so, was that an error and the
22 financials should have shown a rebate of \$147 million
23 in '27/'28?

24 MS. CARA LOW: The pro formas, yeah,
25 did not reflect the capital rebate, but it should. It

1 would be in there.

2 MS. KATHLEEN MCCANDLESS: Now, with
3 respect to the capital build provision so, just to
4 confirm, after applying all assumed capitals --
5 capital transfers from Extension, MPI, then,
6 determines the need for the capital build provision?

7 MS. CARA LOW: Correct.

8 MS. KATHLEEN MCCANDLESS: And, if the
9 MCT is below 100 percent at the beginning of a current
10 fiscal year, MPI will require a capital build and will
11 apply for one with its GRA, unless assumed capital
12 transfers from Extension can build capital up to the
13 100 percent MCT target in less than five (5) years?

14 MS. CARA LOW: That's the plan. Yes.

15 MS. KATHLEEN MCCANDLESS: Thank you,
16 and the capital available would depend on, One, net
17 income?

18 MS. CARA LOW: It would depend on net
19 income. Yes.

20 MS. KATHLEEN MCCANDLESS: Two, other
21 comprehensive income?

22 MS. CARA LOW: Yes.

23 MS. KATHLEEN MCCANDLESS: And, third,
24 capital transfers to Extension?

25 MS. CARA LOW: Yes.

1 MS. KATHLEEN MCCANDLESS: MPI's
2 position is that the regulatory deferral account is
3 not part of its equity. We've heard that.

4 MS. CARA LOW: Yes.

5 MS. KATHLEEN MCCANDLESS: And, as
6 shown on MPI Exhibit Number 24 -- thank you -- and we
7 are going to page 11. I think it's, maybe, page 4 of
8 the exh -- or page 2 of the exhibit. Thank you.

9 So, this shows the Basic implementation
10 expenses deferred for rate-setting purposes in the
11 Recovery schedule and, if we're looking at the far
12 right of the schedule, at the bottom, we see that the
13 regulatory deferral account, line 70, is expected to
14 build to \$98.7 million over time?

15 MS. CARA LOW: I see that.

16 MS. KATHLEEN MCCANDLESS: This \$98.7
17 million asset would not be included in the capital
18 available. Right?

19 MS. CARA LOW: That's my
20 understanding. Yes.

21 MS. KATHLEEN MCCANDLESS: And, so,
22 it's not included in MPI's PF3. Correct?

23 MS. CARA LOW: Correct.

24 MS. KATHLEEN MCCANDLESS: And if, as a
25 result of excluding this asset, the MCT would be under

1 100 percent MCT, and projected to remain below 100
2 percent MCT, the Corporation would, then, apply for a
3 capital build provision?

4 MS. CARA LOW: One minute, please.

5

6 (BRIEF PAUSE)

7

8 MS. CARA LOW: If it's under a hundred
9 and we don't expect to get back in the next five (5)
10 years, we would apply for a capital build.

11 MS. KATHLEEN MCCANDLESS: Okay. And
12 so, consequently, that would increase the amount the
13 customers would be paying in that year?

14 MS. CARA LOW: Yes, and for a number
15 of years, potentially.

16 MS. KATHLEEN MCCANDLESS: Okay. And
17 in addition, then, the exclusion of this asset would
18 also delay the payment of any rebate by about \$98.7
19 million?

20 MS. CARA LOW: Correct.

21 MS. KATHLEEN MCCANDLESS: Thank you.
22 Members of the Panel, I just have a handful of
23 questions on the FCT. I know it's 4:29. My estimate
24 is five (5) to ten (10) minutes.

25 PANEL CHAIRPERSON: That's fine.

1 MS. KATHLEEN MCCANDLESS: Is that --
2 provided it's acceptable to everyone else in the room
3 and, then, I'll be finished my cross-examination.

4 PANEL CHAIRPERSON: Okay. Thank you.

5

6 CONTINUED BY MS. KATHLEEN MCCANDLESS:

7 MS. KATHLEEN MCCANDLESS: Thank you.
8 And, so, the FCT report is Exhibit 82, and apologies
9 for using the acronym, but it is the 2023 Financial
10 Condition Testing report prepared by E&Y?

11 MS. CARA LOW: Correct.

12 MS. KATHLEEN MCCANDLESS: And it was
13 signed early October 2023?

14 MS. CARA LOW: Yes. Yes. The first
15 week of October.

16 MS. KATHLEEN MCCANDLESS: Okay. And
17 if we scroll down to page 5, 1.2, and we're looking at
18 guidance -- thank you.

19 So here, the external actuary indicates
20 that it used the new IFRS standard 17 in its
21 preparation?

22 MS. CARA LOW: For the future years,
23 but not -- they did not restate '22/'23.

24 MS. KATHLEEN MCCANDLESS: Thank you.
25 And then I'm jumping ahead to page 19. We're just

1 going to look at some of the scenarios.

2 And so the base scenario in the FCT
3 represents the Corporation's business plan as close as
4 possible. Is that fair?

5 MS. CARA LOW: Agreed, and they were
6 using the GRA rate update is what they received from
7 us for their -- and we call that the business plan --

8 MS. KATHLEEN MCCANDLESS: Thank you.

9 MS. CARA LOW: -- yes.

10 MS. KATHLEEN MCCANDLESS: And if we
11 scroll down to page 22 or 20 -- 21, the adverse
12 scenarios that E&Y used, they assume that adversity
13 began in 2024/'25.

14 MS. CARA LOW: Correct.

15 MS. KATHLEEN MCCANDLESS: And if we
16 scroll down to the bottom of page 21, we see a number
17 of solvency scenarios here, right?

18 MS. CARA LOW: That is correct.

19 MS. KATHLEEN MCCANDLESS: And the
20 worst adverse scenario would be the combined scenario
21 that we see here as the first row under the scenarios,
22 the white line there?

23 MS. CARA LOW: Yes.

24 MS. KATHLEEN MCCANDLESS: And this was
25 deemed to be a 99th percentile event?

1 MS. CARA LOW: For all the solvency
2 ones, they were done to the 99th percentile.

3 MS. KATHLEEN MCCANDLESS: The adverse
4 scenario tested a combination of equity returns, high
5 loss ratio, policy liabilities, inflation, and
6 interest rates, right?

7 MS. CARA LOW: Correct, yes.

8 MS. KATHLEEN MCCANDLESS: And then if
9 we go to page 22 -- thank you -- there are a couple of
10 tables here.

11 So we've got one, results without
12 assumed management action, and one with management
13 action, right?

14 MS. CARA LOW: Right.

15 MS. KATHLEEN MCCANDLESS: And if we're
16 looking at the results with assumed management action
17 -- and in this adverse scenario, the Corporation
18 started at the end of 2023/'24 with 490 million in
19 equity, right? So we're looking at the base scenario
20 2023?

21 MS. CARA LOW: Yes.

22 MS. KATHLEEN MCCANDLESS: And then if
23 we go to the far -- or the other side of the table
24 here and we're looking at adverse scenarios, we see
25 for 2025 that the Corporation reached a low of \$173

1 million?

2 MS. CARA LOW: Correct.

3 MS. KATHLEEN MCCANDLESS: So a
4 decrease of approximately \$317 million over that time?

5 MS. CARA LOW: That is correct.

6 MS. KATHLEEN MCCANDLESS: And so that
7 management action incorporates the action which would
8 be written premium increases of 5 percent per annum in
9 2024/'25 and 2025/'26?

10 MS. CARA LOW: Correct, and it does
11 not include Extension transfers. So he did it -- the
12 appointed actuary did this as a stand-alone exercise
13 for the Basic line of business.

14 MS. KATHLEEN MCCANDLESS: And without
15 management action, if we go up to the -- the top
16 table, we see, without that management action, the
17 estimated equity would fall to \$115 million?

18 MS. CARA LOW: Correct.

19 MS. KATHLEEN MCCANDLESS: So then
20 that's a decrease of \$375 million over that time?

21 MS. CARA LOW: Right.

22 MS. KATHLEEN MCCANDLESS: With an
23 adverse event occurring in 2024/'25, which would
24 likely make it too late for a rate increase to be
25 requested in an October hearing in 2024, the earliest

1 that rates could be increased, subject to some other
2 process, would be October hearing -- the October
3 hearing in 2025? Is that right?

4 MS. CARA LOW: That would be true,
5 yes.

6 MS. KATHLEEN MCCANDLESS: And so the
7 premiums -- the written premiums would only start to
8 increase in the 2026/'27 year then, right?

9 MS. CARA LOW: That would be true.

10 MS. KATHLEEN MCCANDLESS: If the
11 Corporation had started with only \$376 million of
12 equity at the end of '23/'24, this scenario would have
13 approximately resulted in a decline to about \$1
14 million in equity at the end of 2025/'26 if rate
15 action did not take effect until 2026/'27?

16 MS. CARA LOW: Subject to check.

17 MS. KATHLEEN MCCANDLESS: Does the FCT
18 reflect the bond overlay strategy as a mitigation
19 strategy for any inflation scenarios?

20 MS. CARA LOW: One (1) minute, please.

21

22 (BRIEF PAUSE)

23

24 MS. CARA LOW: The cost of the bond
25 overlay is included, but the assumption is that the

1 strategy worked, so therefore, there is no impact
2 other than the cost.

3 MS. KATHLEEN MCCANDLESS: Thank you.
4 And does the FCT reflect the diversification benefits
5 of the revised investment strategy?

6 MS. CARA LOW: Yes, it does.

7 MS. KATHLEEN MCCANDLESS: Thank you.
8 I believe those are all my questions, so thank you for
9 your time and thank you for the extra six (6) minutes.

10 PANEL CHAIRPERSON: Thank you, Ms.
11 McCandless, and thank you, everyone.

12 We'll adjourn for the day and be back
13 tomorrow at nine o'clock, at which time I believe the
14 motion will be heard. That's correct? Okay. Thank
15 you.

16
17 --- Upon recessing at 4:36 p.m.

18
19 Certified Correct,

20
21
22 _____
23 Wendy Woodworth, Ms.

24
25