



“When You Talk - We Listen!”



MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA PUBLIC INSURANCE CORPORATION (MPI)
2024/2025 GENERAL RATE APPLICATION
HEARING

Before Board Panel:

Irene Hamilton, K.C.- Panel Chairperson
Robert Gabor, K.C. - Board Chair
Susan Nemec - Board Member
George Bass, K.C. - Board Member
Susan Boulter - Board Member

HELD AT:

Public Utilities Board
400, 330 Portage Avenue
Winnipeg, Manitoba
Oct 25, 2023

Pages 1973 to 2231

1 APPEARANCES
2 Kathleen McCandless) Board Counsel
3 Todd Andres)
4
5 Steve Scarfone) Manitoba Public
6 Anthony Guerra) Insurance
7 Eric Wishnowski)
8
9 Byron Williams (np)) CAC (Manitoba)
10 Chris Klassen)
11 Katrine Dilay)
12 Victoria Cloutis (Student) (np))
13 Anna Evans-Boudreau (Student) (np))
14
15 Karen Wittman) Taxi Coalition
16 Sharna Nelko (np))
17
18 Charlotte Meek) CMMG
19 Doug Houghton (np))
20
21
22
23
24
25

1	TABLE OF CONTENTS	
2		Page No.
3	List of Exhibits	1976
4	List of Undertakings	1977
5		
6	CAC (Manitoba) Panel:	
7	RAJESH SAHASRABUDDHE, Affirmed	
8		
9	Examination-in-chief by Mr. Chris Klassen	1980
10	Cross-examination by Ms. Katrine Dilay	1992
11	Cross-examination by Mr. Anthony Guerra	2050
12	Cross-examination by Ms. Todd Andres	2115
13	Re-direct examination by Ms. Katrine Dilay	2150
14		
15	MPI UNDERTAKING PANEL:	
16	CARA LOW, Resumed	
17	RYAN KOLASKI, Resumed	
18	GLENN BUNSTON, Resumed (by TEAMS)	
19	SIMMI MANN, Resumed (by TEAMS)	
20		
21	Cross-examination by Ms. Kathleen McCandless	2160
22	Cross-examination by Ms. Katrine Dilay	2184
23	Cross-examination by Ms. Karen Wittman	2187
24	Certificate of Transcript	2231
25		

1	LIST OF EXHIBITS		
2	EXHIBIT NO.	DESCRIPTION	PAGE NO.
3	MPI-110	MPI response to Undertaking 21	1978
4	MPI-111	MPI response to Undertaking 22	1978
5	MPI-112	MPI response to Undertaking 3	1978
6	MPI-113	MPI response to Undertaking 9	1978
7	MPI-114	MPIC response to Undertaking	
8		number 32	2157
9	MPI-115	MPIC response to Undertaking	
10		number 33	2157
11	MPI-116	MPIC response to Undertaking	
12		number 31	2158
13	MPI-117	MPIC response to Undertaking	
14		number 29	2158
15	TC-8	Excerpt from the application for a TNC	
16		in BC made back in 2019 dealing with	
17		TNS and the per-kilometre rate.	2191
18	TC-9	The Order that followed as a result of	
19		the application.	2192
20			
21			
22			
23			
24			
25			

1	LIST OF UNDERTAKINGS	
2	NO.	PAGE NO.
3	34	MPI to advise directionally of the
4		impact on the discount rate of
5		adding a similar allocation of
6		equities instead of real return
7		bonds to the Basic portfolio on a
8		cash basis with no repos or reserve
9		repos and, in addition, MPI provide
10		an explanation for the basis for why
11		the impact on the discount rate is
12		the same or different from the
13		impact on real return bonds on a
14		cash basis 2227
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 --- Upon commencing at 9:00 a.m.

2

3 PANEL CHAIRPERSON: Good morning,
4 everyone. Mr. Guerra, do you have some exhibits to
5 enter?

6 MR. ANTHONY GUERRA: Morning, Madam
7 Chair. Yes, I do. MPI Exhibit number 110 is -- is
8 its response to Undertaking number 21; MPI Exhibit
9 number 111 is its response to Undertaking number 22;
10 MPI Exhibit number 112 is its response to Undertaking
11 number 3; and MPI Exhibit number 113 is its response
12 to Undertaking number 9.

13

14 --- EXHIBIT NO. MPI-110: MPI response to
15 Undertaking 21

16

17 --- EXHIBIT NO. MPI-111: MPI response to
18 Undertaking 22

19

20 --- EXHIBIT NO. MPI-112: MPI response to
21 Undertaking 3

22

23 --- EXHIBIT NO. MPI-113: MPI response to
24 Undertaking 9

25

1 PANEL CHAIRPERSON: Thank you. Ms.
2 Dilay...?

3 MS. KATRINE DILAY: Madam Chair, Mr.
4 Klassen will actually do the direct for this witness.

5 PANEL CHAIRPERSON: Thank you. Mr.
6 Klassen...?

7 MR. CHRIS KLASSEN: Good morning,
8 Madam Chair. CAC (Manitoba) would like to welcome Mr.
9 Rajesh Sahasrabuddhe of Oliver Wyman to the MPI GRA
10 hearing room, and we thank the Board for the
11 opportunity to present the witness this morning.

12 Mr. Sahasrabuddhe has not been pre-
13 qualified in this proceeding, and so CAC (Manitoba)
14 will seek to have him qualified as an expert witness
15 this morning on the same terms as in each of the past
16 two (2) General Rate Applications.

17 Subject to the Board's direction, we're
18 prepared to walk Mr. Sahasrabuddhe through his
19 qualifications. We note, however, that MPI has
20 indicated that the Corporation does not oppose the
21 qualification of the witness and that his CV is on the
22 record as an attachment to CAC Exhibit 1-3.

23 And so if the Board wishes, it may be
24 more efficient to move direct ahead with the direct
25 evidence, but again we're prepared to walk through the

1 qualifications if the Panel wishes.

2 PANEL CHAIRPERSON: Thank you, Mr.
3 Klassen. No, if MPI is prepared to proceed on the
4 basis of going right to direct evidence, I think
5 that's the appropriate thing to do. Thank you.

6 MR. CHRIS KLASSEN: Thank you, Madam
7 Chair. And so then, on the basis of the materials
8 filed, CAC (Manitoba) will propose to have the witness
9 qualified to give evidence on actuarial analysis with
10 a particular focus on pricing, ratemaking, and risk
11 related to automobile insurers generally. And we'll
12 invite the witness to be affirmed before he begins.
13 Thank you.

14

15 CAC (Manitoba) Panel:

16 RAJESH SAHASRABUDDHE, Affirmed

17

18 EXAMINATION-IN-CHIEF BY MR. CHRIS KLASSEN:

19 MR. CHRIS KLASSEN: Mr. Sahasrabuddhe,
20 you'll confirm that you've prepared a report that's
21 filed on the record of this proceeding?

22 MR. RAJESH SAHASRABUDDHE: Yes, I
23 have.

24 MR. CHRIS KLASSEN: And it's your
25 understanding that that's on the record as Exhibit

1 CAC-5?

2 MR. RAJESH SAHASRABUDDHE: Yes.

3 MR. CHRIS KLASSEN: And, sir, you also
4 have prepared this presentation before us today?

5 MR. RAJESH SAHASRABUDDHE: I have.

6 MR. CHRIS KLASSEN: And we have
7 entered this on the -- on the record as Exhibit CAC-
8 11.

9 And, sir, you'll confirm as well that
10 on the -- in response to your report, you received and
11 responded to Information Requests from both the Public
12 Utilities Board and Manitoba Public Insurance?

13 MR. RAJESH SAHASRABUDDHE: That's
14 correct.

15 MR. CHRIS KLASSEN: And all the
16 documents that you've just referenced, sir, were
17 prepared by yourself and your team under your care and
18 control, correct?

19 MR. RAJESH SAHASRABUDDHE: Yes, that's
20 correct.

21 MR. CHRIS KLASSEN: And, sir, lastly,
22 you'll confirm that on the basis of your retainer with
23 CAC (Manitoba), you have a duty to the Public
24 Utilities Board to be fair, objective, and non-
25 partisan?

1 MR. RAJESH SAHASRABUDDHE: Yes, that's
2 correct.

3 MR. CHRIS KLASSEN: And that you've
4 prepared your evidence in a manner consistent with
5 that duty?

6 MR. RAJESH SAHASRABUDDHE: I have.

7 MR. CHRIS KLASSEN: Thank you, sir.
8 With that, we'll invite you to begin your
9 presentation.

10 MR. RAJESH SAHASRABUDDHE: Okay.
11 Thank you. If we could move forward one (1) more
12 slide.

13 So you may notice that it's a -- it's a
14 ninety (90) -- ninety (90) page slide deck, so we'll
15 try to go through it relatively quickly and, you know,
16 get through it as expediently as possible.

17 So this is the agenda slide which again
18 presents the -- which -- which sort of reviews the
19 sections that -- that I'm going to review this
20 morning. We'll -- we'll have a summary section.

21 Our first most material item which is
22 the -- the issue of accident year weights, so we'll be
23 focussing on that item and the second item which
24 relates to loss trends.

25 And then finally, we have 3 -- sections

1 3 and 4, which are largely commentary and
2 informational related to merit rating and an issue
3 related to the run-off of prior periods.

4 So, again, in -- in summary, as you --
5 as you know, MPI submitted their General Rate
6 Application in June of 2023. You're obviously very
7 familiar with the PUB mandate.

8 And, as Ms. Klassen reviewed, our --
9 our view and our duty and our understanding of our
10 duty in preparing this evidence that I'm going to
11 present today is -- is described there but, most
12 importantly, to be fair and objective and nonpartisan
13 and provide assistance to the PUB. Go to the next
14 slide, please.

15 So our goal -- or my goal this morning
16 is to provide our view on -- based on our review of
17 the General Rate Application to support the assessment
18 of -- of various matters.

19 We're going to focus on the first and
20 last bullet point, the idea that the forecasts are
21 reasonably reliable and that the rates are just and
22 reasonable.

23 Some of the other areas we felt were, I
24 think, better served by some of the other Interveners
25 in this -- in this Application.

1 In execu -- in providing that
2 information, we focussed on the overall claims
3 forecast, so the overall amount of -- of loss included
4 -- loss and expenses included to support the -- the
5 required premium and the merit rating in DSR -- DSR
6 programs.

7 So -- and then the other -- the other
8 areas, again, the class ratemaking, there are
9 Interveners, again, representing the motorcycles and
10 taxis. And the classification ratemaking we felt was
11 -- was better -- better addressed by them, so it's
12 more of an issue fo those Interveners.

13 The appropriateness of expenses,
14 including unallocated claims adjustment expenses,
15 we'll talk about that at a high level, but our -- the
16 scope of our review didn't include an evaluation as to
17 whether the expenses themselves were appropriate, but
18 rather whether the premium reflected the expenses that
19 were reported.

20 So I'll -- I'll talk more about that
21 when we get to the third section.

22 And investment policy, again, a
23 significant part of the rate application relates to
24 the amount of investment income that MPI will be able
25 to collect. I think, as -- as you're aware, the

1 October update changed the indicated rate by almost a
2 percent and a half, not quite, but about, I think,
3 1.35 percentage points which is, again, a fairly
4 significantly change.

5 So, you'll understand the -- the
6 materiality of the investment assumptions but, again,
7 that's not an area that we're -- that -- that we're
8 going to provide evidence on, nor are we qualified to
9 provide evidence on that item.

10 So as we organized our review, we
11 reviewed Order 64/'23. And we essentially grouped the
12 items that we felt were within the scope of our
13 expertise into -- into three (3) areas.

14 The first item is -- is the overall
15 rate level change, and there were three (3) issues in
16 -- in that area, the projection of claims and expenses
17 and vehicle counts.

18 So that -- that's where -- that's where
19 we'll spend actually most of our time, or that's where
20 -- that's the -- the focus of the presentation today.

21 Item number -- issue number 2 relates
22 to the large loss loading, and that was based on Order
23 4-'23 and Directive 2. And again, that's an area that
24 -- that has a larger affect on the classification
25 rates because the -- the crux of the issue is -- is

1 how -- how you spread the large loss load to the
2 different classifications.

3 So, initially, we thought that that was
4 an area that we might focus on but -- but, ultimately,
5 we are leaving that to the other -- other Interveners
6 in this proceeding.

7 And then claims forecasting is -- is
8 actually very -- very closely aligned with -- with
9 issue number 1.

10 There's -- we also looked at the -- the
11 second group relates to merit rating, so how you
12 reward or penalize good or bad driving respectively.
13 And -- and we have a -- we have some commentary on the
14 MPI approach towards that.

15 And then, the final set of issues which
16 we grouped together were a five (5) and sixteen (16)
17 which was -- which really just related to how well
18 prior -- prior period estimates are -- are -- are
19 performing, given the experience to date.

20 So, as we -- as we -- as we review the
21 loss components today, we just wanted to sort of
22 provide the -- provide the -- the -- the Board with
23 the sense of -- of the composition of the overall --
24 overall premium, including items that are -- are --
25 are offsets result in additional revenue.

1 So, the -- the items that I'll be
2 reviewing today are principally related to that
3 longest bar, that claim cost including allocated loss
4 adjustment expenses, which represents seven hundred
5 and ten dollars (\$710) of the rate or approximately 76
6 percent of the overall rate.

7 We'll also have some commentary on the
8 unallocated loss adjustment expenses, so that's the --
9 the second longest bar there. And -- and -- and then
10 the other items, which are sort of the -- the smaller
11 bars, are really the expenses and we'll review those
12 in -- at a sort of an aggregate level and -- and
13 really just sort of define, you know, how we reviewed
14 those and -- and what we looked at.

15 But, again, the focus is really going
16 to be where we think it should be, which is where the
17 76 percent of the rate is and relates to the claim
18 costs including allocated expenses.

19 Now, within claim costs, there -- there
20 -- there are various coverages that we're going to
21 review and -- and so we'll just ask you to sort of
22 keep this in mind.

23 The collision coverage represents the -
24 - the bulk of the claim costs, well over half of the
25 claim costs and so, when we think about materiality of

1 the alternative -- alternatives that we're going to
2 propose, it's -- it's important to understand that --
3 that sometimes that -- that -- that adjustments for
4 certain coverages are going to be more material than
5 adjustments for other -- others, and sort of on the
6 extreme end, a -- a small adjustment for collision
7 could be -- or is likely to be much more important
8 than a -- a large adjustment for bodily injury.

9 So, just -- just to sort of keep --
10 keep the perspective as to the -- the distribution of
11 claim costs.

12 So, as we reviewed the 2024 General
13 Rate Application, we did observe several changes from
14 the 2023 Rate Application. And the -- the first four
15 (4) are, in particular, are quite important and really
16 -- they're really consistent with our view of best
17 practices for developing the rate.

18 So, we -- you know -- we -- we look
19 very favourably on those changes that -- that MPI has
20 -- has instituted. So, number 1 is the increased use
21 of statistical analysis. I think we discussed this
22 last year about how that's a better approach to
23 separate signal and noise from -- from the claims
24 data.

25 Revised coverage groupings, we -- we

1 believe that the approach where there was a little bit
2 -- there was more aggregation of coverage groupings
3 provides more credibility to the data, rather than
4 reviewing some of the costs as -- as finely as -- as
5 MPI used to.

6 The use of accident year weighting in
7 estimating loss costs, we believe that provides a more
8 robust starting point for the projection of future
9 losses. And, obviously, accident year weightings are
10 -- are really one of the areas where -- or actually
11 the -- the area we have the -- the biggest difference
12 or the most material difference and what we believe is
13 a -- a reasonable estimate of loss costs from those
14 proposed by MPI.

15 The application of a COVID-19 work-
16 from-home adjustment, again, these are -- the -- this
17 -- the experience period underlying the rates is -- is
18 obviously, as we know, quite unusual. We had a once -
19 - hopefully, a once in a lifetime event in the COVID-
20 19 pandemic and recognizing that and incorporating the
21 -- incorporating the unusual nature of the event, we
22 think is -- is important in -- in developing --
23 developing an -- an estimate of the rates.

24 The other items, again, we -- we also
25 think are improvements, but the starting point is the

1 2022 appointed Actuary Report for Frequency and
2 Severity. We will talk about that a little bit in --
3 in -- in the review of -- in the review of trend
4 rates.

5 Tail loading is important as well. In
6 -- in many -- in many ways, this is sort of very
7 similar to the issues on actuarial weights and COVID
8 where, when you have unusual events that there --
9 there's generally an appropriate way for dealing with
10 those unusual events and -- and we believe that the
11 way that MPI now loads for the hail events is an
12 improvement over -- over the previous approach and
13 then, finally, the -- the PIPP indexation.

14 BOARD MEMBER GABOR: Sir, I'm sorry to
15 -- to interrupt.

16 MR. RAJESH SAHASRABUDDHE: No. It's
17 fine.

18 BOARD CHAIR GABOR: Kristen, can you
19 go back to the previous Screen 9? There are people
20 who are watching this live stream --

21 MR. RAJESH SAHASRABUDDHE: Yes.

22 BOARD CHAIR GABOR: -- and I'm just
23 wondering if you could go across the bottom for the
24 acronyms of what the letters --

25 MR. RAJESH SAHASRABUDDHE: Sure.

1 BOARD CHAIR GABOR: -- because I --
2 I'm concerned they're -- they're looking at these
3 charts not having the foggiest notion what the -- what
4 the letters mean.

5 MR. RAJESH SAHASRABUDDHE: Sure. I'm
6 happy to do that and -- and -- and please let me know
7 if I speak too fast I -- I note for the record as
8 well.

9 So, just reading left to right, the --
10 the -- the first one is 'Accident Benefits Other
11 Indexed', so it's the -- the accident benefits
12 coverage. It's subject to indexation.

13 The next one is 'Accident Benefits
14 Other Non-Indexed'. So, that, again, is accident
15 benefits coverage that's not subject to indexation.

16 Bodily Injury. CL is Collision. CM is
17 Comprehensive. The next item is 'Income Replacement
18 Indemnity', sometimes, also referred to as Weekly
19 Indemnity, in -- in some of the other -- or Accident
20 Benefits Weekly Indemnity, in some of our other
21 slides. And, then, the last item is Property Damage.
22 So, again, those are the various coverages that the
23 auto insurance product provides to insureds in
24 Manitoba. Okay?

25

1 CROSS-EXAMINATION BY MS. KATRINE DILAY:

2 MS. KATRINE DILAY: And, sir, I -- I
3 also have one (1) question for you, relating to Slide
4 10 which, I think, you referred to are changes from
5 the 2023 GRA, and I believe you've referred to looking
6 favourably upon these changes, and were some of these
7 changes recommended by the Oliver Wyman team last
8 year?

9 MR. RAJESH SAHASRABUDDHE: Yes. I
10 think, in particular, One and Two were important
11 changes that we recommended last year, and they're
12 also consistent. As -- as -- as the Board may be
13 aware, we -- we provide analyses for reg -- public
14 stakeholders in automobile rate regulation.

15 It's not always the -- the regulator
16 directly and -- and, really, every single border
17 province, except for Quebec and PEI and, in
18 particular, we provide reports that are in the public
19 record in Ontario, Alberta, Newfoundland, and Nova
20 Scotia, and the approaches that MPI adopted are -- are
21 very consistent with the approaches that we use in
22 providing information to regulators in -- in those
23 provinces.

24 Okay. So, I'd like to move forward,
25 just at -- at a high level. I have a -- a few slides

1 that really sort of try to outline the methodology
2 that MPI employs in estimating -- estimating claim
3 costs.

4 So, the first item is -- or the first -
5 - I'll call it the first step is there's a development
6 of trend and mobility factors. So, this is an
7 analysis to -- to support the adjustment of past
8 experience to the current levels and, again, we'll --
9 we'll talk about trend factors because that's an area
10 that -- or the estimation of trend factors because
11 that is an area of -- of difference that we've
12 presented in our evidence.

13 Those trend factors are, then, applied
14 to the historical experience to -- to -- to adjust all
15 of the -- all of the experience to a common cost
16 level, in this case, a -- a 2022 cost level.

17 Then, the -- the -- the adjusted
18 experience which, again, is now on the common cost
19 level is -- there's a review of -- of -- of the
20 estimates for the various years and a weighted average
21 is -- is -- is then used to move forward, essentially,
22 from -- from that point -- from the 2022 point and
23 that -- the -- the -- the -- this -- the series of
24 years that are included in the weighted average is
25 typically referred to as an experience period so -- so

1 I may use that term going forward.

2 And -- and in this case, again MPI
3 looks at 2017 through 2022, and -- and we'll -- we'll
4 talk about that. That's the -- the six (6) years as
5 noted in the last bullet point, the '17/'18 through
6 '22/'23 years.

7 Then to project forward, MPI applied a
8 -- a work-from-home adjustment that -- that recognizes
9 the -- the change in -- essentially, the change in
10 driving and commuting patterns post-2020, or the
11 expected change in driving and commuting patterns
12 after 2022.

13 And then they also include an -- an
14 adjustment referred to as future trend which captures
15 the changes in -- in cost levels.

16 So one is really -- the work-from-
17 adjustment is more about exposure, so insureds are
18 driving more, and then the second adjustment is really
19 about increasing cost levels or increasing frequency
20 and severity -- or changing cost levels I guess is --
21 I'm -- I'm sorry -- is a better way to say it 'cause
22 it's not always increasing -- to project forward to
23 accident year '24 and forward all the way for the --
24 for the -- for purposes of the financial forecast.

25 But for purposes of ratemaking, it's

1 really the '24/'25 and '25/'26 accident years that are
2 -- that support the overall development of the rate
3 level.

4 This slide is -- is sort of generally
5 quite similar to the -- to the last slide. It -- it
6 just really provides the -- the components in more of
7 a stepwise fashion. So again, the -- the underlying
8 data that's used, which is the October '22 Appointed
9 Actuary Report.

10 But I think what's important here is
11 that the frequent -- what we -- that the -- the data's
12 comprised -- the trend data is comprised of frequency
13 or the -- the number of claims per unit exposure and
14 the severity or the average cost of claims.

15 But they're not independent. So what
16 happens is the starting point is the October 2022
17 Appointed Actuary Report, so there's sort of the --
18 the whole, and then that's split into frequency and
19 severity. And the split is performed based on the --
20 the MPI analysis of ultimate claim counts.

21 So, for example, if you had a hundred
22 dollars (\$100) of claim costs and -- and there was an
23 analysis that said there would be five (5) claims a
24 year, then the average value would be twenty dollars
25 (\$20) per claim. But if the analysis yielded four (4)

1 claims a year, then it would be twenty-five dollars
2 (\$25) per claim.

3 So again, I think what -- what I want
4 to sort of emphasize in that process is that frequency
5 and severity are not independent because that's going
6 to -- that's going to be -- that's the basis of -- of
7 our proposals on the trend models that -- that MPI
8 employs.

9 So MPI -- that -- MPI fits regression
10 models or statistical models to -- to that data which,
11 again, we think is a -- is an improvement relative to
12 the 2023 GRA.

13 And then, in that process, MPI also
14 develops estimates of -- of sort of the future trend
15 or how that's going to change in the future because,
16 at times, there are conditions in which future changes
17 are not going to be equal to the changes in the past.
18 So we'll -- we'll review those as well.

19 The regression models include what's
20 called a mobility parameter to identify the effects of
21 reduced traffic volumes during the COVID-19 pandemic.
22 We won't spend a lot of time on that.

23 We -- we don't really have an issue
24 with the way MPI included that, and -- and we
25 certainly think it's appropriate to include a mobility

1 parameter or include a parameter that does recognize
2 that -- that there was -- that 2020 and 2021 were
3 unusual times. So -- so we again have no issue with
4 that -- with that recognition.

5 The selections of -- selection of loss
6 costs. So those -- those adjustment factors from
7 sections 1 and 2 are then used to adjust the March
8 2023 Appointed Actuary Report for factors such as the
9 change in the product, the -- the CERP change, work-
10 from-home adjustments, cost adjustments, and future
11 mobility adjustments which I didn't list there, but
12 that's obviously the -- that's -- that's the item in -
13 - in part -- in number 4.

14 Then the -- the starting point is a --
15 is a weighted average, and again, that's the weighted
16 average of -- of years within the experience period.
17 And -- and again, we'll -- we'll talk about that on
18 the next slide, but the MPI approach is to consider
19 estimates for -- for six (6) years, from '17/'18
20 through '22/'23.

21 And -- and we'll review that on -- on
22 the next slide -- or, I'm sorry, within -- within this
23 report because that -- that is one (1) of our -- our -
24 - one (1) of the issues that -- that we have with the
25 MPI approach. Move to the next slide, please.

1 So all that is, essentially, background
2 to -- to review our -- the alternative assumptions
3 that we think are more appropriate in -- in -- and
4 more reasonable to estimate the -- the total costs the
5 ratepayers would have to -- the total costs to the
6 ratepayer for providing automobile insurance.

7 There's, essentially, three (3)
8 groupings of issues. So the accident year weights is
9 -- is the -- is the most material of the issues, so
10 we'll spend a bit more time on that. And then we also
11 have suggestions related to past trend and -- and
12 future trends.

13 And so we -- we try to replicate MPI's
14 models as -- as best as we can to estimate the effect
15 of -- of the rate change. And the requested rate
16 change is -- is, as you know, no rate change or -- or
17 zero percent.

18 And we estimate that the indicated loss
19 cost change -- so again, the -- the premiums comprised
20 of loss costs and expenses, so -- that our analysis is
21 really focussed on the loss piece.

22 And our indication is that that loss
23 piece should be four point -- that -- that the
24 appropriate loss cost is 4.9 -- 19 percent below the -
25 - the 2023 levels, and that that would result in an

1 indicated premium change of minus 3.58 percent.

2 And again, this is prior to the October
3 revision, so this is relative to the minus .13 percent
4 indication that -- that MPI is putting forward for the
5 -- the rate. So at a high level, you know, we have
6 about a three -- three point four (3.4) point delta
7 between what we believe is appropriate and where MPI -
8 - the 2024 GRA is.

9 And I -- I read the press release and I
10 -- I understand that most of the October increase is
11 due to a change in -- in the investment income
12 expectation.

13 And so I would -- what we -- we haven't
14 sort of run that -- we didn't -- we weren't able to
15 run that through our model. We would assume that the
16 same delta would still apply, so -- which would --
17 assuming that same delta would still apply, that would
18 mean that we think that the appropriate rate level was
19 approximately 5 percent below 2023 levels.

20 MS. KATRINE DILAY: And, sir, just to
21 clarify, that 5 percent would be the minus one point
22 four eight (1.48) in the October update plus the minus
23 three point five eight (3.58) -- or three point four
24 (3.4) approximately delta that you just spoke of that
25 your evidence results in?

1 MR. RAJESH SAHASRABUDDHE: Yes, that's
2 correct.

3 MS. KATRINE DILAY: And, sir, one (1)
4 -- one (1) more follow-up question. That three (3) --
5 minus three point five eight (-3.58) that we see on
6 this slide, is -- the way I understand it is it's the
7 total of about eight (8) different alternative
8 assumptions that you're going to go through in the
9 rest of your presentation, correct?

10 MR. RAJESH SAHASRABUDDHE: Yes, it is.
11 Those are the issues listed to the left.

12 And I -- we'll acknowledge that -- that
13 this is just immaterially so, but slightly different
14 than what is in our actuarial report. And part of
15 that -- or that is, essentially, largely through
16 issues that were identified either by MPI in the -- I
17 think it's Exhibit 50, the one where the collision --
18 you know, the replication of the -- or their analysis
19 of the correct collision trend was incorrect. And
20 then also, from our perspective -- on our side, I think
21 we had a property damage model that was just slightly
22 off.

23 So not that it's material. I think we
24 had three point six one (3.61) versus three point five
25 eight (3.58), so it's not -- not materially different.

1 But -- but again, these are -- these are estimates.
2 And -- and again, we do our best to replicate the MPI
3 model, but it's -- at times we can only work with some
4 rounded numbers, so we don't get the exact same
5 results.

6 MS. KATRINE DILAY: Thank you, sir.

7 MR. RAJESH SAHASRABUDDHE: Okay. So
8 the most material item -- and at the very end I'll --
9 I'll review sort of the impact of each of the
10 individual -- individual alternatives that we're going
11 to propose -- or that we have proposed. But the most
12 material of those alternatives relates to accident
13 year weights.

14 And what we have in this slide is a
15 presentation, again, the -- the coverages that -- that
16 we reviewed going across the top and the -- the
17 weights that -- that MPI includes in -- in calculating
18 this -- that weighted average, so the -- you know, how
19 the experience period, which, in MPI's case, are those
20 six (6) years, '17 through -- through '22, how the
21 weights are applied to the various values observed in
22 that experience period.

23 And really, the issue that we have that
24 we'll -- we'll review is we're the -- is the zero
25 percent weight applied to 2020 and the -- the fact

1 that there's essentially full weight or -- or no -- no
2 reduction in weight associated with 2021.

3 So I'll talk about -- that's the --
4 essentially, the crux of the issue is that this
5 application of zero percent weight in -- for 2020
6 while not reducing weight for 2021. We could move to
7 the next slide.

8 So this is -- this slide essentially
9 reviews the -- the three (3) primary issues that we
10 have with -- with this 2020 versus 2021 weighting of
11 the experience period.

12 So I'll go through each of these. So
13 snowfall. So, as -- as we reviewed the initial
14 General Rate Application, what we noticed was that the
15 regression models generally over predicted 2020
16 observations and under predicted 2021 observations.

17 So what does that mean? That means
18 that if we look at the trend of claims data over time,
19 if the model under predicts the actual data, that
20 means the actual experience was worse than -- than you
21 might expect based on sort of the long-term signal in
22 the data. And if the model over predicts, that means
23 that the actual experience was better.

24 So the -- so when we say here that 2020
25 is over predicted, that means 2020 had a better

1 outcome than you would generally expect. And when I -
2 - when we say that 2021 was under predicted, that --
3 that that means that 2021 was a worse than average
4 year than you would expect based on the -- on the
5 long-term trends.

6 So we -- we asked MPI about this in --
7 in the Information Request process, and -- and the
8 response indicated that the unexplained variance was
9 really due to snowfall levels, so that the -- that the
10 explanation was -- 2021 was, essentially, a good
11 snowfall year.

12 Again, we have the COVID pandemic, too,
13 that we'll talk about obviously affecting these years.
14 And then 2021 was a -- was an adverse snowfall year.
15 So, again, essentially two (2) I guess maybe what
16 would be termed unusual levels of snowfall, one -- one
17 to the good in terms of loss experience and one to the
18 -- to the bad or to the -- that would support a higher
19 rate level in terms of long-term trends.

20 However, as we talked about, only one
21 (1) of those years is incorporated in the experience
22 grid, only the adverse year, not the favourable year
23 which is, again, the -- sort of the crux of the issue
24 that we have with the -- the accident year weights.

25 And somewhat related to that is -- is

1 this -- again, this gets -- this aligns with the MPI
2 approach on hail loading. So if you have an unusual
3 hail year, what they did was they took out the hail,
4 and then added it back on an average level.

5 And -- and the reason you would do that
6 is because you have -- if you have a five (5) year
7 experience period, you assume that each of the years
8 is -- has a 20 percent chance of occurring, a one in
9 five chance of occurring.

10 And -- and if it's -- if it's not a
11 one-in-five chance, then you have to make an
12 adjustment for that because that means that the -- the
13 hail experience, for example, or the snowfall
14 experience is over represented in the experience
15 period.

16 So, as we looked at the data, and we'll
17 review this when we -- when we go through the trend
18 charts, our view was that 2021 is not a one-in-five
19 year outcome, that it's -- it's -- so it -- so an
20 adverse snowfall year is over represented in the
21 accident year experience.

22 So, again, we're trying to predict the
23 '24/'25 rating year, and so we want -- we have no
24 predictions for snowfall in '24/'25, so we want that
25 to be -- we want the underlying loss cost to represent

1 sort of an average year, not a -- not an unusually
2 good year or an unusually bad year.

3 That -- the unusual good year and the
4 unusual bad year is -- is, essentially, why you buy
5 insurance, so that -- so that the insured is
6 protected, particularly against the unusually bad
7 year, where there's -- where they're more likely to
8 have accidents, but we want that protection to be
9 equitable.

10 So, again, that -- that's the snowfall
11 issue that -- that we'll review with the -- with the
12 trend models.

13 The experience period issue. So, in
14 general, again, we review rate filings for public
15 stakeholders, you know, throughout Canada, and
16 including the Crown corporations in Saskatchewan and -
17 - and BC, and now Manitoba, as well.

18 And, in general, when you have -- we'll
19 call it either Crown corporations or very large
20 insurers that have a lot of data and have a lot of --
21 that -- that have a significant volume of data,
22 generally, the convention that we see is that the
23 experience period should -- is based on the most
24 recent three (3) or five (5) years.

25 When you have smaller insurers writing

1 in smaller provinces, then you see longer experience
2 period because they need a longer period of time to
3 collect data to support the average rate level.

4 Obviously, MPI should -- I don't know
5 the statistic, but I would assume that MPI's one (1)
6 of the largest insurers of automobiles in -- in the
7 country sort of, in aggregate, maybe just -- maybe
8 just behind BCUC -- or ICBC, sorry.

9 BCUC's our client in -- in the review
10 of the British Columbia rates.

11 Okay. So -- so, typically, we see
12 three (3) to five (5) year experience periods with
13 large insurers. And -- and one (1) of the reasons why
14 you want to try to use experience as recent as
15 possible is because the more recent the experience is,
16 the less you have to adjust it to get to '22 rate
17 level.

18 So, if you imagine you have to adjust
19 the 2017 levels or a longer period of change than the
20 '21 rate experience, so.

21 And -- and, also, as you get more
22 remote in time, there could be -- there are factors
23 that -- that will change over time that may not be
24 always captured through -- through trend models.
25 Sometimes they're -- they're small -- small changes

1 related to management actions that -- that don't sort
2 of fully show up in the loss experience, so they sort
3 of become noise in the data.

4 And what MPI's chosen to do is -- in
5 the accident year weights is that, for -- for the
6 coverages that -- that we identify as being
7 problematic, there is a 20 percent weight applied to
8 2017 and a zero percent weight applied to 2020.

9 And that effectively creates a six (6)
10 year experience period with uneven weights, again,
11 just for those coverages. There are coverages for
12 which there is a 20 percent weight applied to the four
13 (4) years.

14 But for certain coverages, it's uneven
15 in -- again, in that there's 20 percent on '17 and --
16 and zero percent on 2020. And again, our view is that
17 2017 may be less -- less reflective of -- of the
18 emerging data.

19 And then, obviously, the -- the final
20 item here that we think is quite important to consider
21 in -- in understanding appropriate accident year
22 weights is the effect of the COVID-19 pandemic.

23 So, you know, we all recognize that it
24 was an unusual time, an unusual year, and -- and we
25 think that there -- and we think that needs to be

1 recognized in the accident year weights. So we'll
2 talk about how we -- how we did that or -- in our
3 proposal.

4 We do note that both 2020 and 2021, the
5 experience is adjusted for the effect of the pandemic,
6 so -- so they're both adjusted; it's not that just one
7 (1) year's adjusted. However, the 2020 year is
8 adjusted and not used and the 2021 year is adjusted
9 and is used by MPI in this experience period. Okay.

10 MS. KATRINE DILAY: And, sir, just --
11 just for the Board's reference, would I be correct to
12 say that, you know, as -- as the Board is reviewing
13 your slide 16, they can look back to slide 15 for
14 those weights that MPI has applied and that you then
15 go on to talk about being problematic?

16 MR. RAJESH SAHASRABUDDHE: Yes, that's
17 correct.

18 MS. KATRINE DILAY: Thank you.

19 MR. RAJESH SAHASRABUDDHE: Yes. Thank
20 you. Okay. I -- I'm -- are -- here are our
21 suggestion -- in -- in this slide we present our
22 suggestions for accident year weights.

23 So, 2017, we exclude from our
24 experience period, again, mostly because it -- it's --
25 it's outside the -- the five (5) year period that --

1 that we review.

2 And then the -- the other critical
3 difference is the 2020 and 2021 alternative accident
4 year weights that -- that we're proposing.

5 So, let me just -- maybe just start
6 with '18, '19 and '22. So, our view there, is that
7 those years are -- I -- I guess I'll say for -- for
8 lack of better words, cleaner than 2020 and 2021. So,
9 we are in favour of giving those years slightly more
10 weight, again, at 25 percent for -- for each year.

11 2020 and 2021, you know, we acknowledge
12 have -- there -- there's more uncertainty with the
13 predictive value of those estimates. And -- and so we
14 try to develop an approach that recognizes that higher
15 level of uncertainty.

16 And -- and I'll talk for a minute --
17 I'll talk in a -- in a minute about what that approach
18 focuses on, but you'll see that in aggregate, the 2020
19 and 2021 weights add up to 25 percent, you know,
20 within rounding, the -- the property damage number is
21 26 percent because the -- the two (2) values are
22 rounded.

23 But the -- and -- the -- the idea there
24 is that there is higher uncertainty there. We want
25 to, essentially, give less weight to those years, to

1 recognize that uncertainty, but we don't want to
2 exclude one year in favour of giving more weight to
3 the other year.

4 And, in particular, we don't want to
5 exclude a favourable year to give weight to a year
6 that had more adverse experience -- and, again, as --
7 as MPI explains due -- largely due to snowfall issues.

8 So, given the unusual nature of the
9 pandemic and -- and perhaps loss experience, we -- we
10 tried to find a way to reflect that in our suggested
11 accident year weights.

12 So, what we did was, without sort of
13 getting into the technical details, we tried to
14 understand how unusual the results were for 2020 and
15 2021.

16 And if the result is more unusual, it
17 gets less weight; if it's more closer to expected, it
18 gets more weight. And that's just a distribution
19 between 2020 and 2021. It's not -- it's not on an
20 absolute basis across the five (5) year period.

21 So, just how that 25 percent weight
22 gets split between the -- between those two (2)
23 particular years and -- and again we don't think that
24 that's all that unusual. We don't think it's -- it's
25 really inconsistent with approaches that are taken,

1 again, for example, when -- when there's an unusual
2 level of hail storms or if there were to be an unusual
3 level of -- of -- of snowfall in a year that created a
4 -- a much worse year than -- than you might expect on
5 average going forward.

6 So, I'll sort of describe in chart sort
7 of how that -- that plays out. But that -- that's the
8 general idea there.

9 MS. KATRINE DILAY: And, sir, just to
10 clarify, two (2) columns here where the weights are 20
11 percent from 2018 to 2022, so under Accident Benefit
12 Other Non-indexed, and then Comprehensive.

13 You'll agree those are where you agree
14 with MPI in terms of the 20 percent weighting from
15 2018 to 2022?

16 MR. RAJESH SAHASRABUDDHE: Yes, so we
17 were comfortable because, again, there's no exclusion
18 there of -- of a good -- of -- of one year in favour
19 of the other year.

20 So -- so, again, we -- we're not
21 suggesting any alternatives there, it's a five (5)
22 year period, not a six (6) year period and -- and all
23 years are used, so -- so we -- we really don't have
24 any issues with -- with that approach.

25 MS. KATRINE DILAY: Thank you.

1 MR. RAJESH SAHASRABUDDHE: Okay, so,
2 as I go through these charts and again I'll -- I'll go
3 through them relatively quickly, in the interest of
4 time.

5 We -- we did put blocks off to the
6 right that sort of indicate the -- the percentage of
7 the overall loss costs. Again just to help -- help
8 with materiality and -- and we did -- and so the first
9 item is accident benefits weekly indemnity, again,
10 sometimes referred -- referred to as IRI or Income
11 Replacement Indemnity. Smaller coverage at eight
12 point five six (8.56).

13 The -- the next coverage is -- for
14 Accident Benefits Other Indexed. Again, there you'll
15 actually see an unusually high value for -- for 2020.
16 That's a 9.93 percent value. Again, it's a --
17 somewhat of a smaller coverage relative to collision,
18 certainly. So, if we could advance to the next slide,
19 please.

20 Then -- and then we have collision
21 which, again, what we see there which is, again, the
22 most material coverage is that 2021 -- I'm sorry,
23 2020, was quite a good year and it's getting no
24 weight. It's the -- and -- and it essentially follows
25 a trend of -- of -- of generally good experience.

1 In 2021, it was a higher year and, in
2 fact, it -- you -- you may notice, it's -- it's the
3 highest year, going all the way back to 2009.

4 And so the -- the question is, you
5 know, how much weight should we give to that year and
6 -- and why is the 2020 year being sacrificed for that.

7 We're not generally surprised at the
8 2022 year because it's -- it's somewhat immature.
9 It's going to be closer to the long-term averages.
10 Those estimates will change over time and it may --
11 may move in future appointed actuary reports. But we
12 recognize that that's a -- a pretty common approach to
13 estimating ultimates for an immature year.

14 Again, and then there's similar charts
15 for property damage. If you could move forward.

16 Okay, and then -- now we have a set of
17 slides, essentially, it's the -- the -- the same
18 slides but what we've done is we've provided our
19 estimates of the weights and -- and it's -- it's
20 really the -- the same data, but this will hopefully
21 better illustrate this idea of how we distributed that
22 25 percent weight.

23 So, the income replacement indemnity,
24 the 2020 and 2021 years are -- are essentially, you
25 know, they're -- they're quite close and -- and

1 they're quite close, you know, so, relative to the
2 long-term average they're going to be viewed as being
3 similarly unusual, I guess I'll call it. And -- and
4 so the weights are pretty similar at 13 and 12
5 percent.

6 In comparison, 2020 is actually quite
7 an unusual year for Accident Benefits Other Index.
8 It's the highest year in the experience period and,
9 therefore, it gets the least weight.

10 The -- the two (2) -- it gets 2 percent
11 weight, because it's viewed as an unusual data point.
12 And an unusual data point sort of wouldn't be
13 predictive of the future, right, as you wouldn't want
14 to predict that 2024/'25 would be at that elevated
15 level, when you don't have other years that are also,
16 you know, quite as elevated. Move to the next slide.

17 Again, on collision, which is again the
18 most material of -- of the coverages, you see that
19 although 2020 is -- is sort of lower, it's -- it --
20 it's sort of, you know, closer to the other data
21 points. In -- in fact, the -- the -- yeah, 2009 data
22 point which is, again, a -- a little bit dated, but is
23 -- is -- is, I believe, slightly lower than the 2020
24 data point. Whereas, the 2021 data point is the --
25 the highest of all the data points, so -- so we give

1 less weight to that. And then there is a similar
2 effect on -- on property damage as well.

3 So, those -- that -- that's -- is
4 essentially, that -- that, essentially, is -- is our
5 presentation of the most material issue here which is
6 the accident -- accident year weights issue.

7 That we just don't -- we believe that
8 we shouldn't just exclude a favourable year and
9 include an adverse year. Again, particularly, as it
10 comes to the -- the largest coverage, which is
11 collision.

12 And -- and we tried to provide an -- an
13 alternative approach to -- to creating the accident
14 year weights that we -- that we recommend or -- or we
15 believe are more appropriate. They -- they consider
16 all of the experience.

17 Yeah, accident year weights is -- is an
18 issue that really isn't typically discussed in the
19 actuarial literature. The -- it -- it's a matter of -
20 - of appropriate judgment to understand the predictive
21 value of each year within the accident year period.

22 So, the underlying judgment of MPI, for
23 those -- for those years, is that the 2020 year has no
24 predictive value. That's essentially what a zero
25 percent weight implies.

1 And the 2021 year has full predictive
2 value and -- and, moreover, the 2017 year has full
3 predictive value.

4 And the crux of our -- of our
5 recommendation is that 2017 is outside of a five (5)
6 year period and -- and, you know, therefore, it should
7 essentially roll out of the experience period this
8 year.

9 And that for 2020 and 2021, that those
10 years have more uncertainty to them. So, we're
11 comfortable with -- with giving them less weight. We
12 -- we think that that's an appropriate exercise of
13 judgment to understand the elevated levels of
14 predictive -- of predictive uncertainty, for those two
15 (2) years, given, again, the pandemic and potentially
16 unusual snowfall levels, but that a zero percent
17 weight to 2020 and a -- and a full weight to 2021, to
18 us, does not seem fair.

19 Okay. So, those are the issues on --
20 on -- on accident year weights. I'm -- I'm going to
21 try to go through the issues for trend a little bit
22 more quickly, more in terms of -- for both reasons of
23 -- of time and, then, also, for materiality. As we
24 get to the end, you'll see that -- that these -- these
25 -- these issues have less of an impact on -- on the

1 overall rate level indication and, as I go through
2 them, I'm just going to sort of identify a -- a -- a
3 few high level -- a few items that sort of occur, so
4 that I don't have to -- so that I don't restate them
5 with every coverage, so that we can get through this
6 a little bit more efficiently.

7 So, one of the items that -- that we're
8 going to -- that -- that will come up with -- that'll
9 arise with several coverages is the use of the same
10 time periods for frequency and severity.

11 And, again the rationale for that
12 relates back to my earlier example of the -- of the
13 hundred dollars (\$100) in total loss and how and split
14 that into frequency and severity.

15 So that -- that they're not independent
16 metrics, that they're sort of part of a total and, so,
17 it's important that the -- to the -- there could be
18 good reasons for not having the same time period, but
19 the default should be to have the same time period for
20 the frequency and severity methodology.

21 There -- there are conditions where you
22 can look at the data and -- and -- and understand that
23 there was something unusual about frequency or
24 something unusual about severity in -- in that year
25 that didn't affect the other coverage and -- and, in

1 that case, we -- we think it's okay but the default,
2 again, we believe should be to use the same time
3 period.

4 The -- and, then, the other item is to
5 try to use a -- a single model, which picks up a
6 change in trend that's associated with a higher
7 inflation, rather than two (2) separate models.

8 So, these are, again, two (2) issues
9 that are going to come out -- that are going to arise
10 with several of the coverages. So, I just want to
11 sort of review them now, so that I don't have to
12 review them in -- in detail with every time they
13 arise.

14 But, again, at a high level, as I noted
15 earlier, that -- that -- that we view the current
16 approach as a -- as a -- as an improvement over the
17 2023 GRA. It's -- it's consistent with our view of --
18 of the best practices and -- and consistent with the
19 approach that we use in -- in -- in advising
20 regulators and other public stakeholders in other
21 provinces.

22 The -- and, again, this is compared to
23 the prior analysis, which is more -- more, you know,
24 more reliant on judgment. The -- the one difficulty
25 is -- and this relates both to the coverage groupings

1 and the change in approach, it makes comparison to the
2 prior analysis a bit more difficult.

3 And, again, as we talk about trend,
4 there's, essentially, two (2) components to trend.
5 There's past trend, which adjusts prior experience to
6 2022 levels, and future trends for changes beyond
7 2022.

8 Okay. I'm going to go through this at
9 a -- relatively quickly, because we -- we really have
10 no issue with the work-from-home adjustment. You'll
11 note that, on the very right, the findings and
12 conclusions are -- are that -- that we -- we consider
13 reasonable.

14 Again, the idea here is that prior
15 years have to be adjusted for changes in commuting
16 patterns. The years prior to 2020 -- prior to 20 --
17 pre-pandemic years are adjusted down, to get to 2022
18 levels, which is a pan -- you know, has a pandemic
19 effect to it and, then, the years in the future, where
20 we expect will return closer to those pre-pandemic
21 levels, have to be adjusted upward.

22 The magnitude of the adjustment is, you
23 know, hard to estimate, but we believe that MPI's done
24 -- taken a reasonable approach towards that and a 5.56
25 percent adjustment in terms of magnitude, to us, seems

1 reasonable but, again, highly uncertain, but -- but --
2 but we do -- and it's probably a reasonable estimate
3 of -- of -- of the effect of future driving
4 behaviours.

5 Okay. So, now, we'll review the -- the
6 trend models for the various coverages. Each of the -
7 - each of the coverages have sort of a common observa
8 -- common organization. There will be a slide, where
9 we present MPI's approach to both past trends and
10 future trends. There will be a slide to sort of show
11 how those -- how those estimates are combined and
12 weighted and adjusted to -- to -- to show future -- to
13 -- to -- to show the future projections and -- and,
14 then, there'll be a slide that -- that -- that
15 describes our concerns with the approach and -- and
16 our recommendations as to -- as to a more reasonable
17 alternative.

18 So, what I'm going to focus on -- I'm -
19 - I won't -- I won't go through the -- each slide in
20 detail, but I'll -- I'll focus on the areas of
21 difference, as I describe the MPI slides, so that --
22 that you'll be aware of that, as I go through our
23 slides.

24 So, here, what you'll notice is that
25 the -- the severity models end in 2012. So, that's

1 why that line doesn't extend backward past 2012,
2 whereas the frequency model, the top panel does extend
3 back to -- all the way to 2009.

4 You'll also see that the -- the
5 severity -- the frequency data -- if you're able to
6 just look at those points on the left, is -- is a
7 little bit flatter on the left side and there's,
8 again, a -- a little bit more variability in the
9 severity model on the -- on the left side there.

10 But, in general, if you look at that
11 Lost Cost chart, at the very bottom, you'll -- you'll
12 sort of see this wave-like effect, right, and, if you
13 were to imagine extending that -- that line backward,
14 you -- you would see it's sort of no longer sort of
15 going through the wave but, rather, it's sort of going
16 below the wave.

17 So, you can see sort of this up and
18 down and up and down which, you know, again, isn't
19 terribly unusual. That's sort of the noise in the
20 data and what the line is doing is it's trying to
21 capture the signal in the data. So, if we could go to
22 the next slide, please.

23 So, again, I -- I won't go through
24 these in -- in a lot of detail but this, essentially,
25 is the MPI approach of what happens with the -- the

1 prior periods. The '17 period gets, you know,
2 adjusted down and gets 20 percent weight. The -- the
3 -- the other pre-pandemic years get adjusted down to
4 pandemic levels. The po -- the in-pandemic years get
5 -- get -- get adjusted up for the -- for the un --
6 underlying trend.

7 They -- they get weighted together, at
8 that 20 percent, to form that red line, which is the -
9 - that weighted average. There's a work-from-home
10 adjustment applied to sort of lift that by 5.56
11 percent and, then, it's trended forward. So, it's --
12 it's, again, I won't spend too much time on this, but
13 it just sort of provides a schematic of the -- of the
14 MPI approach towards estimating future costs. Go to
15 the next slide, please.

16 So, here's our recommendation and so,
17 we'll have a slide like this for each model as well
18 and, then, at the top, it'll have the recommendation.

19 In -- in the middle, there's sort of
20 the rationale related to the recommendation and, at
21 the bottom, the -- the -- the sensitivity of the
22 estimate.

23 So, again, our recommendation is that
24 the frequency and severity model should be fit to the
25 same time periods and -- and -- and we, you know, I'll

1 talk about why in -- in a second, but that same time
2 period is -- is, again, important because the -- the
3 two (2) metrics aren't related and -- I'm sorry, the
4 two (2) metrics are related. I'm sorry about that and
5 the result is that the lost cost trend would reduce by
6 almost a full percentage point from 1.9 -- plus 1.97
7 to plus .99.

8 MS. KATRINE DILAY: Sir, can I just
9 ask one question on this slide? You put it:

10 "It is our view that absent
11 compelling reasons, frequency and
12 severity models should be fit to the
13 same time period."

14 And so, in your view, are you saying
15 that MPI has not provided compelling reasons?

16 MR. RAJESH SAHASRABUDDHE: Right.
17 Yes. We agree that there's not -- there's not a
18 compelling reason and -- and, in fact, as we review --
19 as I review our model, in the next slide, you will --
20 you will actually sort of see where we think that
21 there's compelling reason to include the -- the
22 earlier years in the severity model. So, if we could
23 move to the next slide, please.

24 And, again, what you'll see here is
25 that we extended our severity model all the way back

1 to 2009, just as, you might remember, on the MPI
2 slide, it -- it ended at 2012 but, now, we're
3 capturing those old -- older data points.

4 And, very importantly, what you see is
5 our -- our projected model sort of runs through the
6 wave now in the bottom slide, as opposed to running
7 underneath the wave.

8 And if you think about -- or -- or I
9 think I might have made this analogy last year, but
10 these trend models are sort of like see-saws. So, if
11 it's lower on the -- on the left side, that means it
12 needs to have a higher slope or higher trend rate
13 coming out to the right, and that means that there's a
14 higher -- higher forecasted rate of change.

15 If it's -- if it's lower on the left,
16 it has to be higher on the right because it's like, as
17 I said, sort of a seesaw in the process. So again,
18 that's income replacement indemnity.

19 The next coverage is Accident Benefits,
20 Other Index, and here sort of very similarly, this --
21 again, the -- the time periods don't -- don't align.

22 And -- but -- but here there is a --
23 there's a slight difference that -- that we note here
24 where in -- in the -- in the prior coverage, the
25 income replacement and indemnity, the -- the severity

1 was sort of variable and sort of following on the same
2 -- there was little signal in those older years for
3 severity.

4 Here, actually what we see -- again,
5 and this is what we think is -- is some of the items
6 that -- of judgment in the -- that should be
7 considered in selecting the period to which trend --
8 trend models are fit -- is 2009 through 2011 are sort
9 of flattish for severity and for frequency.

10 We didn't see that for -- for severity
11 for the earlier coverage, but here they are flat. So
12 we actually think that that should be recognized, and
13 in this case, that the model should be fit to '12 and
14 subsequent rather than '09 and subsequent because it
15 does appear that the pattern has -- has changed there,
16 or there's certainly evidence that the -- in our view
17 that the pattern has changed.

18 And you'll see there's sort of -- that
19 wave feature doesn't exist in -- in this -- in the
20 lowest panel of this chart where, you know, it sort of
21 drops down at the back end.

22 So good. Again, I won't go through
23 this slide in detail. Similar construct to show you
24 sort of how the -- how the experience period is
25 weighted together and then forecast forward.

1 Very similar recommendation is -- like
2 I said, you know, just so we don't repeat this each
3 time, but that we believe that they should be fit to
4 the same time periods.

5 Slight difference here is that we do
6 recognize there's a changing pattern before and after
7 2012 so that our recommendation is to fit to '12
8 through '22. And that would result in a reduction of
9 just under, you know, nine-tenths of a percentage
10 point from 2.29 percent to 1.42 percent for the trend
11 rate.

12 Okay. For Accident Benefits Other
13 Indexed, so again, here we -- we have the -- we -- we
14 have the MPI -- the MPI models. If we could go to the
15 next slide. Oh, yeah. I'm -- I'm sorry. I think I
16 might have gone through the slide too quickly.

17 So this slide is our suggested model
18 for -- that fits to '12 and subsequent. Sorry, I
19 looked at it very quickly. I thought we'd already
20 advanced to the next coverage.

21 But again, essentially what -- what
22 you'll see there is we're suggesting that it's fit to
23 both -- it's fit to 2012 and subsequent. And you see
24 the comparison of the data and our fitted -- our
25 fitted models for this coverage here.

1 So for the -- for the non-indexed, so
2 here we actually are -- our issue is with the -- with
3 the future frequency trends, and we'll sort of
4 describe what the issue -- I'll -- I'll maybe take a
5 second to describe what the issue is here which is a
6 different issue than -- than what we've talked about.

7 You'll see that the experience periods
8 do align here. They both use all years, and so -- so,
9 you know, we're not taking issue with that.

10 But what you'll notice is that MPI has
11 observed that there's sort of a flattening of
12 frequency, so these are the points that are on the --
13 on the right side of the chart. And for that reason,
14 there's a sort of a tempering of what the future trend
15 rate is for frequency.

16 But what we believe that they didn't
17 recognize is that there's also a flattening of
18 severity that, yes, frequency may be flattening, but -
19 - but so is severity, and that only one (1) of those
20 factors was recognized to temper the negative trend on
21 frequency but not temper the positive trend on
22 severity.

23 So again, it gets at this issue where,
24 you know, these are related statistics. So you see
25 this flattening of frequency and flattening of -- and

1 -- and that sort of results in a -- in a bit of
2 flattening of severity as well.

3 And if you look at the loss cost chart,
4 other than the -- the one (1) data point for '22/'23,
5 the -- in the -- in the long term, I think we can see
6 there's a pretty evident negative -- negative trend
7 with -- again, there's variability around the -- the
8 negative trend, but -- but we view it as -- as, you
9 know, pretty compelling evidence that -- that costs
10 for this coverage are actually decreasing. Move to
11 the next slide, please.

12 Again, the -- the forward forecast
13 here. And the next slide.

14 So -- so our recommendation here is
15 that the MPI -- MPI tempers the -- the change between
16 past and future frequency trend so that there's a
17 reduction in the frequency trend from -- they -- they
18 -- the indicated trend was minus four point nine (4.9)
19 which we -- which we take no issue with.

20 But then the forward forecast is at
21 zero percent, so we find that to be too significant a
22 change to go from minus four nine (4.9) to -- to zero.
23 But we do accept that there is some flattening in the
24 frequency. However, we also recognize that there's
25 some flattening in the severity, and it's our view

1 that -- that a little bit more modest tempering is
2 more appropriate.

3 Now, this is -- this is certainly a
4 view that's informed very heavily by judgment.
5 There's no statistical analysis around this, but we do
6 view going from minus five (5) to zero as -- as just
7 being too extreme.

8 And, you know, generally, our other
9 view is that -- that the costs in this coverage are
10 decreasing. They are not -- they are not increasing.
11 So -- so to not recognize that and -- and assume that
12 -- that they -- that they've started increasing is --
13 you know, we believe doesn't result in a fair -- fair
14 and reasonable premium.

15 Bodily injury. So I won't spend any
16 time on this. You might remember this is the smallest
17 of the coverages I reviewed, and -- and we have no
18 material issues with this coverage. If you could move
19 to the next slide, please -- or two (2) slides.

20 Again, part -- part of -- part here is
21 the -- the use of the word "material." It's small
22 coverage, so you'd need a very large change to make a
23 material -- material difference, and -- and we weren't
24 able to identify any recommended changes that -- that
25 would do so.

1 Okay. Collision. So collision again,
2 as we might remember, is -- is the largest coverage,
3 representing almost 60 percent of the loss cost. So -
4 - so again, this is where the small differences are --
5 are somewhat more material.

6 So here, we -- we don't have an issue
7 with the -- the commonality of the experience periods
8 that I'll see -- that -- that I'll mention, but we
9 have this other issue which I mentioned at the outset
10 about this disjoint model on the severity side.

11 So you'll see what MPI did was they,
12 essentially, fit two (2) different models, one through
13 2020 and then one that recognizes the higher level of
14 inflation, the -- the model in red in the middle panel
15 that has a higher trend rate for the post-2020
16 experience.

17 And -- and we believe that there should
18 be a single model that sort of recognizes that, and
19 I'll -- I'll describe how we get there as -- as we
20 look at our alternative model.

21 So again, we won't go through this in
22 detail, just again a schematic of a -- of -- of the
23 forward forecast. Okay. So again, we have no issue
24 with the collision frequency model. I'm going to
25 spend a little bit more time on this than I did with

1 the over coverages, again just recognizing the
2 materiality of the coverage.

3 But there's a -- the severity model for
4 post-2020 essentially just captures the change over
5 three (3) data points, and -- and again, those are
6 data points that are observations and -- and have some
7 uncertainty to them, and so that the -- the predictive
8 value of the underlying model that's fit to it is --
9 is relatively low because there's no separation of
10 data into sort of signal and noise and that, again, we
11 -- we asked MPI about -- you know, about this -- about
12 this issue, and -- and they provided, you know, their
13 rationale for why it's a more reasonable approach.

14 We -- one (1) of the issues that --
15 that we didn't identify but I believe it was in the --
16 the PUB IRs on our evidence was the -- the idea that
17 the model produces a disjoint -- the -- the trends are
18 disjoint between that -- if we -- if we could go back
19 -- I'm sorry -- two (2) slides. Yes.

20 So in that middle panel, the -- the
21 blue line and the red line don't intersect, so it's
22 not -- it's not a continuous model, and so -- so you
23 get this -- this disjoint value for 2020.

24 So that was actually identified in the
25 -- in -- in the Board's Information Request. I think

1 we -- I think we recognized it but just didn't --
2 didn't call it out as a weakness in -- in the
3 approach, so. I'm sorry, if we could move back.

4 So what we're suggesting is that there
5 should be a separate time parameter. So this is the -
6 - the fourth bullet here. And the resulting trend
7 rate would be 9.38 percent. I think that was a value
8 that was corrected in the -- in MPI Exhibit 50. And -
9 - and I'll -- it's a model that we suggest and that
10 we'll -- I'll review on the next slide.

11 And that we -- we think MPI's approach
12 to future inflation is reasonable. So that's
13 actually, you know, quite an important assumption
14 because, as we know, inflation is sort of generally
15 coming down and, you know, how quickly is -- is quite
16 important to recognize.

17 And if we were to implement our model,
18 there's a very slight reduction in the past trend rate
19 of, you know, just -- just from 3.92 to 3.91 but a
20 somewhat more significant reduction of over a point in
21 the post 2020 trend rate.

22 And again, if you image that that's
23 compounding for two (2) years, that's a few percentage
24 points on a large coverage. So, again, that's
25 probably the -- creates a little bit more materiality

1 than -- than you might have for a change to bodily
2 injury, for example. So if we could move to the next
3 slide.

4 So here you see that model. Again, I
5 won't go through the technical details, and I'm sure
6 the Board's actuary sort of described that
7 sufficiently. But our severity model is sort of one
8 (1) continuous model that's not disjointed, 2020, and
9 sort of has an approach to capture the higher levels
10 of -- of trends starting with 2020.

11 So we acknowledge that there's a higher
12 level of inflation for 2020. It's more how you model
13 that and how you capture the signal out of the -- the
14 data related to -- you know, to the higher levels of
15 inflation.

16 And again, I'll -- I'll just sort of
17 mention again just because this is the most -- the --
18 the largest coverage. In the very lowest panel you'll
19 -- you'll see that the 2020 loss cost is better than
20 long-term fitted experience and 2021 is worse.

21 Again, that gets back to our -- our
22 friend, the accident year weights issue, where the
23 2020 experience is excluded, but the 2021 experience
24 is included.

25 Okay, comprehensive. Yes?

1 MS. KATRINE DILAY: I think you
2 referred to MPI Exhibit 50 as being the corrected
3 numbers --

4 MR. RAJESH SAHASRABUDDHE: Seventy?

5 MS. KATRINE DILAY: -- I believe.
6 Yeah.

7 MR. RAJESH SAHASRABUDDHE: Sorry.

8 MS. KATRINE DILAY: Thank you. So I
9 think that it was MPI Exhibit 70 --

10 MR. RAJESH SAHASRABUDDHE: Okay.

11 MS. KATRINE DILAY: -- for the record
12 and for reference.

13 MR. RAJESH SAHASRABUDDHE: Okay. No,
14 thank you for that. I -- I confuse -- I confuse those
15 -- I think the -- on the exhibit title. Okay.

16 So comprehensive. So, again, here MPI
17 actually does use sort of a common model to pick up 20
18 -- the time period's common for frequency and
19 severity, and so -- so we don't have that issue.

20 But -- but the issue that we do have is
21 that the model is picking up that -- that inflation
22 that's on the right side and sort of creating a
23 heavier trend rate than -- than we think is
24 appropriate.

25 And we understand why MPI did that.

1 They didn't want to include the pre-2016 and prior
2 data because it was -- you know, it reflects a CERP
3 and a management change on -- on the severity.

4 But -- but we think there's other --
5 better ways of -- of sort of understanding that
6 there's a change in inflation rates sort of starting
7 in 2020 and this change in management approach
8 starting in '16/'17. So I'll review sort of our --
9 our recommendation on how to do that when we get to
10 our slide. Move forward one (1) more slide.

11 So -- so our recommendation is to
12 recognize the longer term severity trend using a model
13 with a 2017 scalar. I'll explain what that means when
14 we -- when we review the -- the trend chart on the
15 next -- on -- on the next sheet.

16 And that the result is that the pre-
17 2020 loss cost trend reduces from plus 79 to plus
18 4.46, but the post-2020 increases from plus 79 to
19 13.61, so we think it's a -- so it's not -- it is
20 actually going to create a higher loss cost trend, but
21 -- but we think that that's appropriate to pick up the
22 higher level of inflation for 2020 and subsequent. So
23 if we could move to the next slide.

24 And you -- you can see that in the
25 middle panel, our recommended approach. So what the

1 scalar does is it creates that drop between 2016 and
2 2017. So that's what the reference to the 2017 scalar
3 is.

4 So what we, essentially, see is that
5 severity is -- is generally flat, you know, subject to
6 some variability, really -- yes, from 2009 to 2020,
7 with the exception of a -- of a onetime adjustment
8 that -- that results from the noted management and
9 CERP changes.

10 And then in 2020 the inflation is
11 higher -- or the trend is higher as underlying
12 inflation increased.

13 So we think this is a better approach.
14 And again, it produces a lower estimate of loss cost
15 trend which, again, is the combination of frequency
16 and severity, for pre-2020 but actually produces a
17 higher estimate of -- of inflation for 2020 and
18 subsequent.

19 Okay. So there's various third-party -
20 - third-party -- I'm sorry -- property damage sub-
21 coverages, so I'm going to try to go through those
22 quickly. And again, there's -- in general, they're
23 not new issues here, they're repeats of issues, so I
24 won't try to dwell on them too much.

25 Here the experience period is common,

1 but you have this here, that disjoint nature of the
2 blue and red line in the middle panel is a little bit
3 more evident.

4 MS. KATRINE DILAY: And, sir, that was
5 the same issue that we saw earlier but where that
6 disjoint was maybe a little bit harder to see on the
7 screen before us?

8 MR. RAJESH SAHASRABUDDHE: Correct.
9 Yes. Thank you. Okay. So the next slide, again,
10 sort of how the -- the projection works. Again,
11 you'll note the quite good experience for 2020 here.

12 So -- and, in our -- our -- you know,
13 our suggested approach is, again, to use a single
14 model with a common experience period that is for 2013
15 and subsequent.

16 So, while we are recommending a common
17 experience period, it does differ from the experience
18 period that -- that MPI -- that MPI adopted, which
19 goes all the way back to 2009.

20 So here, again, this -- this idea of
21 compelling evidence to use something different, we
22 reflect that in the fourth bullet point where we
23 believe that there's a change in trend beginning in
24 2013 and, in particular, a more negative trend
25 emerging between '13 and '20 for both frequency and

1 severity, and we'll show those graphically on the next
2 slide.

3 But just to sort of conclude on this
4 slide, the -- the result is that the pre-'20 past loss
5 cost trend reduces from minus 29 to minus .7 -- minus
6 7.04. The post-2020 past loss cost trend is -- is
7 essentially unchanged but -- but a slight reduction.

8 And then there is a reduction in the
9 future loss cost trend, as well, from .74 to .06
10 percent. If we could move forward.

11 So here's -- here's where we see sort
12 of the -- if you see what's happening on severity and,
13 again, remembering these aren't independent
14 statistics, severity was going up, but now there's
15 sort of a pretty compelling negative trend until you
16 get to the inflationary period.

17 And then for frequency, again, that --
18 when -- when severity was rising frequency was, you
19 know, somewhat flatter, but both trends have sort --
20 sort of somewhat changed at 2013, and we believe that
21 should be recognized through the -- through the
22 selection of the experience period.

23 Okay, third-party deductible transfer.
24 So here the -- the one (1) item that I will comment on
25 is that what you see in the severity model, again, the

1 -- the experience periods are -- are not exactly the
2 same here, 9 through 22 versus 10 through 22.

3 But what you see on -- on the severity
4 model is that the -- the data points to the left are
5 all below the line and most of the data points to the
6 right are above the line until you get to 2018.

7 So, this is what we call, sort of a --
8 a pattern of residuals, meaning that it -- the model
9 is consistently over predicting or under predicting in
10 a certain region. So, that's something that we
11 generally try to avoid.

12 So, again, the -- the -- the forward
13 forecast and then the -- the trend findings and
14 conclusions is, again, we suggest that a common
15 experience period of '14 and subsequent and this
16 actually results in a -- a slight increase in the loss
17 costs trend of 1.72 percentage points from minus one
18 point seven two (-1.72) to -- to zero (0) and, again,
19 that's largely because we see a -- a sort of a flatter
20 trend for '14 and -- '14 through 2020. So, we can go
21 to the next slide please.

22 You know -- the -- you -- we -- we see
23 sort of, again, as -- as it was with the prior slide,
24 we see sort of the new pattern for '14 through '20 and
25 -- and that's why we believe that's the appropriate

1 experience period, even though it does result in
2 slightly higher trend rates than MPI is proposing.

3 The Property Damage Other, again, we --
4 we present the MPI models. The -- the experience
5 periods aren't -- aren't the same here. If we could
6 move forward here, one more.

7 So, we're suggesting here to use a
8 common experience period of 2009 through 2022 for both
9 frequency and severity and -- and as a result the loss
10 cost trend would reduce from -- I'm sorry, would
11 increase from -- from point -- plus 2.22 percent to
12 plus 2.94 percent. Go to the next slide, please.

13 And -- and here's the graphical
14 representation of -- of using -- of using all those
15 data points.

16 Okay, so that was really the -- the
17 bulk of the issues, so -- I know I took a -- a bit
18 longer than I had hoped to on that. I'm going to try
19 to get through the -- the rest of the issues
20 relatively quickly because we don't really have
21 significant issues with what MPI has done here.

22 So, vehicle counts is a projection of -
23 - of future vehicle -- of future growth in the -- in
24 the -- the number of insured vehicles. Again, where -
25 - there is some -- we have some concerns about the

1 2021 observation of 2.8 percent change, that's a
2 little bit unusual and -- and there -- there is some
3 concern that potentially higher levels of immigration
4 will drive a different forecast on that.

5 But, our only recommendation here is
6 that this is something to be monitored. We have no
7 issue with -- with what -- with what MPI has done.
8 Move to the next slide, please.

9 So, expenses -- I'm going to go through
10 these relatively quickly too. So, it's important to
11 recognize that we're not suggesting that the expenses
12 are appropriate.

13 So, we're not saying that MPI is
14 spending money appropriately. All we're trying to
15 evaluate is whether the amounts that they are spending
16 are reflected in the rate level.

17 So, the -- so I want to make sure that
18 those two (2) issues are -- are kept separate.
19 There's -- I -- I know other experts that have talked
20 about the appropriateness of the expenses themselves.

21 And -- and I'm going to talk about just
22 -- just one issue on expenses because I -- I know it's
23 of the Board's interest, which is the unallocated
24 expense provision of 18 percent.

25 While we recognize that this is

1 somewhat higher than we see with other commercial rate
2 filers and with -- and other Crown corporations, I --
3 I will note that -- that companies classify
4 unallocated and allocated expenses differently.

5 So, it's hard to have a really good
6 benchmark around that. And all we've -- all we've
7 sort of observed is that the -- what -- what is in the
8 rate for unallocated expenses is -- is consistent with
9 what's being spent. Again, not -- not a commentary on
10 whether -- what's being spent is -- is appropriate or
11 not.

12 So, I'm not going to spend too much
13 time on these. You -- you can go through them but,
14 again, the conclusion is that we have no material
15 issues and that the expense provisions are reasonable.

16 Okay. So, just at -- at a high level,
17 the alternative assumptions we -- we sort of list them
18 here and -- and then as -- as a result, you know,
19 we're suggesting that the alternative rate level
20 indication is at minus three point five eight (-3.58),
21 again, prior to the October revision.

22 So, you know, it might be closer to
23 minus 5 percent with the -- with the October revision
24 and -- and -- and you'll see that our estimates -- our
25 -- our replication of the MPI model would result in an

1 estimated required premium of -- of, you know, eight
2 hundred and eight dollars (\$880) versus the nine
3 hundred and ten dollars (\$910) or, you know, roughly a
4 thirty dollar (\$30) difference on average for a rate
5 payer.

6 And here are the components. You'll --
7 you'll note again that the accident year weights is --
8 is by far the most material issue. The others are --
9 are sort of, you know, much smaller but -- but we did
10 want to, you know, provide our views as to where we
11 thought alternative assumptions were more appropriate,
12 including coverages were -- for which we thought, the
13 alternatives -- assumptions would actually produce a
14 slight increase in the rate.

15 MS. KATRINE DILAY: And, sir, just to
16 confirm what you're referring to here, it would be the
17 -- the bottom two (2) alternative assumptions are --
18 are positive and then the rest are negative.

19 And then the -- the total of that is
20 your overall rate recommendation.

21 MR. RAJESH SAHASRABUDDHE: Correct.
22 Correct. Thank you.

23 Okay. So, merit rating and the -- the
24 DSR program. So, here we describe -- yeah, I'm not
25 going to go through this in -- in a lot of detail, but

1 I -- I really just want to identify one feature of
2 MPI's modeling which is sort of a -- a concern for us
3 going forward. It's not a concern in the cart piling
4 because they haven't moved all the way to -- to the
5 actuarial indications.

6 But, the way MPI sort of fits this
7 model, is they view -- they view the DSR level as --
8 as what's referred to a continuous variable. Where --
9 view -- we view it as a categorical variable.

10 And you might recall we have a -- some
11 -- an analogy in our -- in our report which is
12 categoric -- an ordered categorical variable -- it
13 might be something like level of education, so,
14 completion of a high school education versus
15 undergraduate college versus, you know, postgraduate
16 college. Where each step doesn't imply a -- the same
17 level of change in income or, you know, other
18 measures, you know, health -- well, however, you may
19 look at it.

20 These are -- they're ordered in the --
21 the one level of education implies more education than
22 the other but -- but they're not -- but they're not
23 equivalent steps.

24 And, in comparison, you might think of
25 kilometers driven as a continuous variable, where --

1 if you drive 10 percent more, you might be 10 percent
2 more likely to have an accident that year.

3 So, the two (2) sort of correspond,
4 essentially, one to one, where on -- on -- on DSR --
5 on a -- on an ordered categorical variable, that's not
6 the case. So, if we could just move to the next
7 slide.

8 So, again, we have some suggestions as
9 to -- as to how MPI might be -- might consider that,
10 but really our focus on this one was we just confirmed
11 that MPI did follow the Board's direction and moving
12 between the current and indicated relativities and,
13 again, we're identifying an issue for the -- for
14 potentially for the future when they're able to move
15 all the way to the -- to the relativities.

16 But, again, we also understand there's
17 a transition to a GLM model that might address this
18 issue as well.

19 And then, just on the next slide, we
20 sort of present graphically what the issue is. So MPI
21 presents their chart and I -- I do forget what the
22 reference is -- maybe I -- gee, I don't have it -- out
23 of the GRA, which is the chart on the left, which we
24 replicated.

25 And, essentially, what you see is that

1 -- you know, there's this -- there's a fitted line,
2 but it's also on what's called the -- a linear scale
3 and I talked about this last year about linear scales
4 and -- and log scales.

5 But, what happens is if -- if you look
6 on the left, for example, when you -- if -- if you
7 were to miss by half a point and the -- the scale is -
8 - is around three (3), then it's more than a 10
9 percent miss, where if you -- if you were not -- not
10 that this is happening, but if you were to miss by a
11 half a point on the right, where it's around point
12 seven five (.75) it becomes a -- a -- you know, more
13 significant miss of -- yeah -- 65 or 66 percent, 67
14 percent.

15 So, we prefer sort of charting these on
16 a log scale where the differences are -- are -- are
17 more equivalent in percentage terms and really our
18 concern here -- that we wanted to -- to raise to MPI,
19 was that if you follow through on the indicated -- on
20 -- on their approach to smoothing the relativities,
21 the indicated relativities on the right side, which is
22 where most of the drivers are, the -- at the -- at the
23 higher DSR levels, higher positive DSR levels, the
24 model will under predict -- will under -- under
25 predict the required premiums.

1 So, there's, again, a concern that
2 potentially those drivers will pay too little at the
3 expense of -- of other drivers paying too much and,
4 again, it -- what we're trying to show is that through
5 the use of the log scale is that the -- that the --
6 that the differences actually on the right side are --
7 are in reality, actually bigger than the differences
8 on the left side, but -- but you don't sort of
9 appreciate that when -- when you have it on the linear
10 scale.

11 And, again, they're sort of consistent
12 where all of the -- you know, the higher rated drivers
13 would actually, in theory, pay -- pay too little.

14 And the final item, again, that I'll
15 try to go through quickly is just prior period run-
16 off. We -- we don't have any significant issues here,
17 but one of the Board's issue -- issues was to try to
18 review how the prior period estimates of run-off, you
19 know, the -- the -- they're, obviously, not perfect,
20 you know. There's going to be actual experience,
21 whether it comes to weather or just random -- other
22 random noise, in terms of frequency and severity.

23 So, they're not exactly the same, but -
24 - but we didn't identify any glaring issues on this
25 and -- and that brings me to the end.

1 I think I went about half an hour
2 longer than I had hoped, but we do have our
3 biographies. Again, there's a team of three (3) of us
4 that are sort of the senior team. We have a total
5 team of about seven (7) people that -- that work on
6 Canadian regulatory work, but the -- the three (3)
7 more senior are -- are my colleagues, Paul Elliot and
8 -- and Chris Schneider and -- and -- and myself and --
9 and, you know, we're responsible for developing this
10 report and -- and, as I said, we provide services to
11 public stakeholders and rate regulation in every
12 province -- every border province, except for Quebec
13 and PEI and -- and, in many of those provinces, we
14 work directly for the regulator. For example,
15 Alberta, Ontario, Newfoundland, and Nova Scotia.

16 So, you know, we -- we -- we review
17 about -- we try to estimate it because, again, it's
18 hard to -- you can count filings differently because
19 one -- one company may provide a filing that includes
20 several classes: commercial, personal, and they --
21 they, generally, provide those as separate filings in
22 other provinces and one insurer group may have several
23 underwriting companies.

24 So, it's -- it's a little bit hard to -
25 - to count on a consistent basis but -- but we believe

1 -- our estimate is we review about seventy-five (75)
2 filings a year, between the three (3) of us and -- and
3 supporting team, and, so, the observations that we've
4 provided today are -- are really based on -- on that
5 experience and, as well as, certainly, a detailed
6 review of the items within our scope of the MPI
7 filing.

8 PANEL CHAIRPERSON: Thank you very
9 much, Mr. Sahasrabuddhe. Ms. Dilay, I think we might
10 take the morning break now and give your witness an
11 opportunity --

12 MR. RAJESH SAHASRABUDDHE: Thank you.

13 PANEL CHAIRPERSON: -- have a drink of
14 water and come back at quarter to 11:00, please.

15

16 --- Upon recessing at 10:33 a.m.

17 --- Upon resuming at 10:49 a.m.

18

19 PANEL CHAIRPERSON: Thank you. Ms.
20 Dilay...?

21 MS. KATRINE DILAY: I don't have any
22 further questions for Mr. Sahasrabuddhe.

23 PANEL CHAIRPERSON: Thank you. Mr.
24 Guerra...?

25 MR. ANTHONY GUERRA: Thank you, Madam

1 Chair.

2

3 CROSS-EXAMINATION BY MR. ANTHONY GUERRA:

4 MR. ANTHONY GUERRA: Good morning, Mr.
5 Sahasrabuddhe. Hopefully I pronounced your name
6 right.

7 MR. RAJESH SAHASRABUDDHE: Close
8 enough, thank you.

9 MR. ANTHONY GUERRA: I will try my
10 best again, and thank you again for participating in
11 this Rate Application hearing and for your evidence
12 this morning.

13 And if you recall, we had a similar
14 conversation this time last year, and I understand
15 that, in the context of the 2023 GRA, you prepared a
16 report and presentation. Do you recall that?

17 MR. RAJESH SAHASRABUDDHE: On the 2023
18 GRA?

19 MR. ANTHONY GUERRA: Yeah.

20 MR. RAJESH SAHASRABUDDHE: Yes.

21 MR. ANTHONY GUERRA: And that would
22 have been a report dated October 7th, 2022, filed in
23 the Rate Application of 2023, correct?

24 MR. RAJESH SAHASRABUDDHE: I don't
25 recall the exact -- exact date, but -- but I'll accept

1 that, certainly.

2 MR. ANTHONY GUERRA: And actually, Ms.
3 Schubert has anticipated my line of questioning and
4 has put that -- that report onto the screen.

5 Do you see that there, sir?

6 MR. RAJESH SAHASRABUDDHE: I do.

7 MR. ANTHONY GUERRA: And this would
8 have been your -- your presentation from last year --
9 or your -- your report from last year, I should say?

10 MR. RAJESH SAHASRABUDDHE: Yes.

11 MR. ANTHONY GUERRA: And in addition
12 to your report, just like this year, we also received
13 a presentation from you in the 2023 GRA dated November
14 3rd, 2022. Is that correct?

15 MR. RAJESH SAHASRABUDDHE: Yes.

16 MR. ANTHONY GUERRA: And Ms. Schubert
17 has again put up there CAC Exhibit number 6, the
18 presentation from last year's GRA.

19 And -- and do you see that there, sir?

20 MR. RAJESH SAHASRABUDDHE: I do.

21 MR. ANTHONY GUERRA: And if we can go
22 to slide number 9 of the presentation, please. And in
23 that context, Oliver Wyman had reviewed MPI's forecast
24 -- claims forecast, rather -- for coverage and peril
25 to determine whether its forecasts were potentially

1 too conservative or too optimistic.

2 Do you see that?

3 MR. RAJESH SAHASRABUDDHE: I do.

4 MR. ANTHONY GUERRA: And if we can go
5 to the next slide, slide 10 there, yeah.

6 We see that over the last two (2)
7 slides I've just shown you there were twenty (20)
8 different coverages that were examined by Oliver Wyman
9 last year, correct?

10 MR. RAJESH SAHASRABUDDHE: So on -- on
11 slide 10, I guess ten (10) has the comprehensive by
12 peril. Is that -- is that what the reference to
13 twenty (20) is?

14 MR. ANTHONY GUERRA: Yeah. So it'd be
15 the total of the -- and subject to check --

16 MR. RAJESH SAHASRABUDDHE: Oh, I see.

17 MR. ANTHONY GUERRA: -- right? So
18 it'd be the total of the slides 9 and 10.

19 MR. RAJESH SAHASRABUDDHE: Okay.
20 Yeah, I'll accept that.

21 MR. ANTHONY GUERRA: And it -- and it
22 reviewed each coverage in terms of both the frequency
23 trend and the severity trend, correct?

24 MR. RAJESH SAHASRABUDDHE: Correct,
25 yes.

1 MR. ANTHONY GUERRA: And using the two
2 (2) slides, the -- the table that we see where Oliver
3 Wyman had a material issue with MPI's forecasts, it
4 marked an 'X' to indicate its -- its concern, correct?

5 MR. RAJESH SAHASRABUDDHE: Yeah. I
6 don't recall it specifically, but -- but I -- I'll
7 accept that, certainly.

8 MR. ANTHONY GUERRA: Okay. And when
9 it found there to be a concern, the concern was that
10 the forecast was either too conservative or -- or too
11 optimistic. Would you agree with that?

12 MR. RAJESH SAHASRABUDDHE: Yes.

13 MR. ANTHONY GUERRA: And would you
14 agree at a high level that a conservative forecast
15 means that MPI is predicting that the frequency or
16 severity of the claim for a particular coverage or
17 peril will be worse than what Oliver Wyman believes is
18 reasonable, based upon its own analysis?

19 MR. RAJESH SAHASRABUDDHE: Yes.

20 MR. ANTHONY GUERRA: And so
21 forecasting with too much conservatism could result in
22 MPI over-collecting from ratepayers.

23 Would you agree with that?

24 MR. RAJESH SAHASRABUDDHE: I would,
25 yes.

1 MR. ANTHONY GUERRA: And conversely
2 then, forecasting with too much optimism could result
3 in MPI under-collecting from ratepayers.

4 MR. RAJESH SAHASRABUDDHE: Yes.

5 MR. ANTHONY GUERRA: So in 2002 (sic)
6 -- so last year, with respect to the 2023 GRA -- you'd
7 agree with me, sir, that Oliver Wyman's evidence was
8 not that MPI was being too optimistic with any of its
9 forecasts, correct?

10 MR. RAJESH SAHASRABUDDHE: That's my
11 recollection, yes.

12 MR. ANTHONY GUERRA: In other words,
13 Oliver Wyman's concern was -- was not that MPI was in
14 danger of under-collecting from its ratepayers based
15 on its forecasts, correct?

16 MR. RAJESH SAHASRABUDDHE: Yes.

17 MR. ANTHONY GUERRA: You'd agree with
18 me, sir, that no forecast that we -- we talk about in
19 -- in this hearing is likely to be 100 percent
20 accurate, correct?

21 MR. RAJESH SAHASRABUDDHE: Yes, that's
22 correct.

23 MR. ANTHONY GUERRA: And in fact,
24 forecasting is almost guaranteed to be inaccurate,
25 correct?

1 MR. RAJESH SAHASRABUDDHE: Right.
2 It's an estimate of -- of the future, and the future
3 will necessarily differ from -- from that estimate.

4 MR. ANTHONY GUERRA: Right. And so
5 the question that we have to wrestle with is: By how
6 much will the forecasts be accurate, and will it be
7 inaccurate above or below the actual figure, correct?

8 MR. RAJESH SAHASRABUDDHE: If you're
9 referring -- if you're referring to one forecast
10 versus another, I guess that's correct, not -- one (1)
11 forecast in isolation I guess would be viewed as being
12 -- you know, in the view of -- of that forecaster as
13 being the -- the best estimate, not -- not an idea of
14 above or below.

15 MR. ANTHONY GUERRA: And that's
16 probably a good point to -- to discuss at this stage
17 now.

18 So when we have these individual
19 forecasts, you'll agree that, in some cases, the --
20 the estimate for frequency or severity of a particular
21 coverage might be too conservative, correct? It's a
22 possibility.

23 MR. RAJESH SAHASRABUDDHE: Yes.

24 MR. ANTHONY GUERRA: And in other
25 cases, it might be too optimistic, another forecast

1 for another coverage?

2 MR. RAJESH SAHASRABUDDHE: I guess I
3 just want to understand. Are you referring to in
4 hindsight or -- so in hindsight, is it too optimistic
5 or conservative, or at that time was the estimate too
6 optimistic or conservative?

7 MR. ANTHONY GUERRA: In -- in
8 hindsight. When you're reviewing it afterwards, you
9 would realize only at that time of the conservative or
10 optimistic nature of the -- the forecast, correct?

11 MR. RAJESH SAHASRABUDDHE: Correct.

12 MR. ANTHONY GUERRA: And so
13 individually, you may have a forecast that's
14 optimistic or conservative in hindsight.

15 But you would agree with me, sir, that
16 it's important to look at all of the -- the forecasts
17 for all of the coverages in its totality to determine
18 whether or not the overall forecast is either
19 optimistic or conservative, in -- in too much either
20 of those directions, correct?

21 MR. RAJESH SAHASRABUDDHE: Yes, I -- I
22 would agree with that, yes.

23 MR. ANTHONY GUERRA: And -- and so
24 appreciating that no forecast is likely to be 100
25 percent accurate, you would agree with me, sir, that

1 the Public Utilities Board should -- should look at,
2 and be mindful of, all of the forecasts that -- that
3 MPI issues in terms of its ratemaking, correct?

4 MR. RAJESH SAHASRABUDDHE: By that,
5 you mean the forecasts for each coverage? Is that --
6 is that the --

7 MR. ANTHONY GUERRA: Correct.

8 MR. RAJESH SAHASRABUDDHE: Yeah. So -
9 - yes. We -- we -- as -- as we did last year and as
10 we have done this year, we've provided commentary on
11 each component of the -- the forecast.

12 It was easier to do because there
13 weren't twenty (20) of them this year, but -- which we
14 again believe is an improvement. But -- but, yes, it
15 should be viewed in totality.

16 MR. ANTHONY GUERRA: And, Ms.
17 Schubert, if you can pull up the Oliver Wyman
18 presentation from this morning, and if we can go to --
19 oh, sorry, I'll just give you a moment there -- slide
20 number 78, please.

21 My Friend had mentioned this earlier in
22 -- in response to some of your evidence, but the --
23 the last two (2) lines there for comprehensive trend
24 and property damage trend, the -- the alternative
25 assumptions would result in an increase in the overall

1 rate level indication based on the evidence of Oliver
2 Wyman, correct?

3 MR. RAJESH SAHASRABUDDHE: Yes, that's
4 correct.

5 MR. ANTHONY GUERRA: And so in looking
6 at all of the -- the different trends forecasted by
7 MPI, there were some instances where Oliver Wyman
8 would say that the forecast used by MPI was -- was too
9 optimistic.

10 MR. RAJESH SAHASRABUDDHE: Yes, by --
11 by a small amount, but yes.

12 MR. ANTHONY GUERRA: And so you would
13 agree with me, sir, that one way to determine whether
14 a forecast is reasonable is to employ various
15 statistical tests to compare the results to those
16 proposed by MPI, and then to conduct an 'eye test' to
17 determine if the modelling looks like an accurate
18 prediction of past and future, correct?

19 MR. RAJESH SAHASRABUDDHE: I'm sorry.
20 Could -- could you restate that? There were a couple
21 of parts to that question, so --

22 MR. ANTHONY GUERRA: Sure. I can
23 break it down for you. My apologies, and I'll try not
24 to talk over you as well.

25 So one (1) way to determine if a

1 forecast is reasonable is to employ various
2 statistical tests and to compare the results of those
3 tests to an 'eye test' to determine if the modelling
4 looks like an accurate prediction of the past and
5 future, correct?

6 MR. RAJESH SAHASRABUDDHE: Yes, I
7 would agree with that.

8 MR. ANTHONY GUERRA: And where Oliver
9 Wyman proposes an alternative forecast, is it fair to
10 suggest that what Oliver Wyman is actually saying is
11 that MPI's forecasts are not reasonable?

12 MR. RAJESH SAHASRABUDDHE: What we're
13 saying is we believe that our forecast is a more
14 reasonable estimate than that's -- than that put
15 forward by MPI.

16 MR. ANTHONY GUERRA: So not
17 necessarily that MPI's forecast is not reasonable, but
18 that there's a better alternative.

19 Is that fair to say?

20 MR. RAJESH SAHASRABUDDHE: Correct,
21 because ultimately the ratepayer pays a single rate,
22 so what's the more -- most appropriate rate is what
23 we're trying to put forward.

24

25

(BRIEF PAUSE)

1 MR. ANTHONY GUERRA: And so if we can
2 bring CAC Exhibit number 5, please, the Oliver Wyman
3 report from September. Thank you. And if we can go
4 to page 36, at the very bottom of page 36, we see the
5 line at the bottom there:

6 "Following MPI's general methodology
7 in determining the average rate
8 levels -- rate level, rather --
9 needed -- needs, but with
10 alternative assumptions, judgments,
11 and calculations that we believe are
12 more appropriate, we estimate the
13 total 2024/'25 rating year loss cost
14 [if you can go down to page 37,
15 please] provision of six hundred and
16 seventy-nine point nine five
17 (\$679.95), 4.26 percent less than
18 MPI's estimate -- estimate rather of
19 seven hundred and ten dollars and
20 eighteen (\$710.18) cents."

21 Do you see that?

22 MR. RAJESH SAHASRABUDDHE: I do.

23 MR. ANTHONY GUERRA: And so the seven
24 hundred and ten dollars and eighteen (710.18) cents,
25 that's the total pure premium, correct?

1 MR. RAJESH SAHASRABUDDHE: Yes.

2 That's often referred to as a pure premium.

3 MR. ANTHONY GUERRA: And if we can go
4 to the 2024 GRA, the rate indication chapter, please,
5 at page 9. Perfect. Figure RI-1.

6 So this shows the MPI total pure
7 premium of seven hundred and ten (710). Actually, if
8 you can go down to line 4 underneath this figure,
9 please. That's right.

10 So that shows how that pure premium is
11 calculated, correct?

12 MR. RAJESH SAHASRABUDDHE: Yes.

13 MR. ANTHONY GUERRA: And so what we
14 see here is we see this large figure of \$909 million
15 divided by another large figure of 1.2 million to
16 equal the seven hundred and ten and eighteen
17 (\$710.10), correct?

18 MR. RAJESH SAHASRABUDDHE: Correct.
19 Yes.

20 MR. ANTHONY GUERRA: And that 1.28
21 million number, that's the total insured units for
22 2024/'25, correct?

23 MR. RAJESH SAHASRABUDDHE: The
24 forecast insured units, yes.

25 MR. ANTHONY GUERRA: Yes. I

1 appreciate that clarification. And the 909 million at
2 line 4, we also see it above in the figure at line 17.

3 Do you see that?

4 MR. RAJESH SAHASRABUDDHE: I do.

5 MR. ANTHONY GUERRA: And so that's the
6 total claims incurred amount that MPI is estimating,
7 correct?

8 MR. RAJESH SAHASRABUDDHE: Yes, the --
9 yes, the -- again, the forecast claim amount, yes.

10 MR. ANTHONY GUERRA: So, if we took
11 Oliver Wyman's total pure premium and multiplied it by
12 the 1.28 million at line 2 there, what we would see is
13 that we would get a sum of \$871 million, roughly
14 speaking?

15 MR. RAJESH SAHASRABUDDHE: Yeah, I'll
16 -- I'll accept that. I haven't done the math, but --
17 but I'll accept that.

18 MR. ANTHONY GUERRA: And so the
19 difference between the Oliver Wyman incurred claims
20 estimate and the MPI incurred claims estimate would be
21 approximately \$38 million subject to check, correct?

22 MR. RAJESH SAHASRABUDDHE: Yes.

23 MR. ANTHONY GUERRA: And so, based
24 upon just that -- that calculation, I appreciate some
25 of the -- the numbers are changing based upon the

1 October update, but Oliver Iman -- Wyman rather is --
2 is saying there is its opinion is MPI needs
3 approximately \$38 million less than MPI believes to
4 cover the cost of claims for the 2024/'25 rating
5 period?

6 MR. RAJESH SAHASRABUDDHE: Yes, that's
7 correct.

8 MR. ANTHONY GUERRA: And if we can go
9 to rate indication, Appendix 3, please. So page 9
10 should be Table 1. Thank you, Ms. Schubert.

11 And so what we see here at this table
12 is a summary of all of the coverages that are
13 identified in -- in your report, correct?

14 MR. RAJESH SAHASRABUDDHE: Yes.

15 MR. ANTHONY GUERRA: And so the far
16 right column under the "total" line there we see that
17 \$909 million that we talked about from figure RI-1,
18 correct?

19 MR. RAJESH SAHASRABUDDHE: Yes.

20 MR. ANTHONY GUERRA: And if we look
21 along the bottom line, what we see here are the
22 calculations that get us from the undiscounted
23 ultimate claims by accident year in column 1 to the
24 final column 12, the 909 million, correct?

25 MR. RAJESH SAHASRABUDDHE: Yes.

1 MR. ANTHONY GUERRA: And so the
2 starting point, the undiscounted ultimate claims by
3 accident for 2024/'25, is -- that's the \$896.5
4 million, correct?

5 MR. RAJESH SAHASRABUDDHE: Yes.

6 MR. ANTHONY GUERRA: And then for
7 2025/'26, the undiscounted ultimate claims by accident
8 year is the 920 -- 930 rounded up --

9 MR. RAJESH SAHASRABUDDHE: Yes.

10 MR. ANTHONY GUERRA: Thank you. Ms.
11 Schubert, if I can ask you to pull up MPI Exhibit
12 number 64, the claims forecasting presentation.

13 And just to confirm before we go
14 through this, Mr. Sahasrabuddhe, have you had a chance
15 to review this?

16 MR. RAJESH SAHASRABUDDHE: I have not,
17 no.

18 MR. ANTHONY GUERRA: Okay. I'm going
19 to ask Ms. Schubert, can you turn to slide 16, please.

20 So MPI witnesses presented earlier last
21 week on this particular issue, which is the Basic
22 ultimate claims. And just confirm, we talked about
23 the 96.5 and the 930 being the -- the ultimate claims
24 discount for the accident years.

25 And you see those two (2) numbers there

1 for 2024/'25 and '25/26, correct?

2 MR. RAJESH SAHASRABUDDHE: Yes. I --
3 I don't recall the numbers from the other exhibit, but
4 I'll accept that they're -- they're the same as --

5 MR. ANTHONY GUERRA: Okay. Thank you.
6 And if we can go to MPI Exhibit number 50 now, please,
7 and page 3, which is RM-10. Thank you.

8 So this is the October 4th, 2023,
9 update. And I appreciate this was filed after the
10 Oliver Wyman report from September. But if you'll
11 look at line 2, line 2 has the number seven hundred
12 and three fifty-five (703.55).

13 Do you see that?

14 MR. RAJESH SAHASRABUDDHE: I do.

15 MR. ANTHONY GUERRA: And so that would
16 be the pure premium per unit based on the October
17 update, correct?

18 MR. RAJESH SAHASRABUDDHE: I'm not a
19 hundred percent sure about that, and -- and mostly
20 because I -- the -- the split between the -- the
21 claims and the claims expense. So that would get to
22 eight twenty-one (821).

23 And my understanding is that the
24 October update is -- is, roughly speaking, a 1 1/2
25 percent decrease versus the .13 percent indication.

1 So that difference is a little bit more than I'd
2 expect, but I haven't had a chance to reconcile this
3 exhibit with those changes.

4 MR. ANTHONY GUERRA: Okay. I
5 appreciate that. If -- if you were to, subject to
6 check, accept that this figure represents a drop
7 between the seven ten eighteen (710.18) that we talked
8 about earlier for pure premium and the new pure
9 premium from October, you'd agree with me, sir, that
10 that would represent a drop between the difference --
11 in -- and the difference between Oliver Wyman and MPI
12 from 38 million to \$30 million?

13 MR. RAJESH SAHASRABUDDHE: Yes. I'll
14 -- I'll accept that subject to check, yes.

15 MR. ANTHONY GUERRA: Okay. Thank you.
16 If we can go to rate indication, Appendix 3, please.

17 And we saw this figure earlier. And we
18 talked about the different coverages. And we looked
19 at the numbers 896.5 million at the bottom, and 930
20 million at the bottom, as well.

21 Do you recall that?

22 MR. RAJESH SAHASRABUDDHE: I do.

23 MR. ANTHONY GUERRA: And so I'm going
24 to suggest to you, sir, that those two (2) figures are
25 the common -- are the sum of the coverages immediately

1 above, so starting with income replacement indemnity
2 normal and going all the way down to comprehensive.

3 MR. RAJESH SAHASRABUDDHE: Yes. I'm
4 going to write the numbers down so I -- I can remember
5 them.

6 MR. ANTHONY GUERRA: Subject to check,
7 yes.

8 MR. RAJESH SAHASRABUDDHE: Okay.

9 MR. ANTHONY GUERRA: Thank you.

10

11 (BRIEF PAUSE)

12

13 MR. ANTHONY GUERRA: And so just going
14 back. So income replacement indemnity normal, you see
15 there that for 2024/2025, the -- the amount shown is
16 the 94 -- 94 million?

17 MR. RAJESH SAHASRABUDDHE: Yes, I see
18 that.

19 MR. ANTHONY GUERRA: And then for
20 '25/'26 it's 90 -- 98 million -- 97 million?

21 MR. RAJESH SAHASRABUDDHE: Yes. Yes.
22 The comparables in that -- the ninety-six seven four
23 three (96,743), I think, right?

24 MR. ANTHONY GUERRA: Yes.

25 MR. RAJESH SAHASRABUDDHE: Okay.

1 MR. ANTHONY GUERRA: Thank you. So if
2 we can go now to claims forecasting figure 20, page
3 42. Yeah. Thank you.

4 And so what we see at lines -- so
5 column 3, for 2024/'25 we see the -- sorry -- column
6 4, we see the same 94 million and the same 96 million
7 for 2024/'25, as we looked at in the last figure,
8 correct?

9 MR. RAJESH SAHASRABUDDHE: Yes.

10 MR. ANTHONY GUERRA: And the ultimate
11 loss costs are shown in column 2. And so the ultimate
12 loss costs resulting into the ultimate total losses
13 for 2024/'25, you agree with me, sir, is the ninety-
14 nine dollars and ninety-nine (\$99.99) cents for 2024?

15 MR. RAJESH SAHASRABUDDHE: Yes, I see
16 that.

17 MR. ANTHONY GUERRA: And the one
18 hundred and one dollars and ninety-six (\$101.96) for
19 2025, correct?

20 MR. RAJESH SAHASRABUDDHE: Yes.

21 MR. ANTHONY GUERRA: And if we look at
22 footnote number -- number 2 there under line 23, it
23 says for the 2024 GRA forecasts are from Appendix 4A,
24 Table 4. You see that?

25 MR. RAJESH SAHASRABUDDHE: Yeah.

1 There's two (2) footnote 2s, but -- but I assume --

2 MR. ANTHONY GUERRA: The line 23.

3 MR. RAJESH SAHASRABUDDHE: Line 23,
4 yes.

5 MR. ANTHONY GUERRA: Thank you. Okay.
6 So that's -- what that's telling us is that's where
7 we're going to go to -- to figure out how we get that
8 calculation, and so let's go there now. Thank you,
9 Ms. Schubert.

10 And so you'll see there that for column
11 6 for the 2024 year we see the calculation of the
12 ninety-nine dollars and ninety-nine (\$99.99) cents,
13 correct?

14 MR. RAJESH SAHASRABUDDHE: Yes.

15 MR. ANTHONY GUERRA: And then for 2025
16 we see the calculation of the hundred and one dollars
17 ninety-six (\$101.96) cents, correct?

18 MR. RAJESH SAHASRABUDDHE: Yes.

19 MR. ANTHONY GUERRA: And then for 2025
20 we see the calculation of the hundred and one dollars
21 and ninety-six cents (\$101.96). Correct?

22 MR. RAJESH SAHASRABUDDHE: Yes.

23 MR. ANTHONY GUERRA: And so, if we go
24 -- go now to footnote 3, it says that the future loss
25 cost trend was determined by appendix 4A, table 1.

1 Do you see that?

2 MR. RAJESH SAHASRABUDDHE: I'm sorry,
3 which footnote?

4 MR. ANTHONY GUERRA: Footnote number
5 3.

6 MR. RAJESH SAHASRABUDDHE: Footnote
7 number 3, so appendix 4A, table 1 and three (3)
8 relates to future loss cost trend -- yes.

9 MR. ANTHONY GUERRA: Thank you. So,
10 if we can go to appendix 4A, table 1, please. Thank
11 you.

12 So, we see here that the -- the loss
13 cost trend of 1.97 percent was determined by a formula
14 at the bottom, which considers the selected frequency
15 and severity trends. Correct?

16 MR. RAJESH SAHASRABUDDHE: Yes.

17 MR. ANTHONY GUERRA: And, so, in this
18 case, the frequency MPI selected was one point nine
19 (1.9), sorry, a negative one point nine two (-1.92)
20 and for severity it was 3.96 percent.

21 MR. RAJESH SAHASRABUDDHE: Yeah,
22 frequency trends.

23 MR. ANTHONY GUERRA: Right.

24 MR. RAJESH SAHASRABUDDHE: Frequency
25 trend was minus one point nine two (-1.92).

1 MR. ANTHONY GUERRA: Correct. Thank
2 you. And, so, MPI's frequency model considers years
3 2009 to 2022 and selects a trend in that instance,
4 where -- we're talking about accident benefits, weekly
5 indemnity from the 2009 period.

6 And, if you want a reference, we can go
7 to Claims Forecasting, Appendix 3A.

8 MR. RAJESH SAHASRABUDDHE: Here's the
9 one point nine two (1.92) -- yes, I see that.

10 MR. ANTHONY GUERRA: Okay. And so
11 for, you agree with me, sir, for the 2009 period, the
12 R-squared value is zero point eight four (0.84)?

13 MR. RAJESH SAHASRABUDDHE: Yes.

14 MR. ANTHONY GUERRA: And the R -- the
15 adjusted R-squared value is zero point eight two
16 (0.82).

17 MR. RAJESH SAHASRABUDDHE: Yes.

18 MR. ANTHONY GUERRA: And, for the --
19 well, let's back up here.

20 What are we talking about when we talk
21 about the R-squared and the adjusted R-square values?

22 MR. RAJESH SAHASRABUDDHE: Okay, so --
23 so the R-squared value is a measure of how much
24 variation in the data is captured by the model, or
25 explained by the model.

1 And the adjusted R-squared, penalizes,
2 or adjusts that explanation, based on a number of
3 parameters in the model.

4 So, it's a situation where, if you had
5 the same number of parameters as you have data points,
6 you would -- you could effectively replicate the
7 results exactly and you would have a hundred (100)
8 percent R-squared, so to -- to include a penalty for
9 doing that, and then that wouldn't separate any signal
10 and noise.

11 So, the adjusted R-squared metric is
12 used to -- to compare models with different numbers of
13 parameters, in terms of their explanatory power.

14 MR. ANTHONY GUERRA: And what is the -
15 - what is the range for R-squared and adjusted R-
16 squared values?

17 MR. RAJESH SAHASRABUDDHE: Adjusted R-
18 squared's can go negative, but R-squared values are
19 zero (0) to one (1).

20 MR. ANTHONY GUERRA: Zero (0) to one
21 (1). And what's the significance of a zero (0) in
22 that range?

23 MR. RAJESH SAHASRABUDDHE: That means
24 none of the variation in the data is explained by the
25 model.

1 MR. ANTHONY GUERRA: And what would be
2 the significance of a one (1) within that range?

3 MR. RAJESH SAHASRABUDDHE: It -- it
4 means a hundred (100) percent of the data is explained
5 by the model. Both -- both of those outcomes are very
6 unusual. You would -- you would never almost get
7 that, but -- but that's -- that's the -- that's how
8 they would be interpreted.

9 MR. ANTHONY GUERRA: So, is it fair
10 to say then, sir, that when you're looking at the R-
11 squared values, you -- you want to see something as
12 close to one (1) as possible.

13 MR. RAJESH SAHASRABUDDHE: Higher is
14 better, yes.

15 MR. ANTHONY GUERRA: And, would you
16 agree with me, sir, that anything above a zero point
17 eight (0.8) would be considered a good fit?

18 MR. RAJESH SAHASRABUDDHE: It -- it
19 would mean that the -- that the variation in the data
20 is -- is largely explained by the model.

21 And the term "good fit" is a -- is a --
22 there -- there's other aspects of the fit that we
23 would consider to characterize it as good.

24 But -- but it would mean that a high
25 percentage of the variation in the data is explained

1 by the model.

2 MR. ANTHONY GUERRA: Okay. And --
3 and, the further below then, the zero point eight
4 (0.8) that you would go, you're -- you're less and
5 less explaining the model. Correct? The model is
6 less explaining the trend.

7 MR. RAJESH SAHASRABUDDHE: Yes. Yes.

8 MR. ANTHONY GUERRA: And so for 2009,
9 sir, you'll agree with me that the R-squared and the
10 adjusted R-squared values, being zero point eight four
11 (0.84) and zero point eight two (0.82) respectively,
12 those are good explanations for the trend. Correct?

13 MR. RAJESH SAHASRABUDDHE: Yes, from
14 the variation in the data. Yes.

15 MR. ANTHONY GUERRA: And then if we go
16 over to the next column to the right, we see the --
17 the time 'P' values. Do you see that, sir?

18 MR. RAJESH SAHASRABUDDHE: I do.

19 MR. ANTHONY GUERRA: And, in this
20 case, the time 'P' value -- value is zero point zero
21 one (0.01). Do you see that?

22 MR. RAJESH SAHASRABUDDHE: I do.
23 Yes.

24 MR. ANTHONY GUERRA: Can you help us
25 understand the significance of the -- the 'P' value?

1 MR. RAJESH SAHASRABUDDHE: Sure. So,
2 the 'P' value is a measure of the probability that a
3 value -- that the measured value in -- in this case,
4 the time parameter of -- the -- I'm sorry, in this
5 case the -- the trend of minus one point nine two (-
6 1.92), could be observed by chance, if the true value
7 were zero (0).

8 So -- so the idea here is that there's
9 only a 1 percent chance that you would have a negative
10 trend, if the true value were zero (0).

11 MR. ANTHONY GUERRA: Okay. And, the
12 'P' value, as I understand, are also measured on a
13 range. Correct?

14 MR. RAJESH SAHASRABUDDHE: Correct.

15 MR. ANTHONY GUERRA: And is the range
16 also zero (0) to one (1)?

17 MR. RAJESH SAHASRABUDDHE: It is.

18 MR. ANTHONY GUERRA: And, this time I
19 understand that in order to get a more significant
20 result, you want to be closer to zero (0). Correct?

21 MR. RAJESH SAHASRABUDDHE: Correct.
22 If -- if -- if you had a higher 'P' value that would
23 say that there was a higher probability of observing
24 that value just randomly or by chance, which is
25 obviously not what you want to model, you want to

1 model signal, not -- not randomness.

2 MR. ANTHONY GUERRA: And, you agree
3 with me, sir, that anything that's below zero point
4 zero five (0.05), in terms of the 'P' value would be
5 considered significant?

6 MR. RAJESH SAHASRABUDDHE: I -- I
7 guess I'll -- I'll say that that's a common threshold,
8 it's not -- it's -- it's a rule of thumb. But -- but
9 -- but different -- different modelers can have
10 different thresholds for significance.

11 MR. ANTHONY GUERRA: If it's common in
12 a rule of thumb, would you agree with me, sir, that
13 it's also industry best practice?

14 MR. RAJESH SAHASRABUDDHE: I -- I
15 think for purpose of this -- this discussion, yes.
16 There are -- there are some debates in the statistical
17 community about 'P' values that -- that -- probably I
18 -- I won't get into here, but -- but I -- I think for
19 this purpose, we can accept that. Yes.

20 MR. ANTHONY GUERRA: And, so if we
21 looked at the combined assessment of looking at the R-
22 squared, adjusted R-squared and the -- the time 'P'
23 value for the selection of 2009, you agree with me,
24 sir, that that would be both a good fit and have a
25 variable for time that is significant. Correct?

1 MR. RAJESH SAHASRABUDDHE: Yes.

2 That's correct.

3 MR. ANTHONY GUERRA: And, looking at
4 all of the years on this chart, you agree with me,
5 sir, that other than the years 2021, 2022, the -- the
6 period for 2009 has the best combination of R-squared,
7 adjusted R-squared and time 'P' values?

8 MR. RAJESH SAHASRABUDDHE: Yes. I'm
9 just -- I'm just scanning them, but -- but yes, it
10 generally, I -- I will accept that, yes.

11 MR. ANTHONY GUERRA: Okay. And MPI's
12 severity model for this particular coverage accident
13 benefits weekly indemnity, considers the time period
14 2012 and 2022 and then selects the trend from 2012.
15 So, if I can ask you, Ms. Schubert, to pull up
16 appendix 3A at page 3, so, I guess, just the next page
17 down. There we go.

18 So, you'll see there, sir, MPI selected
19 the -- the year 2012 in blue.

20 MR. RAJESH SAHASRABUDDHE: I do see
21 that, yes.

22 MR. ANTHONY GUERRA: And you agree
23 with me, sir, that the R-squared value for that year
24 is zero point seven two (0.72).

25 MR. RAJESH SAHASRABUDDHE: I do.

1 MR. ANTHONY GUERRA: The adjusted R-
2 squared value is zero point six nine (0.69).

3 MR. RAJESH SAHASRABUDDHE: Yes.

4 MR. ANTHONY GUERRA: And, so, the
5 adjusted -- sorry, the R-squared value would be a -- a
6 moderate fit. Would you agree with that?

7 MR. RAJESH SAHASRABUDDHE: Yes. I --
8 I think that's a reasonable characterization, yeah.

9 MR. ANTHONY GUERRA: Same -- same with
10 adjusted R-squared value? Moderate?

11 MR. RAJESH SAHASRABUDDHE: Yeah.
12 Again, the -- where you draw the line between moderate
13 and good can -- can differ by -- by modelers and --
14 and, again, that's where some of the visual analysis
15 would -- would come in.

16 If you have a lot of noise in the data
17 you could get a low -- lower R-squared, but that
18 doesn't necessarily mean it's a less appropriate fit.

19 MR. ANTHONY GUERRA: And that's the
20 eye test. Correct?

21 MR. RAJESH SAHASRABUDDHE: Correct.

22 MR. ANTHONY GUERRA: And, excuse me,
23 you agree with me, sir, for the -- the year 2012 the
24 time 'P' value is the value of zero (0). Correct?

25 MR. RAJESH SAHASRABUDDHE: Yes.

1 MR. ANTHONY GUERRA: That would be
2 significant.

3 MR. RAJESH SAHASRABUDDHE: Yes.

4 MR. ANTHONY GUERRA: And you agree
5 with me, sir, that for 2012, that particular year on
6 this list, has the best combination of R-squared,
7 adjusted R-squared and 'P' values, except for 2021 and
8 '22.

9 MR. RAJESH SAHASRABUDDHE: Yes. I'll
10 accept that, yes.

11 MR. ANTHONY GUERRA: So, if we can go
12 now to the Oliver Wyman Report; CAC/Exhibit 5. And if
13 we can go to page 11 please.

14 So, this is the alternative severity
15 trend selected by Oliver Wyman and the analysis on
16 page 12.

17 MR. RAJESH SAHASRABUDDHE: Yes. So,
18 on eleven (11), it's not the alternative, that --
19 that's the MPI --

20 MR. ANTHONY GUERRA: Sorry. Yes --

21 MR. RAJESH SAHASRABUDDHE: -- model --
22 yeah.

23 MR. ANTHONY GUERRA: -- my apologies.
24 Yes. Thank you. Also, Figure 6, this is the
25 alternatives proposed by Oliver Wyman. Correct?

1 MR. RAJESH SAHASRABUDDHE: Correct.

2 MR. ANTHONY GUERRA: And, so, for
3 severity, the severity trend has an adjusted 'R' value
4 of zero point six zero eight (0.608). Correct?

5 MR. RAJESH SAHASRABUDDHE: Yes.

6 MR. ANTHONY GUERRA: And that would be
7 the less than the zero point eight zero (0.80) we
8 talked about earlier. Correct?

9 MR. RAJESH SAHASRABUDDHE: Yes, but I
10 -- I -- I guess I didn't -- I didn't appreciate, I
11 guess, where you were going with this line of
12 questioning and, so, I didn't make this comment
13 earlier.

14 But, when you compare R-squared values
15 between different data sets, they're not necessarily
16 directly comparable, because you could have data
17 points that still exhibit the same trend but there's
18 just a little bit more volatility around them.

19 So, it -- it's -- you can't necessarily
20 just -- it -- it -- as we were going through with the
21 MPI models, where you compared one year to the next,
22 you could get a model that's more appropriate but has
23 a lower R-squared value. It's just because there's a
24 little bit more volatility in the data.

25 Remember, you're not fitting

1 alternative models to the same data; that's where the
2 R-squared comparative would, you know, would be more
3 appropriate, and I'll just give you an example,
4 because we can see that on the frequency chart.

5 That, if you didn't put the mobility
6 parameter in there and fit to the same data, you would
7 get a worse R-squared, because it wouldn't pick up the
8 effect of the pandemic on the same data.

9 So, if you take the same data, fit it
10 with mobility and without mobility, and you'll get
11 different R-squared values and -- but, if you -- when
12 -- when you change and you say, okay, I'm going to fit
13 -- I'm going to compare fitting this one data set to
14 this other data set, you can't compare the R-squared
15 values, because the volatility in the underlying data
16 changes as well.

17 So, I know that's a bit of a technical
18 concept. Hopefully, I explained that reasonably well.

19 MR. ANTHONY GUERRA: No, thank you. I
20 appreciate that. And the -- the 'P' value for time
21 there is indicated for severity as the zero point zero
22 zero one (0.001). Correct?

23 MR. RAJESH SAHASRABUDDHE: That's
24 correct. Yes.

25 MR. ANTHONY GUERRA: Now, that would

1 be fairly significant. Correct?

2 MR. RAJESH SAHASRABUDDHE: Yes.

3 MR. ANTHONY GUERRA: But, if we were
4 to compare the two, so, the severity -- alternative
5 severity trend proposed by Oliver Wyman and the
6 alternate -- or -- and the one proposed by MPI, you
7 would agree with me, sir, that the combination of the
8 R-squared, adjusted R-squared and 'P' values would
9 actually be better for the -- the MPI proposed trend.

10 Correct?

11 MR. RAJESH SAHASRABUDDHE: Again,
12 subject to my prior comments that that the comparative
13 isn't actually appropriate, 'cause you're -- you're
14 looking at two (2) different data sets.

15 So, what -- I think what I could accept
16 is that -- that the model fit to 2012 and subsequent
17 fits the data for 2012 and subsequent better than the
18 model that fits 2009 and subsequent fits the data for
19 2009 and subsequent, but that doesn't mean that that's
20 the -- but that maybe because there's more volatility
21 in the data, and that actually is what's happening,
22 that there's just more volatility in that 2000 -- not
23 that the pattern's changed.

24 MR. ANTHONY GUERRA: But you agree
25 with me, sir, that, for this particular coverage, so

1 Accident Benefits Weekly Indemnity, that the -- the
2 model that -- that Oliver Wyman is proposing does have
3 worse regression analysis results compared to MPI's?

4 MR. RAJESH SAHASRABUDDHE: Again, my
5 view is it's not comparable in -- in -- in that sense.

6 MR. ANTHONY GUERRA: Okay. And I
7 don't want to put words in your mouth, sir, but I do
8 you need to know what your position is.

9 Would you agree, then, sir, that your
10 position would be that MPI's selection for severity,
11 despite having a regression analysis that would have a
12 good fit and a significant 'P' value, is not
13 reasonable?

14 MR. RAJESH SAHASRABUDDHE: Our view is
15 that it's more reasonable to use the same -- the same
16 underlying points for the frequency and severity
17 model. It -- it -- it's not -- not the conclusion
18 that -- that -- that you just described.

19 MR. ANTHONY GUERRA: Okay. And -- and
20 the rationale for the selection of the Oliver Wyman
21 alternative approach would be to ensure that the
22 frequency and severity models consider the same time
23 periods. Correct?

24 MR. RAJESH SAHASRABUDDHE: Yes.

25 MR. ANTHONY GUERRA: If we can go to

1 page 14, please. Okay. So, Oliver Wyman is reviewing
2 the MPI frequency model -- sorry, frequency trend
3 model for Accident Benefits Other Indexed, on page 14.

4 Correct?

5 MR. RAJESH SAHASRABUDDHE: Yes, in
6 this section, this -- this particular chart that's on
7 the screen right now is not our review, but -- but
8 that's what this section relates to.

9 MR. ANTHONY GUERRA: Right. And,
10 then, your review would be on page 15. Correct?

11 MR. RAJESH SAHASRABUDDHE: Correct. I
12 assume, yes.

13 MR. ANTHONY GUERRA: And, if we go to
14 the frequency chart at the top there, we see that the
15 adjusted R-squared value is zero point nine two five
16 (0.925) and the 'P' value is a zero point zero eight
17 (0.08). Correct?

18 MR. RAJESH SAHASRABUDDHE: Correct.

19 MR. ANTHONY GUERRA: So, in terms of
20 the adjusted R² -- R-squared value, rather, you would
21 agree that that's a good fit, but, in terms of the --
22 the 'P' value for time, there may be some significance
23 issues?

24 MR. RAJESH SAHASRABUDDHE: No. So,
25 zero point zero zero eight (0.008). So, it's -- it's

1 not point -- so, it's slightly under 1 percent. It's
2 not 8 percent. I just want to be clear about that.

3 MR. ANTHONY GUERRA: Okay. And, if we
4 compare that to the MPI trend selection, if we can go
5 to Claims Forecasting, Appendix 3B, page 6, please.
6 Thank you.

7 We see that MPI selected the 2009 year
8 and that the R-squared value is nine -- zero point
9 nine three (0.93) and the adjust -- adjusted R-squared
10 value is zero point nine two (0.92). Correct?

11 MR. RAJESH SAHASRABUDDHE: Yes, I see
12 that.

13 MR. ANTHONY GUERRA: This will be
14 comparable to the adjusted R 2 value of zero point
15 nine two five (0.925) in the Oliver Wyman alternative
16 trend. Correct?

17 MR. RAJESH SAHASRABUDDHE: Yes, other
18 than the fact that the nine -- point nine two five
19 (.925) may round to -- actually, the -- yes, our point
20 nine two five (.925) is comparable to the point nine
21 two here (.92) here, not at the point nine three
22 (.93).

23 Again, it's not a meaningful
24 difference, in -- in my view, but -- and -- and the
25 MPI estimates are expressed to two decimal places. We

1 expressed to three. So -- so, that -- that's also
2 going to create some differences.

3 MR. ANTHONY GUERRA: Absolutely. Fair
4 comments and that's why I used the word "comparable."
5 You would agree that they're
6 comparable?

7 MR. RAJESH SAHASRABUDDHE: Yes.

8 MR. ANTHONY GUERRA: Thank you, and
9 the 'P' value at zero point zero zero (0.00). I'm
10 appreciating there's probably a number in there
11 somewhere?

12 MR. RAJESH SAHASRABUDDHE: Yes.

13 MR. ANTHONY GUERRA: You would also
14 agree that that's comparable to the Oliver Wyman
15 alternative trend?

16 MR. RAJESH SAHASRABUDDHE: Yes. The -
17 - the point zero zero eight (.008), I believe, that we
18 reviewed.

19 MR. ANTHONY GUERRA: So, the -- the
20 Oliver Wyman -- it would be fair to say that the
21 Oliver Wyman alternative trend selection and the MPI
22 trend selection have almost the same regression
23 analysis results?

24 MR. RAJESH SAHASRABUDDHE: Again, sub
25 -- subject to my commentary that -- that you can't

1 compare when you're fitting to different time periods,
2 I -- I would agree.

3 MR. ANTHONY GUERRA: And, again, for
4 this particular coverage, sir, you would agree that
5 the rationale for selecting the alternative trend for
6 Oliver Wyman would be that the frequency and severity
7 measures should consider the same time period?

8 MR. RAJESH SAHASRABUDDHE: That's
9 correct. Yes.

10 MR. ANTHONY GUERRA: And I -- I think
11 you've said this before but just, maybe, if we can
12 clarify.

13 So, it's not required that we select
14 different time periods for frequency and severity.
15 Correct?

16 MR. RAJESH SAHASRABUDDHE: Correct. I
17 mean, there's no formal requirements. Again, our view
18 is the way that the frequency and severity were
19 derived in this case, they're not independent
20 measures, but you sort of take a -- a -- you take a
21 whole and you split it into the two (2) pieces, that
22 that is a compelling reason why you would -- you would
23 -- you would want to keep the time periods consistent,
24 absent -- absent compelling reason.

25 We do -- there are other filers that

1 will independently review frequency and severity and -
2 - and -- and that's a little bit of a different case,
3 where it might be a little bit more acceptable to have
4 different time periods.

5 MR. ANTHONY GUERRA: It wouldn't be
6 unreasonable to use different time periods for
7 frequency and severity, depending on the circ --
8 circumstances.

9 I think you mentioned absent compelling
10 reasons to do?

11 MR. RAJESH SAHASRABUDDHE: Correct.
12 There would -- there would need to be a compelling
13 reason to -- to -- to deviate.

14 MR. ANTHONY GUERRA: And Oliver Wyman
15 has suggested using different time periods for
16 frequency and severity measures in -- in -- in the
17 past. Correct?

18 MR. RAJESH SAHASRABUDDHE: Yes.

19 MR. ANTHONY GUERRA: Including in the
20 2023 GRA?

21 MR. RAJESH SAHASRABUDDHE: Again, the
22 underlying frequency and severity there were derived
23 differently. They weren't decompositions of a total,
24 but they were separate analyses.

25 So, that's a -- a situation where we

1 find it more acceptable to do that. Yes.

2 MR. ANTHONY GUERRA: But, in practice,
3 there was a different recommendation for time periods
4 for frequency and severity trends and, in this case,
5 I'm referring to the 2023 for total loss frequency,
6 where 2012 to 2029 was used or recommended for
7 frequency and 2015 to 2021 was recommended for
8 severity?

9 MR. RAJESH SAHASRABUDDHE: I'll --
10 I'll -- again, I don't recall the specifics but,
11 again, I'll -- I'll accept that because, as I said,
12 the frequency and severity measures were derived
13 differently last year.

14 MR. ANTHONY GUERRA: And including in
15 this GRA, you'd agree with me, sir, that Oliver Wyman
16 has -- there are instances where MPI -- sorry, where
17 Oliver Wyman has not taken issue with MPI's use of
18 different time periods, correct?

19 MR. RAJESH SAHASRABUDDHE: I think
20 comprehensive may be one. I'm trying to recall
21 whether -- whether there's others where we did that,
22 but -- but I'm not 100 percent certain. I'd have to
23 look at that.

24 MR. ANTHONY GUERRA: Thank you. And
25 if we can go back to the Oliver Wyman report, please,

1 at CAC Exhibit 5, page 17, please.

2 And this is reviewing for the coverage
3 Accident Benefit Other Non-indexed?

4 MR. RAJESH SAHASRABUDDHE: Yes.

5 MR. ANTHONY GUERRA: And you'd agree
6 with me, sir, that Oliver Wyman has no issues with
7 MPI's frequency and severity trend selections?

8 MR. RAJESH SAHASRABUDDHE: Yes.

9 MR. ANTHONY GUERRA: The issue here is
10 the -- the tempering, right, the use of the zero
11 percent temper as opposed to the 50 percent less
12 tempering that is recommended by -- by Oliver Wyman.

13 Correct?

14 MR. RAJESH SAHASRABUDDHE: Yeah. So
15 just to clarify my prior response, so we -- we have no
16 issue with the past trend. It's how you temper to get
17 from past trend to future trend that we took issue
18 with.

19 MR. ANTHONY GUERRA: And so when we --
20 we use the word "tempering," are we saying that we're
21 -- we're just flattening the recent frequency
22 experience?

23 MR. RAJESH SAHASRABUDDHE: Yes, that -
24 - that's the way we're using it in this context, yes.
25 We're not flattening the experience, but we're

1 reducing the projection to recognize that the recent
2 experience is flatter. So we don't -- it's a slight -
3 - slight semantic difference but -- but I -- but I
4 believe that your -- that -- that the point was -- was
5 -- is correct.

6 MR. ANTHONY GUERRA: And I appreciate
7 you being fair with me. I'm doing my -- I'm doing my
8 best to try to keep up here.

9 MR. RAJESH SAHASRABUDDHE: Sure.

10 MR. ANTHONY GUERRA: And -- and so you
11 agree with me, sir, that MPI has said that -- that the
12 year 2020 may have been impacted by COVID-19 and that
13 2020 may have been impacted by high snowfall, correct?

14 MR. RAJESH SAHASRABUDDHE: I -- I
15 don't think it's a "may have." I -- I think -- I
16 think the MPI position -- and we would certainly agree
17 -- that weather is a factor and we agree that COVID is
18 a factor. There is an adjustment for those two (2),
19 so I -- I would just change "may have" to -- to
20 "were."

21 MR. ANTHONY GUERRA: Okay. And you
22 agree with me, sir, that Oliver Wyman's position is
23 that the tempering to zero by MPI as proposed would
24 not be reasonable, something less would -- would be
25 the only reasonable outcome there?

1 MR. RAJESH SAHASRABUDDHE: Yes, less
2 tempering towards zero we -- we believe is -- is more
3 reasonable, yes.

4 MR. ANTHONY GUERRA: And if we can go
5 to page 30, please, this is the coverage Property
6 Damage Third-party Deductible Transfer.

7 Do you see that?

8 MR. RAJESH SAHASRABUDDHE: I do.

9 MR. ANTHONY GUERRA: And then so in
10 this case, MPI used the --

11 MR. RAJESH SAHASRABUDDHE: Sorry.

12 MR. ANTHONY GUERRA: -- no worries --
13 used the period 2010 to 2022 for the frequency trend,
14 and then 2009 to 2022 for the severity trend.

15 Do you see that?

16 MR. RAJESH SAHASRABUDDHE: That -- it
17 would be on the prior page, but -- but I'll accept
18 that before I look it up here.

19 MR. ANTHONY GUERRA: Oh, it's actually
20 the -- underneath the finding --

21 MR. RAJESH SAHASRABUDDHE: Oh, oh, I'm
22 sorry. Yes. Okay. I -- I see it there.

23 MR. ANTHONY GUERRA: Okay. And -- and
24 in response to that, Oliver Wyman used 2014 to 2020
25 for both the frequency and severity trends?

1 MR. RAJESH SAHASRABUDDHE: Property
2 damage. It's Property Damage Other?

3 MR. ANTHONY GUERRA: It's also right
4 in the response there, too.

5 MR. RAJESH SAHASRABUDDHE: Oh, yes.
6 Okay.

7 MR. ANTHONY GUERRA: Sorry, I'm not --

8 MR. RAJESH SAHASRABUDDHE: No, it's
9 okay. I -- I tend to look at the charts and -- and
10 where the lines are drawn to identify the periods as
11 opposed to the words, so --

12 MR. ANTHONY GUERRA: I appreciate it.

13 MR. RAJESH SAHASRABUDDHE: -- but --
14 but I'll accept that, yes.

15 MR. ANTHONY GUERRA: Thank you. And
16 if we can go to page 31, please. And for the
17 frequency alternative trend, you agree with me, sir,
18 that the adjusted R-2 squared value is zero point
19 eight five three (0.853) and the 'P' value is a zero
20 point seven one five (0.751).

21 MR. RAJESH SAHASRABUDDHE: Yes.

22 MR. ANTHONY GUERRA: And you agree
23 with me, sir, that in -- in just progression analysis
24 talk, that the R-squared value would be a -- would be
25 a good fit, but the 'P' value would -- would have some

1 significant -- significance issues, correct?

2 MR. RAJESH SAHASRABUDDHE: Not
3 necessarily because remembering what the 'P' value is,
4 it's the probability of observing that value if the
5 true value were zero.

6 And in case -- in this case, our -- the
7 value that we're talking about is very, very close to
8 zero, so -- so we don't necessarily view it as
9 problematic.

10 When there's a value very close to zero
11 in the fit, it's -- the 'P' value becomes less
12 relevant. So again, let me just give you an extreme
13 case.

14 If the true value was zero, the chance
15 of observing 10 percent, you know, it is unlikely. If
16 the true value is zero, the chance of observing -- you
17 know, this probably equates to, you know, roughly
18 speaking, you know, .55 percent or .52 percent -- is
19 actually not that unlikely.

20 So the 'P' value needs to be
21 interpreted in that context. All it's saying is that
22 time is not a significant explanatory variable, and
23 that's actually consistent with what we see in the
24 data where the data is sort of, you know, generally
25 flat.

1 MR. ANTHONY GUERRA: And for the
2 severity trend, the 'P' value is -- is even higher at
3 zero point nine eight three (0.983).

4 Do you see that?

5 MR. RAJESH SAHASRABUDDHE: I do.

6 MR. ANTHONY GUERRA: And the adjusted
7 R-square value is a negative, and you talked the
8 negative being within the realm of possibility in the
9 -- in the range.

10 What does a negative adjusted R-squared
11 value of zero point one four three (0.143) tell us?

12 MR. RAJESH SAHASRABUDDHE: That means
13 the value of the penalty for the number of parameters
14 is greater than the amount of -- again, the amount of
15 variation in the data that's explained by the model.

16 And again, the -- the reason why the --
17 the variation in the data is, you know, relatively low
18 here -- or the amount of explained variation is
19 because you do have that -- that unusual point in 2018
20 and then the unusually low point in 2021 that again
21 aren't -- aren't explained by the data.

22 We would -- but our view on this --
23 again, this gets to the visual test -- is that one is
24 -- one's higher than average, one is lower than
25 average, so they -- they sort of offset, even though

1 the R-squared value's on an absolute scale.

2 So it looks at the -- the difference
3 without sort of thinking about whether -- if you're
4 missing consistently higher or missing consistently
5 low, that's a lot worse than, okay, we just didn't
6 explain one (1) data point's variation high and the
7 other data point's variation low. So that's again
8 part of the -- as we discussed earlier, the -- sort of
9 the visual analysis of the fit.

10 MR. ANTHONY GUERRA: And would you
11 agree with me, sir, that in instances where there's --
12 a regression analysis would suggest a good fit and a
13 significant time value, there -- there may be times
14 where it's -- it's more reasonable just to completely
15 abandon that analysis and conduct the eye test?

16 MR. RAJESH SAHASRABUDDHE: Where the -
17 - where it would indicate a good fit and a 'P' value
18 to abandon the analysis; if both conditions were true
19 -- I mean, I think you still want to conduct a visual
20 analysis. If both conditions were true, it's unlikely
21 that -- that that would be a poor outcome.

22 There are situations where -- where one
23 (1) of those conditions could be true and the other
24 not, where -- where you might get to a different
25 conclusion with the eye test. But if both conditions

1 are true, you're unlikely to get to a different
2 conclusion with the eye test.

3 MR. ANTHONY GUERRA: Okay. So if we
4 can go to claims forecasting Appendix 3H, please, and
5 at page 38, please. Yeah. Thank you.

6 So this is what the property damage
7 third-party deductible transfer frequency trend
8 analysis shows us, and the selected trend for MPI was
9 2010. Do you see that?

10 MR. RAJESH SAHASRABUDDHE: I do.

11 MR. ANTHONY GUERRA: And then so for -
12 - for frequency, we have an R-squared value of --
13 sorry, an adjusted R-squared value of zero point eight
14 six (0.86). Do you see that?

15 MR. RAJESH SAHASRABUDDHE: I do.

16 MR. ANTHONY GUERRA: And a 'P' value
17 of zero point zero three (0.03).

18 MR. RAJESH SAHASRABUDDHE: Yes.

19 MR. ANTHONY GUERRA: You agree with
20 me, sir, that in that particular context, the
21 regression analysis results in a good fit with a
22 significant 'P' value?

23 MR. RAJESH SAHASRABUDDHE: Yes.

24 MR. ANTHONY GUERRA: And you agree
25 with me, sir, that that would be a better result than

1 the alternative models being suggested by Oliver
2 Wyman?

3 MR. RAJESH SAHASRABUDDHE: One (1)
4 second, please. Damage -- and this is for frequency.

5

6 (BRIEF PAUSE)

7

8 MR. RAJESH SAHASRABUDDHE: Right. So
9 again, I think this is where -- there's two (2)
10 factors here. Obviously, the alignment of the
11 experience period is -- again, just going back to this
12 idea that you can't make that comparison on -- on
13 models with two (2) different data sets.

14 Our issue is really more related to the
15 alignment of the experience periods on this one.

16 There is also just sort of on a -- on a
17 visual test there's sort of a slight -- relatively
18 slight, but a slight difference in -- in the pattern
19 on the frequency side. I don't know if we can -- you
20 might be able to see it on -- on the chart that's --
21 that's sort of just slightly below this though.

22 Again, we prefer a log scale. I don't know if you can
23 scroll down just a little bit, please.

24 Right. So you -- you sort of see
25 what's happening on the -- the -- you can, again, see

1 it similar on our chart, too, but you see sort of this
2 noise that's going on.

3 And so why do we get the negative trend
4 and why do we get the significance of -- the
5 significant value for the time parameter? Well, what
6 it's saying is, does time, the passage of time,
7 explain the change. And this is where you have this
8 sort of high points to the left and lower points to
9 the right.

10 So -- so the idea is, okay, well, time
11 is a significant explanatory variable, whereas if you
12 were to just to look at that -- sort of that flatter
13 period, you would get a much higher 'P' value. Again,
14 I -- I know there's not an MPI model fit to -- I don't
15 know, maybe there is.

16 2014 through 2019 on the prior chart;
17 that's where you could have a high 'P' value, but that
18 entirely makes sense because time isn't influencing
19 the cost.

20 Here the -- the 'P' value is low
21 because you have those higher points there. That's
22 not indicative of the pattern that you see after those
23 points, but you do get a higher 'P' value. Again,
24 this -- I'm sorry, a lower 'P' value, more significant
25 'P' value.

1 And again, this is why we think the
2 visual analysis is -- is important. But again, I'll
3 just come back to the -- not directly comparable. And
4 our -- the crux of our argument is the alignment of
5 the experience periods.

6 MR. ANTHONY GUERRA: But you agree
7 with me, sir, this is one of those instances where you
8 would -- you would abandon the regression analysis in
9 favour of the eye test?

10 MR. RAJESH SAHASRABUDDHE: Not
11 necessarily abandon, but we try to understand. And I
12 think the only way to -- the way to do that is to look
13 at frequency and severity combined.

14 So I don't know. If it's -- if it's
15 okay if we could go to our chart that you were maybe
16 just referencing.

17 MR. ANTHONY GUERRA: For sure.

18 MR. RAJESH SAHASRABUDDHE: It's --
19 it's figure 25 in our report. It's -- I mean, either
20 ours or the MPI chart, which is figure 23. Either of
21 those is fine. But what you see here -- yeah, that --
22 okay. Either one is fine here because it has the same
23 data.

24 But essentially, what you see is you --
25 you see from 9 to 13 you see these lower severities

1 and higher frequencies, right. And that's -- that's
2 essentially what MPI's picking up in -- in that 'P'
3 value in the model, is sort of that drop from that
4 higher frequency level down to the lower severity
5 level.

6 And then similarly, in their -- in
7 their severity model, or third-party deductible
8 transfer -- and that's figure -- maybe we could go to
9 the figure 23. Again, this is the exact same data.

10 But what the -- the influence of time
11 is being picked up because you're going from the
12 higher frequency to the lower frequency, and so it
13 creates a significant 'P' -- 'P' value for frequency.

14 Similarly on severity, what's happening
15 is the impact of time, it's -- it's going from that --
16 that period which exhibited higher frequency, lower
17 severity, to -- to a period which has lower frequency
18 and -- and higher severity, and that's essentially
19 what that 'P' value's picking up in -- on the severity
20 model.

21 And again, that's why the rationale --
22 our -- our basic rationale for the alignment of the
23 periods is because you get this offsetting effect.
24 And so you get significant 'P' values in both cases,
25 but it's all just happening because the frequency and

1 severity effects are offsetting.

2 MR. ANTHONY GUERRA: Okay. So, again,
3 this is an instance where the eyeball test trumps all,
4 correct?

5 MR. RAJESH SAHASRABUDDHE: No, not
6 trumps all. I think we just -- we try to use it to
7 understand, you know, why we might be getting a
8 significant 'P' value.

9 And it doesn't mean that we would
10 necessarily reject it, but it's -- it's part of --
11 part of our review as to -- it's part of our review as
12 to whether it's the most appropriate term model.

13 And again, here -- there's other
14 aspects of this that you could incorporate such as
15 what are called residual tests, residual run tests you
16 can see on the severity side. All of the data points
17 are below the line for a while and then they're all
18 above the line for a while.

19 You know, that -- that's generally not
20 viewed as a -- you know, in comparison, if you look at
21 the frequency where the data points are sort of all
22 around the line, that's viewed as sort of a good fit.

23 You get this pattern of residual, so
24 it's generally not viewed favourably. And that could
25 have been an additional test that MPI incorporated

1 into their models.

2 We think you could do that visually.

3 There is a statistic you can calculate, and it's -- I
4 think MPI does their modelling in Excel. It's not
5 easy to do in Excel. If you use statistical software,
6 it's not -- not difficult, but -- but -- well, you
7 don't need to do it. You can sort of just see it.

8 MR. ANTHONY GUERRA: Thank you. If we
9 can go to page 33 of the Oliver Wyman report. This is
10 Property Damage Other.

11 You agree with me, sir, that MPI used
12 the period 2010 to 2019 for frequency and 2009 to 2021
13 for severity?

14 MR. RAJESH SAHASRABUDDHE: Yes, I'll -
15 - I'll agree with that.

16 MR. ANTHONY GUERRA: And in response,
17 Oliver Wyman is suggesting use of the period 2009 to
18 2022 for both of those trends?

19 MR. RAJESH SAHASRABUDDHE: Yes.

20 MR. ANTHONY GUERRA: If we go to page
21 34, the alternative transfer posed by Oliver Wyman, in
22 this case, the frequency adjusted, R-square value is
23 the 0.795 and the 'P' value is the 0.079.

24 Do you see that?

25 MR. RAJESH SAHASRABUDDHE: I do.

1 MR. ANTHONY GUERRA: And for severity,
2 R-square value is the 0.909 and zero for the 'P'
3 value, correct?

4 MR. RAJESH SAHASRABUDDHE: Yes.

5 MR. ANTHONY GUERRA: And so, in -- in
6 this case, we have situations where we have moderate
7 to good R-squared values, but the case of severity,
8 the 'P' value is significant, whereas in the frequency
9 modelling it's -- it's perhaps not as significant?

10 MR. RAJESH SAHASRABUDDHE: Right. I
11 would agree with that, yes.

12 MR. ANTHONY GUERRA: We can go to
13 claims forecasting, Appendix 3H, please, page 42.

14 The MPI frequency trends, the year
15 selected was 2011. Do you see that?

16 MR. RAJESH SAHASRABUDDHE: I do.

17 MR. ANTHONY GUERRA: Of the trend for
18 the R-squared -- sorry -- R-squared value at 0.84 and
19 the 'P' value at 0.05?

20 MR. RAJESH SAHASRABUDDHE: Yes.

21 MR. ANTHONY GUERRA: And do you agree
22 with me, sir, that comparing that to the frequency
23 results from the Oliver Wyman alternative model that
24 the MPI results are actually better?

25 MR. RAJESH SAHASRABUDDHE: Again, it's

1 my position that you can't compare fits to different
2 data sets, so -- and that the -- the fit needs to be,
3 you know, evaluated in -- in the context of the -- of
4 the data that's being explained.

5 For example, the -- the 'P' value issue
6 here, you'll note that the loss trend is -- and you
7 can see it on this chart, too, because our -- our
8 statistics show the same as what's in the first row.

9 But the loss trend is much closer to
10 zero, so you're more likely to get a 'P' value that's
11 higher. It's only marginally higher. We don't
12 necessarily -- we wouldn't necessarily view that as --
13 as a significant issue.

14 MR. ANTHONY GUERRA: Thank you. Ms.
15 Schubert, if you can pull up MPI Exhibit number 64,
16 the claims forecasting presentation.

17 And I appreciate you haven't seen this
18 in -- in too much depth, if at all, other than today.
19 So if I can ask you to go to slide 12, please.

20 We talked about the issue of accident
21 year weights somewhat at length, and I do want to
22 cover some of that today.

23 So if you look at the far right-hand
24 column you'll see that for the years 2017 to 2022 MPI
25 selected accident year weights of 20 percent for every

1 year except for 2020, correct?

2 MR. RAJESH SAHASRABUDDHE: That's
3 correct, yes.

4 MR. ANTHONY GUERRA: And so what MPI
5 is saying there with these weights is that there's a
6 20 percent chance, or one in five chance, that the
7 experience from each of these years will reflect the
8 adjusted loss cost experience during the upcoming
9 rating year.

10 Is that fair to say?

11 MR. RAJESH SAHASRABUDDHE: And that
12 there is a zero percent chance that 2020 would reflect
13 that, yes.

14 MR. ANTHONY GUERRA: Yeah, absolutely.
15 I appreciate that clarification. And so MPI did not
16 include 2020, the -- the COVID lock-down year.

17 You agree with that?

18 MR. RAJESH SAHASRABUDDHE: Yes, they
19 did not include 2020.

20 MR. ANTHONY GUERRA: And so -- and
21 again, I -- I think this is just a rephrasing for you,
22 but you would agree that MPI is saying that there's a
23 zero percent chance that the upcoming rating year will
24 resemble the COVID lock-down year for the adjusted
25 loss cost basis, correct?

1 MR. RAJESH SAHASRABUDDHE: Well,
2 understanding that they have an adjustment for the
3 COVID lock-downs in -- in the estimates, so that's not
4 an unadjusted value, where they didn't compensate for
5 the effect of the COVID adjustment.

6 And again, when we -- we asked them on
7 the -- when we asked about the rationale for the --
8 including 2020 and 2021, it wasn't COVID that was
9 mentioned, it was the -- the snowfall levels that were
10 mentioned.

11 And I would also mention that the 2021
12 value also includes a -- also includes a COVID --
13 includes a COVID adjustment. And -- and I think we,
14 you know, remember in early 2022, you know, the -- the
15 Omicron variant was -- was around and there were --
16 there were still some -- some more restrictions that
17 were sort of re-emerged at that time.

18 MR. ANTHONY GUERRA: Okay. And -- and
19 so if I can, hopefully, recall some of your earlier
20 testimony accurately.

21 What I think I understood you say
22 earlier this morning was that MPI with this weighting,
23 is -- is predicting a six (6) year experience with
24 uneven weights. Correct?

25 MR. RAJESH SAHASRABUDDHE: There --

1 there is a six (6) year experience period with uneven
2 weights. I think, yes, that's factually correct.
3 Yes.

4 MR. ANTHONY GUERRA: So, that's
5 factually correct, that's what --

6 MR. RAJESH SAHASRABUDDHE: Yeah.

7 MR. ANTHONY GUERRA: -- that's what
8 you had said. Yes.

9 MR. RAJESH SAHASRABUDDHE: Yes.

10 MR. ANTHONY GUERRA: Thank you. And
11 if we can go to the Oliver Wyman presentation from
12 earlier this morning, at slide number 17, please.

13 You agree with me, sir, that Oliver
14 Wyman is essentially doing the same thing; in this
15 case, a five (5) year experience with uneven weights?

16 MR. RAJESH SAHASRABUDDHE: Yes. But -
17 - I mean, we view the distinction between five (5)
18 years and six (6) years as being meaningful, but --
19 but the uneven weights is -- the -- the -- while the
20 weights are uneven, none of them are zero (0).

21 MR. ANTHONY GUERRA: Okay. And if we
22 can go to the Oliver Wyman Report at CAC/Exhibit 5,
23 please. If we can go to page 7, please. Oh -- there,
24 perfect.

25 And, so what Oliver Wyman is saying

1 with its alternative weights is that MPI is more
2 likely to experience a year like 2020 over a year like
3 2017. Correct?

4 MR. RAJESH SAHASRABUDDHE: That --
5 that's implicit in the model, but the reason we don't
6 include 2017 is because it's outside of a five (5)
7 year period, not because of its predictive value.

8 So, you -- you could extend that all
9 the way back to 2009 and 2010 where we have data and
10 say, it's more likely that we experienced twenty --
11 2020 or 2021, relative to those years, but it has
12 nothing to do with our -- our assessment of the
13 predictive value of that period.

14 But, it's more the idea that the
15 experience period should -- should be five (5) years
16 long instead of -- longer for an insurer of this size.

17 MR. ANTHONY GUERRA: Okay. Thank you.
18 And in the case of accident benefits weekly indemnity,
19 the first column, do you see that?

20 MR. RAJESH SAHASRABUDDHE: I do.

21 MR. ANTHONY GUERRA: And then the
22 bodily injury, the middle column?

23 MR. RAJESH SAHASRABUDDHE: Yes.

24 MR. ANTHONY GUERRA: And then the
25 property damage and also, actually, the collision as

1 well.

2 You agree with me, sir, that in -- in
3 that particular case by assigning more weighting to
4 the 2020 year as opposed to the 2021 year, what Oliver
5 Wyman is saying is that 2020 is more likely to happen
6 than 2021.

7 MR. RAJESH SAHASRABUDDHE: Our -- our
8 assessment was that 2020 is more like the longer term
9 experience than 2021 and that's the basis on -- on --
10 on which we provided those weights and the conclusion
11 that -- that you described is -- is an accurate
12 implicit -- implicit conclusion.

13 MR. ANTHONY GUERRA: Oliver Wyman's
14 aware that MPI's claim forecast come from its June
15 15th, 2023 Application filing.

16 MR. RAJESH SAHASRABUDDHE: Yes.

17 MR. ANTHONY GUERRA: And MPI -- and
18 sorry, Oliver Wyman is rather aware that MPI didn't
19 update its claims forecasting after the June filing?

20 MR. RAJESH SAHASRABUDDHE: That's my
21 understanding. Yes. Yeah.

22 MR. ANTHONY GUERRA: Ms. Schubert, can
23 I ask you to pull up MPI Exhibit No.64, please, the
24 Claims Forecasting Presentation. And, if we can turn
25 to slide 7, please.

1 MPI addressed the uncertain future that
2 we find ourselves in and talked about the actual and
3 possible events occurring after the release of the
4 2024 GRA Claims Forecast, that may mean uncertainty
5 ahead and the need for caution.

6 And, in this particular case, MPI
7 pointed out the current labour interruption on
8 severity of claims, the auto worker labour
9 interruptions on severity of claims, inflation
10 increases observed in July and August 2023 and
11 possibly ongoing and then the actual versus estimated
12 work-from-home adjustment. Do you see that, sir?

13 MR. RAJESH SAHASRABUDDHE: I do.

14 MR. ANTHONY GUERRA: Would you agree
15 with me that labour interruption could impact claim
16 severity?

17 MR. RAJESH SAHASRABUDDHE: Yes -- yes,
18 I -- I could see a circumstance where -- where that's
19 true, where the number of claim adjusters that are
20 available to manage claims is -- is fewer and that
21 impacts severity, so -- so, yes, I could see that.

22 MR. ANTHONY GUERRA: And are you
23 aware, sir, that MPI is currently in week nine (9) of
24 a strike involving approximately seventeen (17) --
25 seventeen hundred (1,700) of its roughly two thousand

1 (2,000) employees?

2 MR. RAJESH SAHASRABUDDHE: Yes.

3 MR. ANTHONY GUERRA: And would you
4 agree, sir, that this labour interruption could impact
5 the frequency and severity of claims in the future?

6 MR. RAJESH SAHASRABUDDHE: I -- I
7 don't know how it would impact frequency. I can't
8 think of a -- of a hypothetical approach where it
9 would impact frequency.

10 It's possible that it could impact
11 severity. I -- I don't know that for -- for sure.
12 That would be sort of speculation on my part, but, at
13 least, I can -- I can hypothesize a -- a circumstance
14 where it would impact severity.

15 I can't hypothesize a circumstance
16 where it would effect frequency, you know, unless they
17 just weren't -- there wasn't a claim in-take process,
18 but, ultimately, those claims would get reported.
19 They would just get shifted, I would imagine. So,
20 it's not as if the insured is going to abandon a
21 claim, just because MPI is -- is on strike.

22 MR. ANTHONY GUERRA: Correct, but they
23 may not report it in this current accident year. They
24 could report it in the next accident year. Correct?

25 MR. RAJESH SAHASRABUDDHE: I would

1 think they would report it right away. When it gets
2 recorded in the claims system, there might be a delay,
3 'cause that takes manpower to input, but I can't see
4 an insured saying, well, I'm not going to report the
5 claim now. I'll report it -- and these are
6 hypotheticals.

7 So, I -- I -- this is not an area that
8 I -- I'm just trying to -- trying to come up with a
9 reasonable circumstance under which your -- your
10 hypothesis would be true and I -- I can't identify one
11 for frequency, but I, you know, potentially, could
12 identify one for severity but, again, it's outside the
13 scope of my expertise.

14 MR. ANTHONY GUERRA: Fair enough. And
15 Oliver Wyman is aware of the UAW and Unifor strikes in
16 September/October. Correct?

17 MR. RAJESH SAHASRABUDDHE: Yes.

18 MR. ANTHONY GUERRA: And you agree,
19 sir, that those labour interruptions could impact the
20 severity of claims as well in future?

21 MR. RAJESH SAHASRABUDDHE: Again,
22 that's a little -- I know the UAW is sort of striking
23 in different facilities in different countries. So, I
24 haven't followed it to see whether it's affecting the
25 price of new cars or car parts and I know UAW, you

1 know, it represents workers in -- in various different
2 sectors of the automotive industry. So, that one, I'm
3 not a hundred percent sure about.

4 MR. ANTHONY GUERRA: And inflation
5 increases in July and August and September, Oliver
6 Wyman would agree that those higher inflation amounts
7 could impact severity of claims?

8 MR. RAJESH SAHASRABUDDHE: Yes.
9 Higher inflation. Yes. Change -- changes -- there is
10 an implicit assumption about inflation in the future
11 trend. So, the -- that's -- to the extent that actual
12 inflation was -- was greater than that implicit
13 assumption, or greater or less than, it -- it would
14 impact claims severity. That's correct.

15 MR. ANTHONY GUERRA: Thank you. And,
16 finally, Oliver Wyman would agree that, if the
17 estimated mobility data doesn't match the actual data
18 for the next upcoming rate year, that that could
19 significantly impact the frequency of claims?

20 MR. RAJESH SAHASRABUDDHE: Yes. If
21 people drove less than MPI's assuming; if they didn't
22 drive that 5.56 percent more then -- then it would be
23 impacted but, again, ultimately, you have to have --
24 have an assumption underlying the rate and -- and our
25 view is that uncertainties are captured through

1 capital, not -- not the premium. So, that's what the
2 capital is there for to -- because the uncertainties
3 can work in either direction.

4 So, what -- what the view is is that --
5 that, if you have adverse uncertainty, you absorb that
6 through the capital account, not through increasing
7 the premium for what, potentially, could happen.

8 MR. ANTHONY GUERRA: So, you would
9 agree with me, sir, that it's important to have a
10 reasonable reserve of capital, just for that
11 particular uncertain future?

12 MR. RAJESH SAHASRABUDDHE: Yes.
13 Capital is -- is critical for insurers.

14 MR. ANTHONY GUERRA: Thank you, sir.
15 No further questions.

16 PANEL CHAIRPERSON: Thank you. It's
17 almost noon. So, I think we should take our break for
18 lunch right now and come back at one o'clock, please.

19

20 --- Upon recessing at 11:59 a.m.

21 --- Upon resuming at 1:02 p.m.

22

23 MR. STEVE SCARFONE: My apologies,
24 Madam Chair. I was just on the phone with counsel for
25 the CMMG about a last-minute undertaking that they

1 want us to commit to. So we're going to try and sort
2 that out offline if we can, but...

3 PANEL CHAIRPERSON: Thank you, Mr.
4 Scarfone. So we'll continue with PUB counsel, Mr.
5 Andres.

6 MR. TODD ANDRES: Thank you, Madam
7 Chair.

8

9 CROSS-EXAMINATION BY MR. TODD ANDRES:

10 MR. TODD ANDRES: Mr. Sahasrabuddhe,
11 I'm Todd Andres and I'm co-counsel for the PUB, and I
12 -- I do have a number of questions for you. Most --
13 most of them arise out of the Information Requests
14 that were -- and the responses to the Information
15 Requests given by the CAC.

16 MR. RAJESH SAHASRABUDDHE: Okay.

17 MR. TODD ANDRES: And it will come as
18 no surprise to you we're going to start with the issue
19 of accident year weights.

20 MR. RAJESH SAHASRABUDDHE: Okay.

21 MR. TODD ANDRES: So if we start on
22 page 6, and I -- I note that Oliver Wyman has
23 estimated it reviews about seventy-five (75)
24 automobile rate filings a year in Canada, correct?

25 MR. RAJESH SAHASRABUDDHE: That's

1 correct, yes.

2 MR. TODD ANDRES: Thank you. And in
3 response to question 'B', you say that:

4 "The rate filings generally but not
5 always adjust loss experience and/or
6 the weights applied to the
7 experience periods affected by the
8 pandemic."

9 It's fair?

10 MR. RAJESH SAHASRABUDDHE: Yes, that
11 is fair.

12 MR. TODD ANDRES: Thank you. And how
13 often have you seen more than five (5) accident years
14 of claims experience provided in these rate filings?

15 MR. RAJESH SAHASRABUDDHE: It's quite
16 rare. I can't say that I've never seen it, but I -- I
17 don't necessarily recall an instance where more than
18 five (5) years have been used.

19 MR. TODD ANDRES: Okay. And -- and so
20 from your review of these rate filings, would you say
21 that many companies used data provided by the General
22 Insurance Statistical Agency, or GISA, for the
23 actuarial analysis provided in their filings?

24 MR. RAJESH SAHASRABUDDHE: Yes,
25 particularly for trends. That's true, yes.

1 MR. TODD ANDRES: All right. Thank
2 you. And -- and obviously -- so you're familiar with
3 the GISA actual loss ratio exhibit?

4 MR. RAJESH SAHASRABUDDHE: Yes.

5 MR. TODD ANDRES: And in that GISA
6 actual loss ratio exhibit, which has data aggregated
7 at the provincial level, it uses five (5) accident
8 years of data, correct?

9 MR. RAJESH SAHASRABUDDHE: I think --
10 I don't recall the specifics of that exhibit. I know
11 many GISA reports include twenty (20) years, but at
12 least five (5) I think is -- is probably --

13 MR. TODD ANDRES: I -- I can take you
14 there if you like.

15 MR. RAJESH SAHASRABUDDHE: Okay.
16 Yeah. That -- that'd be great, yes.

17 MR. TODD ANDRES: Yeah. So, Ms.
18 Schubert -- it's already there. So if we click on the
19 snapshot for actual loss ratio -- so actual loss ratio
20 is the second heading and that's right there.

21 MR. RAJESH SAHASRABUDDHE: Oh, yes.
22 Okay, okay. I understand, yes. This -- yes. I'm
23 familiar with this exhibit, yes. This exhibit has
24 five (5) years.

25 What my reference was to the GISA data

1 that many companies use for trend has twenty (20)
2 years of data, but I -- that's a different report than
3 this one.

4 MR. TODD ANDRES: Right. And -- and -
5 - but if we go back -- and -- and so I -- I don't
6 necessarily need to take you there, but you'll agree
7 that the -- the GISA territorial exhibit which has
8 data, again, aggregated at the territorial level
9 within each province, there is also five (5) years of
10 accident data, correct?

11 MR. RAJESH SAHASRABUDDHE: Yes.

12 MR. TODD ANDRES: Thank you. And --
13 and you would agree that this may be one (1) of the
14 reasons that companies only provide five (5) years'
15 worth of data in their rate filings?

16 MR. RAJESH SAHASRABUDDHE: Generally
17 for -- for the -- the five (5) years is the experience
18 period of their own loss data that they would use. I
19 don't think that's driven by availability of GISA
20 data, if that's the question, because their experience
21 period is just based on their own data.

22 So it wouldn't be influenced by what's
23 -- what's available in the -- in the GISA filings.
24 The -- the GISA filings they use more for the trend
25 analysis 'cause their data tends to be thinner.

1 MR. TODD ANDRES: So, you know, given
2 that -- and -- and -- given that we understand that
3 companies do tend to use -- well, so you'll agree that
4 companies do tend to use a five (5) year period.

5 If they were to -- to adjust their --
6 you know, the weights that they were giving to the
7 pandemic years downwards, they would increase the
8 weights for some or all of the other years, correct?

9 MR. RAJESH SAHASRABUDDHE: That's
10 correct, yes.

11 MR. TODD ANDRES: But they would not
12 go back to earlier years, correct?

13 MR. RAJESH SAHASRABUDDHE: Yes. We do
14 not generally -- I don't recall an instance where they
15 -- where they added years at the back end.

16 MR. TODD ANDRES: So is it fair to say
17 the data availability may play a role in how companies
18 have adjusted their weights for the pandemic?

19 MR. RAJESH SAHASRABUDDHE: The data
20 availability -- I'm sorry. Could you state that
21 again?

22 MR. TODD ANDRES: Data availability --
23 so in other words, this -- the -- the tendency to use
24 five (5) years -- that's because of the availability
25 of the five (5) years' worth of data.

1 MR. RAJESH SAHASRABUDDHE: No. So
2 that's -- again, generally, they're using their own
3 internal data, so they can -- and unless they've had
4 some sort of systems change where they can't access
5 their own data.

6 And they would have data available for,
7 you know, significantly longer periods of time, and
8 their selection of five (5) years is more related to
9 the -- the issue that -- that I reviewed where you
10 don't want to use older data. You want to be more
11 responsive to recent conditions. It's -- I -- I don't
12 think it's a data availability issue for commercial
13 filers.

14 MR. TODD ANDRES: So you're suggesting
15 that they're not relying on the GISA data.

16 Is that correct?

17 MR. RAJESH SAHASRABUDDHE: That --
18 that's correct, not -- not -- for trends, yes. For
19 the indication for -- to analyse their own experience,
20 they're -- again, so the -- the commercial filers,
21 much as MPI, they compare their loss experience to
22 what they're currently charging.

23 So if a commercial filer makes a
24 filing, they have to compare their own loss experience
25 to what they are currently charging.

1 This is an industry aggregation, so it
2 wouldn't really provide meaningful information in that
3 context except for, you know, perhaps to understand if
4 there was, you know, something that affected all
5 companies in a -- in a province for a particular year.

6 For example, a big hail storm in
7 Calgary, that's the sort of thing that they may look
8 at and -- and try to understand through the GISA data,
9 but I don't think that that affects their decision to
10 just use the five (5) years.

11 MR. TODD ANDRES: Understood. Thank
12 you. So MPI does not use GISA data, correct?

13 MR. RAJESH SAHASRABUDDHE: There's no
14 GISA data in -- in the -- in the GRA, yeah.

15 MR. TODD ANDRES: Right. And -- and
16 again, it does have access to a great more than five
17 (5) accident years of experience, correct?

18 MR. RAJESH SAHASRABUDDHE: Yes.

19 MR. TODD ANDRES: Now, if MPI didn't
20 believe that 2020 was predictive of the future, it
21 would not be unreasonable for it to make use of an
22 earlier year as a proxy potentially, such as 2017?

23 MR. RAJESH SAHASRABUDDHE: Yeah. I --
24 I don't think it's unfair to say it wouldn't be
25 reasonable. Again, it's -- it's not what we observe

1 going back to a six (6) year experience period, but --
2 but it is -- it's a choice that they could make, yes.

3 MR. TODD ANDRES: Right. Just
4 confirming, it's not unreasonable.

5 MR. RAJESH SAHASRABUDDHE: Yeah.

6 MR. TODD ANDRES: I think you may have
7 said, "not reasonable." So it's not unreasonable,
8 correct?

9 MR. RAJESH SAHASRABUDDHE: I wouldn't
10 do it, but -- but that's in -- in my judgment. So in
11 my judgment, you would want to stay with the five (5)
12 year experience period.

13 There's lots of considerations that
14 would come into that because, remember, it's not only
15 2020 that was affected by the pandemic, but it's also
16 2021. And then do you have a means for adjusting for
17 the effect of the pandemic?

18 So you'd have to put all of that
19 together, and if you -- if you looked at all of that
20 and said, okay, we're going to exclude 2020 for the
21 pandemic but make an inconsistent judgment on that for
22 2021 and bring in 2017, like, to me that set of facts
23 is unreasonable even though in and of itself the one
24 (1) fact of, okay, we're not going to include 2020 and
25 put in 2017.

1 In -- in zero isolation that might seem
2 okay, but if I -- if I keep in -- into account that
3 they have an adjustment vehicle, they include 2021, on
4 -- on that basis I would find it unreasonable.

5 MR. TODD ANDRES: Okay. So your --
6 your suggested approach gave more weight to 2018, '19,
7 and 2022 and gave weight to 2020 and 2021 based on a
8 relative likelihood approach, correct?

9 MR. RAJESH SAHASRABUDDHE: That's
10 correct.

11 MR. TODD ANDRES: Thank you. And I --
12 I believe you said in all of the rate filings you
13 reviewed you have not seen a relative likelihood
14 approach, correct?

15 MR. RAJESH SAHASRABUDDHE: That's
16 correct, yes.

17 MR. TODD ANDRES: Thank you. And you
18 were asked to apply this approach of yours, the -- the
19 relatively novel approach, I would suggest, to
20 accident years 2018 to 2022, for each coverage to
21 demonstrate how the relative likelihood approach would
22 work if it was applied to all of the years, correct?

23 MR. RAJESH SAHASRABUDDHE: Yes. That
24 was an Information Request of us, yes.

25 MR. TODD ANDRES: Thank you. And so,

1 if we look at that, that's still in PUB/CAC-2. This
2 is the response to 'H'. Right.

3 And, as we see, the -- the weights
4 appear to be somewhat random, correct?

5 MR. RAJESH SAHASRABUDDHE: Yes.

6 MR. TODD ANDRES: So you would agree
7 that the general use of this approach may increase the
8 volatility of the predicted loss count and, hence, is
9 not generally appropriate?

10 MR. RAJESH SAHASRABUDDHE: I think I -
11 - I think it generally would reduce the volatility
12 because outliers get less weight in this approach. So
13 -- so I think in -- in the long run, it would actually
14 reduce the volatility. I don't think it would
15 actually increase the volatility.

16 MR. TODD ANDRES: And so can -- can
17 you explain why you would have suggested a novel
18 approach for -- for the accident year weighting?

19 MR. RAJESH SAHASRABUDDHE: Sure.
20 We're suggesting -- first of all, I mean, again, just
21 to clarify, this only applies to 2020 and 2021 and
22 we're trying to respond to novel circumstances.

23 The COVID-19 pandemic, as -- as --
24 yeah, as we all hope, a once-in-a-lifetime event. It
25 created -- it created -- it changed -- or it affected

1 automobile loss experience. And we -- and now there's
2 more uncertainty in the estimate in terms of going
3 forward because, you know, perhaps imperfect
4 adjustment to -- to unwind that effect.

5 So it's -- it's a novel approach to
6 respond to a unique time period. It's -- and that's
7 why we -- we are not suggesting that it be used for
8 other periods.

9 MR. TODD ANDRES: Thank you. And --
10 and based on filings that you've reviewed, are
11 accident year weights adjusted more on a judgmental
12 basis?

13 MR. RAJESH SAHASRABUDDHE: Yes.

14 MR. TODD ANDRES: Thank you for that.
15 So moving along to -- now we're going to talk to -- or
16 speak to PUB/CAC-1.

17 And so, if MPI had just used 20 percent
18 weight for each of the most recent five (5) accident
19 years, you've estimated the rate level indication
20 would be a negative 1.41 percent, yes?

21 MR. RAJESH SAHASRABUDDHE: Yes.

22 MR. TODD ANDRES: Thank you. And the
23 indication as filed had been negative .13?

24 MR. RAJESH SAHASRABUDDHE: Yes.

25 MR. TODD ANDRES: And that's a change

1 of negative 1.28?

2 MR. RAJESH SAHASRABUDDHE: Yes.

3 MR. TODD ANDRES: Thank you.

4 Therefore, the estimated impact on the overall rate
5 indication would have been negative 1.28, correct?

6 MR. RAJESH SAHASRABUDDHE: Yes.

7 MR. TODD ANDRES: Thank you. And so,
8 based on this negative 1.28 percent impact, if instead
9 MPI had elected to use weights of 10 percent per
10 accident year 2017 and 2020 and 20 percent for each of
11 '18, '19, '20 -- sorry, I'll say that again -- '18,
12 '19, '21, and '22 for those coverages in which it had
13 used zero percent weight in 2020, the impact would
14 have been about half, or negative .64 percent?

15 MR. RAJESH SAHASRABUDDHE: Right,
16 because this is equal weight to all years, so you're
17 bringing in '17 and taking half the effect of '20.

18 MR. TODD ANDRES: Correct.

19 MR. RAJESH SAHASRABUDDHE: I'm not
20 sure that the math would exactly work out that way
21 only because -- let's see -- because the 1.28 would be
22 -- would include the dropping of '17 and the inclusion
23 of '21 at the -- at equal weight.

24 But in our approach -- oh, I'm sorry.
25 So that's the base case. And then, if we -- it's --

1 I'm not sure that that's the case because it would
2 depend on where 2017 was relative to 2021. It's not -
3 - so, for example, if -- if 2017 and 2021 had the
4 identical loss ratio once adjusted, it doesn't matter
5 that you shift 10 percent weight from 2021 to -- I'm
6 sorry -- from 2020 to 2017, you would get the exact
7 same result. That -- does that make sense?

8 Again, so if you -- if you have six (6)
9 loss years that you're looking and you're moving 10
10 percent weight from 2020 to -- to 2017, you know, from
11 originally -- you know, from 20 to 10 and from zero to
12 10, if the estimated loss ratio -- the forecast loss
13 ratio is exactly the same, it has no effect on the
14 losses.

15 So I'm not -- I'm not sure where it
16 would end up, so I -- I can't really say as to whether
17 it would be that minus 64 that you indicated.

18 MR. TODD ANDRES: Thank you for that.
19 Turning to the issue of claims trending in general.
20 This is PUB/CAC number 3.

21 In the 2023 GRA, you did not take issue
22 with the use of different trend periods for frequency
23 and severity for a given coverage, correct?

24 MR. RAJESH SAHASRABUDDHE: That's
25 correct.

1 MR. TODD ANDRES: Thank you. And your
2 response was that, since MPI's prior trend approach
3 relied more heavily on judgment, you focussed your
4 2023 GRA review on the modelled projections and
5 results rather than the modelled designs and
6 assumptions, correct?

7 MR. RAJESH SAHASRABUDDHE: Yes. Yes,
8 that's -- that's -- that was our response, yes.

9 MR. TODD ANDRES: And -- and do you
10 agree that MPI's new approach in methodology is more
11 robust?

12 MR. RAJESH SAHASRABUDDHE: Yes.

13 MR. TODD ANDRES: Thank you. And then
14 with respect to accident benefits and in the other
15 non-indexed category, you agreed in -- in your
16 response to CAC -- PUB/CAC number 5 -- that's at page
17 20 -- starts at page 20.

18 You agreed that the use of a 0.0
19 percent future frequency trend for accident benefits
20 other non-indexed appears to be unduly conservative
21 considering the historical negative frequency trend
22 observed for accident benefits other non-indexed as
23 well as other coverages.

24 Is that fair?

25 MR. RAJESH SAHASRABUDDHE: Right. So

1 I -- I -- again, I don't -- I don't see the initial
2 question here, but I assume that was a response to a
3 hypothesis put forward to us and -- yes.

4 MR. TODD ANDRES: And just to be
5 clear, you considered negative 2.4 to negative 4.9 to
6 be a reasonable range for the selected future
7 frequency trend for accident benefits other non-
8 indexed?

9 MR. RAJESH SAHASRABUDDHE: Yes, that's
10 -- that was our conclusion.

11 MR. TODD ANDRES: Thank you. With a
12 collision frequency trend of negative 1.7, why do you
13 not consider negative 1.7 to be within a reasonable
14 range?

15 MR. RAJESH SAHASRABUDDHE: While --
16 while I can accept that there's correlation between
17 different types of coverages and collision because,
18 ultimately, it's the -- you know, it's -- it's the
19 collision that triggers other types of claims.
20 They're not perfectly correlated.

21 So the fact is that -- that different -
22 - different coverages experience different sorts of
23 claiming behaviour and -- and, as a result, you
24 wouldn't want to use the exact same values.

25 I guess if -- if you're suggesting that

1 potentially the collision frequency trend could be a
2 lower bound, I guess I would need to think about that
3 because we try to -- we evaluate the accident benefits
4 trend in the context of the accident benefits data,
5 not -- because -- because we do know that there are,
6 as I said, different claiming trends by coverage.

7 So, I think if one wanted to make that
8 argument, that it should be -- it should be on some
9 level related to the collision data, I guess I could
10 accept it, but I'd have to look at the correlations to
11 -- to confirm that that was reasonable.

12 MR. TODD ANDRES: Right. Thank you
13 for that. Turning forward again to PUB/CAC number 6.

14 You agreed that the severity trend
15 model used by MPI had a misalignment issue that
16 overstated the trend as the model 2 prediction for
17 2020 does not align with the model 1 prediction for
18 2020, fair?

19 MR. RAJESH SAHASRABUDDHE: Yes.
20 Again, that was not an issue that we identified but
21 was -- but was essentially identified through these.
22 I mean, I think we knew it, but we didn't put it in
23 our report and -- as I stated this morning -- and so
24 we certainly agree with it.

25 MR. TODD ANDRES: Thank you. And --

1 and your alternative model does not suffer this
2 deficiency, correct?

3 MR. RAJESH SAHASRABUDDHE: That's
4 correct.

5 MR. TODD ANDRES: Thank you. And you
6 estimate in the original report the -- the original
7 Oliver Wyman report, in table 7, that the use of the
8 alternative model in the selection of severity
9 transfer collision would result in a decrease in the
10 overall rate indication of .72 percent. Correct?

11 MR. RAJESH SAHASRABUDDHE: I believe
12 that -- that I think that was it, but when we
13 calculated that, we used that -- so we had actually
14 calculated the -- I think -- again, I'm going to get
15 this wrong, but I think it's at MPI Exhibit 70, the --
16 the corrected trend number.

17 We had calculated at that level, but we
18 assumed that there was some sort of rounding issue in
19 our calculation. So, we accepted the -- when we
20 calculated the effect, we put through, sort of the
21 incorrect measure, so that's why that number has
22 changed.

23 But -- but yes, that was sort of the --
24 the basis of -- of the estimate.

25 MR. TODD ANDRES: Right. And there it

1 is there. Thank you for that.

2 So, if you used weights of 20 percent
3 for each of the years 2018 to 2022, the rate decrease
4 would be, you know, negative 1.87 percent. Correct?

5 MR. RAJESH SAHASRABUDDHE: 2018
6 through 2022 --

7 MR. TODD ANDRES: If we -- and we can
8 go back to the --

9 MR. RAJESH SAHASRABUDDHE: Yeah.

10 MR. TODD ANDRES: -- IR -- the same
11 Information Request, then, Ms. Schubert, response 'D'.

12 MR. RAJESH SAHASRABUDDHE: Okay. We
13 submit it would decrease, sorry -- alternative loss
14 trend model -- oh, I see, okay, so just for collision,
15 the -- the indication would be minus one point --
16 would -- would decrease by one point eight seven
17 (1.87) percentage points, so that would mean -- yes,
18 it -- it -- so the -- again, I -- the -- the way we've
19 written which, again, we try to be precise with our
20 language, is that the -- the MPI indication would --
21 would reduce by this approximate one point nine (1.9)
22 percentage points.

23 The -- I -- I -- I don't recall what
24 their indication is for collision, but had -- let's
25 say it was minus 1 percent, it would become minus 2.9

1 percent.

2 MR. TODD ANDRES: Thank you. Turning
3 forward to PUB/CAC-8, in your design matrix for the
4 severity model you had an error. Correct?

5 MR. RAJESH SAHASRABUDDHE: That's
6 correct.

7 MR. TODD ANDRES: And the correction
8 of that error would increase the rate indication by
9 .02 percent. Correct?

10 MR. RAJESH SAHASRABUDDHE: Yes.

11 MR. TODD ANDRES: Thank you, there it
12 is there. The difference between negative three point
13 six three (-3.63) and negative three point six one
14 (-3.61).

15 And your estimate of the impact of MPI
16 using the two (2) factor model for severity using the
17 years 2013 to 2022, would be to reduce the rate
18 indication by negative .8 percent, using 20 percent
19 weights for each of 2018 to 2022. Correct?

20 MR. RAJESH SAHASRABUDDHE: I'll --
21 I'll accept that if that's one of our responses here.

22 MR. TODD ANDRES: Well, it's in 'B',
23 it's --

24 MR. RAJESH SAHASRABUDDHE: -- the
25 other --

1 MR. TODD ANDRES: -- further down the
2 page there.

3 MR. RAJESH SAHASRABUDDHE: Yes.

4 MR. TODD ANDRES: Right. And
5 switching to 2010 to 2022 for severity, with the two
6 (2) factor model, again, would have an impact of an
7 additional negative .01 percent. Correct?

8 MR. RAJESH SAHASRABUDDHE: Yes. I --
9 again, I don't -- I don't recall the -- all the
10 calculations specifically, but -- but -- but if that's
11 our response, I -- I certainly agree with it.

12 MR. TODD ANDRES: And if we scroll
13 down to 'C', we'll see that that's correct. We're
14 going from point 0 eight (.08) to point 0 nine (.09).
15 Pardon me. Not 'C'. A little further down. Yeah,
16 there it is point 0 nine (.09).

17 MR. RAJESH SAHASRABUDDHE: Yes.

18 MR. TODD ANDRES: Thank you. You do
19 not have any data on which to determine the drivers of
20 your indicated decrease in severity trend 2020.

21 Correct?

22 MR. RAJESH SAHASRABUDDHE: I'm sorry,
23 so the drivers for decreased severity trend for 2020
24 is a -- I -- I don't understand that reference.

25

1 (BRIEF PAUSE)

2

3 MR. TODD ANDRES: I will get
4 clarification for you.

5 MR. RAJESH SAHASRABUDDHE: Okay. I --
6 I would -- just as a -- as a general note, indicate
7 that, you know, we are in -- we're analyzing the data.
8 We don't have insight into all of MPI's underlying
9 claim processes and -- and -- and other, you know,
10 potential -- and I'll call them potential drivers to
11 the extent that that's sort of what was being eluded
12 to.

13 MR. TODD ANDRES: That -- that is
14 what's being eluded to.

15 MR. RAJESH SAHASRABUDDHE: Okay.

16 MR. TODD ANDRES: Thank you. And
17 those are my questions.

18 PANEL CHAIRPERSON: Thank you. Ms.
19 Dilay...? Oh, I'm sorry. Mr. Gabor...?

20 MS. KATHLEEN MCCANDLESS: Madam Chair,
21 just -- I see Ms. Wittman is here. I don't know if
22 she has any questions for Oliver Wyman. I just wanted
23 to be sure and I don't believe Ms. Meek does, but...

24 MS. KAREN WITTMAN: No. Thank you.

25 MS. KATHLEEN MCCANDLESS: Thank you.

1 PANEL CHAIRPERSON: Thank you. And
2 Ms. Meek...?

3 MS. CHARLOTTE MEEK: No. Thank you.

4 PANEL CHAIRPERSON: Mr. Gabor...?

5 BOARD CHAIR GABOR: Ms. Schubert,
6 could you go to page 17 of the presentation from this
7 morning.

8 Sir, can you remind me how many filings
9 you would have reviewed in the last two (2) years?

10 MR. RAJESH SAHASRABUDDHE: Again, we -
11 - we estimate that we review about seventy-five (75)
12 annually. It's -- like I said, it's a little bit hard
13 to count because, you know, for example, Aviva might
14 have two (2) or three (3) underwriting companies.

15 And two (2) -- and they might file for
16 commercial and personal at the same time, so how --
17 how do you sort of count that is -- is a little bit
18 tricky. You know, the Aviva general and Aviva
19 Insurance Company of Canada, so does that count as two
20 (2) different filings, but, sort of on an individual
21 filing basis, we -- we've estimated about seventy-five
22 (75) a year, so it would be a hundred and fifty (150)
23 over two (2) years.

24 BOARD CHAIR GABOR: Okay. You refer
25 to -- so -- so my questions are going to be about 2020

1 and 2021.

2 MR. RAJESH SAHASRABUDDHE: Yes.

3 BOARD CHAIR GABOR: You refer to 2020,
4 the filings for 2020 and 2021 as novel circumstances.

5 MR. RAJESH SAHASRABUDDHE: Yes.

6 BOARD CHAIR GABOR: Okay. In terms of
7 the weighting that has been proposed by MPI, in the
8 other filings that you've reviewed, is there a
9 standard that insurers used, because everybody faced
10 the -- the same pandemic.

11 MR. RAJESH SAHASRABUDDHE: Yes.

12 BOARD CHAIR GABOR: But is there some
13 -- that -- is there -- sort of an informal or formal
14 standard that was used, or does it just go all over or
15 -- or what was the --

16 MR. RAJESH SAHASRABUDDHE: Yeah. No,
17 yeah, I -- I would say it's all over. We actually
18 have -- we actually have companies that did not -- did
19 not adjust the -- just left the pandemic experience in
20 as is and part of their logic was that -- again, this
21 is moving back a little bit in time, but part of their
22 logic was, hey, commuting patterns haven't really
23 recovered yet, so we're okay keeping that in, because
24 we have the -- the higher level of activity in the
25 older years that are not reflective of current

1 commuting patterns.

2 So, the -- you know, the pre-pandemic
3 years. And -- and then we have maybe a little higher
4 of an effect for the pandemic years and it all sort of
5 works out to about where we are now so we've -- we've
6 seen that approach where there was no dropping.

7 And then, you know, we have seen times
8 where -- where -- where the year had significantly
9 less weight, as well.

10 But, typically, we have not seen a
11 situation where -- and again -- defining 2020 and 2021
12 is difficult because not everyone works on a calendar
13 year basis, or an April 1 to March 31 basis. You
14 know, for one company, 2020, may be, you know, quote
15 unquote 2020 may be June 30th, 2019 -- or it's July 1,
16 2019 to June 30th, 2020.

17 So, it -- it's -- but as a general
18 rule, we have not seen a situation where -- where one
19 pandemic year was -- was removed and the other was
20 still left in. That -- either it was, hey, you know,
21 this -- this pandemic -- and -- and the situation has
22 also evolved over time as the experiences matured and
23 the -- the impact of the pandemic is -- is becoming a
24 -- become a little more clear. Some of that is
25 through analysis of GISA data.

1 So, I think I might have rambled on and
2 not answered your question directly, but -- but -- but
3 we -- we do -- we do see varying -- varying approaches
4 to -- to the pandemic affected experience periods.

5 BOARD CHAIR GABOR: Okay. And would
6 you -- would you consider -- considering there are
7 varying approaches by different companies, did you
8 consider the varying approaches as being -- any of
9 them being unreasonable or are they just reasonable,
10 subjective and the circumstances sort of dictated that
11 decisions had to be made.

12 MR. RAJESH SAHASRABUDDHE: Sure. I --
13 I -- honestly, I -- I don't recall with specificity
14 but I'm -- I'm reasonably certain that there were
15 situations where -- where we found that the weighting
16 approach that was proposed by the filer was not
17 reasonable.

18 But I don't -- I couldn't tell you how
19 often -- it -- it's -- I wouldn't say it's terribly
20 often, but -- but -- but it wouldn't surprise me if --
21 or, I'm sorry, but -- but I -- but I have a -- sort of
22 a -- a general recollection that there were, you know,
23 several filings where we did object to the accident
24 year weights.

25 BOARD CHAIR GABOR: Okay. Thank you.

1 That's my only question.

2 PANEL CHAIRPERSON: Ms. Boulter...?

3 BOARD MEMBER BOULTER: Hi. It's me
4 over here. MPI's indicating the overall rate would be
5 zero percent, but we know from their chart that there
6 is all different costs, increases, some decreases in
7 different categories.

8 But my question is that the minus 5
9 percent that you're suggesting, there would be more
10 significant savings across the board.

11 Have you looked at the different
12 categories?

13 MR. RAJESH SAHASRABUDDHE: So the --
14 the comparable -- I'm going to make one (1) statement
15 first, then I'll answer your question.

16 So the comparable to the minus 5 would
17 be I think the minus 1-4-8 as opposed to the -- the
18 zero because that -- because -- because the minus 5
19 includes theirs.

20 But from -- from our perspective, the -
21 - the -- we're -- again, we're -- not having looked at
22 the appropriateness of the expenses, all of the rate
23 indication that we're proposing all relates to the
24 loss cost piece, and -- and that wouldn't -- that
25 wouldn't necessarily differ in -- in terms of -- in

1 terms of where they are for the minus 5 versus the
2 minus 3-5 that we have here or the minus 1. --
3 relative to the minus 1.48 that MPI's put out in the
4 October update.

5 PANEL CHAIRPERSON: Ms. Nemec...?

6 BOARD MEMBER NEMEC: Thank you. I'm
7 going to first start on page 17 of your presentation.
8 And Mr. Gabor talked a little bit on this, and -- and
9 that was -- thank you -- that was some of my
10 questions.

11 But taking a little step further, when
12 I was looking at this I looked at 2018/2019, and I had
13 to put brackets around those two (2). And I went, you
14 know, is this the old normal.

15 And then I went down to 2020/2021, and
16 I still probably include 2022 and the new normal. So
17 I was trying to look at that and go that's 60 percent
18 in the new normal. I'm just looking under accident
19 benefits and non-indexed.

20 And I thought, okay, 40 percent of
21 '18/'19, 60 percent for '20, '21, '22. Kind of looked
22 at the same for comprehensive. Collision was 50:50.
23 So I was trying to kind of make sense of new normal,
24 old normal, does this make sense. It's an estimate.

25 I don't know if you have any comments

1 about that.

2 MR. RAJESH SAHASRABUDDHE: Sure. So
3 the -- the way it works is that they -- they adjust
4 everything to a 2022 level, so it's probably not the
5 new normal, it's probably somewhere in between. And
6 then they add 5 percent to get to what would be
7 considered the new normal for purposes of this rate
8 application.

9 So it's some combination of the
10 difference between the historical periods and the 2022
11 level, plus 5 percent, is sort of what the -- what the
12 -- the new normal would be.

13 In other provinces -- and -- and our
14 reports are publically available, at least in Alberta
15 and Ontario. We actually do explicit calculations of
16 the new normal. What we -- and what we've done is
17 we've looked at where claims experience would be
18 relative to -- and we sort of have many provisions in
19 there because we really just have the one (1) data
20 point.

21 The GISA data's half year. So we said
22 potentially the second half of 2022 is sort of the new
23 normal. That's the -- we're just starting to get the
24 data for the -- the June 30, 2023, half year. But
25 when we -- these are our reports that we did earlier

1 this year.

2 So we looked at where claims experience
3 would be had the pandemic not occurred compared to
4 2022-2 (sic). And almost uniformly we found that it's
5 much lower under the new normal, but the magnitude, or
6 the difference, really varies by province and by
7 coverage. And some of that's just randomness in the
8 data. And we just have the one (1) data point at this
9 point.

10 So our caution to our -- to our clients
11 and in the report is that, you know, it's an estimate
12 that's -- that's subject to change and uncertainty
13 because we just have the one (1) data point.

14 But I think what's clear is that --
15 that there's going to be better experience post-pandemic
16 than pre-pandemic, at least in the foreseeable future.
17 We don't -- we don't see too many economists or -- or
18 labour studies that say the -- you know, people are
19 going to back to the five (5) day work week.

20 So, on that basis, we would think it's
21 going to be better, but how much better -- and
22 remember MPI does have an adjustment in there. They
23 have this two (2) part adjustment, get to 2022, and
24 then plus 5 percent from there.

25 BOARD MEMBER NEMEC: And so thinking -

1 - in what you just said then, you're saying 2017 is
2 quite dated then compared to this new normal?

3 MR. RAJESH SAHASRABUDDHE: Correct.
4 Yes.

5 BOARD MEMBER NEMEC: One (1) of the
6 things though I did notice -- and sorry, I'm going to
7 go back because I -- I was going to move on, but I
8 think on page 17 there was a heavier weighting under
9 collision, I think, to 2020 versus 2021 and a lesser
10 weighting under the accident benefits of 2 percent in
11 2020 and '23.

12 I just kind of wasn't sure of how that
13 kind of arose.

14 MR. RAJESH SAHASRABUDDHE: Yeah.
15 Again, I think that's really a function of this
16 difference in claiming behaviour that we've noticed.
17 And I -- I guess, you know, maybe the way to think
18 about it is that -- our understanding from MPI is that
19 the 2021 year is unusual because there was a higher
20 level of snowfall, and that might produce sort of less
21 severe -- like, there might be higher levels of
22 accidents, but they may be less severe, like,
23 potentially a car just sort of sliding into another
24 one at fairly low speed.

25 So you have an unusual outcome, but

1 it's driven by smaller claims. And so -- so that gets
2 -- that gets less weight, but that's less impacted by
3 the accident benefits other, which is also thinner
4 coverage.

5 So if you have, you know, potentially
6 one (1) or two (2) really bad claims, it could sort of
7 really swing the -- swing the volatility of that
8 coverage and -- and create the weighing scheme that
9 we've proposed.

10 BOARD MEMBER NEMEC: Okay. And I'm
11 going to turn to page 78 because, in -- in summary, I
12 think, the majority of the comments relate to the --
13 these -- the weights, the accident weights, between
14 the five (5) years.

15 One (1) snow -- I think one (1) major
16 year of snowfall I think you mentioned just now is
17 2021. And past loss trends when -- whether the same
18 year is used for the -- take a look at one (1) of your
19 charts and I'll be able to say -- the severity and the
20 frequency.

21 MR. RAJESH SAHASRABUDDHE: Yes.

22 BOARD MEMBER NEMEC: So I was looking
23 at your summary chart and trying to understand the
24 accumulation. So the accident weight year is 2.52?

25 MR. RAJESH SAHASRABUDDHE: Yes.

1 BOARD MEMBER NEMEC: So this is from
2 your -- from the MPI presentation to the document we
3 just saw, that was your alternate solution?

4 MR. RAJESH SAHASRABUDDHE: Right. So,
5 if we just -- if we just changed the one (1)
6 assumption and keep all the other assumptions the
7 same. So what we try to do is we try to replicate the
8 model and change one (1) assumption at a time.

9 The -- the overall 3.58 is if we
10 changed all of the assumptions.

11 BOARD MEMBER NEMEC: Right. And 2.52
12 on this document is -- the document that we just
13 looked at --

14 MR. RAJESH SAHASRABUDDHE: Yes.

15 BOARD MEMBER NEMEC: -- for your
16 alternative. And on the -- so I think there's six (6)
17 other areas. Certain of these areas relate to using a
18 different year for the severity and frequency?

19 MR. RAJESH SAHASRABUDDHE: Correct.

20 BOARD MEMBER NEMEC: Which ones are
21 those? Do you know those offhand?

22 MR. RAJESH SAHASRABUDDHE: I don't
23 know offhand.

24 BOARD MEMBER NEMEC: Okay. That's
25 okay. It's in your detail.

1 MR. RAJESH SAHASRABUDDHE: Yeah.

2 BOARD MEMBER NEMEC: It's in your
3 detail. So it's either that, and also picking --
4 maybe picking a different date. I think in one (1)
5 situation you picked 2014?

6 MR. RAJESH SAHASRABUDDHE: Right. So
7 it's consistency -- it's, like, a -- it's either
8 consistency of the period. It's on collision. It's
9 this disjoint model. It's also perhaps picking
10 different time periods for -- I think in -- there --
11 there might be one (1) exception, but I think, in
12 general, we pick one (1) of the two (2) MPI periods.

13 So if they have -- or inconsistent, we
14 said use the frequency period of severity -- or the
15 severity period for frequency. I think there's just
16 one (1) coverage where we said, no, you should a
17 different period for both of them.

18 BOARD MEMBER NEMEC: Okay. And just
19 as an overall thought, always looking at objectivity
20 and consistent and how -- how you keep that in your
21 methodology of -- of looking at your forecasts and
22 looking at your methods versus the eyeball test.

23 MR. RAJESH SAHASRABUDDHE: Yeah.

24 BOARD MEMBER NEMEC: And I guess these
25 are all estimates?

1 MR. RAJESH SAHASRABUDDHE: Yes.

2 BOARD MEMBER NEMEC: Looking at the
3 charts, I can see how the eyeballs would make some
4 sense, but how does that -- if your eyeballs look
5 different every year, does that impede your ability to
6 have objectivity and some consistency?

7 MR. RAJESH SAHASRABUDDHE: Yeah. So,
8 in general, we would expect that most of these
9 coverages, the -- so the -- the old years aren't going
10 to change significantly, so those patterns are still
11 going to be there. And then so it's really a matter
12 of, well, what does the next year look like. And to
13 the extent that net -- the next year is different from
14 what we thought it might have been through the
15 projection, then -- then it'll move a little bit.

16 But -- but I don't think that, you
17 know, for example, there's -- there's going to be a
18 situation where the next year -- I think there were --
19 the one (1) coverage where we suggested going to 2014
20 to -- to 2022, I don't think the next year is going to
21 say, no, we really should have included 2013 because I
22 don't think that's going to happen.

23 I -- I think it's -- it's -- I think
24 the starting point might still be 2014, or maybe we
25 notice something different and, you know, inflation's

1 going to decelerate.

2 And MPI captures that through their
3 future trend, but their future trends are a little bit
4 different, so -- so next year's model where that
5 future trend becomes part of past trend, because as
6 time passes it's -- it's going to require a re-
7 evaluation of the models in any case.

8 BOARD MEMBER NEMEC: Those are my
9 questions. Thank you.

10 PANEL CHAIRPERSON: Ms. Dilay...?

11 MS. KATRINE DILAY: Thank you, Madam
12 Chair. I do have a few questions on re-direct.

13

14 RE-DIRECT EXAMINATION BY MS. KATRINE DILAY:

15 MS. KATRINE DILAY: Mr.
16 Sahasrabuddhe, you remember the line of questioning
17 that My Friend Mr. Guerra from MPI asked you relating
18 to the difference in the overall claims expense
19 between what MPI is suggesting and what Oliver Wyman
20 is suggesting.

21 Do you remember that line of
22 questioning?

23 MR. RAJESH SAHASRABUDDHE: Vaguely.
24 Yes, generally I do.

25 MS. KATRINE DILAY: And at a high

1 level again, is it your recollection that he was -- he
2 suggested to you that the difference between your
3 evidence in the -- which was based on the original GRA
4 filing and then the difference between that and the
5 October update, the difference in claims expenses
6 would go from 38 million to about 30 million.

7 Do you remember that -- that question?

8 MR. RAJESH SAHASRABUDDHE: I -- I do,
9 yes. I remember that line of questioning, yes.

10 MS. KATRINE DILAY: So I'd like to --
11 to just clarify some numbers on the record based on
12 that line of questioning. So if we could go to the
13 GRA, Ms. Schubert, the figure RI-Henton (phonetic),
14 which is in -- at page 27 of the rate indication
15 chapter. Thank you.

16 And so if we look at lines 1 and 2
17 there, and specifically line 2, so there -- this is
18 MPI's -- so on line 2 for claims expenses, you see the
19 seven ten dot eighteen (710.18) overall?

20 MR. RAJESH SAHASRABUDDHE: Yes. It's
21 labelled claims. That line 3 is the claims expense,
22 but yes.

23 MS. KATRINE DILAY: Thank you. And so
24 focussing on line 2, and so if we -- if we multiply
25 the seven ten (710) by the amount of units, so just

1 above the 1.28 million --

2 MR. RAJESH SAHASRABUDDHE: Yes.

3 MS. KATRINE DILAY: -- subject to
4 check, we'd get about 909.3 million?

5 MR. RAJESH SAHASRABUDDHE: Yes.

6 That's my recollection, yes.

7 MS. KATRINE DILAY: And then going to
8 MPI -- sorry, Exhibit CAC I believe it was 5, the
9 Oliver Wyman report, top of page 37.

10 So there, instead of the seven ten dot
11 eighteen (710.18) that MPI was proposing, this is
12 saying, based on Oliver Wyman evidence, you're
13 suggesting a six seventy-nine point nine five (679.95)
14 for claims?

15 MR. RAJESH SAHASRABUDDHE: Yes, that's
16 correct.

17 MS. KATRINE DILAY: And then if we
18 multiply that by the 1.28 million vehicles that we
19 just previously saw, or units, that would be 870.6
20 million --

21 MR. RAJESH SAHASRABUDDHE: Yes.

22 MS. KATRINE DILAY: -- subject to
23 check?

24 MR. RAJESH SAHASRABUDDHE: Yes. I --
25 I think Mr. Guerra may have been using the value in

1 our presentation, which is slightly updated from this,
2 but -- but they're -- they're close.

3 MS. KATRINE DILAY: And then you're
4 saying here in your presentation -- or in your report
5 rather -- that it's a 4.26 percent less than MPI's
6 estimate, correct?

7 MR. RAJESH SAHASRABUDDHE: Yes.

8 MS. KATRINE DILAY: Slightly updated
9 in your presentation as well --

10 MR. RAJESH SAHASRABUDDHE: Yes.

11 MS. KATRINE DILAY: -- correct? And
12 then turning to Exhibit MPI-50, which is the October
13 update.

14

15 (BRIEF PAUSE)

16

17 MS. KATRINE DILAY: -- so you see
18 there the -- on line 2, that updated number in October
19 -- oh, I apologize. On page 3. Thank you, Ms.
20 Schubert.

21 So if we look on page 2 under claims,
22 that updated number in October so went from seven ten
23 dot eighteen (710.18) to seven-o-three dot fifty-five
24 (703.55)?

25 MR. RAJESH SAHASRABUDDHE: Yes.

1 MS. KATRINE DILAY: And then if we
2 multiply that by the number of units, subject to
3 check, we'd get 908 -- 900.8 million?

4 MR. RAJESH SAHASRABUDDHE: I'll accept
5 that, yes.

6 MS. KATRINE DILAY: So in terms of the
7 differences -- so if the expected reduction in
8 revenues is 4.26 percent, according to the Oliver
9 Wyman report, that would mean a reduction of 4.26
10 percent from the 900.8 million, or 38.4 million?

11 MR. RAJESH SAHASRABUDDHE: Yes.

12 MS. KATRINE DILAY: And under the
13 original GRA filing that difference was 38.7 million?

14 MR. RAJESH SAHASRABUDDHE: Yes.

15 MS. KATRINE DILAY: And so the change
16 between the original GRA numbers and the October
17 numbers would be a difference of three hundred
18 thousand (300,000), correct?

19 MR. RAJESH SAHASRABUDDHE: Yes. That
20 sounds about right, yes.

21 MS. KATRINE DILAY: And just one (1)
22 quick last question.

23 Mr. Guerra -- My Friend Mr. Guerra
24 confirmed with you that you didn't review the claims
25 forecasting slide deck that MPI had filed last week or

1 a couple of weeks ago?

2 MR. RAJESH SAHASRABUDDHE: Yes, that's
3 correct. We did not review that.

4 MS. KATRINE DILAY: But you'll confirm
5 that you received and reviewed portions of the
6 transcript from the claims forecasting panel that were
7 relevant to the contents of your evidence?

8 MR. RAJESH SAHASRABUDDHE: Yes, that's
9 correct.

10 MS. KATRINE DILAY: Thank you, Madam
11 Chair. Those are my questions on re-direct.

12 PANEL CHAIRPERSON: Thank you, Ms.
13 Dilay. I have just one (1) further question, sorry.
14 On the slide deck this morning, slide 78.

15 Mr. Sahasrabuddhe, the minus three
16 point five eight (3.58) should be an addition of all
17 of the numbers below in the individual impact.

18 Is that correct?

19 MR. RAJESH SAHASRABUDDHE: They're not
20 directly additive. It's the combination --

21 PANEL CHAIRPERSON: Okay.

22 MR. RAJESH SAHASRABUDDHE: -- of all
23 of those changes, but you can't add them together.

24 PANEL CHAIRPERSON: So if they were to
25 add -- if I were to add them together, I think I come

1 to a minus three point two six (-3.26), but that is
2 not necessarily?

3 MR. RAJESH SAHASRABUDDHE: Right,
4 'cause there's some interaction effects that, you
5 know, you change the -- the trend, it affects
6 different years differently.

7 PANEL CHAIRPERSON: Okay.

8 MR. RAJESH SAHASRABUDDHE: And then,
9 when you re-weight it, you get a -- a different
10 result.

11 PANEL CHAIRPERSON: Okay. Thank you
12 very much for that.

13 MR. RAJESH SAHASRABUDDHE: Sure.

14

15 (PANEL STANDS DOWN)

16

17 PANEL CHAIRPERSON: And thank you very
18 much for your presentation at this hearing. I'll give
19 you an opportunity to leave, and then we'll move into
20 cross-examination under undertakings. Thank you.

21 MS. KATRINE DILAY: Madam Chair, since
22 MPI needs to bring some representatives up -- up,
23 perhaps we could take five (5) minutes or so.

24 PANEL CHAIRPERSON: Sure. It's almost
25 quarter to 2:00. Why don't we come back at two

1 o'clock. Is that acceptable, Mr. Scarfone?

2 MR. STEVE SCARFONE: That sounds
3 great. Thank you.

4 PANEL CHAIRPERSON: Okay.

5

6 --- Upon recessing at 1:47 p.m.

7 --- Upon resuming at 2:04 p.m.

8

9 PANEL CHAIRPERSON: Thank you. Mr.
10 Scarfone, do you have some exhibits to enter?

11 MR. STEVE SCARFONE: Yes. Thank you,
12 Madam Chair.

13 MPIC would mark as its next exhibit,
14 114, its response to Undertaking number 32. MPI
15 Exhibit 115 is its response to Undertaking number 33.
16 MPI Exhibit 116 is response to Undertaking number 31.
17 And MPI Exhibit 117 is response to Undertaking number
18 29.

19

20 --- EXHIBIT NO. MPI-114: MPIC response to
21 Undertaking number 32

22

23 --- EXHIBIT NO. MPI-115: MPIC response to
24 Undertaking number 33

25

1 --- EXHIBIT NO. MPI-116: MPIC response to
2 Undertaking number 31

3

4 --- EXHIBIT NO. MPI-117: MPIC response to
5 Undertaking number 29

6

7 MR. STEVE SCARFONE: And I can advise
8 the Board there will -- there will be by agreement one
9 (1) further undertaking, which brings the total to
10 thirty-four (34) undertakings. And then the Panel is
11 here to answer questions on some of those.

12 PANEL CHAIRPERSON: Thank you. And
13 the final undertaking, are you expecting to file that
14 today?

15 MR. STEVE SCARFONE: Yes. So I just
16 spoke with counsel for the CCMG. And Ms. Meek is
17 preparing that to read into the record. I don't know
18 that she's got it done right yet because we're just --
19 we've just agreed to it just now.

20 So perhaps I could introduce the
21 members of the Undertaking Panel.

22 PANEL CHAIRPERSON: Yes, please do.

23 MR. STEVE SCARFONE: So reappearing
24 for the Board is Mr. Kolaski, the Corporation's chief
25 financial officer. He's already been sworn in. And

1 Ms. Low, the Corporation's chief actuary. She, too,
2 has been sworn.

3 And back row support is Mr. Dunstone,
4 the Manager of Forecasting; Dorothy Scott, Financial
5 Standards Specialist; Lynn Onofreychuk, Assistant
6 Manager of Project Accounting; and Grant Gaudry,
7 Manager of Budgeting; and Diane Hopkins, Manager of
8 Financial Reporting.

9 And in addition to the back row support
10 that you see before you, we also have some people that
11 are appearing virtually to help answer questions;
12 Simmi Mann, for Vehicle for Hire. She's the customer
13 value proposition lead. Glenn Bunston is virtually.
14 He's the director of ALM and investment management.

15 Khurram Masud, who appeared before you
16 on ratemaking. He is the director of pricing. And
17 Robert Smithson, Director of Customer Value
18 Proposition. They're all on the call to provide
19 assistance.

20 PANEL CHAIRPERSON: Thank you, Mr.
21 Scarfone. Ms. McCandless...?

22 MS. KATHLEEN MCCANDLESS: Thank you.

23

24 MPI UNDERTAKING PANEL:

25 CARA LOW, Resumed

1 RYAN KOLASKI, Resumed

2 GLENN BUNSTON, Resumed (by TEAMS)

3 SIMMI MANN, Resumed (by TEAMS)

4

5 CROSS-EXAMINATION BY MS. KATHLEEN MCCANDLESS:

6 MS. KATHLEEN MCCANDLESS: Hello, Mr.
7 Kolaski and Ms. Low. Nice to see you again. I don't
8 expect to take up too much of your time. I do have
9 some questions on a handful of undertakings.

10 First, can we go to MPI Exhibit number
11 99, and that's the response to Undertaking 12.

12 And the -- the request was to advise as
13 to whether the total premiums found in the far of
14 figure REV-11 were net of rebate. The response was
15 that the total premiums shown on figure REV-11 do not
16 include rebate surcharge values.

17 And maybe -- Kristen, it might be
18 helpful if we could pull up REV-11 just for the
19 witness's reference, if needed. And it's just a
20 question of clarification. Thank you.

21 So can you clarify as to whether the
22 premiums shown are before reduction of the rebate or
23 if they include the impact of the rebate?

24 MR. RYAN KOLASKI: Sure. So when you
25 look at the top where it says "fleet scale," right,

1 that top increase does not include the -- the rebates.
2 The rebates are shown in the box below where they are
3 forecasted out where it says "net rebates," so it's --
4 it's prior.

5 MS. KATHLEEN MCCANDLESS: Okay. Thank
6 you. So before reduction of the rebate?

7 MR. RYAN KOLASKI: Correct.

8 MS. KATHLEEN MCCANDLESS: Thank you.
9 Now moving to MPI Exhibit number 106, the response to
10 Undertaking 19. Again, a question of clarification.

11 So here MPI was asked to provide a
12 revised RI-10, PF-1, PF-2, and PF-3 reflecting the
13 change in the rate indication with a reduction in
14 expenses in the ratemaking calculation, some
15 accommodation of claimed incurred expense and
16 operating expenses of 12 1/2 million.

17 And the answer here refers to Basic's
18 share of the 12.5 million reduction being
19 approximately \$8 1/2 million. And then there's the
20 consequential rate indication change.

21 But just to clarify, the undertaking
22 was to request the impact of the \$12.5 million
23 reduction for Basic, so not -- not the 8.5, but the
24 12.5. And so, based on the assumption in the response
25 here, the rate indication changes by -- or decreases

1 by .28 percent, correct?

2 Based on how MPI's framed the response

3 --

4 MS. CARA LOW: Correct. Yes.

5 MS. KATHLEEN MCCANDLESS: And if we

6 were to go to CAC/MPI-1-1.

7

8 (BRIEF PAUSE)

9

10 MS. KATHLEEN MCCANDLESS: Thank you.

11 And we're looking for the impact on the rate

12 indication of adding back the initiative expenses. We

13 see here at 'C' that the overall annual rate

14 indication by not deferring improvement initiative

15 expenses for '24/'25 and '25/'26 is 2.28 percent?

16 MS. CARA LOW: I see that, yes.

17 MS. KATHLEEN MCCANDLESS: And that's

18 from the initial rate indication of negative .13

19 percent?

20 MS. CARA LOW: Correct. Yes.

21 MS. KATHLEEN MCCANDLESS: So an

22 increase then of 2.4 -- 2.41 percent?

23 MS. CARA LOW: Yes.

24 MS. KATHLEEN MCCANDLESS: The amount

25 of initiative expenses was the average of \$29.2

1 million and \$26.1 million?

2 MS. CARA LOW: Subject to check, that
3 sounds correct.

4 MS. KATHLEEN MCCANDLESS: And so
5 again, subject to check, that would be roughly \$27.7
6 million?

7 MS. CARA LOW: Subject to check, yes.

8 MS. KATHLEEN MCCANDLESS: And \$12.5
9 million is about 45 percent of 27.7 million?

10 MS. CARA LOW: Sounds about right.

11 MS. KATHLEEN MCCANDLESS: Okay. So
12 would it then be reasonable that the impact would be
13 about 45 percent of the 2.41 percent?

14 MS. CARA LOW: Could you repeat that
15 one.

16 MS. KATHLEEN MCCANDLESS: If we're --
17 if we're using 12 1/2 million rather than --

18 MS. CARA LOW: Yes.

19 MS. KATHLEEN MCCANDLESS: -- 8.5
20 million --

21 MS. CARA LOW: Yeah.

22 MS. KATHLEEN MCCANDLESS: -- and based
23 on the 2.28 with the negative .13, 45 percent of the
24 \$27.7 million, then would it be reasonable that the --
25 the impact of that would be about 45 percent of the

1 2.41 percent?

2 MS. CARA LOW: That would be
3 reasonable, yes.

4 MS. KATHLEEN MCCANDLESS: So that
5 would then result in negative 1.1 percent?

6 MS. CARA LOW: Subject to check, but
7 that sounds reasonable.

8 MS. KATHLEEN MCCANDLESS: So that's --
9 the negative 1.1 percent would be the response rather
10 than the negative .28 percent if we used 12 1/2
11 million rather than 8 1/2 million?

12 MS. CARA LOW: Agreed, yes.

13 MS. KATHLEEN MCCANDLESS: Thank you.
14 Now moving to Exhibit number 63, and that's the
15 response to Undertaking 2.

16 Here MPI was asked to produce the
17 analysis that arrives at the full-time equivalence for
18 the Crown benchmarking exercise for 2021/'22, correct?

19 MR. RYAN KOLASKI: Correct.

20 MS. KATHLEEN MCCANDLESS: And there's
21 a table in this response. And perhaps at a high
22 level, Mr. Kolaski, could you just explain what this
23 table is showing us?

24

25 (BRIEF PAUSE)

1 MR. RYAN KOLASKI: All right. So,
2 effectively, we start with our full-time FTEs on the -
3 - on the left. Then we go through a purification
4 process. And then we allocate those FTEs to each line
5 of business accordingly.

6 So it kind of starts with the total,
7 and then allocates them back over to the line of
8 businesses.

9 MS. KATHLEEN MCCANDLESS: So -- and
10 "from purify" and "to purify," are here at the heading
11 in the table, can you just explain what that means?

12 MR. RYAN KOLASKI: Sure. One second.

13

14 (BRIEF PAUSE)

15

16 MR. RYAN KOLASKI: So the "from" and
17 the "to" is how one department supports another
18 department. So, effectively, a plus in one department
19 is minus in another department, so that's part of the
20 purification in order to get the FTE allocation into
21 the right department overall.

22 MS. KATHLEEN MCCANDLESS: Thank you.
23 Now, some questions on the initiative expenses and
24 Undertaking 17.

25 The response was MPI Exhibit 104. And

1 then it was corrected yesterday, Kristen, so I just
2 want to make sure we're looking at -- yeah, that's the
3 corrected version. Thank you. And are we on page 2?
4 Yes, we are. Okay.

5 So this schedule reflects initiative
6 implementation expenses for Basic?

7 MR. RYAN KOLASKI: That is correct.

8 MS. KATHLEEN MCCANDLESS: And on the
9 far right side of the schedule, last line 70, the
10 total incurred is \$108.2 million?

11 MR. RYAN KOLASKI: Correct.

12 MS. KATHLEEN MCCANDLESS: And those --
13 that's related to implementation expenses until NOVA
14 is operational?

15 MR. RYAN KOLASKI: That is correct.

16 MS. KATHLEEN MCCANDLESS: And this
17 would be a material balance for financial reporting
18 purposes?

19 MR. RYAN KOLASKI: Correct.

20 MS. KATHLEEN MCCANDLESS: MPI did not
21 adjust its 2022/'23 rates for this change, but it was
22 reflected in 2023/'24?

23 MR. RYAN KOLASKI: That is correct.

24 MS. KATHLEEN MCCANDLESS: And we heard
25 earlier that MPI has proposed a ten (10) year

1 amortization for NOVA development expenditures.

2 MR. RYAN KOLASKI: That is correct.

3 Actually, it's not proposed, we actually have adopted
4 that. Sorry.

5 MS. KATHLEEN MCCANDLESS: If you look
6 at the right-hand side of the schedule, it looks like
7 MPI is amortizing over a five (5) year period.

8 MR. RYAN KOLASKI: Those on non-NOVA
9 initiatives are amortized over five (5) years. NOVA
10 initiatives are amortized over ten (10).

11 MS. KATHLEEN MCCANDLESS: So, lines 66
12 to 67 are over ten (10) years, but everything else
13 would be over five (5)?

14 MR. RYAN KOLASKI: That is correct.

15 MS. KATHLEEN MCCANDLESS: Thank you.
16 So, is MPI making a request to this Application for a
17 disposition of these amounts over the five (5) years
18 for everything or is that going to be made when MPI
19 has an understanding on Release 3 delivery?

20 MR. RYAN KOLASKI: Just one second. I
21 guess just to clarify. So, the non-NOVA projects only
22 have a life cycle over five (5) years, right?

23 So, it's not like a disposition. We're
24 not dis-jointed on that. I didn't -- maybe I just
25 don't understand the question enough.

1 MS. KATHLEEN MCCANDLESS: Okay. Thank
2 you. Can we go to MPI Exhibit No. 92, and that's the
3 response to Undertaking 26.

4 Here MPI was asked to confirm what
5 costs at the end of the project would be deferred
6 development costs and what costs would be going
7 through an income statement or a profit and loss
8 statement.

9 MR. RYAN KOLASKI: Correct. Yes, I
10 see that.

11 MS. KATHLEEN MCCANDLESS: And, the
12 response here provides another table. And is the
13 amount in this response comprised of overall corporate
14 expenses, including DVA, SRE and Extension shares of
15 NOVA initiative expenses?

16 MR. RYAN KOLASKI: One moment. Yes,
17 it is.

18 MS. KATHLEEN MCCANDLESS: Thank you.
19 And then if we go back to the schedule we were just
20 looking at, that had the \$108.2 million, and looking
21 specifically at lines 66 and 67, right in the middle
22 of the table there.

23 If we add up the 9.4 million and the
24 \$16.01 million, we get roughly \$25.4 million.

25 MR. RYAN KOLASKI: I see that, yes.

1 MS. KATHLEEN MCCANDLESS: And those
2 are the NOVA specific expenses.

3 MR. RYAN KOLASKI: Yes.

4 MS. KATHLEEN MCCANDLESS: So, to what
5 extent is that 25.4 million reflected in -- and then
6 if we could go to the -- the Undertaking response,
7 reflected in the \$68.6 million of NOVA expenses,
8 total.

9 MR. RYAN KOLASKI: Sure.

10

11 (BRIEF PAUSE)

12

13 MR. RYAN KOLASKI: So, this response
14 for the two-forty (240) would reflect only the NOVA
15 cost, not the ongoing cost total. It's just a program
16 cost related to it. So, line 67 is excluded.

17 MS. KATHLEEN MCCANDLESS: So, does
18 that mean that Basic's share is only 9.4 million of
19 the implementation expense?

20

21 (BRIEF PAUSE)

22

23 MR. RYAN KOLASKI: Sure. So, if you
24 look at the table on the screen, so '21/'22 actuals,
25 prior, aren't in the other table because that table

1 starts at 2023/'24. So, if you flip back, so there's
2 a disconnect there. Sorry. But if you scroll up to
3 the top, you'll see the titles of the years. Yeah.

4 So, part of that calculation is not
5 included on this -- these -- 'cause we've already --
6 'cause in those years, I believe, it was included in
7 the rates, right?

8 MS. KATHLEEN MCCANDLESS: Correct.

9 MR. RYAN KOLASKI: Does that make
10 sense?

11 MS. KATHLEEN MCCANDLESS: I -- I
12 believe that an -- that ---

13 MR. RYAN KOLASKI: It's kind of a
14 convoluted thing between the two (2) tables ---

15 MS. KATHLEEN MCCANDLESS: --- up
16 somewhat --

17 MR. RYAN KOLASKI: --- like, yeah.

18 MS. KATHLEEN MCCANDLESS: So, in the
19 forecast period, then MPI is reflecting \$9.4 million
20 in NOVA expenses?

21 MR. RYAN KOLASKI: For '22/'23
22 forward. Yeah.

23 MS. KATHLEEN MCCANDLESS: Thank you.
24 Now, Mr. Bunston isn't here. I believe we gave Mr.
25 Guerra a heads-up that there would be a question

1 coming that, hopefully, Ms. Low is able to -- to deal
2 with.

3 It has to do with MPI Exhibit No. 109
4 and on -- the response to Undertaking 30.

5 MR. STEVE SCARFONE: Just, Ms.
6 McCandless, I may have mis-spoke when I introduced the
7 panel.

8 So, for all intents and purposes, Ms.
9 Mann and -- and Mr. Bunston are front row.

10 MS. KATHLEEN MCCANDLESS: Pardon me.
11 I -- I guess I didn't catch -- he is -- he is online?

12 MR. STEVE SCARFONE: Yes.

13 MS. KATHLEEN MCCANDLESS: Thank you.
14 Thank you. So, here MPI was asked to update Exhibit
15 MPI-81 and the rate indication based on the yield as
16 at August 31.

17 MR. GLENN BUNSTON (by TEAMS): Yes,
18 that's correct.

19 MS. KATHLEEN MCCANDLESS: Hello, Mr.
20 Bunston. And, figure 1 shows the yield for provincial
21 bonds at 4 -- 4.31 percent.

22 MR. GLENN BUNSTON (by TEAMS): Yes.

23 MS. KATHLEEN MCCANDLESS: And then,
24 Kristen, can we just go to transcript, page 1961, from
25 yesterday. I just want to reference an exchange that

1 you had, Mr. Bunston, with Board Member Bass.

2 In response to questions on the
3 performance of the fixed income portfolio, you'll
4 recall here at lines 2 to 12, or 13, that you
5 indicated that MPI constantly evaluates the
6 performance of external managers.

7 Have had some equity managers on their
8 -- on your watch list because their performance has
9 been sub-par over a rolling four (4) year period.
10 And, two, had been removed from the watch list because
11 their performance has improved.

12 MR. GLENN BUNSTON (by TEAMS): Yes. I
13 see that --

14 MS. KATHLEEN MCCANDLESS: Correct.

15 MR. GLENN BUNSTON (by TEAMS): -- that
16 exchange from yesterday.

17 MS. KATHLEEN MCCANDLESS: And then,
18 specifically, with respect to fixed income, you note
19 that:

20 "The one thing to keep in mind is
21 that some of these performance
22 differences are likely caused by
23 differences in duration between our
24 portfolio and the portfolio -- the
25 benchmark portfolio, so duration has

1 some impact on performance."

2 MR. GLENN BUNSTON (by TEAMS): Yes, I
3 see that.

4 MS. KATHLEEN MCCANDLESS: And then
5 Board Member Bass had some follow-up, and he asked:

6 "Doesn't that initial statement that
7 we looked at, saying that it's been
8 adjusted for that?"

9 And you note that:

10 "It was adjusted for asset mix -- so
11 in other words, the mix between
12 stocks and bonds and alternatives,
13 but not necessary -- not necessarily
14 adjusted for duration within the
15 fixed income investments."

16 MR. GLENN BUNSTON (by TEAMS): Yes, I
17 see that.

18 MS. KATHLEEN MCCANDLESS: What is the
19 difference in duration that is affecting the
20 comparison?

21 MR. GLENN BUNSTON (by TEAMS): Yes.
22 So the -- at March 31st of 2023, the -- the duration
23 of the universe bond index was seven point three (7.3)
24 years. And I don't have the duration of the peer
25 universe, but I believe that it would be close to the

1 duration of the index.

2 And so I'd note that, during this
3 period, our -- the duration of our portfolio was
4 higher than the duration of the index. And because
5 interest rates are increasing during this period, that
6 is likely the cause of the under performance of our
7 fixed income portfolio relative to the -- both the
8 universe and the -- sorry, the peer universe and the -
9 - the bond index.

10 So I'd just add to that that the -- the
11 primary objective of the Basic claims portfolio is
12 risk management, of which interest rate risk is -- is
13 a key risk and returns are a secondary objective.

14 And so we manage that interest rate
15 risk by matching durations between our fixed income
16 portfolio and the liabilities. And our liabilities
17 have a duration of about eight and a half (8 1/2) to
18 nine (9) years.

19 And so that means that our bond
20 portfolio is more sensitive to interest rate changes
21 than the -- than the index and the peer universe. And
22 given the significant increase in interest rates over
23 the last year, this resulted in the under performance
24 of our portfolio relative to both the benchmark and
25 the peer universe.

1 But again, our objective is not to
2 outperform our peers. It's to hedge the interest rate
3 risk associated with the liabilities.

4 MS. KATHLEEN MCCANDLESS: Thank you.
5 Now --

6 BOARD MEMBER BASS: Ms. McCandless,
7 just -- can I follow up on that before you go on?
8 Sorry to be out of order, everybody.

9 Mr. Bunston, in the report that you get
10 from Ellement, is there any attribution of the
11 different components of a -- an investment manager's
12 work?

13 So, for example, with respect to
14 equities, you're probably used to seeing an
15 attribution to stock selection and an attribution to
16 sector selection, et cetera.

17 Is there anything in the report with
18 respect to fixed income that would assist you or us
19 with respect to duration, et cetera?

20 MR. GLENN BUNSTON (by TEAMS): No.
21 Ellement does not provide any -- any attribution
22 analysis in their reporting.

23 BOARD MEMBER BASS: And in your
24 opinion, would you be able to request that from
25 Ellement for future reports? And if you don't know,

1 it's okay to say that.

2 MR. GLENN BUNSTON (by TEAMS): We
3 could discuss that with them. I think another thing
4 that we might discuss with them is adjusting -- making
5 adjustments to the -- either the benchmark and/or the
6 peer universe to try to ensure that the duration is
7 closer to the actual duration of our portfolio.

8 BOARD MEMBER BASS: That makes sense,
9 too. Thank you.

10

11 CONTINUED BY MS. KATHLEEN MCCANDLESS:

12 MS. KATHLEEN MCCANDLESS: Thank you.
13 Now moving on to Exhibit number 114, the response to
14 Undertaking number 32.

15 Here MPI was asked to advise or provide
16 the update and the estimate of the transition gain for
17 the intended movement or transfer of the pension
18 management to the province.

19 And the updated amount here is \$214.6
20 million?

21

22 (BRIEF PAUSE)

23

24 MR. RYAN KOLASKI: Yes, that's -- I
25 see that, yes.

1 MS. KATHLEEN MCCANDLESS: And that's -
2 - the previous estimate was \$150 million, correct?

3 MR. RYAN KOLASKI: That's my
4 understanding, correct.

5 MS. KATHLEEN MCCANDLESS: And this --
6 this update -- this updated figure hasn't been
7 reflected in the MCT calculations, fair?

8 MR. RYAN KOLASKI: That gain on the
9 pension has not been reflected in the MCT calculation.

10 MS. KATHLEEN MCCANDLESS: If -- if MPI
11 proceeded with this and the gain was as estimated,
12 then obviously that would have an effect on the MCT
13 level and increase it fairly significantly?

14 MR. RYAN KOLASKI: So yeah. We did
15 take into account the gain, but again what's being
16 presented is an estimate. We don't have actual
17 alignment with government to do the transfer as of
18 yet, so that discussion hasn't happened, so that's why
19 it's not part of the -- the forecast period, just to
20 clarify that.

21 MS. KATHLEEN MCCANDLESS: Understood.
22 Thank you.

23 MR. RYAN KOLASKI: And then just for
24 clarity, like this reference is kind of a couple of
25 years old, so that gain is going to shift, right,

1 based on mix of the staffing complement that's within
2 the pension plan itself and then just the mix of
3 investments overall.

4 MS. KATHLEEN MCCANDLESS: Thank you.
5 Now, Kristen, can we pull up Exhibit 116, the response
6 to Undertaking 31. And pro forma 1, please.

7 First, just -- pro forma 1, per the
8 undertaking, was to be updated using an expected
9 investment yield net of investment expenses of 5.16
10 percent, and then pro forma 1 from this response.

11 And then can we side by side pull up
12 pro forma 1 from MPI Exhibit number 50, which was the
13 October 4 update. That would be page 5 of -- of 50.

14

15 (BRIEF PAUSE)

16

17 MS. KATHLEEN MCCANDLESS: Thank you.
18 And we're going to focus in on 2024 forecast for both
19 pro formas, and specifically lines 18 and 31, for the
20 interest rate impacts.

21 So when the yield is adjusted to 5.16
22 percent -- and we're looking at lines -- first line's
23 18, interest rate impact on claims incurred -- we see
24 for 2024 in the rate -- or the October 4 update was
25 negative -57.95 million, correct?

1 (BRIEF PAUSE)

2

3 MS. CARA LOW: Correct.

4 MS. KATHLEEN MCCANDLESS: Okay. And
5 then if we see the response to the Undertaking on the
6 left-hand side, again line 18, now we see what that --
7 that change.

8 Now the interest rate impact is \$7.2
9 million?

10 MS. CARA LOW: I see that.

11 MS. KATHLEEN MCCANDLESS: And then if
12 we go down to the interest rate impact on investment
13 income at line 31, starting with the October 4 update,
14 that impact was a negative -\$103.5 million for
15 2023/'24?

16 MS. CARA LOW: I see that, yes.

17 MS. KATHLEEN MCCANDLESS: And now we
18 see that has changed to four hundred and ninety-six
19 thousand dollars (\$496,000)?

20 MS. CARA LOW: I see that, yes.

21 MS. KATHLEEN MCCANDLESS: Okay. And
22 can you explain why there's such a wide var --
23 variance with that change? Could it be an error in
24 the calculation?

25 MS. CARA LOW: I will need to talk to

1 my back row.

2

3

(BRIEF PAUSE)

4

5 MS. CARA LOW: The exhibit on the left
6 is using the March yield, so it's from -- it's using
7 the model that was run for the GRA application in
8 June. So the March yields.

9

The one on the right was provided in
10 October, and it was using the August yields.

11

12

(BRIEF PAUSE)

13

14 MS. KATHLEEN MCCANDLESS: Okay. Thank
15 you. Madam Chair, I might need a couple minutes just
16 to confer with advisors before determining that I'm
17 finished my questioning in this area. I might suggest
18 just moving on to the Interveners at this time, and
19 I'll resume my questioning after, if necessary.

20

PANEL CHAIRPERSON: Thank you, Ms.
21 McCandless.

22

MR. STEVE SCARFONE: Madam Chair, just
23 before we move on, for Undertaking 19, so there is --
24 in fact for the first time in the history of this GRA,
25 subject to check, has come back to need some

1 clarification on an answer that Ms. Low provided to
2 Ms. McCandless.

3 So I think she was putting some math to
4 her.

5 MS. CARA LOW: So instead of removing
6 8 1/2 million, if you remove the full -- was it 12 or
7 12 1/2 -- 12 -- 12 1/2 -- that your logic made sense
8 if it was all assigned to the rating year. But it's
9 actually assigned over five (5) years, so it doesn't
10 have the full impact that we walked through.

11

12 CONTINUED BY MS. KATHLEEN MCCANDLESS:

13 MS. KATHLEEN MCCANDLESS: Right. So
14 just to follow through from that then, the -- the
15 decrease of 1.1 percent is that --

16 MS. CARA LOW: Yeah.

17 MS. KATHLEEN MCCANDLESS: -- does that
18 get adjusted...

19 MS. CARA LOW: Right. So on this
20 exhibit here that we're looking at, the provisional
21 rate indication was minus zero point one three (0.13),
22 and then it went down zero -- minus 0.41 percent, and
23 it would go down to minus zero five four (0.54)
24 indication.

25 MS. KATHLEEN MCCANDLESS: Why is it

1 assigned over five (5) years?

2 MS. CARA LOW: One (1) minute.

3

4 (BRIEF PAUSE)

5

6 MS. CARA LOW: It just seems like that
7 was the understanding, that it was just a reduction to
8 the initiative expenses, and then it flowed through
9 the financial forecast over the five (5) years. So
10 perhaps a misunderstanding.

11 MR. STEVE SCARFONE: So have we landed
12 then on a number?

13

14 CONTINUED BY MS. KATHLEEN MCCANDLESS:

15 MS. KATHLEEN MCCANDLESS: The
16 undertaking was requesting a reduction in expenses in
17 the rating year of twelve point five (12.5). It seems
18 perhaps the MPI made the assumption it would be over
19 the five (5) years. It's because this is not
20 initiative expenses; it was related to corporate
21 benefits expense.

22 So does that mean that there's an
23 assumption built into the response that maybe was
24 incorrectly included?

25

1 (BRIEF PAUSE)

2

3 MR. STEVE SCARFONE: Ms. McCandless,
4 we're going to have to make a correction to the
5 response to that Undertaking. I think that's the most
6 efficient way to deal with this here now.

7

8 CONTINUED BY MS. KATHLEEN MCCANDLESS:

9 MS. KATHLEEN MCCANDLESS: I'm -- I'm
10 just -- I'm trying to understand what the issue is.

11 So, if -- if -- does Ms. Low quibble
12 with the math, if we assume -- or if we apply that
13 twelve and a half (12 1/2) to the rating year only.

14 MS. CARA LOW: No, that -- your math
15 would have been correct. Yeah.

16 MS. KATHLEEN MCCANDLESS: Okay. So
17 the negative 1.1 --

18 MS. CARA LOW: Yes.

19 MS. KATHLEEN MCCANDLESS: -- percent
20 does work with applying the 12 1/2 million to the
21 rating year?

22 MS. CARA LOW: Correct. Yes.

23 MS. KATHLEEN MCCANDLESS: So, in that
24 case, I'm not sure that there's any correction needed.
25 I think MPI's rationale for something other than a one

1 point one (1.1) is on the record, but that wasn't the
2 question that was asked. So, I don't believe a
3 correction is necessary.

4 MR. STEVE SCARFONE: And, I'd agree
5 with that, so long as we get confirmation that that
6 response is accurate with that clarification.
7 Absolutely. Yeah. Okay.

8 MS. KATHLEEN MCCANDLESS: Okay. In
9 that case then, I think we're good, and those are my
10 questions. Thank you.

11 PANEL CHAIRPERSON: Thank you. Ms.
12 Dilay?

13 MS. KATRINE DILAY: Thank you, Madam
14 Chair.

15

16 CROSS-EXAMINATION BY MS. KATRINE DILAY:

17 MS. KATRINE DILAY: I do have just a
18 few questions, likely for Mr. Kolaski, and it relates
19 to MPI Exhibit 110 which is the response to
20 Undertaking Number 21. Thank you, Ms. Schubert.

21 And, so Mr. Kolaski, you'll agree here
22 MPI was asked to revise the response to CAC/MPI 2-12
23 to use the total corporate staffing forecast levels
24 for '24/'25 and '25/'26, rather than using normal
25 operations, correct?

1 MR. RYAN KOLASKI: That is correct.

2 MS. KATRINE DILAY: And we can see
3 here in Figure 1, you calculate the compensation
4 reduction for both '24/'25 and '25/'26 by maintaining
5 the FTE levels at '21/'22 levels.

6 MR. RYAN KOLASKI: Yes, that is
7 correct.

8 MS. KATRINE DILAY: And for '24/'25
9 forecast, the compensation reduction would be 20.1
10 million.

11 MR. RYAN KOLASKI: Correct.

12 MS. KATRINE DILAY: And for '25/'26,
13 the compensation reduction would be 16.2 million,
14 correct?

15 MR. RYAN KOLASKI: Correct.

16 MS. KATRINE DILAY: And if we go to
17 page 2 of the response, Figure 3. So here, this is
18 the pro forma, and it applies a rate change of minus
19 0.54 percent based on maintaining that staffing level
20 at '21/'22?

21 MR. RYAN KOLASKI: That is correct.

22 MS. KATRINE DILAY: And can MPI
23 indicate how it calculated the rate indication of
24 minus zero point five four (0.54) in Figure 3 pro
25 forma 1?

1 MR. RYAN KOLASKI: Just one (1)
2 moment?

3

4 (BRIEF PAUSE)

5

6 MR. RYAN KOLASKI: We went through and
7 updated our corporate expenses, right, for the re --
8 revision, and then we sent that over to the pricing
9 team. So it just runs back through the forecasting
10 model. So it's just a change in the operating
11 expenses overall.

12

13 (BRIEF PAUSE)

14

15 MS. KATRINE DILAY: And thank you for
16 that.

17 Can MPI also indicate how it treated
18 employee benefits expenses in calculating the
19 compensation reduction in Figure 1?

20 MR. RYAN KOLASKI: Sure. Just one (1)
21 moment.

22

23 (BRIEF PAUSE)

24

25 MR. RYAN KOLASKI: The benefit costs

1 are included in the salary line, so it's all salary
2 compensation together.

3

4 (BRIEF PAUSE)

5

6 MS. KATRINE DILAY: Thank you. Those
7 are our questions.

8 PANEL CHAIRPERSON: Thank you. Ms.
9 Meek, do you have any questions?

10 MS. CHARLOTTE MEEK: I don't. Thank
11 you, Madam Chair.

12 PANEL CHAIRPERSON: Thank you. Ms.
13 Wittman...?

14 MS. KAREN WITTMAN: Thank you, Madam
15 Chair. Yes, I do have some questions.

16

17 CROSS-EXAMINATION BY MS. KAREN WITTMAN:

18 MS. KAREN WITTMAN: My questions I
19 think are going to be directly -- directed largely to
20 Ms. Mann, if you're there.

21 MS. SIMMI MANN (by TEAMS): I am there
22 -- I am here.

23 MS. KAREN WITTMAN: Okay. Hello. And
24 it's with respect to what I think was Exhibit 112 and
25 the answer to Undertaking number 3 which was the

1 undertaking that dealt with commercially sensitive
2 information, or CSI, and Uber's position on sharing
3 that with the Interveners.

4 Do you recall that?

5 MS. SIMMI MANN (by TEAMS): Yes.

6 MS. KAREN WITTMAN: Okay. So before I
7 ask you questions about that, I want to put that
8 undertaking in context because that undertaking arose
9 while you were given your evidence on the proposed
10 blanket policy, and specifically when you were
11 commenting on the fact that Uber was refusing to share
12 its CSI with the Interveners.

13 Do you recall that?

14 MS. SIMMI MANN (by TEAMS): Yes.

15 MS. KAREN WITTMAN: And if it helps,
16 that's at -- that was on October 11th, the transcript
17 from October 11th, pages 370 to 371. And there was an
18 exchange between you and Board Chair Gabor about how
19 TNC CSI was handled in other jurisdictions --

20 MS. SIMMI MANN (by TEAMS): Correct.

21 MS. KAREN WITTMAN: -- notably British
22 Columbia and Saskatchewan.

23 Do you recall that?

24 MS. SIMMI MANN (by TEAMS): Yes, I do.

25 MS. KAREN WITTMAN: Okay. And I don't

1 know that we need to go through that whole exchange in
2 detail, but your answer in response to the questions
3 in a nutshell was that in BC the Interveners only
4 receive redacted information. Do you recall that?

5 MS. SIMMI MANN (by TEAMS): In BC, the
6 redacted, essentially, there was redacted information
7 with the regulator only receiving unredacted
8 information.

9 MS. KAREN WITTMAN: Right. So, the --
10 right, and, then, the -- in Saskatchewan, I think your
11 answer, in a nutshell, was that SGI was not requiring
12 that level of detail to be filed.

13 MS. SIMMI MANN (by TEAMS): Correct.

14 MS. KAREN WITTMAN: Now --

15 MS. SIMMI MANN (by TEAMS): -- in the
16 aggregate kilometres.

17 MS. KAREN WITTMAN: Yes. Right, and,
18 so, I just want to clarify that information with you,
19 because I think it's extremely relevant to the
20 Undertaking and Uber's -- my understanding of -- of
21 Uber's position on sharing CSI information with the
22 Interveners.

23 So, as I understand it, in both those
24 provinces, BC and Saskatchewan, they have adopted
25 blanket policies for TNCs. Am I correct on that?

1 MS. SIMMI MANN (by TEAMS): Correct.

2 MS. KAREN WITTMAN: One -- one small
3 difference is, in BC, they don't call it a TNC. They
4 call it a TNS, Transportation Network Service --

5 MS. SIMMI MANN (by TEAMS): M-hm.

6 MS. KAREN WITTMAN: -- as opposed to
7 Corporation. Yes?

8 MS. SIMMI MANN (by TEAMS): Okay.

9 Yes.

10 MS. KAREN WITTMAN: And -- and a copy
11 of that -- or -- sorry -- that application for a TNC
12 in BC was made back in 2019 in BC?

13 MS. SIMMI MANN (by TEAMS): Yes.

14 MS. KAREN WITTMAN: And a copy of that
15 application was provided to your Counsel yesterday?

16 MS. SIMMI MANN (by TEAMS): Correct.

17 MS. KAREN WITTMAN: And you -- you've
18 had a copy to review that?

19 MS. SIMMI MANN (by TEAMS): Yes. The
20 2019?

21 MS. KAREN WITTMAN: Right.

22 MS. SIMMI MANN (by TEAMS): Yes.

23 MS. KAREN WITTMAN: And it's a bit of
24 a long document, but we've produced an excerpt from
25 that, which we've provided to Ms. Schubert, and, Ms.

1 Schubert, perhaps you could pull that up at this
2 point.

3 This deals only with this -- and,
4 rather than the entire application, we have just taken
5 an excerpt from this and restricted the excerpt to
6 those pages that deal with the TNS and the calculation
7 of the per-kilometre rate and we'd like to mark that
8 as an exhibit at this point.

9 I think that would be Exhibit 8 of the
10 Taxi Coalition.

11 And what was also provided to your
12 Counsel yesterday was a copy of the Order that
13 followed as a result of that application, which was
14 also included in the package of materials and we'd
15 like to mark that as Exhibit 9, if that's acceptable
16 to use as an aid to cross at this point.

17 MR. STEVE SCARFONE: That is
18 acceptable.

19

20 --- EXHIBIT NO. TC-8: Excerpt from the
21 application for a TNC in
22 BC made back in 2019
23 dealing with TNS and the
24 per-kilometre rate.

25

1 --- EXHIBIT NO. TC-9: The Order that followed as
2 a result of the
3 application.
4

5 CONTINUED BY MS. KAREN WITTMAN:

6 MS. KAREN WITTMAN: Now, based on our
7 review of this application and this excerpt, when that
8 application for a TNC blanket policy, called a TNS
9 Certificate in BC --

10 MS. SIMMI MANN (by TEAMS): M-hm.

11 MS. KAREN WITTMAN: -- was made, it
12 was based on ICBC's taxi data, not the Uber data.

13 Were you aware of that?

14 MS. SIMMI MANN (by TEAMS): Yes. I am
15 aware of that.

16 MS. KAREN WITTMAN: Okay. And, in
17 fact, it specifically set out, at paragraph 36 of
18 Exhibit 8, which I believe is on page 17.

19 MS. SIMMI MANN (by TEAMS): M-hm.

20 MS. KAREN WITTMAN: And, in that
21 paragraph, it set -- it sets out that, in the absence
22 of TNS data in BC, the TNS distance-based pricing was
23 based on ICBC's taxi data. You see that?

24 MS. SIMMI MANN (by TEAMS): Yes, I do.

25 MS. KAREN WITTMAN: Which represents

1 similar usage rate classes?

2 MS. SIMMI MANN (by TEAMS): Correct.

3 MS. KAREN WITTMAN: And, then, it goes
4 on to say, at the end of the -- that paragraph:

5 "That this adjusted claims and
6 expense amount was then divided by
7 the estimated average annual
8 kilometres travelled by taxis, to
9 develop a per-kilometre rate for
10 TNS."

11 You see that?

12 MS. SIMMI MANN (by TEAMS): I do.

13 MS. KAREN WITTMAN: Okay. And, if we
14 just flip back for a second, to paragraph -- or page
15 14 of Exhibit 8 and paragraph 16 --

16 MS. SIMMI MANN (by TEAMS): Ms.
17 Wittman, do you -- do you want me to explain why they
18 might have used this approach, 'cause I can do that?

19 MS. KAREN WITTMAN: I am more
20 interested in just confirming the facts that Uber data
21 was not used in calculating this rate. It was the
22 taxi data.

23 MS. SIMMI MANN (by TEAMS): Correct
24 but --

25 MS. KAREN WITTMAN: And -- and so,

1 what I also want to confirm is that it wasn't an issue
2 in -- in British Columbia, whether Uber was going to
3 be required to share its data, because it wasn't asked
4 to. Would you agree with that?

5 MS. SIMMI MANN (by TEAMS): It --
6 there's always nuances to this. So, if you scroll
7 back to the -- the previous paragraph that you were
8 on. The first --

9 MS. KAREN WITTMAN: Paragraph 36?

10 MS. SIMMI MANN (by TEAMS): Was it 36?
11 I'm sorry. The first sentence is "in absence of TNS
12 data."

13 MS. KAREN WITTMAN: Right.

14 MS. SIMMI MANN (by TEAMS): So, we
15 have TNC operation. ICBC and SGI implemented in a
16 very different scenario. They implemented a blanket
17 policy when they permitted ride-sharing. Whereas, we
18 implemented the Time Band Model when we did ride-
19 sharing.

20 So, we have the additional benefit of
21 having this TNC data. So, we can use the group that
22 we're actually, you know, going to service, to develop
23 the per-kilometre rate. The benefit would be to have
24 a more accurate per-kilometre rate.

25 ICBC and SGI, and I can't speak for

1 them and I'm not an expert in them, I can just relay
2 the information that they didn't have that option.

3 MS. KAREN WITTMAN: Fair enough. I
4 just want to confirm, though, that, in BC, the per-
5 kilometre rate, when they were looking at the blanket
6 policy, was based on taxi data.

7 You'll agree with that?

8 MS. SIMMI MANN (by TEAMS): Yeah.

9 MS. KAREN WITTMAN: It doesn't mean
10 much either way. I just want to confirm that it was
11 based on taxi data.

12 MS. SIMMI MANN (by TEAMS): M-hm.

13 MS. KAREN WITTMAN: That's a "yes"?

14 MS. SIMMI MANN (by TEAMS): Initially,
15 yes.

16 MS. KAREN WITTMAN: Yeah. And -- and
17 further, that taxi data was not confidential.
18 Correct? It was pub -- it made publicly available?

19 MS. SIMMI MANN (by TEAMS): That I
20 can't confirm. I don't know the answer to that.

21 MS. KAREN WITTMAN: Okay. Well, we'll
22 get to that. So, the -- if we can flip back, now, to
23 paragraph 16 for a second. In the middle of the page
24 --

25 MS. SIMMI MANN (by TEAMS): M-hm.

1 MS. KAREN WITTMAN: -- in the middle
2 of that paragraph, it also sets out that the TNS will
3 have a prescribed rate for 10 years. You see that?

4 MS. SIMMI MANN (by TEAMS): I do.

5 MS. KAREN WITTMAN: And, so, as I
6 understand it, what it was saying, in this section,
7 was that the rates that were going to be adopted in
8 2018 would be adopted for the next 10 years.

9 Do you agree with that?

10 MS. SIMMI MANN (by TEAMS): Not
11 entirely. I think they have a schedule of rates.

12 MS. KAREN WITTMAN: A Schedule. Right
13 --

14 MS. SIMMI MANN (by TEAMS): Right.

15 MS. KAREN WITTMAN: -- but it was pres
16 -- it was going to be prescribed for a 10-year period?

17 MS. SIMMI MANN (by TEAMS): It looks
18 like that could be correct.

19 MS. KAREN WITTMAN: Okay. And the
20 rates that were actually adopted were set out at page
21 21 and 22 of this excerpt and Exhibit 8 and, in
22 particular, on the table on page 22. You see that?

23 MS. SIMMI MANN (by TEAMS): Yes.

24 MS. KAREN WITTMAN: Okay. And, then,
25 in addition to that, there was an Order, and this has

1 -- has now been marked as Exhibit 9, from BCUC, which
2 is the BC equivalent of the PUB, which sets out, at
3 paragraph D(ii), that ICBC's proposal for the blanket
4 policy was -- was going to be adopted and that the
5 rates for the TNS Basic insurance were approved to be
6 effective September 2020 and up to 2028 or -- sorry --
7 up to and including 2028. You see that?

8 MS. SIMMI MANN (by TEAMS): Yes.

9 MS. KAREN WITTMAN: Okay. So, based
10 on this document and, in particular, the Order, you
11 would agree with me that Uber's data simply didn't
12 come up in its initial application. Correct?

13 MS. SIMMI MANN (by TEAMS): In this
14 initial application. Correct --

15 MS. KAREN WITTMAN: In BC.

16 MS. SIMMI MANN (by TEAMS): -- because
17 there was no operation.

18 MS. KAREN WITTMAN: Correct. Okay.
19 And, then, as far as the Saskatchewan experience is
20 concerned, it's my --

21 MS. SIMMI MANN (by TEAMS): Ms.
22 Wittman, can I -- can I ask one thing. I wasn't sure
23 if you were done.

24 There is a subsequent filing to this,
25 where they provided an update, and that is where the

1 redacted information is. So, they continued to report
2 on the TNC experience -- or -- sorry -- the TNS
3 experience in British Columbia, and that is,
4 specifically, what I asked ICBC about, as in who is
5 permitted to see the aggregate kilometres.

6 MS. KAREN WITTMAN: Do you happen to
7 know where in this application that is?

8 MS. SIMMI MANN (by TEAMS): I don't.
9 It's not in this application. It's separate, but we
10 have to remember that there's also a rebate surcharge
11 mechanism here. So, while they have the rates on a
12 ten (10) year schedule, the rebate surcharge -- or the
13 discount surcharge is there to account for the
14 differing experience.

15 MS. KAREN WITTMAN: Okay. Thank you
16 for that. I also want to look at the Saskatchewan
17 experience, however. So when we look at -- at what
18 happened with SGI, they also applied for a blanket
19 policy. Is that right?

20 MS. SIMMI MANN (by TEAMS): SGI;
21 correct.

22 MS. KAREN WITTMAN: Okay. And a copy
23 of that application, or the rate proposal by SGI, the
24 Saskatchewan Auto Fund 2021 Rate Proposal was provided
25 to your counsel yesterday. We have an excerpt here.

1 But you've had an opportunity to take a
2 look at that?

3 MS. SIMMI MANN (by TEAMS): Yes.

4 MS. KAREN WITTMAN: Okay. And the
5 excerpt, again, just deals with the -- the pages of
6 the application that deal with the blanket policy and
7 the setting of the rates for the per-kilometre rate.

8 So I'd like to mark that as Exhibit 10
9 and use that as an aid to cross, if acceptable.

10 MR. STEVE SCARFONE: It is, Ms.
11 Wittman. I would say though I do -- I don't want to
12 be too intrusive or obstructive to this line of
13 questioning, but I -- I just want to ask the Board to
14 be mindful that we don't get too far afield from the
15 response to the undertaking.

16 Now, I know that Ms. Wittman would like
17 this Board to consider what's been done in other
18 jurisdictions, but the answer to the undertaking is as
19 Uber has explained. They've -- they've given us their
20 position, and -- and that was the undertaking that was
21 put to us, was to get Uber's position with respect to
22 the sharing of their CSI.

23 BOARD CHAIR GABOR: Sorry, if I could
24 just interject. I think I asked the question --

25 MR. STEVE SCARFONE: Yes.

1 BOARD CHAIR GABOR: -- for the
2 undertaking. And I thought the undertaking was: Can
3 you go back to Uber and provide the basis for the
4 refusal. Was that not the undertaking?

5 MR. STEVE SCARFONE: Well, if we may -
6 - perhaps it might be instructive --

7 BOARD CHAIR GABOR: It -- it --

8 MR. STEVE SCARFONE: -- to pull it up.

9 BOARD CHAIR GABOR: -- could you put
10 the undertaking up.

11 It's including "provide information."
12 I guess the question I have, and, you know, counsel's
13 raised it, your cross-examination is normal cross-
14 examination which I would have expected in the
15 Hearing; it really doesn't relate to the undertaking.

16 Their -- their response is: We're not
17 -- we're not responding. We're not going to give the
18 information.

19 You're now starting to go into an area,
20 you know, and I don't want to -- you know, I -- I
21 guess you can -- you can go there. But when you
22 started into it, I was sort of going, I thought that
23 was my undertaking.

24 And the response was, Well, we're just
25 not going to provide a response. And the question

1 was: What's the basis for the response?

2 So, you know, you -- you can go there,
3 but I'm not sure it's proper, so.

4 MS. KAREN WITTMAN: Thank you for
5 those comments. And in response I would say the issue
6 here is that we're effectively being asked to -- or
7 the -- or the PUB is effectively being asked to issue
8 a directive that will allow the information, Uber's
9 confidential information, to be exempt from Intervener
10 access or to be redacted such that the Interveners
11 don't get to see it.

12 And we haven't really -- we can tell
13 from the response -- and I'm going to into that a
14 little bit further -- we haven't really been given an
15 explanation as to why as part of this response, nor
16 has there been a motion on this very subject.
17 Instead, we're just being asked to do this.

18 And so part of what's relevant is what
19 happened in other jurisdictions. And what happened in
20 other jurisdictions was not set out in detail in the
21 application. It came up in the direct examination of
22 Ms. Mann and MPI which leads to a number of questions.
23 And I think it's incredibly important that we
24 understand what happened in other jurisdictions so
25 Uber's response is placed in context. This is the

1 first time it's come up is the bottom line.

2 BOARD CHAIR GABOR: Well, I guess -- I
3 guess my response is that I -- I thought it would have
4 come up in cross-examination to go -- to find -- for
5 you to see what they're -- what happened to Uber in
6 other jurisdictions.

7 The purpose right now is to go through
8 undertakings, the response to undertakings.

9

10 (BRIEF PAUSE)

11

12 BOARD CHAIR GABOR: Yeah, I mean, you
13 can put -- you -- you can -- you know, you can
14 continue. The problem is this isn't intended for
15 cross-examination that it could occurred during the
16 hearing; it's intended for cross-examination on the
17 undertaking.

18 The undertaking has a response. You're
19 going -- you're going parallel to it. If you want to
20 argue it in final submissions, certainly you can argue
21 in the final submission, as to what the Board should
22 be doing in relation to the order. But I -- I just
23 don't know where we're going to end up.

24 I -- I suspect that you're going to ask
25 more questions, and in final submission you're going

1 to put a submission in -- in relation to what you're
2 doing right now, but -- so you can go ahead. But I --
3 I don't know that -- I -- I intervened instead of the
4 panel chair, but...

5 PANEL CHAIRPERSON: No, that's fine.
6 I think that the -- you're moving towards to the
7 questions with regard to the Saskatchewan Auto Fund.

8 If you want to ask that question in
9 relation to Uber and whether there was information
10 included in that, I think that's fine. But I think
11 that that's probably the extent to which those
12 questions should go.

13 MS. KAREN WITTMAN: Thank you, Madam
14 Chair.

15

16 CONTINUED BY MS. KAREN WITTMAN:

17 MS. KAREN WITTMAN: So I will ask that
18 specific question. Ms. Mann, are you there?

19 MS. SIMMI MANN (by TEAMS): I am
20 there. I am here, I should say.

21 MS. KAREN WITTMAN: Okay. So I would
22 like to mark as an exhibit the -- the excerpt from the
23 Saskatchewanal (sic) Auto Fund 2021 Rate Proposal, if it
24 -- I think it was marked, but I just want to confirm
25 that.

1 Yes, it was. All right.

2 And so then moving on to that question.

3 Ms. Mann, did -- did you hear the question posed by

4 Madam Chair?

5 MS. SIMMI MANN (by TEAMS): If you

6 could just repeat it, so I can answer you properly

7 that would be great.

8 PANEL CHAIRPERSON: The question that

9 I --

10 MS. SIMMI MANN (by TEAMS): M-hm.

11 PANEL CHAIRPERSON: -- was the next

12 question and the end of the questions from counsel for

13 TC, is whether there was information obtained in the

14 Saskatchewan Auto Fund 2021 Rate Proposal that

15 included the kilometre charges to Uber.

16 MS. SIMMI MANN (by TEAMS): No, there

17 was not. And it's a similar situation to ICBC. It's

18 because they didn't have experience in Saskatchewan

19 for ride sharing at that time so --

20 PANEL CHAIRPERSON: Thank you.

21 MS. SIMMI MANN (by TEAMS): -- it

22 wasn't.

23

24 CONTINUED BY MS. KAREN WITTMAN:

25 MS. KAREN WITTMAN: Thank you. Okay.

1 So now dealing with the undertaking itself, Ms.
2 Schubert, could you bring that up. It's Exhibit
3 number 112.

4 So the undertaking had two (2) parts.
5 It was to follow up with Uber and its -- and its claim
6 for CSI, and specifically to deal with whether the
7 Interveners could see it if they sign an NDA, or a
8 non-disclosure agreement, and second, whether the
9 Board would receive unredacted information but the
10 Interveners would only receive redacted information.

11 And the response we have from Uber --
12 or MPI after contacting Uber is 1) that Uber is not
13 agreeable to the proposal which is to have the
14 Interveners see the confidential information if they
15 sign an NDA, and second, as far as the Board receiving
16 some -- certain unredacted information, they would
17 consider it, but would need to have a final review or
18 control over the redacted details that are provided to
19 the Interveners.

20 Do you see that?

21 MS. SIMMI MANN (by TEAMS): Correct.

22 I do.

23 MS. KAREN WITTMAN: Okay. Now, fair
24 to say that in this response, Uber has not set out why
25 it wants this information -- and has not advised MPI

1 to set out why it wants its information to remain
2 confidential, correct?

3 MS. SIMMI MANN (by TEAMS): Correct,
4 because we didn't -- we didn't ask them. We simply
5 asked them what their position was.

6 MS. KAREN WITTMAN: Sure. Fair
7 enough. And you'll also agree with me that in this
8 answer to this undertaking, Uber has also not set out
9 how providing its data would reveal its market share
10 to potential competitors, correct?

11 MS. SIMMI MANN (by TEAMS): Right.
12 Not in this response.

13 MS. KAREN WITTMAN: Right. And Uber
14 has not set out in this response how a competitor
15 would use this information to compete, correct?

16 MR. STEVE SCARFONE: I think we'll --

17 MS. SIMMI MANN (by TEAMS): I just --
18 I just --

19 MR. STEVE SCARFONE: -- concede --

20 MS. SIMMI MANN (by TEAMS): -- need a
21 minute --

22 MR. STEVE SCARFONE: Simmi, just one
23 (1) second. Just --

24 MS. SIMMI MANN (by TEAMS): -- for one
25 (1) minute to check my back row.

1 MR. STEVE SCARFONE: Ms. Mann, just
2 one -- we'll just concede that -- Ms. Wittman, that
3 the response is as it indicates on the screen. So to
4 the extent that you're asking her questions that they
5 didn't respond with something else, we'll concede that
6 point.

7 MS. KAREN WITTMAN: All right. But
8 just so it's on the record, there's also nothing in
9 this response that sets out how supplying this
10 information would significant affect Uber's
11 competitive position or cause it undue financial loss,
12 correct?

13 MR. STEVE SCARFONE: Correct. That's
14 not in the response.

15 MS. KAREN WITTMAN: Okay. Thank you.
16

17 CONTINUED BY MS. KAREN WITTMAN:

18 MS. KAREN WITTMAN: Ms. Mann, are you
19 still there?

20 MS. SIMMI MANN (by TEAMS): I am.

21 MS. KAREN WITTMAN: Okay. I just have
22 one (1) final section, and that's this.

23 In -- in obtaining this answer to
24 undertaking or otherwise, did MPI discuss with Uber
25 that the PUB has a process for handling CSI?

1 MS. SIMMI MANN (by TEAMS): We did.

2 MS. KAREN WITTMAN: And did you
3 discuss that it can be done by having the Interveners
4 or their counsel or their experts sign non-disclosure
5 agreements and agree not to provide any of the
6 confidential information to their clients?

7 MS. SIMMI MANN (by TEAMS): Yes, I
8 believe we did describe the situation and how that was
9 handled. We, essentially, explained to them our
10 regulatory environment and process along with
11 Interveners, as well as the confidential --
12 confidentiality process through the GRA.

13 MS. KAREN WITTMAN: And Uber did not
14 agree to that, correct?

15 MS. SIMMI MANN (by TEAMS): Well, I
16 think they've stated their position here. We simply
17 provided them with the confidentiality agreement and
18 asked them to put in their conditions. Their
19 discussions were internal; they simply provided us
20 with a response.

21 MS. KAREN WITTMAN: Okay. Thank you
22 very much. Those are my questions.

23 PANEL CHAIRPERSON: Mr. Gabor, do you
24 have any questions? Ms. Boulter...?

25 BOARD MEMBER BOULTER: Okay.

1 Regarding Undertaking number 17, if I could have that
2 brought up. Exhibit 104.

3 Okay. I'm -- I'm looking at this, and
4 this is NOVA and Non-NOVA projects and funding,
5 correct?

6 MR. RYAN KOLASKI: Yes.

7 BOARD MEMBER BOULTER: Okay. And the
8 non-NOVA, were they ever in NOVA, because some of them
9 look like they cross over a bit?

10 MR. RYAN KOLASKI: Just one (1)
11 moment.

12

13 (BRIEF PAUSE)

14

15 MR. RYAN KOLASKI: Thanks for your
16 patience. If you have Undertaking 24, if you want to
17 throw that up on the screen.

18 That is a list of projects that are not
19 directly related to NOVA but NOVA will use. So,
20 they're not NOVA-related.

21 But there is a listing on Undertaking
22 24. That is the list there.

23 BOARD MEMBER BOULTER: Yeah, but my
24 question was, back on that one, on 17, were any of
25 those initially in the scope and the planning of NOVA

1 and pulled out and put here?

2 MR. RYAN KOLASKI: None of those were
3 in scope, no.

4 BOARD MEMBER BOULTER: No. They --
5 they weren't in scope now, but were they ever in
6 scope?

7 MR. RYAN KOLASKI: No, Ma'am.

8 BOARD MEMBER BOULTER: Okay. Thank
9 you very much.

10 And several of the projects on here --
11 I'm -- I'm trying to remember everything I've heard --
12 are over five hundred thousand (500,000). Did they go
13 through the -- the invest -- the approval process to
14 get those?

15 MR. RYAN KOLASKI: So, you're
16 referring to the LPM Project; yeah, they would have
17 went through that process.

18 BOARD MEMBER BOULTER: Okay. That's
19 all my questions. Thank you.

20 PANEL CHAIRPERSON: Ms. Nemec...?

21 BOARD MEMBER NEMEC: I'm going to
22 continue on with the improvement initiative expenses
23 which, I think here are 108 million. And I think I
24 understood you saying some of these are NOVA, some of
25 them are non-NOVA type of expenditures.

1 Do you know what the total amount of
2 NOVA-type expenditures are? Do they tie into one of
3 the other -- there's \$68 million of NOVA expense in
4 the -- Undertaking 26. Does it -- do those tie
5 together?

6 MR. RYAN KOLASKI: Just one (1)
7 moment.

8

9 (BRIEF PAUSE)

10

11 MR. RYAN KOLASKI: That's a similar
12 question from prior which is the pre-'22/'23 years,
13 right.

14 BOARD MEMBER NEMEC: M-hm

15 MR. RYAN KOLASKI: It does have
16 expenses that aren't reflected here 'cause those
17 expenses were included in those rate-setting years.

18 BOARD MEMBER NEMEC: Okay.

19 MR. RYAN KOLASKI: So --

20 BOARD MEMBER NEMEC: And excluding
21 that difference in the years, that -- whatever those
22 amounts work out to, they -- all of the amounts would
23 tie in as to non-NOVA and NOVA? They're not anywhere
24 else?

25

1 (BRIEF PAUSE)

2

3 MR. RYAN KOLASKI: Correct. So the --
4 I'm just, for clarity, Undertaking 17, is Basic only,
5 right, and the other chart is all --

6 BOARD MEMBER NEMEC: Right.

7 MR. RYAN KOLASKI: -- right, so there
8 is a slight --

9 BOARD MEMBER NEMEC: Right.

10 MR. RYAN KOLASKI: -- drip on that,
11 but yes.

12 BOARD MEMBER NEMEC: So even without
13 getting into the detailed numbers --

14 MR. RYAN KOLASKI: Correct.

15 BOARD MEMBER NEMEC: -- though,
16 everything in these implementation expenses that are
17 NOVA tie into this, should you have the right dates
18 and the right Basic only. Thank you.

19 And -- and the reason I -- I just
20 wanted to talk a little bit about: We have NOVA,
21 ongoing operations in here, which -- so the ongoing
22 operations are -- and -- and I'm trying to understand
23 how that is an improvement initiative expense. And,
24 similar, below that, NOVA deferred development
25 amortization expensed.

1 Just curious as to --

2 MR. RYAN KOLASKI: Sure, let me just --

3 BOARD MEMBER NEMEC: -- just -- I'm
4 trying to just understand. What's put in this
5 account?

6 MR. RYAN KOLASKI: Fair question,
7 yeah.

8 BOARD MEMBER NEMEC: Just to go back
9 to what is in here?

10 MR. RYAN KOLASKI: One (1) moment.

11

12 (BRIEF PAUSE)

13

14 MR. RYAN KOLASKI: So in terms of the
15 ongoing operations, those are future normal operating
16 costs. So things like bubble staff and licensing fees
17 that will continue on after the implementation. So
18 we're tracking those as we go through this, overall.

19 In terms of your deferred development
20 costs, those are costs that were previously deferred,
21 and now that the -- that release is active, they're
22 now being amortized. So, like the R-1; kind of that
23 position.

24 BOARD MEMBER NEMEC: And I'm just
25 trying to tie that answer into the purpose of this

1 account. The hundred and eight (108) that -- there
2 was -- trying to tie it into this is expense for
3 financial statement purposes. We talked about for
4 rate-setting purposes to defer and amortize that into
5 the rate indication over the next five (5) years, I --
6 I believe is what was discussed previously.

7 So I'm -- are all of these costs --
8 does this need to be adjusted or to say these -- and
9 the reason why we said it is there was new accounting
10 rules relating to cloud-based computing that couldn't
11 be capitalized, and saw some value for those types of
12 costs over five (5) years.

13 Are -- are there -- there seem to be a
14 lot of dissimilar type costs in here, so I'm just
15 wondering how we're using this 108 million.

16 Is it all what we initially thought as
17 we were going to defer for ratemaking purposes and
18 amortize it over five (5) years? 'Cause now it's
19 including an amortization fee.

20 MR. RYAN KOLASKI: Yeah. Just one (1)
21 second.

22

23 (BRIEF PAUSE)

24

25 MR. RYAN KOLASKI: All right. So if

1 you can just -- so if you look at the column on the
2 screen, so there's 11 million to the 26 million, so
3 those three (3) columns.

4 So those are specifically deferred for
5 rate setting purposes, so those are definitely not in
6 the rate. But again, for accounting, right, the
7 accounting is different. This where the IFRS-14 kind
8 of steps in.

9 So from an accounting perspective, the
10 treatment is different, but those three (3) columns
11 are definitely excluded. And then what you're seeing
12 is the forecasting out of all those initiatives
13 overall.

14 So that's where the disconnect comes,
15 which was why I believe you guys were looking for
16 IFRS-14 accounting treatment. So then the confusion
17 that we're having here is like -- kind of goes away
18 'cause then it's kind of aligned.

19 Does that kind of answer your question
20 a bit?

21 BOARD MEMBER NEMEC: So I can't see
22 the top of the page. Maybe --

23 MR. RYAN KOLASKI: Yeah. I can't see
24 the titles either, but yeah.

25 BOARD MEMBER NEMEC: Ms. Schubert, can

1 you just -- so we have actuals. So total
2 implementation expenses deferred, and then -- in the
3 middle, and then we have total implementation expenses
4 recovered.

5 And could you go down to the bottom so
6 I can see what the difference in those totals are,
7 deferred and recovered. I'm not sure I understand it,
8 but you're saying the first three (3) columns on the
9 left, 11.8 million, the 29.1 million, 26.1 million,
10 those three (3) columns are what --

11 MR. RYAN KOLASKI: Deferred, yes.

12 BOARD MEMBER NEMEC: -- is deferred.
13 So 40, 50, 66 million.

14 MR. RYAN KOLASKI: Yeah, subject to
15 check.

16 BOARD MEMBER NEMEC: Okay. Okay. I'm
17 going to think about that.

18 Second question just on this document
19 is: We have NOVA-type expense -- expenditures in here
20 and we have non-NOVA-type expenditures in here,
21 correct?

22 MR. RYAN KOLASKI: That is correct.

23 BOARD MEMBER NEMEC: Do we know what
24 the amount of NOVA-type expenditures versus non-NOVA-
25 type expenditures are?

1 MR. RYAN KOLASKI: Just one (1)
2 second. I think --

3 BOARD MEMBER NEMEC: And just round
4 about.

5 MR. RYAN KOLASKI: So if you look at
6 lines 66 and 67 --

7 BOARD MEMBER NEMEC: Okay.

8 MR. RYAN KOLASKI: -- you'll see what
9 those are. There's the ongoing costs --

10 BOARD MEMBER NEMEC: Oh, that's just
11 it? That's it? The Duck there are some Duck
12 expenditures up top, that wouldn't be included either?
13 Duck Datamark (phonetic) enrichment.

14 MR. RYAN KOLASKI: Do you have a line,
15 ma'am?

16 BOARD MEMBER NEMEC: Yeah, 47, line
17 47, and I can't say anything above that.

18

19 (BRIEF PAUSE)

20

21 MR. RYAN KOLASKI: So that is Duck
22 Datamart not Duck Creek. Slightly different, sorry.

23 BOARD MEMBER NEMEC: Okay. Thank you.
24 And the reason I asked that question, just for the
25 magnitude, is because I believe your -- I guess these

1 are all expensed then except for the three (3) lines
2 on the left which are going to be at a ten (10) year
3 amortization rate.

4 MR. RYAN KOLASKI: So NOVA has been
5 adopted at a ten (10) year amortization rate, and then
6 anything that is non-NOVA in terms of an initiative
7 would be over five (5) years.

8 BOARD MEMBER NEMEC: And is --

9 MR. RYAN KOLASKI: Kind of a five (5)
10 and ten (10). Think of it that way.

11 BOARD MEMBER NEMEC: Yeah, five (5)
12 and ten (10). And the two (2) -- and there's a
13 distinction between the -- the estimated lives of non-
14 NOVA and the NOVA-type expenses?

15 MR. RYAN KOLASKI: Yes. So the
16 previous policy was that, on our initiatives related
17 to software and development was a five (5) year life,
18 and we have -- had applied that to NOVA prior.

19 And then specifically, as we discussed
20 prior, for the last fiscal year we adopted NOVA
21 initiatives over a ten (10) year period once they go
22 live.

23 BOARD MEMBER NEMEC: Thank you. My
24 second question is a bit of an accounting question,
25 and it has to do with Undertaking 32, number 32, about

1 the pension, and the gain on transition of two hundred
2 and fourteen point six (214.6). It's just -- I just
3 don't get how --

4 MR. RYAN KOLASKI: Sure. So let me --
5 so -- so just for clarity --

6 BOARD MEMBER NEMEC: Is there a
7 surplus of two hundred and fourteen point six (214.6)
8 that someone isn't going to take on that liability and
9 expect you to pass on the assets for a future
10 liability, I guess is the question.

11 MR. RYAN KOLASKI: Sure. So this
12 specific reference is not the answer, right, just so
13 we're all clear. So this is coming back from a
14 previous application.

15 So the way the transfer would work,
16 probably the easiest way is to kind of just frame with
17 what -- how the pension gets discounted. So today, we
18 just -- we used Ellement to do the discounting.

19 That rate at the end of June, subject
20 to check, would be about four point eight three
21 (4.83). At March, that rate was four point nine
22 (4.9). So your liability is going to go up or down
23 based on that rate.

24 Then what happens is you quantify at a
25 point in time where you're going to transfer or settle

1 the pension. So once you pick that date, there'll be
2 a settlement date, and Ellement will do a valuation.
3 That valuation is done on what's called a going
4 concern, so they're going to take on that liability on
5 a going-concern basis.

6 That discount rate is approximately
7 five point seven five (5.75), subject to check, and is
8 fairly consistent over a long period of time.

9 So what happens is is that liability
10 will float up or down based on the market rates, and
11 then it's going to get benchmarked against the five
12 seven, and that's what's creating kind of that gain,
13 depending on that point in time.

14 And then, when you transfer it over to
15 CSSB, they have a funding ratio that's different. So
16 that funding ratio is approximately 80 percent, and
17 they true it up every year. So it's kind of like 80
18 percent of your going concern valuation, right?

19 So we do the valuation; Ellement does a
20 calculation to get a going concern amount; then we
21 apply the 80 percent to that amount. We then settle
22 that pension obligation with the investment portfolio
23 funds that are held.

24 That difference then creates a gain.
25 So technically, that obligation is no longer on the

1 books of MPI.

2 It's a very specific and lot of rules
3 around pension settlement, so we haven't landed
4 exactly the wording around that and we're kind of
5 modelling off of the MLCC situation where -- I think
6 it was back -- subject to check, back in 2014 when
7 they adopted this, so we're trying to do the same
8 thing.

9 But that's kind of what's creating
10 that. So, yes, the obligation is there. The
11 legislation is unclear as to who's ultimately
12 responsible for that difference between the 100 and 80
13 percent settlement, but we're using again another
14 Crown corporation that did this.

15 And obviously the rules around this are
16 very specific to the language, and then we still have
17 to align with government that they're going to accept
18 that we can do this. But that's in theory around the
19 \$200 million potential win because the obligation is
20 now CSSB's overall, right?

21 And then just a follow-on question
22 'cause you're probably going to ask, we will retain
23 part of the portfolio 'cause when you transfer it
24 over, CSSF has specific rules around pension salaries
25 and caps.

1 So part of our pool today will not be
2 allowed to transfer under CCA rules, so I'm probably
3 going to hold back \$20 to \$30 million, more or less,
4 which is what is showing on the screen as say 28
5 million overall.

6 And then we also will retain -- what's
7 on our balance is the future benefit or post-
8 retirement benefits and severance piece as well.
9 So, that will also be an obligation. So, what you're
10 going to see is a gain on transfer related to,
11 basically, CSSB taking on that obligation, but we will
12 still have a pension, right, overall, and then that's
13 kind of like net of settlement.

14 But we don't have the actual alignment
15 yet, just to be clear, and we don't have the final
16 Ellement pension dates, right, in order to do a re-val
17 of that 215 million, right. So, it's going to drift,
18 right, but there would be a gain. It's just a
19 question of magnitude.

20 BOARD MEMBER NEMEC: So, the effect of
21 this is that, currently, the defined benefit pension
22 plan that is fully funded today?

23 MR. RYAN KOLASKI: Well, it's -- we --
24 we pay as we go. So, yes, it, essentially, is. Yeah.

25 BOARD MEMBER NEMEC: There's an

1 actuarial asset and liability?

2 MR. RYAN KOLASKI: So, we do have,
3 like, yeah, we do have a -- a liability and we do have
4 an investment portfolio today. The investment
5 portfolio exceeds the liability, which is part of
6 what's creating your gains.

7 BOARD MEMBER NEMEC: So, there's a
8 surplus there?

9 MR. RYAN KOLASKI: Correct. Yeah.

10 BOARD MEMBER NEMEC: And, when it goes
11 to CSSF, that will not be fully funded, end of plan,
12 in effect?

13 MR. RYAN KOLASKI: So, they -- you,
14 well, I guess they've assumed, right, that liability.
15 So, in essence -- but they choose to run at a
16 different funding rate, which is about 80 percent
17 less.

18 BOARD MEMBER NEMEC: Which remain
19 unfunded by twenty (20). Okay. Thank you.

20 PANEL CHAIRPERSON: Mr. Bass...?

21 BOARD MEMBER BASS: Yeah. I'm a
22 little confused on the NOVA ex -- initiative expenses
23 that you were just asked about and you had indicated,
24 and I've heard it before, during the hearing, some are
25 being amortized over five (5) years and some over ten

1 (10) years. Why are they being amortized?

2 MR. RYAN KOLASKI: The NOVA expenses
3 are being amortized?

4 BOARD MEMBER BASS: Yes.

5 MR. RYAN KOLASKI: Is that the
6 question? Release 1, like, so, part of the -- as the
7 phases have started, we have gone live. So, once you
8 have a go-live position, those expenses start to get
9 amortized overall and, then, so, like the deferred
10 part is related to releases that are not actually live
11 today.

12 BOARD MEMBER BASS: Okay, Kristen, can
13 you pull up our Order from last year, please, /'23,
14 and go to page 55. The bottom paragraph.

15 So, it talks about the initiative
16 expenses, and:

17 "The Board considers it appropriate
18 and consistent with AAP to defer
19 costs that are for systems that do
20 not benefit current ratepayers."

21 Then, down towards the end, the fourth
22 last line:

23 "The Board, therefore, directs MPI
24 to defer these integration costs
25 through a regulatory deferral

1 account for rate-setting purposes.

2 The account will accumulate the
3 integration costs and will be
4 recovered when Project NOVA is fully
5 in service."

6 So, Project NOVA is not yet fully in
7 service, is it?

8 MR. RYAN KOLASKI: The full Project
9 NOVA, no. It's not in service and, then, as we
10 described, those costs in those first three (3)
11 columns, are not included in the rate application.

12 So, from a rate-setting perspective,
13 those costs are excluded, but, from an accounting
14 perspective, they're being reflected in our
15 financials.

16 BOARD MEMBER BASS: So --

17 MR. RYAN KOLASKI: -- natural
18 disconnect in IFRS-14 kind of comes into play.

19 BOARD MEMBER BASS: Well, I'm not so
20 sure it has anything to do with IFRS-14. I think it
21 has to do with regulatory accounting and your normal
22 accounting within the Corporation.

23 But, just to confirm, the initiative
24 expenses are not included in any of the rate-setting
25 pricing, et cetera, that's been put before us? Ms.

1 Low?

2 MS. CARA LOW: That would be correct.
3 It's not in the AAP rates.

4 BOARD MEMBER BASS: Okay. Thank you.

5 PANEL CHAIRPERSON: Thank you. And,
6 Mr. Scarfone, have you and Ms. Meek developed a
7 further Undertaking that we need to deal with this
8 afternoon?

9 MR. STEVE SCARFONE: I believe we
10 have. Yes. If she can -- if I can ask Ms. Meek to
11 read it into the record and we will accept that
12 Undertaking and, then, get it to her and it'll be
13 filed promptly.

14 PANEL CHAIRPERSON: Thank you.

15 MS. CHARLOTTE MEEK: Thank you, Madam
16 Chair.

17 PANEL CHAIRPERSON: Could you come to
18 the front -- front row --

19 MS. CHARLOTTE MEEK: Oh. Sure.

20 PANEL CHAIRPERSON: -- Intervener row.
21 Thank you.

22 MS. CHARLOTTE MEEK: Thank you, Madam
23 Chair. So, the Undertaking is for MPI to advise,
24 directionally, of the impact on the discount rate of
25 adding a similar allocation of equities instead of

1 real return bonds to the Basic portfolio on a cash
2 basis with no repos or reserve repos and, in addition,
3 MPI provide an explanation of the basis for why the
4 impact on the discount rate is the same or different
5 from the impact on real return bonds on a cash basis.

6 PANEL CHAIRPERSON: Mr. Scarfone...?

7 MR. STEVE SCARFONE: I didn't know
8 about the second part. Just one second.

9

10 (BRIEF PAUSE)

11

12 MR. STEVE SCARFONE: Mr. Bunston's
13 gone. Yes, we will take that undertaking.

14

15 --- UNDERTAKING NO. 34: MPI to advise
16 directionally of the
17 impact on the discount
18 rate of adding a similar
19 allocation of equities
20 instead of real return
21 bonds to the Basic
22 portfolio on a cash basis
23 with no repos or reserve
24 repos and, in addition,
25 MPI provide an explanation

1 for the basis for why the
2 impact on the discount
3 rate is the same or
4 different from the impact
5 on real return bonds on a
6 cash basis

7

8 MS. CHARLOTTE MEEK: Thank you, Mr.
9 Scarfone.

10 PANEL CHAIRPERSON: Thank you. And I
11 believe that concludes our business for this
12 afternoon. Ms. McCandless...?

13 MS. KATHLEEN MCCANDLESS: Unless Mr.
14 Scarfone has any re-examination arising out of the
15 answers from his Panel.

16 PANEL CHAIRPERSON: Mr. Scarfone...?

17 MR. STEVE SCARFONE: No re-
18 examination, Madam Chair. I would ask the Board for
19 one (1) small indulgence given that our closing is
20 tomorrow. So if you see Mr. Guerra and I in the same
21 clothes that we're wearing today, you'll know why.
22 But can we start at 10:00?

23 PANEL CHAIRPERSON: I think the
24 question that we have is, what does that do in terms
25 of the schedule for the next two (2) days to the

1 conclusion of -- of the Hearing.

2 Ms. McCandless, can you comment?

3 MS. KATHLEEN MCCANDLESS: So tomorrow,
4 according to the schedule, we have closing on behalf
5 of the Board, MPI, and CAC. And then the follow day
6 we have CMMG, Taxi Coalition, and MPI reply which I
7 don't expect would take the full day on Friday.

8 I -- I estimate to be approximately one
9 (1) hour. MPI, do you have an estimate?

10 MR. STEVE SCARFONE: Two (2) hours.

11 MS. KATHLEEN MCCANDLESS: And CAC...?

12 MS. KATRINE DILAY: We're estimating
13 between two (2) and two and a half (2 1/2).

14 MS. KATHLEEN MCCANDLESS: So I think
15 we have enough time over the two (2) days, but the
16 issue is whether CAC would want to split its closing.

17 BOARD CHAIR GABOR: Sorry. If you're
18 starting at 10:00, it's MPI that's splitting at lunch.

19 MS. KATHLEEN MCCANDLESS: They would
20 break at lunch and resume, but I mean overnight.

21 BOARD CHAIR GABOR: No, but I mean if
22 you're going -- sorry, how long is yours -- yours?

23 MS. KATHLEEN MCCANDLESS: And hour.

24 BOARD CHAIR GABOR: An hour. So
25 you're going from 10:00 to 11:00. Theirs is two (2)

1 hours. So it would be MPI that's splitting over lunch
2 because we're not going from --

3 MS. KATHLEEN MCCANDLESS: What I mean
4 is -- is from one (1) day to the next. My -- my
5 concern would be that CAC might start and not be able
6 to finish before we adjourn tomorrow.

7 PANEL CHAIRPERSON: Well, perhaps what
8 we could do is we'll sit tomorrow until CAC's
9 concluded. Is that acceptable, Mr. Scarfone?

10 MR. STEVE SCARFONE: That -- that
11 would be acceptable to MPI, correct.

12 PANEL CHAIRPERSON: Ms. Dilay...?

13 MS. KATRINE DILAY: Yeah, that would
14 be acceptable.

15 PANEL CHAIRPERSON: Okay. That's fine
16 then. I don't think the Board has got any concerns
17 about starting an hour later. So we'll start at ten
18 o'clock tomorrow morning and we'll conclude at the end
19 of CAC's submissions, whenever that may be.

20 MR. STEVE SCARFONE: Thank you.

21 PANEL CHAIRPERSON: Okay. Thanks.
22 See you tomorrow at 10:00.

23

24 --- Upon adjourning at 3:38 p.m.

25

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

Certified Correct,

Wendy Woodworth, Ms.